

Official Transcript of Proceedings  
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards  
Subcommittee on Materials, Metallurgy and  
Reactor Fuels

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, December 6, 2006

Work Order No.: NRC-1347

Pages 1-162

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

SUBCOMMITTEE ON MATERIALS, METALLURGY, AND

REACTOR FUELS

+ + + + +

WEDNESDAY,

December 6, 2006

+ + + + +

The meeting was convened in Room T-2B3 of  
Two White Flint North, 11545 Rockville Pike,  
Rockville, Maryland, at 1:30 p.m., Dr. J. Sam Armijo,  
Chairman of the subcommittee, presiding.

MEMBERS PRESENT:

J. SAM ARMIJO, CHAIRMAN

MARIO V. BONACA, ACRS MEMBER

SAID ABDET KHALIK, ACRS MEMBER

SANJOY BANERJEE, ACRS MEMBER

THOMAS S. KRESS, ACRS MEMBER

JOHN D. SIEBER, ACRS MEMBER

GRAHAM WALLIS, ACRS MEMBER

CHARLES G. HAMMER, DESIGNATED FEDERAL OFFICIAL

CAXETANO SANTOS, ACRS STAFF

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1	<u>I N D E X</u>	2
2	Opening Remarks, S. Armijo, ACRS	3
3	Overview of Regulatory Guide 1.207 (DG-1144)	
4	H. Gonzalez, RES	4
5	Discussion of Technical Basis for Regulatory	
6	Guide 1.207 and NUREG/CF-6909, O. Chopra,	
7	Argonne National Laboratory	11
8	Discussion of Public Comments and Staff	
9	Responses for Regulatory Guide 1.207	
10	and NUREG/CR-6909, H. Gonzalez, RES and	
11	O. Chopra, ANL	77
12	ASME Presentation, E. Ennis, ASME	85
13	AREVA Presentation, D. Cofflin, AREVA	142
14	Adjourn	161
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

P-R-O-C-E-E-D-I-N-G-S

1:31 P.M.

CHAIRMAN ARMIJO: The meeting will now come to order. This is a meeting of the Materials, Metallurgy and Reactor Fuels Subcommittee. My name is Sam Armijo, Chairman of the Committee. ACRS Members in attendance are Dr. Mario Bonaca, Mr. Jack Sieber, Dr. Bill Shack is sitting as a member of the audience or staff at this point, Dr. Thomas Kress and Dr. Graham Wallis are also present.

Gary Hammer of the ACRS staff is the Designated Federal Official for this meeting.

The purpose of this meeting is to discuss Regulatory Guide 1.207, guidelines for evaluating fatigue analyses incorporating the life reduction of metal components due to the effects of light-water reactor environments for new reactors. We will hear presentations from the NRC's Office of Nuclear Regulatory Research and their contractor, Argonne National Laboratory.

We will also hear presentations from representatives of the American Society of Mechanical Engineers and AREVA.

The Subcommittee will gather information, analyze relevant issues and facts, and formulate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 proposed positions and actions, as appropriate for  
2 deliberation by the Full Committee.

3 The rules for participation in today's  
4 meeting have been announced as part of the notice of  
5 this meeting previously published in the Federal  
6 Register. We have received no written comments from  
7 members of the public regarding today's meeting.

8 A transcript of the meeting is being kept  
9 and will be made available as stated in the Federal  
10 Register notice. Therefore, we request that  
11 participants in this meeting use the microphones  
12 located throughout the meeting when addressing the  
13 Subcommittee.

14 Participants should first identify  
15 themselves and speak with sufficient clarity and  
16 volume so that they may be readily heard.

17 We will now proceed with the meeting and  
18 I call on Mr. Hipolito Gonzales of the Office of  
19 Nuclear Regulatory Research to begin.

20 MR. GONZALEZ: Thank you. I am Hipolito  
21 Gonzalez. I'm the Project Manager for Regulatory  
22 Guide 1.207. I'm from the Corrosion and Metallurgy  
23 Branch and with me, Omesh Chopra. He's from Argonne  
24 National Lab. He's going to be presenting part of the  
25 regulatory basis, technical regulatory basis.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I would like to acknowledge William Cullen  
2 from the Office of Research and John Ferrer, NRR, for  
3 their helpful reviews and comments on this project.

4 Next slide.

5 The agenda today, we're going to be  
6 discussing Regulatory Guide 1.207. I'm going to give  
7 a quick historical perspective and then we're going to  
8 go over an overview the reg. guide. And then Omesh  
9 will present the technical basis which is the NUREG  
10 report CR, NUREG CR 6909, Revision 1.

11 I'm going to give a summary of the  
12 regulatory positions. And the last presentation is  
13 going to be the resolution of public comments.

14 The ASME Section 3, fatigue design curves  
15 were developed in the late 1960s and the early 1970s.  
16 The tests conducted were in laboratory environments at  
17 ambient temperatures. And the design curves included  
18 adjusted factors of 2 constraint and 20 on cyclic life  
19 to account for variations in materials, surface  
20 finish, data scatter and size.

21 Results from the studies in Japan and  
22 others in ANL, Argonne National Lab, as illustrated.  
23 Potential significant effects of the light-water  
24 reactor coolant environment on the fatigue life of the  
25 steel, steel components.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Next slide.

2 Since the late 1980s, the NRC staff has  
3 been involved in the discussion with ASME co-  
4 committees, the PVRC and Technical Community to  
5 address the issues related to the environmental  
6 effects on fatigue.

7 In 1991, the ASME Board of Nuclear Code  
8 and Standards requested the PVRC to examine worldwide  
9 fatigue strain versus like data and develop  
10 recommendations.

11 In 1995, it was resolution for GSI 166  
12 which established that the risk to core damage from  
13 fatigue failure of the reactor coolant system was  
14 small. So no action was required for current plant  
15 design life of 40 years. Also, the NRC staff  
16 concluded that fatigue issues should be evaluated for  
17 extended period of operation for license renewal and  
18 this is under GSI-190.

19 In 1999, we had GSI-190 and the fatigue  
20 evaluation of metal components for 60-year life plant,  
21 plant life. Staff concluded that consistent with  
22 requirements of 10 CFR 54.21, that aging management  
23 programs for license renewal should address components  
24 of fatigue including the effects of the environment.

25 On December 1, 1999, by letter to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Chairman of the ASME Board of Nuclear Code and  
2 Standards, the NRC requested ASME to revise the code  
3 to include the environmental effects on the fatigue  
4 design components.

5 Next slide.

6 ASME initiated the PVRC Steering Committee  
7 on cyclic life and environmental effects and the PVRC  
8 Committee recommended revising the code for design  
9 fatigue curves. This was to WRC Bulletin 487.

10 After more than 25 years of deliberation,  
11 there hasn't been any consensus regarding  
12 environmental effects on fatigue life on the light-  
13 water reactor environments.

14 The NRR requested research under user need  
15 requests to 504 to develop guidance for determining  
16 the acceptable fatigue life of ASME pressure boundary  
17 components with consideration of the light water  
18 reactor environment and this guidance will be used for  
19 supporting reviews of application that the Agency  
20 expects to receive for new reactors. The industry was  
21 immediately notified that the NRC staff initiated this  
22 work, the development of the reg. guide. In addition,  
23 this is one of the high priority reg. guides to be  
24 completed by March 2007.

25 In February and August this year, NRC

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 staff and ANL, we had presented at the ASME Code  
2 Meetings the technical basis draft, NUREG CR6909. On  
3 July 24, 2006, both the draft reg. guide and the NUREG  
4 technical basis report were published for public  
5 comments and the public comment period ended September  
6 25.

7 In addition, on July 25, ANL presented a  
8 paper on the technical basis again.

9 CHAIRMAN ARMIJO: Just to clarify  
10 something, new reactors, does that include -- do these  
11 rules apply to already certified design, such as the  
12 ABWR and the AP1000? Are they grandfathered by virtue  
13 of their certification?

14 MR. FERRER: This is John Ferrer from NRR  
15 staff. They're grandfathered by virtue of their  
16 certification that's already been addressed in the  
17 reviews there, so we're not backfitting this reg.  
18 guide to those certified designs.

19 DR. SIEBER: For 40 years though.

20 CHAIRMAN ARMIJO: Well, actually, if you  
21 read the safety evaluation, the way it was written  
22 said that they were evaluated for 60 years.

23 DR. SIEBER: Okay.

24 CHAIRMAN ARMIJO: That's kind of an  
25 inconsistency in a way because they haven't been built

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the United States and if they were being certified  
2 after this reg. guide is issued, that would be the  
3 rule -- that would control the design, wouldn't it?

4 MR. FERRER: I wish I -- I agree with you.  
5 Unfortunately, the way certified design works is once  
6 we certify it, we'd have to go through a backfit  
7 evaluation if we were going to apply this. And what  
8 happened in the backfit evaluation, if you go back a  
9 couple of slides on the GSI-166 and the GSI-190, we  
10 did a backfit evaluation and showed the risk was not  
11 high enough to justify a backfit, but the reason we  
12 implemented it on license renewal was the fact that  
13 the probability of leakage increased significantly  
14 within 40 and 60 years.

15 But again, the risk which is the  
16 probability of getting a pipe rupture that would lead  
17 to core damage was still low.

18 CHAIRMAN ARMIJO: Thank you.

19 MR. GONZALEZ: Now I am going to go to an  
20 overview of the reg. guide.

21 Next slide.

22 How the reg. guide 1.207 relates to the  
23 regulatory requirements. GDC criterion, general  
24 design criterion 1, quality standards and waivers.  
25 And the part says that safety-related systems,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 structures and components must be designed,  
2 fabricated, erected and tested to the quality standard  
3 commensurate with the importance of the safety  
4 function performed.

5 GDC-30 states, in part, that components  
6 included in a reactor pressure boundary must be  
7 designed, fabricated, erected and tested to the  
8 highest practical quality standards.

9 In 10 CFR 50.55A endorses the ASME boiler  
10 pressure vessel code for design of safety-related  
11 systems and components. These are Class 1 components.

12 ASME Code Section 3 includes the design  
13 fatigue, includes the fatigue design curves. But  
14 these fatigue design curves do not address the impact  
15 of the reactor coolant system environment.

16 The objective of this regulatory guide is  
17 to provide guidance for determining the acceptable  
18 fatigue life of ASME pressure boundary components with  
19 the consideration of the light water reactor  
20 environment for major structural materials that will  
21 be carbon steel, low-alloy steels, austenitic  
22 stainless steel and nickel-based alloys. For example,  
23 alloy-600, 690.

24 So in this guide, describes an approach  
25 that the NRC staff considers acceptable to support

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reviews about the applications that the Agency expects  
2 to receive for new reactors.

3 Implementation, this will only apply to  
4 new plants. And no backfitting is intended. And this  
5 is due to the conservatism in the current fleet of  
6 reactors because of the design practices for fatigue  
7 work conservatisms all plants were designed.

8 Next slide, please.

9 Now I'm going to -- how the technical  
10 basis was developed. Omesh is going to give the  
11 presentation on the technical basis report.

12 MR. CHOPRA: Thanks, Hipo.

13 DR. BONACA: I have a question regarding  
14 your last statement. No backfitting is intended,  
15 conservatism on coolant reactors. If the approach was  
16 conservative on coolant reactors, I mean could it be  
17 used also for new reactors?

18 MR. FERRER: Let me try to answer that.  
19 In reviewing GSI-166 which was backfit to current  
20 operating plants, we evaluated the as-existing fatigue  
21 analyses and there were a number of conservatisms in  
22 the specification of transients and the methodology  
23 and the analysis.

24 We don't know whether or not that same  
25 conservatism will be applied in the new reactors. In

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 addition, there have been some changes in the ASME  
2 code criteria since those original analyses were done  
3 that removed some of the conservatisms in the  
4 analysis. So if somebody were to do code analysis to  
5 the current code criteria may not have the same level  
6 of conservatisms.

7 DR. BONACA: I understand. Thank you.

8 MR. CHOPRA: The issue we are discussing  
9 here today is effect of light water reactor coolant  
10 environments on the fatigue life of structural steels.  
11 Over the last 20 to 30 years, there's been sufficient  
12 data accumulated, both in the U.S. and worldwide,  
13 especially in Japan, which shows that coolant  
14 environments can have a significant effect on the  
15 fatigue life of these steels.

16 And this data is very consistent. It  
17 doesn't matter where it has been rated, all show  
18 similar trends without any exception. And also, the  
19 fatigue data is consistent with a much larger database  
20 on fatigue crack growth rates affect on environment of  
21 fatigue crack growth rates. There's no inconsistency.  
22 The mechanisms are very similar and both show similar  
23 trends, effects of radius parameters, material loading  
24 and environmental parameters have similar inference on  
25 fatigue crack initiation and fatigue crack growth.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And this fatigue data has been evaluated  
2 to clearly define which are the important parameters.  
3 They're well defined and also the range of these  
4 parameters for which environmental effects are  
5 significant, it's clearly defined.

6           So we know the conditions under which  
7 environment would have an effect on fatigue life. The  
8 question is do these conditions exist in the fleet?  
9 If they exist, we will have an effect on the  
10 environment and it should be considered. We know from  
11 subsection 31.32.21 that the current fatigue design  
12 curves do not include the effect of aggressive  
13 environment which can accelerate fatigue failures and  
14 has to be considered.

15           So the burden is on the designer to better  
16 define these transients, to know what conditions  
17 occurred during these transients and whether  
18 environment would be involved.

19           Next, before getting into the  
20 environmental effects, I just want to cover a few  
21 background information. We are talking about the  
22 effect of environment on fatigue life. Let's  
23 understand what do we mean by fatigue life? The  
24 current code design curves were based on data which  
25 was where the specimens were tested to failure. Quite

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 often, these design curves are termed as failure  
2 codes, but I think the intent was to define fatigue  
3 life as to prevent fatigue crack initiation, because  
4 the data which has been obtained in the last 20 to 30  
5 years in these results fatigue life is defined as the  
6 number of sitings for the peak load to decrease by 25  
7 percent.

8 And for the type of specimen, size of  
9 specimens used in these tests, mostly quarter inch or  
10 three-eighth round cylindrical specimens, this would  
11 correspond to creating a three millimeter crack. So  
12 we can say the fatigue life is the number of cycles  
13 for a given strain condition to initiate a three  
14 millimeter crack and from several studies we know that  
15 surface crack, about 10 micron deep form quite early  
16 during fatigue cycling.

17 So we can say that fatigue life is nothing  
18 but it's associated with growth of these cracks from  
19 a 10 micron size to 3 millimeter size and typically  
20 this is the behavior of the growth of these cracks is  
21 in this shape where crack length is a fraction of  
22 fatigue life varies like this and it's divided into  
23 two stages, initiation stage and a propagation stage.  
24 Initiation stage is characterized by decrease in crack  
25 growth rates. It's very sensitive to micro structure.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It involves sheer crack growth which is 45 degrees to  
2 the stress axis, whereas propagation stage is not very  
3 sensitive to microstructure. It was tensile crack  
4 growth which is perpendicular to the stress axis and  
5 this is the stage where you see on the fracture  
6 surface well defined striations.

7 Various studies have shown that this  
8 transition from an initiation stage to a propagation  
9 stage occurs around -- depending on the material, 150  
10 micron or 300 micron, that range.

11 So initiation stage is growth of crack up  
12 to 300 microns. Propagation stage is beyond that to  
13 3000 or 3 millimeter size.

14 Next slide.

15 CHAIRMAN ARMIJO: Before you leave that  
16 curve, just for the benefit of people who don't  
17 understand these curves, what is the time difference  
18 between or the fatigue life difference from the three  
19 millimeter crack initiated crack to through-wall  
20 failure in the case of let's say a one-inch pipe, one-  
21 inch wall thickness?

22 MR. CHOPRA: We would use the crack growth  
23 rate data.

24 CHAIRMAN ARMIJO: Would that typically  
25 increase the number of cycles by a factor of 2 or a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 factor of 10?

2 MR. CHOPRA: It depends on the conditions,  
3 loading conditions and environment and so on. So we  
4 know what the crack growth rates are for various  
5 conditions. So we have to use that. But maybe I can  
6 answer another way. In a test specimen, the  
7 difference between 25 percent load drop and complete  
8 failure of a specimen is very small. It's less than  
9 one or two percent.

10 So whether we call it failure of a  
11 specimen or defining it 25 percent drop, would be very  
12 small difference. The idea of using 25 percent load  
13 drop was to be consistent so that we define life as  
14 some consistent -- all the labs do the same thing. So  
15 that was the idea.

16 Otherwise, for a real component, if we  
17 deal with three millimeter steel in a tube, it would  
18 depend on crack growth rates.

19 CHAIRMAN ARMIJO: Okay.

20 MR. CHOPRA: Now the same curve I've  
21 plotted a slightly different way where I plotted still  
22 our cracked growth rates was the crack depths,  
23 decreasing growth rates in the initiation stage and  
24 increasing growth rates.

25 Now of course, crack growth would depend

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on applied stress ranges. The higher the stress  
2 range, the higher the crack growth. The delta sigma  
3 one at very low stresses, the cracks which form during  
4 cyclic loading may not growth to large enough size  
5 that they can -- the propagation stage takes over.

6 DR. WALLIS: Crack velocity is really  
7 growth rate and microns per cycle, not per unit of  
8 time.

9 MR. CHOPRA: Right, but depending on the  
10 time period one could convert it to --

11 DR. WALLIS: I know, but velocity is a  
12 strange word.

13 MR. CHOPRA: Yes, maybe this should be  
14 crack growth rate.

15 DR. WALLIS: If there's no cycling,  
16 there's no crack growth.

17 MR. CHOPRA: Yes, yes. Beta sigma one,  
18 when the stresses are very low, cracks may grow to  
19 large enough size for the propagation to take over and  
20 this is known as the fatigue limit of the material.  
21 This is true for constant loading.

22 MR. BANERJEE: What's the mechanism that  
23 changes the velocity so much?

24 MR. CHOPRA: Initial sheer crack growth.  
25 It will extent maximum couple of degrees. So it's a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 shear crack growth, 45 degrees, whereas, once you go  
2 deep enough, large enough size, you get into a  
3 different process where actually fracture mechanics  
4 methodology can be used to express that. It's a  
5 tensile crack growth.

6 MR. BANERJEE: It's a multi-grain sort of  
7 size and then it starts -- a different mechanism.

8 MR. CHOPRA: Typically, a couple of  
9 grains. Fatigue limit is applicable only under  
10 constant stress conditions. If we have random  
11 loading, as in the case of a real component, then we  
12 can have situations where we have higher stresses, few  
13 cycles of higher stresses, where cracks can grow  
14 beyond this depth that you can grow even at stresses  
15 which are much lower than fatigue limit.

16 So the history of cycling is also  
17 important for evaluating fatigue damage.

18 DR. WALLIS: Delta sigma is the magnitude  
19 of this?

20 MR. CHOPRA: Of the stress range, applied  
21 extracted stress range. And environment also.

22 DR. WALLIS: Does it matter if it's 10  
23 silo or compressible?

24 MR. CHOPRA: On the tests which are used  
25 for obtaining fatigue data, the strain range ratio is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 -1, completely reversed. So we go from tensile to  
2 compressive.

3 Even in environment, corrosion processes  
4 can cause the cracks to grow beyond this and then  
5 propagation can take over. So environment also could  
6 accelerate. So the question is which part -- which of  
7 these stages is affected by environment? Initiation  
8 or propagation, or both?

9 DR. WALLIS: Your scales are linear, are  
10 they?

11 MR. CHOPRA: This is a schematic.

12 DR. WALLIS: Schematic.

13 MR. CHOPRA: This portion is plotted here  
14 where I have actual numbers. And I just wanted to  
15 show you that we know from crack growth studies that  
16 crack growth rates are affected by environment and  
17 it's very well documented.

18 DR. WALLIS: These data look unreasonably  
19 well behaved for materials data.

20 (Laughter.)

21 MR. CHOPRA: If we plotted a few tests, we  
22 will see this happen.

23 CHAIRMAN ARMIJO: Agreement is log, log.

24 DR. WALLIS: Even so, I mean.

25 MR. CHOPRA: Anyway, effect of environment

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is also, has been studied in fatigue crack initiation.

2 DR. WALLIS: These are real data?

3 MR. CHOPRA: These are real data. But we  
4 have calculated the crack growth rates in the fatigue  
5 samples by benchmarking the fatigue crack front at  
6 different stages during fatigue life. And so we can  
7 see the three environments here: high oxygen -- high  
8 dissolved oxygen water; low dissolved oxygen; PWR  
9 water and air. And we see if you take 100 micron  
10 crack length and air -- it took about 3,000 cycles to  
11 reach that. In water, it took only 40 cycles, which  
12 gives me an average growth rate of 2.5 micron per  
13 cycle and this is this region here, average of this.

14 In this case, it's .0033 microns per  
15 cycle. So we see two orders of magnitude effect of  
16 environment which suggests that even the initiation  
17 stage may be affected even more than what crack growth  
18 rate is affected.

19 I just wanted to show you that both stages  
20 are affected by the environment, even the growth of  
21 very small cracks.

22 Now next, the design curves, what do the  
23 design curves --

24 DR. WALLIS: Presumably, this is not just  
25 one batch of data like this.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CHOPRA: There's lots of data. I'm  
2 just giving --

3 DR. WALLIS: There's a whole lot of data.

4 MR. CHOPRA: I'm just giving you one set,  
5 yes. There's a lot of data.

6 DR. WALLIS: Because if there were  
7 uncertainty in these, these curves might switch  
8 positions.

9 MR. CHOPRA: sure, but I'm just presenting  
10 that data to show that environment has a large effect.  
11 It's the relative difference between air and water  
12 which I was trying to show, not absolute crack growth  
13 rates, just to show that it took only 40 cycles in  
14 high oxygen water compared to 3,000 which suggests  
15 that environment has a large effect on fatigue crack  
16 initiation.

17 Now the design curves, we have -- the data  
18 which we have obtained is on small specimens. They  
19 are absolutely smooth and they were tested in room  
20 temperature air. This is what was used to generate  
21 the design curves in the current code. And all of  
22 them were tested under strain control, fully reversed,  
23 strain ratio of -1.

24 Now this gives me the best behavior of a  
25 specimen when a crack would be initiated in a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 specimen. To apply those results to actual reactor  
2 component we need to adjust these results to account  
3 for parameters or variables which we know affect  
4 fatigue life, but are not included in this data. And  
5 these variables are mean stress, surface finish, size,  
6 loading history.

7 DR. WALLIS: Does the humidity of the air  
8 make a difference?

9 MR. CHOPRA: Actually, if you look at the  
10 basis document of the current code, they use a  
11 subfactor which included surface roughness and  
12 environment and by that environment they meant a lab,  
13 well-controlled lab environment.

14 DR. WALLIS: Does the humidity of the air  
15 make a difference?

16 MR. CHOPRA: In some cases it would, but  
17 again, that is not studied as a -- it's not addressed  
18 as an explicit parameter in defining fatigue life.  
19 All data which was used was room temperature air to  
20 generate the design curves.

21 DR. WALLIS: Room temperature means 20  
22 degrees Centigrade or something?

23 MR. CHOPRA: Yes, 25, yes. To account for  
24 these other variables like mean stress, surface  
25 roughness and so on, what the current code --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: I'm sorry, when you -- maybe  
2 you just said it. When you say PWR water, you mean at  
3 room temperature or --

4 MR. CHOPRA: No, no. The design curves do  
5 not address environment at all.

6 DR. WALLIS: But your data that you showed  
7 us, the well-behaved data.

8 MR. CHOPRA: Those are higher  
9 temperatures.

10 DR. WALLIS: Those are higher  
11 temperatures.

12 MR. CHOPRA: They would be at reactive  
13 temperatures.

14 DR. WALLIS: Okay. Could be a temperature  
15 effect as well as an environment effect?

16 MR. CHOPRA: There is and I'll come to  
17 that actually. In water, temperature is a very  
18 important parameter. And to convert this data on  
19 specimens to a real component, what the current code  
20 does now is take the best --

21 DR. WALLIS: Is the PWR water that is  
22 borated at initial strength or something?

23 MR. CHOPRA: PWR is. It both has boron  
24 and lithium.

25 DR. WALLIS: There's some sort of average

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 condition throughout the cycle?

2 MR. CHOPRA: Right, right. Typically,  
3 people test around 1,000 ppm boron and 2ppm lithium.

4 To adjust these curves to an actual  
5 reactor component, what the code does is we take the  
6 best of the specimen data and adjust it for mean  
7 stress correction and then apply these adjustment  
8 factors of two on stress. We decrease the specimen  
9 curve by a factor of two on stress and 20 on life,  
10 whichever is the lower gets the design curve. But as  
11 I mentioned, it does not include the effect of an  
12 aggressive environment. In this case, what we are  
13 talking about is light-water reactor environments.

14 Now to summarize some of the effects of  
15 environment on carbon and low-alloy steels, there are  
16 several parameters which are important. Steel type,  
17 all of the data shows irrespective of steel type, it  
18 doesn't matter which grade of carbon steel or low-  
19 alloy steel, effect of environment is about the same.  
20 There is a strain threshold below which environments  
21 do not -- environmental effects do not occur. And  
22 this threshold is very close to slightly above the  
23 fatigue life of the steel. Strain rate is an  
24 important parameter. There is a threshold, 1 percent  
25 per second above that. Environmental effects are more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 great and lower the strain rate, higher the effect.  
2 And it diffuses the saturation at around .001 percent  
3 per second.

4 Similarly, temperature is very important.  
5 Once again, there is a threshold; 150 degree C.  
6 Higher temperatures, there's greater effect. Below  
7 150 --

8 DR. WALLIS: Strain rate's lowest point is  
9 .001 percent a second makes a difference?

10 MR. CHOPRA: Yes. I'll show you some of  
11 the results.

12 DR. WALLIS: Really? That's awfully slow,  
13 isn't it?

14 MR. CHOPRA: Some of the transients are.

15 DR. WALLIS: Abnormally slow.

16 MR. CHOPRA: Temperature also, there is  
17 only a moderate effect below 150. Typically, when I  
18 mean moderate effect, up to a factor of 2. Any water  
19 touched surface may have up to a factor of --

20 DR. WALLIS: Linear decrease doesn't tell  
21 me how fast it is. Linear decrease in life after 150  
22 doesn't tell me how rapidly it decreases.

23 MR. CHOPRA: There are some slides, I'll  
24 show you how much of a different it is.

25 MR. SANTOS: Do you have an equation?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CHOPRA: Yes.

2 DR. WALLIS: Which goes right through the  
3 data?

4 MR. CHOPRA: Absolutely.

5 DR. WALLIS: Is this an Argonne equation  
6 or a universal equation?

7 CHAIRMAN ARMIJO: You'll see.

8 DR. WALLIS: We'll see, okay.

9 MR. CHOPRA: Dissolved oxygen is also  
10 similar. There's a threshold. In this case, low  
11 oxygen environmental effects on carbon low-allow  
12 steels are less. There's a threshold .04 ppm. Higher  
13 dissolved oxygen has an environmental effect,  
14 saturates around .05 ppm.

15 DR. WALLIS: How much sulfur is there in  
16 the reactor?

17 CHAIRMAN ARMIJO: That's in the steel.

18 DR. WALLIS: In the steel, I'm sorry. I  
19 thought you were talking about the environment. Now  
20 you're talking about the steel?

21 MR. CHOPRA: These are --

22 DR. WALLIS: Dissolved oxygen in the  
23 steel.

24 MR. CHOPRA: These are loading parameters.  
25 Some are environmental parameters. Some are material

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 parameters.

2 DR. WALLIS: Okay.

3 MR. CHOPRA: Sulfur also has a large  
4 effect on fatigue crack initiation.

5 DR. WALLIS: There's no other effects,  
6 copper and stuff like that? There's no other effects?

7 MR. CHOPRA: In the steel? No. At least  
8 the ones which we have looked at. Sulfur is the one  
9 because it deals with the mechanism. Actually, the  
10 reason why these are higher for carbon and low-alloy  
11 steels which these are very well documented. It's the  
12 sulfite iron density of the cracking. If we reach a  
13 critical sulfite iron density crack enhancement  
14 occurs. So these are very well documented in the  
15 data. This is a mechanism. That's why sulfur is  
16 important.

17 Roughness effects, we know if we have a  
18 rough specimen surface it provides sites for  
19 initiation. Life goes down. And in carbon low-alloy  
20 steel, in air, there is an effect of surface  
21 roughness, but some limited data suggests that in  
22 water, rough and smooth specimens have about the same  
23 life. So roughness effects may not be there for  
24 carbon low-alloy steel.

25 Flow rate also, most of the data has been

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 obtained on very low flow rates or semi-stagnant  
2 conditions. If we do these tests in higher flow  
3 rates, effect of the environment does go down. Means  
4 fatigue life would increase in high flow rates by a  
5 factor of about 2.

6 Similarly, the effects on austenitic  
7 stainless steels, same parameters, steel type, again  
8 different grades of austenitic stainless steel,  
9 similar effects and even cast austenitic stainless  
10 steel have similar effects on the environment.

11 Once again we see a strain threshold below  
12 which there is no effect and it's very close to the  
13 fatigue limit. The dependence of strain rate and  
14 temperature are very similar to what we see in carbon  
15 and low-alloy steels.

16 The next three, dissolved oxygen, surface  
17 roughness and flow rate, the effects are very  
18 different from carbon and low-alloy steels. In this  
19 case, for austenitic stainless steel, it's the low  
20 oxygen which gives you a larger effect. And  
21 irrespective of what steel type we use or what heat  
22 treatment, heat treatment that means sensitization.  
23 Sensitized stainless steel or solution in the  
24 stainless steel both show similar life in low oxygen.

25 DR. WALLIS: That extends down to zero

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 oxygen?

2 MR. CHOPRA: Pardon me?

3 DR. WALLIS: That extends down --

4 MR. CHOPRA: If we can achieve that, you  
5 know, but typically in a PWR, we have around -- it's  
6 a low -- less than 50 ppm.

7 Yes, low oxygen, irrespective of the steel  
8 type or heat treatment, there's a large effect on  
9 environment, but in high oxygen, non-water chemistry,  
10 PWR conditions, some steels show less effect and these  
11 are solution annealed high-carbon steels which are not  
12 sensitized. All low carbon grades such as 316 nuclear  
13 grade or 304 L may have less effect in high oxygen.

14 Surface roughness and this is both in air  
15 and water environments, there's a reduction in life.  
16 Even in water. In carbonate steel we did not see a  
17 reduction in life for rough samples. In this case,  
18 both in air and water there is an effect of roughness.  
19 And flow rate, there is no effect of flow rate on  
20 fatigue life for austenitic stainless steels in water.

21 The differences between these three  
22 suggests that the mechanism may be different for  
23 austenitic stainless steels compared to carbon and  
24 low-alloy steel. I mention the mechanism for carbon  
25 and low-alloy steels, the sulfite iron density of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 crack depth. In this case, it's not well known --  
2 there's no agreement on what is the mechanism. One  
3 possible mechanism would be that as we expose stress  
4 surface, hydrogen is created which changes the  
5 definition of behavior and of the crack depth. But  
6 this is one possible mechanism.

7 The next slides are details of what I  
8 summarized. Unless there are specific questions, I'm  
9 going to skip these next eight slides which basically  
10 give the data which I summarized in the previous.

11 CHAIRMAN ARMIJO: I think it would be  
12 better if you just highlight these things, just to  
13 make the key points from these charts because I think  
14 they're important.

15 MR. CHOPRA: This is the strain rate  
16 effect. You were asking about the strain rate. I  
17 plotted fatigue life for low-alloy steel, carbon steel  
18 under certain conditions, strain amplitudes. In air,  
19 PWR water and BWR.

20 DR. WALLIS: Are you claiming there's a  
21 significant difference between air and PWR?

22 MR. CHOPRA: It's up to about a factor of  
23 2 and this could be a factor of 15 or 20 lower

24 DR. WALLIS: We're not going to put in  
25 that much oxygen, are we?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CHOPRA: BWR has 200 to 300 ppb oxygen  
2 and in this case, there are correlations which will  
3 tell you how much -- depending on the oxygen, what  
4 would be the effect.

5 This is the maximum effect because this is  
6 I think .7. Saturation is at .5. So this is the  
7 maximum effect under these conditions.

8 This is strain threshold which I  
9 mentioned, the threshold about which effect of  
10 environment is there. This gives you dissolved oxygen  
11 at .04, this is carbon steel, higher oxygen levels,  
12 things go down. And again, in PWR there's only a  
13 modern effect.

14 I mentioned that for stainless steel, the  
15 effect of dissolved oxygen is different. Here, this  
16 is now three or four stainless at two different  
17 strainless amplitude. There are two different tests  
18 at different conditions, .25 and .33 and high oxygen,  
19 no effect upstream rate and low oxygen, it goes down.  
20 Whereas, a 316 NG or low carbon grade shows some  
21 reduction in life in high oxygen, but not at the same  
22 extent as you see in low oxygen.

23 So these are just a few examples I'm  
24 showing. There's a lot of data in Japan and Europe  
25 which shows similar trends. This shows the effect of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sensitization. Sensitization is defined as a number,  
2 EPI number. Degree of sensitization is increasing and  
3 same conditions. In air, low oxygen, high oxygen and  
4 we see in high oxygen it decreases with degree of  
5 sensitization.

6 Effect of -- this is temperature again at  
7 150 and lower, depending on what are the strain rates  
8 and what are the dissolved oxygen conditions. If it's  
9 very low, no effect. These are low oxygen conditions,  
10 no effect. High oxygen, depending on the strain rate  
11 and dissolved oxygen levels to the extent of the  
12 effect in pieces.

13 DR. WALLIS: You're just talking about a  
14 hundred cycles there, failure.

15 MR. CHOPRA: No, a thousand. In some  
16 cases in the environment, it is.

17 DR. WALLIS: Right.

18 MR. CHOPRA: There is up to a factor of 20  
19 reduction in life.

20 Surface roughness again, stainless steel,  
21 open circles, smooth specimens; closed circles are  
22 symbols are rough samples. A factor of 3 in air,  
23 factor about the same in water.

24 CHAIRMAN ARMIJO: I don't want to belabor  
25 this, but I looked at these data and the one that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 shows -- the curve on the left for the air data, the  
2 right triangles. They don't go through the best fit  
3 curve at all.

4 MR. CHOPRA: Actually, this is 316 NG.  
5 316 NG has a steeper slope, but for convenience we are  
6 using a curve for all steels.

7 CHAIRMAN ARMIJO: So that's the best fit  
8 curve there is for all --

9 MR. CHOPRA: All stainless steels, all  
10 grades, including high or low-carbon grades.

11 DR. WALLIS: The purpose of the ASME curve  
12 is to be below all the data, is that the idea?

13 MR. CHOPRA: Once we take into account,  
14 you know I mentioned those adjustment factors of 20 on  
15 fatigue and 2 on stress. Once we take that into  
16 account, once we do that adjustment, then we want to  
17 make sure that we are above that.

18 But these are best fit curves. So they  
19 give you the average behavior for all --

20 DR. WALLIS: The ASME code has a factor of  
21 2 in it or something? I don't see that.

22 MR. CHOPRA: I'll come to that. Give me  
23 a  
24 --

25 DR. WALLIS: Okay. But the factor of 2 is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in this curve here?

2 MR. CHOPRA: No, these are --

3 CHAIRMAN ARMIJO: ASME codes.

4 MR. CHOPRA: The code curve has the factor  
5 of 2.

6 DR. WALLIS: No safety factor.

7 MR. CHOPRA: This is the best fit. These  
8 are showing that even --

9 DR. WALLIS: Oh, I see. So you've give up  
10 your margin of 2?

11 MR. CHOPRA: Right.

12 DR. WALLIS: Okay.

13 MR. CHOPRA: What we are saying is only  
14 the margin or adjustment factors are gone for the --

15 CHAIRMAN ARMIJO: That's it.

16 MR. CHOPRA: Environment has taken care of  
17 all that and still be within bound for a lot of other  
18 factors like surface roughness and so on.

19 DR. WALLIS: You're going to tell us what  
20 you're going to do about that?

21 MR. CHOPRA: Sure.

22 DR. WALLIS: Okay.

23 (Laughter.)

24 CHAIRMAN ARMIJO: Absolutely.

25 MR. CHOPRA: This gives you the effect of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 flow rate. I mentioned that for carbon and low-alloy  
2 steels, effect of environment is less.

3 Now a few slides for nickel alloy.  
4 There's much less data on nickel alloys. Here, I've  
5 plotted the data which is available --

6 DR. WALLIS: Much less data. So you're  
7 showing us more than you showed us for steel?

8 MR. CHOPRA: What we do is rather than  
9 coming with a new curve for nickel alloys, unless we  
10 have enough data, what I'm trying to show is that we  
11 can use the austenitic stainless steel to represent  
12 the nickel alloys and even the few data we have for  
13 alloy 690 suggests that we can use the austenitic  
14 stainless steel code to determine usage factors,  
15 fatigue usage factors for nickel alloys in air.

16 MR. BANERJEE: So temperature has almost  
17 no effect here.

18 MR. CHOPRA: For carbon and low-alloy  
19 steels there is some effect. Going from room  
20 temperature to 300 may reduce life by about 50  
21 percent, but stainless up to 400. There's not much  
22 effect.

23 MR. BANERJEE: Including nickel alloys?

24 MR. CHOPRA: Nickel alloys, no. At 400,  
25 in fact, they show longer life. But again, the data

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is very limited. There's few data sets at 400 which  
2 actually show longer life for alloy 600. But again,  
3 at present, since all curves are based on room  
4 temperature data, we are not taking any temperature  
5 dependence for air. But for water effects,  
6 temperature is important and explicitly defined in the  
7 expressions to calculate fatigue life in water.

8 DR. WALLIS: That means it is through the  
9 median of the data in some way?

10 MR. CHOPRA: I'll show you how we got the  
11 best fit curves.

12 DR. WALLIS: It's supposed to be an  
13 average right through the middle of the data.

14 MR. CHOPRA: Right.

15 DR. WALLIS: It's not best fit to a 95  
16 percentile or something like that? You'll get to that  
17 too, but what you're showing here is --

18 MR. CHOPRA: Average, right. These  
19 results show nickel alloy data for alloy 600 and some  
20 of the welds. In BWR, normal water chemistry, BWR  
21 environment and PWR environment and again, what we see  
22 is the effects are similar to what we get for  
23 austenitic stainless steels. There's larger effect in  
24 low oxygen than in high oxygen. PWR environment has  
25 larger effect than BWR, but the focal effect is much

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 less than what you would see for austenitic stainless  
2 steel.

3 Typically, under certain conditions in  
4 austenitic stainless steel we see a reduction of a  
5 factor of 14 or 15. In this, the maximum is a factor  
6 of 3. So the effect is much less, but we can use this  
7 limited data to define the important parameters and  
8 how to estimate environmental effects.

9 Now we have all this data. How do we  
10 generate the expressions? All -- in air, all data,  
11 fatigue data I expressed by this modified Langer  
12 equation where fatigue life is expressed in terms of  
13 strain amplitude and these constants A, B, C --

14 DR. WALLIS: Is this an equation because  
15 you plotted the data on log paper, is that why it is?

16 MR. CHOPRA: This is the expression used  
17 and it presents the data best.

18 DR. WALLIS: It's because you plotted it  
19 on log paper. It looks good on log paper and it's  
20 linear.

21 MR. CHOPRA: Well, the trend is also -- it  
22 does represent the trend.

23 DR. WALLIS: Okay.

24 MR. CHOPRA: And C is the fatigue limit or  
25 related with the fatigue limit of the material. B is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the slope of that curve. A is a constant which would  
2 vary with heat to heat. Depending on a more resistant  
3 material would give a higher A or lower means it's  
4 less resistant to fatigue damage.

5 We can do a best fit of the data and also  
6 use this A to represent heat to heat variability and  
7 come up with a median value, how median material would  
8 behave. Best fit gives me the average behavior,  
9 whereas a distribution would give me how various  
10 materials behave and I get a median curve and then  
11 come up with a number which would bound 95 percent of  
12 the materials. And that's what I'm going to show.

13 One more thing, another term, D can be  
14 added to impute in 1, which would include parameters  
15 like temperature, strain rate and so on.

16 DR. WALLIS: Does the ASME curve have a  
17 similar equation?

18 MR. CHOPRA: Yes. The Langer equation is  
19 very -- yes.

20 This shows for low-alloy steels in air and  
21 water various heats. Now each did define even if I  
22 have 10 data points, it's 1 point. Another may have  
23 500 data points. But if it's the same material, it's  
24 just one point on this plot. This way, I can give  
25 you, we can determine the median value for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 materials and if I select a fifth percentile number,  
2 in this case, 5.56, if I select the A or 5.56, that  
3 curve would bound 95 percent of the --

4 DR. WALLIS: It's the coefficient.

5 MR. CHOPRA: So this is how we obtain the  
6 design curve by defining what subfactors I need to  
7 adjust the best fit curve for average curve to come up  
8 with a design curve which would bound 95 percent of  
9 the materials.

10 I'll give the loca probability of track  
11 initiation.

12 MR. BANERJEE: There's B and C as well,  
13 right?

14 MR. CHOPRA: B and C, what I do is use it  
15 for normalizing to get A for each heat which is the  
16 average heat and I get a standard deviation. That's  
17 what I've plotted here. For the particular heat, I've  
18 given the average value and the standard deviation for  
19 the data set.

20 MR. BANERJEE: You lost me.

21 CHAIRMAN ARMIJO: B and C are relatively  
22 constant.

23 MR. CHOPRA: A is the one that changes.

24 MR. BANERJEE: So you fix B and C to some  
25 value?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CHOPRA: Right, right. And we know  
2 even environment does not change. The strain  
3 threshold was close to fatigue limit so I don't have  
4 to change the fatigue limit. And there is no data  
5 which suggests that C changes, means that the fatigue  
6 limit changes for material.

7 DR. WALLIS: The range of that is not very  
8 big, but if N is E to the A, so it's a factor of about  
9 10 on the whole range.

10 MR. CHOPRA: Right.

11 MR. BANERJEE: Do B and C govern the shape  
12 of the curve?

13 MR. CHOPRA: Yes. Right. The slope is B.  
14 C is where at  $10^6$  or  $10^7$ .

15 DR. WALLIS: I see where it's flat.

16 CHAIRMAN ARMIJO: So all the environmental  
17 effects are just put into the A constant?

18 MR. CHOPRA: Right.

19 CHAIRMAN ARMIJO: Okay.

20 MR. CHOPRA: Now we come up with these  
21 expressions which can be used for predicting fatigue  
22 life under various conditions. Again, Langer equation  
23 A, constant A; slope B and C. And this is the  
24 environmental term B which would have these -- which  
25 would depend on these three parameters for carbon low-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 alloy steel, same for content, given by these  
2 expressions, temperature, dissolved oxygen and strain  
3 rate.

4 CHAIRMAN ARMIJO: Now the A is the five  
5 percent number?

6 MR. CHOPRA: No. These are still the  
7 average numbers.

8 CHAIRMAN ARMIJO: These are average  
9 numbers.

10 MR. CHOPRA: Next, I'll get to where we  
11 apply those adjustment factors to get the design  
12 growth.

13 DR. WALLIS: What does N mean here?

14 MR. CHOPRA: Cycles --

15 DR. WALLIS: Environment. N for  
16 environment, is that PWR?

17 MR. CHOPRA: No, this is in error what the  
18 expression is. This is in the light water reactor.

19 DR. WALLIS: Okay.

20 MR. CHOPRA: It doesn't matter whether  
21 it's BWR or PWR because these are the parameters which  
22 will change in various environments, reactor  
23 environments.

24 MR. BANERJEE: Is there no effective  
25 hydrogen on it at all?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CHOPRA: In BWR environment, there's  
2 about 2 ppm dissolved hydrogen, but I think it's the  
3 hydrogen which is created by the austenitic reaction  
4 which is more important than what is -- it does  
5 control ECP, the electrical potential of the  
6 environment. So hydrogen would change the ECP, but  
7 below -250 electrical potential, effects are not that  
8 much different. But you know, in crack growth rates  
9 there is some effect, depending on -- well, in this  
10 case all -- we use only 2 PPM hydrogen.

11 MR. BANERJEE: These are all done in  
12 autoclaves or whatever?

13 MR. CHOPRA: And we do simulate these  
14 conditions. BWR, it's high oxygen, high purity, very  
15 high purity. And pressurized water reactor, again  
16 high purity. Then we had boron or boric acid to get  
17 boron, 1,000 PPM and 2 PPM lithium, by adding lithium  
18 hydroxide. And measure the pH. We measure the  
19 conductivity and maintain all these water chemistry  
20 parameters constant during the test.

21 CHAIRMAN ARMIJO: These are flowing a loop  
22 type --

23 MR. CHOPRA: Very small flow rates. I  
24 think if you look at the -- my plot, they would amount  
25 to  $10^{-5}$  meter per second. Very low.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ARMIJO: They're not static  
2 autoclaves?

3 MR. CHOPRA: They're not static and they  
4 are continuously reconditioned. So if they are, it's  
5 once through. They're not repeated.

6 DR. WALLIS: How long are the tests done  
7 typically?

8 MR. CHOPRA: Depends on the conditions.  
9 At low strain amplitudes and low strain rates, it may  
10 take up to 5 to 8 months and those results are very  
11 limited. In the range which people have -- we have  
12 tested .25 to .4 strain amplifies, it can take  
13 anywhere from a few days to a month or two, depending  
14 on the environmental effects. In air, they're much  
15 longer. So one has to consider all of these. We  
16 can't just dedicate and that's why you see very low,  
17 less data under conditions which have very long  
18 durations.

19 Now I just want to mention that these  
20 expressions are average behavior after median  
21 material. Same thing for rod and gas stainless steel.  
22 Now as you mentioned that the slope of the 360 NG was  
23 different, what we have done is we have used a single  
24 expression to represent all grades of steel and this  
25 number, the fatigue limit we chose what studies in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Japan have established. And Jaske and O'Donnell in  
2 1978 pointed this out that the current design curve  
3 for stainless steel was not consistent with the  
4 experimental data.

5 DR. WALLIS: I want to check this about  
6 oxygen. You say it's worse to have less oxygen?

7 MR. CHOPRA: Pardon me?

8 DR. WALLIS: N goes down when you have  
9 less oxygen?

10 MR. CHOPRA: In stainless steel, life goes  
11 down dissolved oxygen is low.

12 DR. WALLIS: But these it goes the other  
13 way?

14 MR. CHOPRA: No. The oxygen, there's a  
15 constant factor --

16 DR. WALLIS: In the one before, the carbon  
17 and low-alloy steels?

18 MR. CHOPRA: Yes. Now in carbon and low-  
19 alloy steel it's the high oxygen which is more  
20 damaging.

21 DR. WALLIS: Then it doesn't make -- okay,  
22 okay. That's right. Okay. Because I thought it was  
23 the other way around. That's a negative --

24 MR. CHOPRA: The strain rate term is a  
25 negative.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: That's right. I was crawling  
2 through that and then I was trying to go back to  
3 before.

4 MR. CHOPRA: Actually, this whole term is  
5 --

6 DR. WALLIS: I understand that. Just  
7 before, but the other with the stainless steel, the  
8 low oxygen is bad.

9 MR. CHOPRA: Right.

10 DR. WALLIS: Okay, that's what I'm trying  
11 to --

12 MR. CHOPRA: I just mentioned that we  
13 established a single curve and this we selected from  
14 what was proposed by these studies.

15 Now we have the specimen data. We know  
16 how to predict what will happen with specimens.

17 DR. WALLIS: What effect does this have on  
18 welds of dissimilar metals?

19 MR. CHOPRA: Welds have different --

20 DR. WALLIS: All together different?

21 MR. CHOPRA: Yes.

22 DR. WALLIS: Is there some basis for that?

23 MR. CHOPRA: It depends on the data.

24 DR. WALLIS: You're not addressing that?

25 MR. CHOPRA: No. This is the current code

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 design curves for these grades or types of structural  
2 steel.

3 CHAIRMAN ARMIJO: For example, a welded  
4 stainless steel is like a cast stainless steel, a weld  
5 --

6 MR. CHOPRA: I think the behavior is very  
7 similar. But --

8 CHAIRMAN ARMIJO: If it's similar, there's  
9 a difference.

10 MR. CHOPRA: Because in some cases there  
11 may be difference. We are just looking at here the  
12 rod products.

13 CHAIRMAN ARMIJO: Stainless.

14 DR. WALLIS: Is there any effect of  
15 fluence on this?

16 MR. CHOPRA: Irradiation? I'm sorry, I  
17 didn't get that?

18 DR. WALLIS: Is there any effect of  
19 fluence?

20 MR. CHOPRA: We're not studying that.  
21 There is an effect, but that's not -- in the design  
22 curve --

23 DR. WALLIS: It's all synergistic.

24 MR. CHOPRA: No environment is considered  
25 and the designer has to account for other environments

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 which are not considered in their design.

2 We have the data for specimens. Now to  
3 use it to come up with a design curve for components,  
4 I mention that they apply this adjustment factor of 20  
5 on life and this factor is made up of effects of  
6 material availability, data scatter, size, surface  
7 finish, loading history.

8 In the current code, these are the  
9 subfactors which are defined in the basis document.  
10 Loading history was not considered, a total of 20  
11 adjustment factors. In our study, based on the  
12 distribution I showed for individual materials, this  
13 subfactor can vary anywhere from a minimum of 2.1 to  
14 2.8. These numbers are taken from studies in the  
15 literature. Size can have an effect, minimum 1.2, 1.4  
16 and so on. So we see a minimum of 6, maximum of 27.  
17 When we take a large number, for example, 20, what we  
18 are basically saying is I have a very bad material  
19 which is very poor in fatigue resistance. I have  
20 rough surfaces and I have the worse loading history.

21 So we used a Monte Carlo simulation and  
22 using these as a log normal distribution to simulate  
23 what would be the best adjustment needed to define the  
24 behavior of components.

25 CHAIRMAN ARMIJO: So the present study,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you've agglomerated the data for carbon steels and  
2 austenitic stainless steels and all these factors are  
3 all pushed together.

4 MR. CHOPRA: Right.

5 CHAIRMAN ARMIJO: But you've separated  
6 them. Are they different?

7 MR. CHOPRA: No, these are not the effects  
8 of materialability is here and that depends on the  
9 material. But effects of surface finish of the  
10 component, size of the component or loading history  
11 means random loading, high stress cycle followed by  
12 low stress cycles. These -- in the current data,  
13 these effects are not included. So somehow I need to  
14 include these effects to come up with a design curve  
15 which would be applicable to a real actual reactor  
16 component.

17 Now the question is 20 was selected with  
18 some basis. Is this reasonable because quite often,  
19 this is what is being questioned. There may be  
20 conservatism in this which we need to eliminate. So  
21 we are trying to see what possible conservatism might  
22 be there in this margin or the adjustment factor of  
23 20.

24 DR. BONACA: Twenty was arbitrarily taken  
25 as a bounding number, right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Where did you get the 27?

2                   MR. CHOPRA: I just took from the  
3 literature what people have observed, effect of  
4 surface -- surface finish is very well documented.  
5 Depending on the average surface finish, an autonomous  
6 value of surface finish, they have a harmless  
7 reduction in light. So I can use typical finish for  
8 grinding or milling operation and so on. It's well  
9 documented. We can come up with what would be a  
10 typical fabrication process, minimum and maximum. So  
11 that's how we came up with this number.

12                  DR. WALLIS: What is the basis of the  
13 numbers? Is it trying to bound the data or bound the  
14 95th percentile?

15                  MR. CHOPRA: To come up with a design  
16 curve which will be applicable to components.

17                  DR. WALLIS: What's the basis of this? Is  
18 there a rationale?

19                  MR. CHOPRA: Right, 95 percent.

20                  DR. WALLIS: Ninety-five, 99, 95?

21                  MR. CHOPRA: Ninety-five?

22                  DR. WALLIS: Why is 95 good enough?

23                  MR. CHOPRA: Well --

24                  DR. WALLIS: Why not 99?

25                  MR. CHOPRA: We can do a statistical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis to see what are the probabilities.

2 CHAIRMAN ARMIJO: I think 95/5 basis is  
3 sort of a typical basis we've used in a lot of other  
4 studies on failure data. But the reason that 95/5 is  
5 okay is we've already done risk studies with fatigue  
6 cracks initiating and growing to failure and growing  
7 to leakage and the fact of a 95/5 probability of  
8 fatigue crack initiation still keeps you in acceptably  
9 low probability of getting a failure.

10 DR. WALLIS: Okay, so it's related to the  
11 overall --

12 CHAIRMAN ARMIJO: Overall margin, yes. If  
13 it were just a 95/5 to failure it would be an  
14 unacceptable criteria.

15 DR. WALLIS: If the consequence were much  
16 worse, you'd need to have a --

17 CHAIRMAN ARMIJO: Yes.

18 MR. BANERJEE: Can you expand a bit more  
19 by what you mean by this log normal distribution?

20 MR. CHOPRA: We assumed that the effects  
21 of all of these parameters have a log normal.

22 MR. BANERJEE: Of some mean?

23 MR. CHOPRA: Right. And I took these two  
24 ranges as the 5th and 95th percentile of that  
25 distribution.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BANERJEE: So what happens if you  
2 chose a different distribution? Does it make any  
3 difference to the results?

4 MR. CHOPRA: We have tried three  
5 different, I think Bill tried and this gets the best  
6 --

7 MR. BANERJEE: Best in what sense?

8 MR. CHOPRA: Very consistent result.  
9 There's not much difference between normal and log  
10 normal was not much difference. And log normal -- you  
11 want to --

12 DR. SHACK: It's basically sort of an  
13 arbitrary engineering judgment question. Experience  
14 has indicated that when we have enough data, these  
15 things do seem to be distributed log normally.

16 We generally don't have enough data,  
17 actually, to determine the distribution. So we have  
18 sort of just made the engineering judgment that the  
19 log normal is close enough.

20 As John was explaining --

21 MR. BANERJEE: It doesn't affect the  
22 results.

23 DR. SHACK: It doesn't affect the results  
24 very much. What we're trying to do is to bound the  
25 data in some reasonable fashion because the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 consequence is not core damage when we're done. The  
2 fact that we're not highly precise on this is not  
3 something that concerns us, but we think we've built  
4 in sufficient conservatism to account for these  
5 variables in a sensible way without going overboard.

6 And the fact that these affects can be  
7 considered as independent is also something we don't  
8 have data on. We have to sort of work on an  
9 engineering judgment basis. So the Monte Carlo  
10 simulation that we do assumes the log normal  
11 distribution, assumes the independence.

12 MR. CHOPRA: I want to add one more, quite  
13 often, actually in the welding research that WRC  
14 Bulletin by industry, they are suggesting that in this  
15 margin of 20, we can use a factor of 3 to offset  
16 environment. This kind of analysis can suggest or  
17 show that 3 number is very high. We do not have that,  
18 at least what is the possible --

19 DR. KRESS: Is it a theoretical basis for  
20 assuming the log normal? There may be, you know. You  
21 can look at the physical phenomena and --

22 DR. SHACK: Well, the loading, probably --

23 DR. KRESS: Loading you would think would  
24 be log normal. I'm not sure about the effects of the  
25 other things.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. SHACK: The log normal turns out to be  
2 slightly more conservative than the normal and so  
3 those were my -- if I don't have enough data to define  
4 a distribution --

5 DR. KRESS: You might as well use --

6 DR. SHACK: I pick one or the other, sort  
7 of on some sort of engineering judgment. The  
8 differences are not very large between the two and we  
9 just pick the log normal.

10 DR. WALLIS: If you know the distribution,  
11 why do you need -- if you know the equation for the  
12 distribution, why do you have to do a Monte Carlo  
13 analysis?

14 DR. SHACK: Because I'm taking a bunch of  
15 random variables.

16 DR. KRESS: That's the way you find the  
17 mean, right?

18 MR. CHOPRA: There are four or five of  
19 these things.

20 DR. SHACK: There are four or five  
21 distributed variables.

22 DR. WALLIS: Easier to do it than to try  
23 to go through the mathematics of predicting.

24 DR. SHACK: Yes, it's easier. Yes, I  
25 could do it the other way, right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Is the 95 value four times the  
2 mean?

3 DR. SHACK: No.

4 DR. KRESS: It has to be if it's log  
5 normal.

6 DR. WALLIS: Four times the mean on a  
7 constant A would be horrendous.

8 DR. KRESS: You've got to find the mean  
9 value.

10 DR. WALLIS: Mean value is about five.

11 CHAIRMAN ARMIJO: Let's move on.

12 MR. CHOPRA: Doing this simulation, we get  
13 these curves where this dash curve is now for the  
14 specimen, the distribution of A for the specimen and  
15 solid would be the distribution for the real  
16 component. And we see that the median value has  
17 shifted by about 5.3.

18 And 95 of 5th percentile is a factor of  
19 12. So we can say that in this factor of 20, there is  
20 some conservatism and we can use adjustment factor of  
21 12 on life instead of 20.

22 DR. WALLIS: Where did 20 come from?

23 MR. CHOPRA: It's in the design basis  
24 document of the current code.

25 DR. WALLIS: It's the judgment of a few

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 wise men?

2 CHAIRMAN ARMIJO: Many years ago.

3 MR. CHOPRA: Basically, that's what it  
4 was.

5 MR. BANERJEE: Not so bad.

6 MR. CHOPRA: The design has several --  
7 yes.

8 I've covered -- there is some conservatism in the  
9 fatigue evaluations and often this conservatism is  
10 used to offset environmental effects and there are two  
11 sources of conservatism, in the procedures themselves,  
12 the way we define design stresses and design cycles or  
13 this adjustment factors of 2 and 20.

14 I showed there's not much margin, only 1.7  
15 in this factor of 20, but the current code procedures  
16 --

17 DR. WALLIS: Is there enough to account  
18 for environmental effects?

19 MR. CHOPRA: No, environmental effects can  
20 be as high as a factor of 15.

21 DR. WALLIS: Yes.

22 MR. CHOPRA: Or carbon C would be even  
23 higher.

24 DR. WALLIS: These are all reactor data  
25 you've got, right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CHOPRA: Those are -- unless you  
2 define the operating transient conditions. In certain  
3 conditions those may be possible, but again, it's up  
4 to the designer to define what are the conditions  
5 during a transient, mean strain rates, temperatures  
6 and so forth.

7 MR. BANERJEE: But I'm wondering whether  
8 in your database you have anything which you've  
9 evaluated from N reactor data or reactor data. Do you  
10 have any information at all?

11 MR. CHOPRA: There are some components and  
12 so on and I list a few examples where there have been  
13 some studies. And I'll show you near the end of this.

14 DR. SHACK: The trouble with doing this  
15 with field data is it's hard to control variables like  
16 knowing that the strain range and because that has  
17 such a strong effect on it. Unless you know that  
18 accurate, it's hard to back out the result.

19 MR. CULLEN: Bill Cullen, Office of  
20 Research. I'd like to explore Dr. Banerjee's question  
21 a little more to find out what's behind it.

22 Are you concerned about irradiation  
23 effects which really do not come into play for  
24 pressure boundary? Or are you concerned about the  
25 actual aqueous environment and its characteristics?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'm not sure -- what is the basis?

2 MR. BANERJEE: Well, the basis is more --  
3 it would be nice to see some validation under field  
4 conditions. There are always sort of surprises  
5 between the lab and what happens in the field and even  
6 if this sort of validation is not all that thorough,  
7 a couple of data points would set your mind at rest  
8 that it's not some unexpected factor that comes in.

9 It's more like -- I have a concern always  
10 of going from the lab to a real field situation. It's  
11 not for any specific issue, not like radiation or  
12 combination of factors or boron plus temperature in  
13 fatigue cycles which are slow. All these things may  
14 or may not be there but just a general question, more  
15 a general question.

16 MR. CULLEN: I understand the general  
17 question. I'm a little concerned about your word  
18 about there always are surprises when you go from the  
19 laboratory to the actuality.

20 MR. CHOPRA: Maybe that's too strong.

21 MR. CULLEN: A little bit.

22 (Laughter.)

23 DR. WALLIS: Oftentimes, surprises may be  
24 small.

25 MR. CULLEN: Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BANERJEE: I don't mean to say that  
2 this stuff should not be used or anything. Right.

3 MR. CHOPRA: I mentioned that in fatigue  
4 evaluations the procedures are quite conservative, but  
5 the code allows us to use improved approaches, for  
6 example, finite element analysis, fatigue monitoring  
7 to define the design stresses and cycles more  
8 accurately. So most of this conservatism can be  
9 removed with better methods for defining these design  
10 conditions.

11 So in that case, there is a need to  
12 address the effect of environment explicitly in these  
13 procedures.

14 Now the two approaches which we can use  
15 either come up with new set of design curves or use  
16 some kind of correction factor,  $F_{en}$ . Now since  
17 environmental effects depend on a whole lot of  
18 parameters, temperature, strain rate and so on, either  
19 we come up with several sets of design curves to cover  
20 the possible conditions which occur in the reactor or  
21 field conditions or if you use a bounding curve, it  
22 would be very conservative for most of the conditions.

23 Whereas this correction factor,  $F_{en}$   
24 approach is relatively simple. You can -- it's very  
25 flexible. You can calculate the environmental effects

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for a specific condition. And this is what is being  
2 proposed in this reg. guide.

3 The correction factor is nothing, and this  
4 was proposed in 1991 by the Japanese. A correction  
5 factor is nothing but a ratio of fatigue life and air  
6 versus life and water. So we have these expressions  
7 I showed you in the previous slides and we can then  
8 calculate  $F_{en}$  for different steels, carbon steel, low-  
9 alloy steel, and below a strain threshold there's no  
10 environmental effects, so the correction factor would  
11 be one.

12 Other than that, we use these expressions,  
13 actual conditions, temperature, strain rates and so on  
14 to calculate the correction factor. To incorporate  
15 environmental effects, we take the usage, partial  
16 usage factors obtain for specific transients in air,  
17  $U_1$ ,  $U_2$  and so on, multiplied by the corresponding  
18 correction factor and we get usage factor in the  
19 environment.

20 Now to calculate usage factors in air, we  
21 should use design curves which are consistent with or  
22 conservative with respect to the existing data. And  
23 as has been pointed out quite a few years back, the  
24 current code curve for stainless steel is not  
25 consistent with the current existing data and should

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not be used for obtaining usage. And I just want to  
2 show before I get to that, these are the expressions  
3 for nickel allows. Correction factor, again, as a  
4 function of these three variables. And usage and air  
5 would be obtained from the curve for austenitic  
6 stainless steels.

7 Now I mentioned that the current design  
8 curve for austenitic stainless steel is not consistent  
9 with the data. I plotted the fatigue data for 316,  
10 304 stainless in air, different temperatures and this  
11 dashed curve is the curve, current code mean curve.  
12 This is the mean curve which was used to obtain the  
13 design curve.

14 DR. WALLIS: Where is your design curve?

15 MR. CHOPRA: Design curve would be what  
16 you adjust this curve for mean curve correction.

17 DR. WALLIS: Your recommended curve would  
18 actually bound the data, wouldn't it?

19 MR. CHOPRA: This is the best -- actually,  
20 this data, the curve is based on austenitic stainless  
21 steel.

22 DR. WALLIS: I thought you were  
23 recommending a bounding curve with this factor.

24 MR. CHOPRA: I'm just trying to show that  
25 the current --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: What's your design curve?  
2 You should show that, shouldn't you?

3 MR. CHOPRA: These are mean curves.

4 DR. SHACK: This is air data, mean curve.  
5 If we put a design curve on here, we could have a  
6 design curve in air and a design curve in --

7 DR. WALLIS: There's all this air data.  
8 Are you going to get to your -- it's so far down the  
9 road, I can't -- okay.

10 CHAIRMAN ARMIJO: I think he's just trying  
11 to show the difference between the two sets of means.

12 MR. CHOPRA: That the current means --

13 DR. WALLIS: You do show the effect of the  
14 F factors yet.

15 MR. CHOPRA: No. I'm just trying to show  
16 --

17 DR. WALLIS: We've just been talking about  
18 --

19 DR. SHACK: What he's trying to  
20 demonstrate here is that the F factor requires him to  
21 take the ratio in air. He's got to have the right air  
22 curve.

23 MR. CHOPRA: And the current mean curve  
24 for air, for austenitic stainless steel, is not  
25 consistent with the data.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Now I'd like to mention one thing, it's  
2           been suggested that this curve, the data may be  
3           different from the mean curve because of the way  
4           fatigue life has been defined or the way we conduct  
5           experiments. I can assure you that this difference in  
6           the mean curve and the data is not due to any artifact  
7           of test procedures or the way the fatigue life is  
8           defined in terms of failure or 25 percent load drop.

9           DR. WALLIS: What occurs to me is the ASME  
10          code mean curve was a mean curve to something.

11          MR. CHOPRA: Right.

12          DR. WALLIS: And it was presumably through  
13          other data.

14          MR. CHOPRA: This curve, the current code  
15          curve was based on very limited data. Now we have  
16          much more. So I'm just showing that the data which  
17          has been obtained since then is not consistent with  
18          what we have.

19          DR. WALLIS: You have a much broader data  
20          base.

21          MR. CHOPRA: Right.

22          DR. WALLIS: Okay, that's why yours is  
23          better?

24          (Laughter.)

25          MR. CHOPRA: We are saying we should

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 change the current code curve. The current code curve  
2 is not consistent with --

3 DR. WALLIS: It must have been based on  
4 something.

5 MR. CHOPRA: And that data is somewhere in  
6 here, up here. But since then we have much more data.

7 DR. WALLIS: Either that or steels have  
8 been getting weaker.

9 MR. CHOPRA: Actually, that is the reason.  
10 Mostly like because of the strength of the steel,  
11 probably these curves were obtained on steel which was  
12 stronger.

13 DR. WALLIS: Wait a minute --

14 MR. CHOPRA: Possible difference.

15 MR. CULLEN: Bill Cullen, Office of  
16 Research again. Omesh, if you could go back to that,  
17 I'd like to also point out that the curves on which  
18 the original ASME code were based I think the data  
19 only went out to a factor of about, fatigue life of  
20  $10^6$  or something.

21 MR. CHOPRA: Not even 6.

22 MR. CULLEN: So you've got two orders of  
23 magnitude extrapolation there that we're doing now to  
24 illustrate. But the other thing again is those tests  
25 were all done at room temperature and you're showing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 data from a wide variety of temperatures up to and  
2 including operational.

3 MR. CHOPRA: Stainless does not --

4 MR. CULLEN: Doesn't show much difference,  
5 right. To me, that's kind of the point. It all hangs  
6 together on the lower curve.

7 MR. CHOPRA: This difference is genuine.  
8 We need to use a different curve. And we have now  
9 proposed a design curve for air for austenitic  
10 stainless steels, the solid line. The current dashed  
11 line is the current code of  $10^6$  and the high cycle  
12 extension in the code. And the solid line curve is  
13 based on the Argonne model plus adjustment factors of  
14 12 on life and 2 on stress. It's not 20 and 2. It's  
15 12 and 2.

16 DR. WALLIS: Now the kink that you have  
17 here at  $10^6$  doesn't appear in the previous curve you  
18 showed.

19 MR. CHOPRA: The design curve extends only  
20 up to  $10^6$ .

21 DR. WALLIS: So you've just extrapolated  
22 it here in your figure?

23 MR. CHOPRA: Yes, because now there is a  
24 need to go all the way to  $10^{11}$ .

25 DR. WALLIS: But you're saying mean curve,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 so where do you stop at  $10^6$ ?

2 CHAIRMAN ARMIJO: Two different things  
3 here, hold on.

4 MR. FERRER: This is John Ferrer. I think  
5 originally the stainless steel curve went out to  $10^6$ .  
6 Later, they got more data at high cycles and the data  
7 was clearly showing that there was a drop off and so  
8 they -- this is an artifact of fairing the two curves  
9 together and the new correction we're doing really is  
10 straightening out what they should have straightened  
11 out to begin with.

12 DR. WALLIS: Well, it's a curve, it can't  
13 be straightened out.

14 (Laughter.)

15 MR. FERRER: For the earlier slide was the  
16 main curve through the data. Now we are talking about  
17 the code curve which would include these factors.

18 DR. WALLIS: Okay.

19 MR. GURDAL: There is still a curve A, B  
20 and C.

21 My name is Robert Gurdal. I'm AREVA,  
22 Lynchburg, Virginia. Those curves is because before  
23 just now there are three curves, there is A, B and C  
24 and they are not indicated there. I just wanted to be  
25 sure everybody knows.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The reason you have the lower one which is  
2 called a curve C --

3           MR. CHOPRA: But the region which we are  
4 talking about is this  $10^6$  to  $10$  --

5           MR. GURDAL: You go above  $10^6$ , you have a  
6 curve A, curve B and curve C.

7           MR. CHOPRA: I have plotted that.

8           MR. GURDAL: The correct curve is curve A  
9 which is the top one.

10          DR. WALLIS: So it's C on this figure and  
11 it's A on the previous figure.

12          MR. GURDAL: Maybe, it could be.

13          DR. WALLIS: Maybe. It probably doesn't  
14 matter that much.

15          MR. GURDAL: And the C is for the heat  
16 affected zone compared to the A.

17          DR. WALLIS: This is the A in this one.

18          MR. GURDAL: That one could be the A,  
19 because it does not have the kink.

20          MR. CHOPRA: This is the mean curve.

21          MR. GURDAL: Oh, that's the mean curve.  
22 Sorry about that. But the design curve, if you go to  
23 the design, there is a curve continuing without any  
24 disconnection.

25          DR. WALLIS: Without any kink, yes. Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. GURDAL: And that's the A. This one  
2 is a C.

3 MR. CHOPRA: But the region we are talking  
4 about is this.

5 MR. GURDAL: Okay, but the question was  
6 about  $10^6$ .

7 MR. CHOPRA: Which needs to be corrected.

8 DR. WALLIS: Okay, we've resolved that, I  
9 think. Thank you. That's very good.

10 CHAIRMAN ARMIJO: Which gets to the point,  
11 your design curve treats the weld heat affected zones  
12 or the base material, everything as the same as  
13 opposed to the code.

14 MR. CHOPRA: Yes, I think so.

15 MR. FERRER: I think so. In the code, I  
16 think the previous gentleman was talking about their  
17 -- in the high cycle regime, there are three separate  
18 curves proposed by ASME that extend past the  $10^6$   
19 cycles.

20 In our proposal we've just bounded that  
21 with one curve.

22 MR. CHOPRA: We also have generated design  
23 curves for carbon and low-alloy steels based on the  
24 same approach using the Argonne models and adjustment  
25 factors of 12 and 2. This is for carbon steel and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 next is for low alloy.

2 Now current code curve for these is only  
3  $10^6$  and now this is the current code curve and an  
4 extension has been proposed by a subgroup, fatigue  
5 strength. This was proposed a few years back and it's  
6 still not approved by the ASME code committees. We  
7 are -- we have another approach to define extension of  
8 this curve beyond  $10^6$  cycle. I just wanted to give a  
9 couple of slides to show that.

10 What the subgroup fatigue strength  
11 proposed was extension of the curve which is based on  
12 load control data and the data extends only up to  $10^6$   
13 and they use maximum effect of mean stress and they  
14 propose extension which is expressed by applied stress  
15 amplitude given in terms of life with an exponent of  
16  $-.05$  which means 5 percent decrease in life, in stress  
17 every decade. And since the data only extends up to  
18 5 times  $10^6$ , extrapolation to  $10^{11}$  may give  
19 conservative estimates.

20 Another way of extending this curve would  
21 be to use the approach with Manjoine had proposed a  
22 few years back where the high-cycle fatigue is  
23 represented by elastic strain with life blots and if  
24 we use existing data which we have extending up to  $10^8$   
25 cycles for these various speeds, we get a slope of -

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 007. Manjoine proposed  $-.01$  and we can use this  
2 expression where the exponent is smaller and which is  
3 consistent with the data and this would be for the  
4 mean curve.

5 Now we take this adjusted for mean stress  
6 correction using Goodman relation which is a  
7 conservative approach and actually if we do that this  
8 exponent would be  $.017$ . So it's slightly lower than  
9 what is being proposed by the subgroup fatigue  
10 strength, but we can use this expression and that's  
11 what we have used to define that extension to the  
12 curve.

13 DR. WALLIS: When you make these  
14 proposals, did you negotiate something with ASME or  
15 did you just say this is what we use --

16 MR. CHOPRA: This has been presented to  
17 them.

18 DR. WALLIS: There wasn't any give and  
19 take. It was just -- you deduced this from your data?

20 MR. CHOPRA: I attended the subgroup  
21 fatigue strength and all our work has been presented  
22 there.

23 DR. WALLIS: But the proposal is  
24 essentially yours. It isn't some compromise proposal.  
25 It's your proposal.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CHOPRA: This was proposed by Manjoine  
2 a few years back, so this is nothing new.

3 DR. WALLIS: All these green curves are  
4 Argonne curves, proposed by Argonne?

5 MR. CHOPRA: No, the best fit curves are  
6 what we have defined.

7 DR. WALLIS: Right, so they're not  
8 something which has been negotiated and agreed on or  
9 anything like that?

10 CHAIRMAN ARMIJO: It's certainly been  
11 discussed.

12 DR. WALLIS: It's been discussed. IT's  
13 been presented. ASME hasn't come around and said yes,  
14 you guys are right.

15 DR. SHACK: One thing to think about for  
16 the carbon and low-alloy steels, there's really in air  
17 there's no disagreement over the mean curve. The  
18 shape may shift just a smidgen, but the only real  
19 difference between this design curve and the current  
20 is they use a factor of 12 instead of 20. Then you do  
21 have the discussion over how to extend it.

22 The environmental effect is a --

23 DR. WALLIS: It's the big one.

24 DR. SHACK: That's the big one.

25 CHAIRMAN ARMIJO: In the reg. guide, does

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this curve really extend out to  $10^{11}$  or does it -- is  
2 it truncated at  $10^7$ , since there seem to be a big  
3 difference.

4 MR. CHOPRA: The proposal is up to  $10^{11}$ .

5 CHAIRMAN ARMIJO: Up to  $10^7$ , but compared  
6 to the ASME code for this particular steel, your curve  
7 is nonconservative.

8 MR. CHOPRA: Well, this is --

9 CHAIRMAN ARMIJO: You predict a much  
10 longer life.

11 MR. CHOPRA: This is based on the data we  
12 have.

13 CHAIRMAN ARMIJO: Right, but nobody has  
14 data out to  $10^{11}$ .

15 MR. CHOPRA: No.

16 CHAIRMAN ARMIJO: It's a less conservative  
17 --

18 DR. WALLIS: You have a C. You have a  
19 constant C or --

20 CHAIRMAN ARMIJO: Right.

21 DR. WALLIS: I'm surprised it isn't  
22 completely flat to a green curve.

23 MR. CHOPRA: Made up of two. I mentioned  
24 that extension is a different slope.

25 DR. WALLIS: Do they ever have  $10^7$  cycles

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in a nuclear environment?

2 MR. FERRER: Vibration --

3 DR. WALLIS: Shaking things that shake.

4 MR. CHOPRA: So the method to apply the  
5 correction would be to use for carbon low-alloy steel  
6 you can use either the current code design curves or  
7 the curves I've mentioned to reduce some conservatism.

8 As you see, it's -- they're based on  
9 adjustment factors of 12, rather than 20.

10 For austenitic stainless steels and nickel  
11 alloys, we use a new design curve for austenitic  
12 stainless steels. And in the appendix to NUREG, there  
13 are certain examples given to determine some of the  
14 parameters.

15 For example, lab data shows quite often  
16 people don't know how to calculate, how to define the  
17 strain rates. Lab data shows average strain rate  
18 always is a conservative approach.

19 And similarly, if we have a well-defined  
20 linear transient temperature change, that can be  
21 represented by average temperature and it could be  
22 okay.

23 Now this one shows two more slides and  
24 I'll be done. There was a question that lab data does  
25 not represent the feed. There are certain reports

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 where some operating reports where some operating  
2 experience and component test results have been  
3 published.

4 This is EPRI report, 1997, and gives a  
5 complete chapter, a couple of them, giving examples of  
6 corrosion fatigue effects on nuclear power plant  
7 components.

8 Similarly, studies in Germany, MPA and  
9 other places have shown the conditions which lead to  
10 what they call strain-induced corrosion cracking.  
11 This was demonstrated for BWR environments. And there  
12 are examples, even these examples are component test  
13 results. We support the lab data.

14 I want to just show the results of one  
15 particular test, component test, recent tests, again,  
16 sponsored by EPRI where they used tube u-bend tests  
17 tested in PWR water at 240. And I'm just plotting the  
18 results for a given strain amplitude what was the  
19 fatigue life they measured.

20 In earth environment, these are the  
21 triangles. So that serves as a baseline you would  
22 expect in air. Then they tested in PWR water in two  
23 conditions: a strain rate of .01 percent per second  
24 and diamonds are .005 percent per second. And this  
25 would give me for this strain amplitude a life in air

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of 12,500. This is about 36,000. This is 1700. And  
2 you can determine for a component test what is the  
3 environmental factor.

4 In this test, inert environment cracks  
5 were on the OD. And they were biaxial conditions.  
6 And the water, they were on the ID. And nearly  
7 uniaxial. So since there was a conversion, there's a  
8 question whether this number is accurate.

9 There's another way we can determine the  
10 baseline life. They have a very well-defined strain  
11 rate effect between these two. I applauded the  
12 component test results with the lab data, exactly the  
13 same slope and we know somewhere there's a threshold.  
14 That would be the life in air. So I've got a number  
15 8,000; 12,000. I use an average of 10. Gives me a  
16 reduction of 5.8 for one strain rate; 2.8.

17 And the  $F_{en}$  we have presented, give you  
18 5.5 and 3.6. Ii think these are very reasonable  
19 comparisons from a real component test.

20 MR. BANERJEE: So the test was done  
21 outside the reactor, right?

22 MR. CHOPRA: This is a component test,  
23 where they took an actual u-bend tube and strained it.  
24 So it's not a small specimen. They are testing a real  
25 component -- it demonstrates that lab data is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 applicable to actual component test conditions.

2 CHAIRMAN ARMIJO: Did you compare any of  
3 the other component tests that you referenced in the  
4 previous slide with your data to see how your data  
5 predicts?

6 MR. CHOPRA: Some of the earlier, no, we  
7 have not.

8 MR. BANERJEE: Do you have any idea of the  
9 -- is there anything which happened in a reactor where  
10 you have the strain history or something for a period  
11 of time?

12 MR. FERRER: I think the answer to that is  
13 it's very difficult to have the exact data on the  
14 strain history in an actual operating event. We've  
15 tried to estimate it and the best you can do is  
16 estimate it. I think Omesh presented some references.  
17 I think the EPRI one which attributed some of the  
18 cracking to environment, but you couldn't prove it  
19 absolutely because you just don't have the exact  
20 temperature measurements and the strain measurements  
21 at the location of your cracks.

22 MR. BANERJEE: But you can estimate them,  
23 right? Based on those estimates, what does it look  
24 like?

25 MR. FERRER: If you go back to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reference EPRI report, you know, I think based on  
2 their estimates they attribute some of it to  
3 environmental, but I say those estimates are very  
4 crude. They're not nearly as controlled as the lab  
5 data and if you look at fatigue, the -- at the low  
6 cycle end, the small change in stress gives you a  
7 fairly large change in the number of cycles if you  
8 look at the shape of the curve.

9 And so it's not that easy. There are some  
10 estimates, but they're more judgmental than accurate  
11 calculations.

12 MR. BANERJEE: But the evidence or  
13 supports -- what you're saying --

14 MR. FERRER: Well, there's some evidence.  
15 What you'll hear from -- probably from ASME is the  
16 overall operating experience doesn't show that there's  
17 a big problem there.

18 MR. BANERJEE: Okay.

19 CHAIRMAN ARMIJO: Okay. That's it?

20 MR. CHOPRA: Yes.

21 CHAIRMAN ARMIJO: Any other questions from  
22 the Committee?

23 MR. GONZALEZ: I would like to go back to  
24 the reg. guide to present a summary of the three  
25 regulatory positions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Regulation position 1, we are endorsing  
2 that we will calculate fatigue using air with ASME  
3 code analysis procedures plus use the ASME code air  
4 curves for new ANL modern air curves. This is for  
5 carbon and alloy steels only.

6 Then we will calculate the  $F_{en}$  using the  
7 appendix A of the NUREG for carbon and alloy steels  
8 and this will be applied to calculate the  
9 environmental uses factor.

10 But we're given the option of using the  
11 ASME curve or the new air curve from the ANL model.  
12 Or austenitic stainless steel, we will calculate the  
13 fatigue use factoring there with the ASME code  
14 analysis procedure, plus the new ANL model air  
15 stainless steel curve.

16 We'll use the -- also the  $F_{en}$  equation for  
17 stainless steel and then calculate the environmental  
18 usage factor.

19 For nickel chrome alloys, will be Alloy  
20 600, 690. You will use again the ASME code analysis  
21 procedure plus the new ANL model air stainless steel  
22 curve. As the reason was it was explained before was  
23 because of the new data.

24 And if the  $F_{en}$  specifically for nickel  
25 alloys and calculate the usage factor -- the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 environmental fatigue usage factor.

2 In summary, Reg. Guide 1.207 will endorse  
3 the use of a new air curve for austenitic stainless  
4 steels and also will endorse the  $F_{en}$  methodology. It  
5 will give guidance on incorporating the environmental  
6 correction factor, the fatigue design analysis and  
7 this is described in Appendix A of the NUREG report  
8 and also the NUREG report will describe in detail the  
9 technical basis.

10 That's it. Any more questions?

11 CHAIRMAN ARMIJO: Okay, any questions?  
12 We're scheduled for a break about now, but we're a  
13 little bit ahead of schedule. I don't know if we can  
14 reconvene in 15 minutes or do we have to wait until  
15 3:35?

16 We'll just take a 15-minute break. Be  
17 back at 3:25. Is that right? 3:25, thank you.

18 (Off the record.)

19 CHAIRMAN ARMIJO: Okay, we've got --  
20 incredibly we're about five minutes ahead of schedule,  
21 so that's good.

22 So Mr. Gonzalez, would you like to  
23 continue?

24 MR. GONZALEZ: This is our second part,  
25 second presentation. It's in the resolution to public

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 comments. The Draft Guide 1144 and the Draft NUREG  
2 CR-6909.

3 There were eight correspondents that  
4 submitted a total of 56 comments, both the draft  
5 Regulatory Guide and the draft NUREG and all comments  
6 were addressed individually.

7 The final reg. guide 1.207 and the final  
8 NUREG report reflects a resolution of these comments.  
9 There were six main issues identified.

10 The next slide is an example of the table  
11 that was provided to the ACRS where it's showing all  
12 the comments, how it was individually -- there was an  
13 individual response for each of them.

14 CHAIRMAN ARMIJO: Are these all the  
15 comments?

16 MR. GONZALEZ: These are the six main  
17 issues that we kind of --

18 CHAIRMAN ARMIJO: Right, but --

19 MR. GONZALEZ: Six main issues were  
20 identified, but not all of them. The numbers in the  
21 parentheses are the comments that apply to that  
22 particular issue, so comments 1, 714, 16, 45, 521.

23 CHAIRMAN ARMIJO: I just noticed, you  
24 received some comments, obviously from AREVA.

25 MR. GONZALEZ: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ARMIJO: You've received comments  
2 from GE.

3 MR. GONZALEZ: Yes.

4 CHAIRMAN ARMIJO: You did not receive any  
5 comments from Westinghouse?

6 MR. GONZALEZ: We received Westinghouse.

7 CHAIRMAN ARMIJO: I didn't see any there.

8 MR. GONZALEZ: No. We've got GE, NEI,  
9 ASME.

10 CHAIRMAN ARMIJO: Okay. All right, thank  
11 you.

12 MR. GONZALEZ: Then we identified the six  
13 issues and this is where I'm going to address each one  
14 of them.

15 The first one is the -- has to do with  
16 operating experience and the applicability of the  
17 specimen data. The comment was that the -- the first  
18 comment was there's no operating experience to support  
19 the need for this conservative design rules. And our  
20 response was that there was numerous samples on the  
21 fatigue cracking of nuclear power plant components.  
22 As an example, reported in the EPRI report reference  
23 here.

24 The other issue that has to -- is about  
25 the comments, questioning, the applicability of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 specimen data being representative of the actual  
2 components and service. This being the applicability  
3 of the lab data, the component behavior has been  
4 demonstrated by mockup and component tests and  
5 references were provided in the previous, Omesh'  
6 presentation. In fact, it's the basis for that  
7 current ASME code fatigue curves.

8 The second comments have to do, the second  
9 set of comments have to do with the details on the  
10 approach. One of the comments said that the reference  
11 made to other guidance containing similar  $F_{en}$   
12 approach, like the Japan  $F_{en}$  equations are also  
13 acceptable and endorsed.

14 Our response is that the papers listed in  
15 NUREG CR-16909 are for reference only and Section C of  
16 regulatory position of the regulatory guide contains  
17 the methodology endorsed by the staff.

18 The second issue on the details on the  
19 approach is that -- I'm quoting that "since draft  
20 Guide 1145 utilizes a similar  $F_{en}$  methodology to that  
21 evaluated in MRP-47 revision 1, the issues identified  
22 in MRP-47 are considered to be equally applicable to  
23 the draft guide methodology. Some, but not all, of  
24 the issues raised in the MRP-47 have been specifically  
25 addressed in the draft guide. Based on these, the MRP

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would like to see clarification on the remaining  
2 issues included in Draft Guide 1144 and the supporting  
3 document."

4 Our response was that the level of  
5 analytical detail discussed in the additional items in  
6 MRV-47 revision 1 are beyond the scope of this  
7 regulatory guide.

8 The third issue was the comments were  
9 asking to provide a guidance for nickel chromium  
10 alloys and this comment was incorporated. We saw that  
11 we have the EPRI methodology developed for the nickel  
12 based alloys and we have regulatory position 3 on that  
13 reg. guide that addresses this.

14 The fourth comment is on the burden due to  
15 the increasing location required to be analyzed. The  
16 practice will lead to more analyzed piping, reg.  
17 locations to more installed pipe width restraints and  
18 to the signs that will be more detrimental for normal  
19 operating conditions. The NRC staff will consider a  
20 justified modification with appropriate technical  
21 bases of the fatigue criteria for fossilization of pipe  
22 breaks implementation of the current criteria, saw a  
23 significant increase in the number of required pipe  
24 with restraints.

25 The fifth issue is the same commenter,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 believes that the alternative methods for fatigue  
2 analysis in NUREG CR-6909 and draft Guide 1144 are too  
3 conservative and should not be used for the design of  
4 new reactors.

5 Our response was is that the staff  
6 position is based on a 95th percent confidence, that  
7 there is less than 5 percent probability of fatigue  
8 crack initiation. And implementation of this criteria  
9 results in a carbon and low-alloy steel air curves  
10 which are less conservative than the existing ASME  
11 Codes.

12 The last comment was from ASME that  
13 basically ASME will continue to develop a code case  
14 that will cover alternative ways of addressing the  
15 impact of light water reactor environment. And  
16 they're saying that the code case will be issued in  
17 early 2007. Once these code cases are issued, ASME  
18 will request NRC to endorse these codes in the  
19 revision Reg. Guide 1.84. And we agree with that.  
20 The NRC staff will consider endorsing available ASME  
21 code cases through its normal process for revising  
22 Reg. Guide 1.84.

23 Conclusion, the Reg. Guide 1.207 is ready  
24 for issuance and the final Reg. Guide and NUREG  
25 reports reflect a resolution of these comments and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 final Reg. Guide and NUREG will be published by March  
2 2007 and so we're seeking ACRS concurrence to publish  
3 a final effective guide.

4 Any questions?

5 DR. BONACA: Just a question regarding  
6 your last -- the sixth issue.

7 MR. GONZALEZ: Yes.

8 DR. BONACA: Talking about revising  
9 Regulatory Guide 1.84. Can you expand on that?

10 MR. GONZALEZ: Regulatory Guide 1.84 is a  
11 reg. guide that is updated each time for any new code  
12 cases. The NRC reviews and sets --

13 DR. BONACA: Okay.

14 MR. FERRER: Yes, this is John Ferrer.  
15 The intent of this statement is we'll look at what  
16 ASME puts out as a code case and if we think it's  
17 appropriate, we'll endorse in the update of 1.84 and  
18 maybe get rid of the reg. guide, but right now we  
19 can't wait for ASME to put something out because we  
20 have on-going reviews and we need a position  
21 established to do these reviews with.

22 MS. VALENTINE: This is Andrea Valentine  
23 from the Office of Research. This is normal  
24 procedure. There's a reg. guide that endorses Section  
25 11 and O&M Code. So this is nothing different than

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what we normally do for code cases.

2 DR. BONACA: I want to make sure that  
3 revising that will not mean to modify what you are  
4 proposing in this NUREG.

5 MR. FERRER: Well, we could possibly, you  
6 know, ASME is going to come up with a position. We  
7 don't know whether it's going to be exactly the same  
8 as our position or it's going to be a different  
9 position. If they make a good enough argument that  
10 their position is better than our position, we may  
11 consider adopting the ASME position. But I mean that  
12 would be a tough case for ASME to make, once we get  
13 the reg. guide out.

14 (Laughter.)

15 MS. VALENTINE: And also to add to that,  
16 if you recall earlier from Hipo's slide, this has been  
17 deliberated for a number of years over 25, so this  
18 wasn't something we just did in a vacuum and decided  
19 to take this route because it was a short-term issue.  
20 It has been something that was discussed for many  
21 years.

22 DR. BONACA: Regarding issue five, I mean  
23 the contention here is that the NUREG will impose  
24 excessive conservatism and you disagree. You don't  
25 have the basis for that statement.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FERRER: Well, let me explain the  
2 basis for that. There's a lot of -- a lot of comments  
3 we're arguing that we impose an overly conservative  
4 position in this reg. guide and what we're trying to  
5 point out here is the basis for our position which is  
6 a 95/5 with a shift in the current position of ASME  
7 and it's actually, if you apply it to air curves, it  
8 results in a curve that's less conservative than the  
9 ASME already has.

10 DR. BONACA: I guess I was trying to  
11 understand how the -- if they agree with your view.

12 MR. FERRER: You've got them up next.

13 (Laughter.)

14 CHAIRMAN ARMIJO: They're coming. They're  
15 coming.

16 DR. BONACA: Okay.

17 CHAIRMAN ARMIJO: Okay, if there are no  
18 other questions, the next speaker will be Mr. Ennis of  
19 ASME.

20 At least that's what's on the agenda.

21 (Pause.)

22 MR. BALKEY: My name is Ken Balkey and I'm  
23 Vice President of ASME's Nuclear Codes and Standards.  
24 And we appreciate the opportunity to meet with the  
25 Advisory Committee on Reactor Safeguards,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Subcommittee, on Materials, Metallurgy and Reactor  
2 Fuels.

3 What we'd like to do is address our  
4 viewpoint and comments on the proposed reg. guide  
5 which is DG-1144 as issued for public comment.

6 Next slide.

7 What I'd like to do is -- this is a very  
8 broad issue that impacts particularly our ASME Section  
9 3 of boiler and pressure vessel code. Joining at the  
10 table with me are Kevin Ennis who is the Director of  
11 ASME Nuclear Codes and Standards and is my counterpart  
12 as the ASME staff. I'm the Senior Volunteer for  
13 Nuclear Codes and Standards.

14 Joining me are Bryan Erler who is the Vice  
15 Chair of our Board on Strategic Initiatives and he's  
16 been a long-time member of ASME on the Boiler and  
17 Pressure Vessel Codes Subcommittee 3.

18 Dr. Chris Hoffman, who is a member of the  
19 ASME Boiler and Pressure Vessel Main Committee,  
20 Standards Committee is with us and he's also a member  
21 of the Code Subcommittee and also a member of many  
22 other subgroups and working groups in Section 3 as  
23 well as other parts of the code.

24 And then finally, Mr. Charles Bruny, who  
25 is a member of the ASME Subgroup on Design and he's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 past chair of the working group on vessels.

2 The reason we have this team assembled,  
3 first of all, I'd like to pass along the regrets of  
4 Mr. Richard Barnes who is the chairman of Subcommittee  
5 3 and his schedule prevented him from being able to  
6 join us here today.

7 The folks who are here are true experts  
8 from Section 3 are Mr. Erler, Dr. Hoffman and Mr.  
9 Bruny. But in terms of background, my own background,  
10 well, I've done a significant amount of work in risk-  
11 informed, in-service inspection and other risk-  
12 informed initiatives prior to my role here with the  
13 Board on Nuclear Codes and Standards. I built plants  
14 back in the '70s and I actually applied the rules. We  
15 did the very first plant, B317 back in 1972 for the  
16 Trojan Plant. As we were transitioning from B311 to  
17 B317 and then to Section 3, I have my own personal  
18 insights about what's happening here with the proposed  
19 rules and what it means when you actually come and  
20 you're going to actually physically build a plant and  
21 the challenges you get into.

22 Mr. Erler was a senior executive with  
23 Sargent Lundy and also built reactors. Dr. Hoffman  
24 and Mr. Bruny are also long-term members involved with  
25 designing and building plants and components. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that's going to be one of the key elements you'll hear  
2 from us is that there's a lot of good work that was  
3 presented here this afternoon, but there's a practical  
4 aspect of translating this into use in actually  
5 designing and building a plant that really needs to be  
6 given serious consideration.

7 Next slide, please? I'm sorry, we already  
8 had that slide.

9 What I'd like to do is just take one  
10 minute, not to just -- I know you're familiar with the  
11 codes and standards, but I would like to touch upon  
12 our organization and how we do our work relevant to  
13 the proposal in front of you.

14 The other issues we did put a letter in in  
15 September, as you all well know, ASME, we wanted to  
16 have a chance to review this reg. guide and the  
17 proposal in detail and come up with a consensus  
18 technical position, but the reg. guide came out right  
19 before our Nevada meeting and we put our letter in  
20 asking for a 60-day extension in order that we could  
21 have such discussion at our meeting in Louisville,  
22 Kentucky about a month ago. But because of time  
23 schedule, we were not granted that request, but there  
24 are some comments that we have gathered from our  
25 colleagues within Subcommittee 3 related to this draft

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 guide that we would like to go over.

2 And then we'd like to go over and give  
3 some background on efforts that we've done addressing  
4 the impact of fatigue. There's three approaches that  
5 have been looked at and we continue to look at and  
6 we'll have a technical discussion on each of those  
7 before we present a summary and some future actions.

8 Next slide.

9 On organization, just we have, of course  
10 we write codes and standards beyond just nuclear power  
11 plants. We have about 3,000 volunteers writing codes  
12 and standards for pressure devices, elevators, lifts,  
13 screw fasteners and a whole host of number of  
14 applications.

15 In our nuclear codes and standards, one  
16 unique feature is that Section 3 and Section 11 are  
17 two of the 12 sections of the boiler and pressure  
18 vessel code and so as we look design roles or  
19 materials or certification requirements, we just don't  
20 it within the nuclear. It's done, any technical  
21 requirements coming forward go in front of the Boiler  
22 and Pressure Vessel Standards Committee so that our  
23 practices can be reviewed by experts in similar areas  
24 from other industries who are addressing the same  
25 types of issues, whether it be fatigue or corrosion or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 other design factors that one would want to take into  
2 account.

3 And it does come in because one has to  
4 remember that the plants we are operating today were  
5 built on design requirements that were put in place in  
6 the 1960s and 1970s for the most part, and those rules  
7 evolved from the use of the B31 line power piping code  
8 as well as Section 1 and Section 8 for the vessels.  
9 So we -- our nuclear -- we've adopted those prior  
10 experience where there's been relevant experience for  
11 many, many years. That plays into what we'll be  
12 discussing here today.

13 I just wanted to mention that the Section  
14 3 and 11 are part of this other organization that  
15 reviews it from broader than just a nuclear power  
16 industry.

17 The next slide is just a verbal  
18 description of some of the acronyms that make up the  
19 nine groups that report to the Board on Nuclear Codes  
20 and Standards. The next slide deals with the  
21 consensus process. There were comments made about  
22 hey, we've worked on this for 25 years. We haven't  
23 come to a consensus and I would really like to ask  
24 Kevin Ennis to go over some points relative to ASME,  
25 what it means when we achieve consensus or what it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 means when we don't achieve consensus. So Kevin, if  
2 you would be kind enough to do that.

3 MR. ENNIS: Thank you. All of our  
4 committees, all of our volunteers in nuclear codes and  
5 standards operate in an open and transparent process  
6 and that process is geared to achieving consensus on  
7 what appears in our codes and standards. Now these  
8 volunteers are made up of world experts. They're from  
9 all over the world. They come to our codes and  
10 standards meetings and if you know the hierarchy of  
11 our committees, the further down you drill into the  
12 committee structure, the higher the concentration of  
13 expertise, so that when you're really down into the  
14 people who do fatigue analysis, that's what they do  
15 and they come from all over.

16 We have much international participation  
17 and we always stress that we rely on industry to  
18 support this participation. We don't pay any of these  
19 volunteers. And I would also like to take a second to  
20 thank the NRC for their participation in ASME codes  
21 and standards.

22 But the achievement of consensus from the  
23 users' perspective, you only see the consensus  
24 results. But there is a whole process that the  
25 volunteers go through and the first thing that they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have to achieve consensus on is the technical basis to  
2 respond to identified means.

3 DR. WALLIS: That my question here.  
4 Doesn't this work that we just heard about provide the  
5 broader technical basis than you had before?

6 MR. ENNIS: It provides some data that has  
7 been developed over time, but we also look at our past  
8 experience. We never forget our history. As Ken  
9 quite rightly noted, the original new plants are B311  
10 plants. We still build coal-fired plants today to  
11 B311, the piping. And we have great success with  
12 them. As we identified needs for the nuclear  
13 industry, B317 was developed --

14 DR. WALLIS: Coal plants don't have  
15 pressurized water reactor environment.

16 MR. ENNIS: No, they don't, but there are  
17 other B31 documents that have dramatic impact on  
18 environmentally-caused failure mechanisms and we rely  
19 on those people too. One of the sections of the  
20 boiler code, Section 8, and its piping division, B313,  
21 they have lists of failure mechanisms that are  
22 dramatically long, much longer than what you see in a  
23 nuclear power plant.

24 We do rely on that expertise and  
25 experience. They operate at much higher temperatures

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and pressures and much more severe chemical  
2 environments. So we do have their expertise is also  
3 looking at this. And we rely on that heavily and they  
4 learn from us. We started out with the risk-informed  
5 before they did. So it's a mechanism whereby  
6 expertise that is -- grows up in different industries  
7 can exchange information and ideas and solutions to  
8 problems.

9           And when you read the statement, identify  
10 technical basis, implicit in that statement is that  
11 there is consensus on the need and I think you'll hear  
12 later today or later in our presentation, that really  
13 hasn't been achieved yet. And it's not only in  
14 nuclear, it's also in the design experts that come  
15 from outside nuclear that looked at our work that we  
16 talked to during boiler code week when all 12  
17 subcommittees meet.

18           So there is a lot of discussion going on  
19 and still at least in the limited amount of discussion  
20 and exposure I have to the experts, because now I'm  
21 director, I don't, I don't perceive consensus has been  
22 achieved on the need. And that's one of the things  
23 that's taking so long. And, once that happens, then  
24 you can get a result and that's the consensus  
25 everybody sees outside of the committee structure.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And that consensus we always say must be technically  
2 accurate, must obviously assure adequate safety, but  
3 must be practical and workable.

4 And another one of the comments you'll  
5 hear from the other presenters from ASME goes along  
6 the idea of practical and workable. Are we really  
7 going to achieve good by making this change? And, is  
8 our achievement worth the cost?

9 DR. WALLIS: Well, presumably, a curve  
10 that's there now is practical and workable and if you  
11 replace it with another curve it's just as practical  
12 and workable as the previous one was.

13 MR. ENNIS: Not necessarily, and I'll  
14 leave up to the design experts to get into that  
15 detail. But at least they raised enough questions in  
16 my mind to say is it, is the new curve, practical and  
17 workable? But I'll leave it up to them to bring up.

18 DR. WALLIS: If the process is the same,  
19 of just taking the --

20 MR. ENNIS: No, it's, it would not be.

21 DR. WALLIS: -- if the process is the  
22 same, but you'll tell us --

23 MR. ENNIS: There's more to it than just  
24 the curve.

25 DR. WALLIS: -- you'll tell us. Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MR. ENNIS: And what I do, any my role  
2 with my staff, is we provide the structure and the  
3 administrative support. Give the experts the  
4 opportunity to come to consensus and hopefully try to  
5 corral them into doing that. And with that, I'll pass  
6 it back on to Ken.

7           MR. ERLER: Well actually on to me.

8           MR. ENNIS: Yes. Mr. Erler is going to  
9 review the open comments, some technical comments we  
10 gathered. The reason we call them is open comments is  
11 that they were not in our paper, they have come from  
12 deliberations we've had and they're comments from the  
13 members. They're, it's not a, we haven't had a  
14 consensus to say these, there's a consensus, everybody  
15 agrees these are the comments on the Reg Guide --

16          DR. WALLIS: It doesn't look like a  
17 consensus at all, this slide here.

18          MR. ERLER: The process, really, it's a  
19 very unique process and I think that was why it was  
20 important that Kevin address the fact is that we have  
21 experts from around the world that are experts in all  
22 various industry and it really provides a strength in  
23 the code.

24                   And the number one comment that we're  
25 dealing with is we've been working on it for 25 years.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 The phenomena we have no disagreement with. It  
2 exists. The issues that we're dealing with are we've  
3 had no failures with regard to environmental fatigue  
4 impact. We looked back at our operation and the  
5 answer that was presented here today was, the EPRI  
6 research or there's a few of them. And they really  
7 were more related with corrosion or corrosion/stress  
8 corrosion and fatigue interaction. It was not a pure  
9 fatigue issue.

10 And many times, the fatigue issues -- not  
11 fatigue issues, other failure issues are dealing with  
12 vibrations or other related type phenomena and  
13 separating it out, we really look at the fundamental  
14 experience of today that the operating plans have been  
15 served well by the design basis we've had for a number  
16 of years. But we've looked very carefully. We've  
17 done research, we've assigned various task groups. We  
18 brought people in from around the world and we can't  
19 all agree amongst these experts that there's a need to  
20 change, that there's sufficient margin in the design,  
21 has proven itself to be very effective.

22 The other item really is how does it  
23 apply, you know? Some of the research that we have,  
24 there's obviously these specimens don't reflect  
25 environment that primarily piping or vessels are in,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 where the internal diameter of the components are the  
2 ones that are exposed to the environment, not the  
3 whole metal.

4 DR. WALLIS: Could you explain something  
5 to me? I sort of got the impression from what was  
6 presented, the Argonne work, that your curves are  
7 based on tests in air.

8 MR. ERLER: That's correct.

9 DR. WALLIS: How do you then account for  
10 the additional effects of putting it in water with  
11 various amounts of oxygen and so on in there?

12 MR. ERLER: The original criteria that  
13 goes back to 1960 --

14 DR. WALLIS: Twenty and --

15 MR. ERLER: It was the 20 and 2 factor  
16 that we put in.

17 DR. WALLIS: Is that good enough today?

18 MR. ERLER: That's correct. You've got to  
19 look at the methodology that was used for analysis.  
20 The methodology that was used for the margins that  
21 exist elsewhere in the code and the reluctance to  
22 really start taking out margin in the code or adding  
23 in for special analysis that was totally done in the  
24 lab.

25 So that's where we're looking at, trying

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to bring together an operating experience and the lab  
2 data that we have. We're not ignoring it as will be  
3 outlined in our approach that we have proposed.  
4 Twenty some years of working at it, we've had a lot of  
5 heated discussions from many, many experts that have  
6 brought forward some very, very valid points.

7 The issues that we're dealing with are  
8 just some of this data is not the same as was  
9 presented here. The methodology that was used for the  
10 dry test, with this 25 percent drop rate methodology  
11 is not the same as the crack growth. So there's some  
12 adjustment that has to be done and then analytical  
13 figuring of the  $F_{en}$  factor.

14 So there's a lot of analytical  
15 manipulation of data that may not apply to the actual  
16 components and we haven't seen the failure in the  
17 plants that we have --

18 CHAIRMAN ARMIJO: Now didn't the Argonne  
19 researchers do the manipulation and share that with  
20 you and did you find fault with the way they did it?

21 MR. ERLER: Yes, well, no. There's a lot  
22 of arguments with the way -- that's why you have the  
23 dispute in these meetings. There's some fundamental  
24 disagreements with how it's being done, how it's being  
25 adjusted and does it really represent what you have in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 today's environment?

2 DR. BONACA: Could you comment on bullet  
3 number two. I'm interested in understanding that  
4 better.

5 Environmental fatigue affects only inside  
6 surface --

7 MR. ERLER: We are dealing primarily --  
8 our fatigue is really dealing with the inside surface  
9 of piping and so therefore you're not dealing with  
10 components that have been submerged in water or in  
11 oxygen or other environments that you have. And so  
12 when you apply it to the methodology that you have,  
13 piping analysis is a structural analysis. You don't  
14 look at internal and external. You have to apply it  
15 to the whole component.

16 And so here you have a bending component,  
17 bending, not bending on the piping, but bending within  
18 the wall thickness that we're applying a penalty on  
19 across the board. So that's part of the application  
20 problem that you have here. You've got realize some  
21 of the design, for a vessel, it's pretty simple. You  
22 have certain rules and certain -- that's in the code  
23 rules and we've expanded it to cover phenomena, but  
24 the fact of the matter is that when you start applying  
25 this analysis, as even stated here, that you need to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 go into a very detailed finite analysis, finding out  
2 exactly the stress concentrations, the cycles that you  
3 have to go with. And it doesn't really apply to the  
4 same methodology you really had in the code directive.  
5 So we have a way of translating that. That's what  
6 we've been working on is arguing how you translate  
7 that into applications into today's analysis.

8 MR. BRUNY: Could I add to that? Chuck  
9 Bruny. Current methods in today's piping analysis is  
10 done with some standard equations that are in the code  
11 and stress indices that are developed for various  
12 components in the piping system and for various  
13 loading conditions. Now this stress index is a way of  
14 getting the maximum stress somewhere in that component  
15 that is generated by that load or that condition.  
16 These are then are all added together. It may not be  
17 the stress at the ID surface and the stresses from one  
18 load condition may not occur at the same location as  
19 another. So the industry today works with a  
20 simplified approach which comes up with very  
21 conservative stress evaluations for most of the piping  
22 components.

23 The addition of the  $F_{en}$  approach and the  
24 impact is that many of these locations analyzed under  
25 this current methodology will prove to be unacceptable

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and therefore significant detail analysis will have to  
2 be undertaken in order to evaluate the stresses at  
3 specific locations on the inside surface of these  
4 components throughout the piping system in order to  
5 apply the  $F_{en}$  approach in a way that isn't so overly  
6 conservative that it has dramatic impact on the  
7 piping.

8 CHAIRMAN ARMIJO: Do you know how to do  
9 these analyses?

10 MR. BRUNY: Yes.

11 CHAIRMAN ARMIJO: So it's the amount of  
12 work and the amount of detail you have to do.

13 MR. BRUNY: It's a significant amount of  
14 additional work over and above current methodology to  
15 do that and the approach that was taken in life  
16 extension was a very limited number of locations were  
17 evaluated in the life extension analysis and  
18 application of  $F_{en}$  and some of those did use this  
19 extensive analysis, but on a very limited number of  
20 locations, not the entire piping system for a plant.

21 CHAIRMAN ARMIJO: When you did not  
22 particular analyses did you compare them what the  
23 standard code process would predict? I mean were they  
24 consistent? Was the standard code analysis  
25 conservative compared to the more sophisticated

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis?

2 MR. BRUNY: I haven't looked at the  
3 detailed analysis or detailed results. What I have  
4 heard is that the  $F_{en}$  approach, in general, would give  
5 higher fatigue usage factors than the code analysis.  
6 In other words, there were more locations, many more  
7 locations that would have a fatigue usage factor  
8 higher than the .1 value that is the current threshold  
9 for determining a potential pipe break location.

10 MR. ERLER: Let me expand on that a little  
11 bit, because that's a -- the  $F_{en}$  approach and you look  
12 back in '91 and a lot of this was done, was identified  
13 as an issue in pursuit, primarily focused on analysis  
14 for life evaluation where you go in and make sure,  
15 find out where you are in the plant and that's why in  
16 all of the license renewal, you find the plants are  
17 acceptable, so the answer to that is I say yes,  
18 because every place you've applied it in plants for  
19 license renewal or for existing plants that are  
20 currently certified have been acceptable.

21 So it's a lot more work, but it was very  
22 important in operating plants to be able to verify  
23 that for the added 20 years that you were putting on  
24 it. I think the difference we're focusing on here,  
25 Section 3, we're talking about design, up front design

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 where you don't know necessarily. You're designing  
2 something you don't want to go into detail analysis  
3 evaluating research and pick out -- design is  
4 significantly different than evaluating the impact.  
5 And therefore, we need a design approach which is, has  
6 the margin in there that we know can be handled by the  
7 various conditions and environment and cycles that we  
8 have.

9 DR. WALLIS: Can we talk more about this  
10  $F_{en}$ ? As I understand it, there's a curve that you get  
11 from tests in air when you do tests in other  
12 environments such as PWR water, different  
13 temperatures, you get some other data. All  $F_{en}$  does  
14 is tells how much the curve moves when you move to a  
15 different environment. That seems to me an  
16 appropriate way of treating the data. Now you may be  
17 arguing about how practical it is, but I don't see how  
18 you can argue it's not an appropriate way of treating  
19 the evidence.

20 MR. ERLER: It may be. If you look at our  
21 last comment that we have here is that the  
22 implementation of the code design rules has a number  
23 of issues. Those issues were identified in the EPRI  
24 report MRP47.

25 DR. WALLIS: It's the application of these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 factors you complain about, not the way that -- it's  
2 not an inappropriate way of treating the data, are  
3 they?

4 MR. ERLER: It's the conservatism in it  
5 and the application of it in a design environment in  
6 designing a new component.

7 DR. WALLIS: The application is what you  
8 object to.

9 MR. ERLER: This write up was significant,  
10 going into a lot of detail on the difficulties of  
11 trying to apply it and it is appropriate. Where ASME  
12 is coming from and the debate that we have in all of  
13 our committees is for what benefit? If we haven't  
14 seen a problem --

15 DR. WALLIS: For public safety, you have  
16 a better --

17 MR. ERLER: Well, then let's go back to  
18 our item, bullet two here. One of the things that  
19 we're very much concerned with, those usage factors is  
20 the fact that we're going to end up with a lot more  
21 pipe restraints installed, a lot more in-service  
22 inspection required because of usage factor being up.  
23 And you're going to have a lot of other issues for,  
24 again, very little benefit.

25 It kind of reminds a lot of our people

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that are around the table of where we were in the '70s  
2 and '60s where we were putting in more pipe restraints  
3 because of increase in seismic analysis response  
4 specter, decrease in damping values that were allowed,  
5 and then 10 years later we spent another bunch of  
6 money taking it all out, because what we're doing is  
7 we're constraining a system that would prefer to be,  
8 have some more flexibility to respond to the thermal  
9 and the dynamic response.

10 So it has a possible negative safety risk  
11 that we have and that's probably the more stronger  
12 opinions at the table when you're debating it. It's  
13 not the fact that we have to work more at it because  
14 most of the people there probably get paid more for  
15 doing that analysis. The fact is that it would be  
16 unconservative. The application of  $F_{en}$  for evaluation  
17 of existing plants and life prediction is a very good  
18 approach. It's applying it as a design approach that  
19 we object to, especially when you look at it and it  
20 hasn't had been proven that the existing design  
21 approach is a problem.

22 And we're going to get into more detail  
23 when Dr. Hoffman goes through the approaches that we  
24 have. Like I say, we haven't given up on the fact  
25 that we need to address this. It's how do we address

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it, what is the issue we need to address and what  
2 approach should we use?

3 CHAIRMAN ARMIJO: But if you wanted to  
4 freeze the approach with the codes that are in  
5 existence today, the ASME curves, would you also  
6 freeze all the analytical procedures to the state-of-  
7 the-art at the time that they were imposed and not  
8 allow any more sophisticated analysis? Because  
9 otherwise you're eroding margin.

10 MR. ERLER: That's right. There's a lot  
11 of debate on that and you can't -- you can't freeze  
12 either, really. What we try to have is some kind of  
13 standard, codes and standards stability to deal with  
14 and some kind of oversight with regard to the  
15 analytical capabilities that you have. But not for  
16 every Class 1 piping system do you want to have to do  
17 it, or every valve that you have to do it.

18 DR. WALLIS: No debate that in the  
19 environment and in the PWR the metal is more prone to  
20 fatigue than in air? There's no debate about that, is  
21 there?

22 MR. ERLER: I think the statement is we  
23 agree that that phenomena exist. Does the current  
24 standard cover --

25 DR. WALLIS: The current standard doesn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 take account of that, does it?

2 MR. ERLER: Not explicitly, but it does  
3 state in the criteria document that the 20, that will  
4 account for environmental effects.

5 DR. WALLIS: It's good enough to take  
6 account of it.

7 MR. ERLER: That's what currently in our  
8 criteria document.

9 DR. WALLIS: Twenty is good enough. You  
10 don't need to adjust it any other way. That's your  
11 position?

12 MR. ERLER: Let me say this. We really  
13 should go through the rest of our position. Because  
14 we're not digging our heels in on this here. We just  
15 want to get to the right solution.

16 DR. WALLIS: I thought you were.

17 MR. ERLER: No, no, no, no.

18 DR. WALLIS: You are flexible on this?

19 MR. ERLER: It's a very complicated area  
20 to deal with and finding the right solution, that  
21 doesn't bring the bad stuff with the good solution.

22 DR. WALLIS: There is hope for compromise  
23 after 25 years?

24 MR. ERLER: I believe there is. So we've  
25 dealt with, I think -- does the implementation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 approach result in unnecessary code, regulatory  
2 burden? This is the analysis and then we're talking  
3 about then the implementation side. So I guess that  
4 really covers most of the open issues.

5 DR. WALLIS: Have you evaluated that?  
6 The burden and the benefit? Is that being evaluated  
7 or are you just raising a question?

8 MR. ERLER: We're tying it together with  
9 the bullet above it, that the fact of the matter is it  
10 does take more analysis in order to bring within  
11 allowables just like potential new allowables like  
12 Chuck Bruny stated.

13 DR. SIEBER: That you quantified that  
14 additional effort?

15 MR. BALKEY: Let me try a different tack  
16 here because it came up in the discussions here. When  
17 we did the risk-informed in-service inspection, more  
18 than 90-some reactors have implemented here in the  
19 United States as well as six or seven other countries,  
20 in a way that was -- that assessment was almost a  
21 check on the plants that were operating. How does the  
22 risk from the operation of these pressure boundary  
23 components, how does it compare to the risk for other  
24 contributors to overall plant safety?

25 When we did the risk-informed ISI where

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you're combining the probability of failure at various  
2 locations and at that point you already have a fixed  
3 design. It was done to whether it was B311, B317 or  
4 Section 3, and you're doing this assessment. One  
5 method uses policy fracture mechanics, another one  
6 went through an entire operational history, and what  
7 you find out that the risk, first of all, the risk  
8 from pressure bond through failures using this code is  
9 a small contributor. It is not a large contributor.

10 DR. WALLIS: Small has been used before  
11 today. How small is it?

12 MR. BALKEY: We're talking definitely less  
13 than  $10^{-6}$ .

14 DR. WALLIS: On CDF?

15 MR. BALKEY: On CDF. Now let me come back  
16 to it. Even if -- I don't want to argue how low is  
17 low enough, but when you look at where the predominant  
18 contributors were to the risk from the piping, it's  
19 not from fatigue. It's from the things where you may  
20 have the possibility of back leakage through a check  
21 valve. It may be in thermal stratification that you  
22 may be predicting. It may be that hey, we have an  
23 environment --

24 DR. WALLIS: That's thermal fatigue or is  
25 this a stressor solution we're talking about?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BALKEY: You could have a -- if a  
2 check valve started leaking, you'd end up with thermal  
3 striping and you'd end up with a very --

4 DR. WALLIS: It's a fatigue problem?

5 MR. BALKEY: Pardon me?

6 DR. WALLIS: A fatigue problem.

7 MR. BALKEY: Yes, but the issue is not the  
8 calculation of fatigue, the issue is the loading  
9 environment itself, once you get into a loading  
10 environment that's causing that challenge.

11 And the point I'm trying to make is that  
12 even when you -- I went through the regulatory  
13 assessment. The statement was made that when this --  
14 the impact of environmental fatigue, even for life  
15 extension, the NRC did risk analysis calculations to  
16 show that it's acceptable to safety. So the question  
17 you have to ask like I said, we're not trying to say  
18 you don't address these factors. The question is do  
19 you do it here in design or do you address it through  
20 your in-service programs. And that will come bearing  
21 out.

22 So therefore, the NRC and the industry  
23 have worked very hard to focus our resources where it  
24 matters. And one question you have to put on the  
25 table is are we asking the industry to do a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 significant amount of work on an area where the risk  
2 may be low.

3 DR. WALLIS: The question I would ask is  
4 how big does this F have to be before you are forced  
5 to make a change?

6 MR. BALKEY: What we're saying is the  
7 operating experience today is not bearing that out.

8 DR. WALLIS: You say the influence is so  
9 small that it's not important. How big would it have  
10 to be? Would it have to be twice as big or something  
11 before you say you have to do something?

12 MR. BALKEY: Well, I'll respond when we  
13 look at Section 11. Section 3 is talking about  
14 design. If I go over to Section 11, as soon as we  
15 have experience and our Section 11 group is dealing  
16 with all the different cracking mechanisms that are  
17 coming and we have reached consensus on a number of  
18 code cases in order to change the inspection and the  
19 repair and replacement of that equipment. But it  
20 comes back to what Kevin Ennis said, that the  
21 challenge and the question we have is is the  
22 information that's available, does it warrant going  
23 back to do all this work and is it going to add  
24 additional burden?

25 DR. WALLIS: The problem I have with your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 presentation so far is you really haven't demolished  
2 the view of ANL and the NRC. You've talked about a  
3 lot of things, but you haven't convinced me that in  
4 any way they're at fault.

5 MR. BALKEY: I think that the position  
6 that we're saying is the fact that in design part, we  
7 have found that the design of the plants you end up  
8 with fatigue being adequately covered by the process  
9 originally set up.

10 DR. WALLIS: Are you going to show that  
11 somehow?

12 MR. BALKEY: The way to keep that going  
13 forward is to keep an eye on it through the monitoring  
14 program that you have in place, rather than trying to  
15 make, squeeze a more conservative design on existing  
16 component system.

17 CHAIRMAN ARMIJO: But if you do a better  
18 job in designing piping by using data, modern data and  
19 modern analytical procedures, somewhere along the line  
20 you ought to be able to say I don't need to do as much  
21 in-service inspection. I don't -- there will be a  
22 benefit coming out of it, even though there's an  
23 upfront cost. I agree there will be an additional  
24 cost, but it seems to me that if we know these  
25 environmental effects exist, and we measured the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 phenomena. We've got data. It seems strange that we  
2 wouldn't use it along with our more modern analytical  
3 procedures. You know, just everything improves.

4 MR. BALKEY: And we are committed to  
5 working with everybody to look for that solution.

6 CHAIRMAN ARMIJO: And a benefit of this,  
7 you might have a much better piping design by virtue  
8 of doing the more -- using the modern data and the  
9 modern analytical approaches and the payoff could be  
10 in less in-service inspection or more reliable piping  
11 system.

12 I just -- or both. I can't see why you're  
13 just looking at it as just a burden and we ought to  
14 stick with --

15 MR. BALKEY: Except that the  $F_n$  procedure  
16 or the revised fatigue curves may not be the solution.

17 CHAIRMAN ARMIJO: There may be other  
18 solutions.

19 MR. BALKEY: It's a better solution than  
20 we've -- and that's what we want to work for.

21 CHAIRMAN ARMIJO: I think we should move  
22 over now to --

23 MR. BALKEY: Dr. Hoffman is going to go  
24 through a little more technical information on what  
25 ASME has done.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. HOFFMAN: This you've already seen  
2 and heard previously. There has been activity within  
3 the ASME Code Committees and initially with the PVRC  
4 Steering Committee on Environment for a long time.  
5 The only thing that I would like to highlight from  
6 this slide is that there are a couple of items, the  
7 introduction of Appendix and Code Case N643. There  
8 were specific actions that the Code Committees did  
9 come to agreement on and published new rules to  
10 address environmental effects in both of those items.

11 The N643 code cases is of note because it  
12 allows you to decide, based on the environmental  
13 conditions and the transience occurring in a component  
14 whether or not the environmental effects need to be  
15 considered. It kind of turns them on or off,  
16 depending on the local conditions.

17 Next slide.

18 Just earlier this year, the Section 3 has  
19 a task group on trying to decide what to do about  
20 environmental effects. They just completed their  
21 efforts earlier this year and these were the  
22 recommendations that they forwarded to subgroup design  
23 of Section 3 to decide whether any changes needed to  
24 be made to the design rules or to adopt new fatigue  
25 curves that incorporated environmental effects or to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 use an  $F_{en}$  type approach. These are the various items  
2 that we've heard about earlier today, either changing  
3 the curves or the  $F_{en}$  effect.

4 So subgroup design is still looking at  
5 these.

6 DR. WALLIS: It seems that option 2 here  
7 would involve some change in the fatigue curves that  
8 ASME recommends.

9 DR. HOFFMAN: Right, there have been --

10 DR. WALLIS: Factor 20 would become 30 or  
11 something or whatever.

12 MR. BALKEY: Or the fatigue curves --

13 DR. WALLIS: Right.

14 MR. BALKEY: There have been proposals to  
15 introduce new curves that have the factors built in.

16 MR. BANERJEE: What do you mean by without  
17 the extra conservatism in the guide?

18 MR. ERLER: That particularly was  
19 addressing the -- there's a number of factors that are  
20 included in the guide in terms of applying  $F_{en}$ . If  
21 you look at some of the early research that you had  
22 and now the subsequent research that would indicate  
23 the factor should be 1.5 as opposed to 2.

24 DR. WALLIS: Is the conservatism in this  
25 95th percentile or moving the curve over further than

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it needs to be?

2 MR. ERLER: Well, you know, obviously,  
3 they've moved some of the curves, the stainless steel  
4 down and they've moved some of the carbon steel up and  
5 -- but the margin that they're aiming for has been  
6 consistent and the margin is, we think, is too  
7 conservative when you consider you're improving your  
8 knowledge that you have and you're improving what  
9 you're considering in your analysis, so that some of  
10 that margin should be reduced.

11 So part of the debate, if you're going to  
12 apply it, what should that margin be?

13 DR. WALLIS: Isn't the margin based on  
14 some statistical evaluation based on this log normal  
15 thing and Monte Carlo analysis?

16 MR. ERLER: That's correct. That's what  
17 their analysis was based on.

18 DR. WALLIS: Is something wrong with that?  
19 Is that extra conservative to do it --

20 MR. ERLER: By the time you apply it, you  
21 end up with sometimes an increased amount of fatigue  
22 usage factor or decrease that causes considerable  
23 problems. Some of it goes beyond what would be  
24 reasonable in terms of --

25 DR. WALLIS: The problem being that you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have to restrain the pipes more?

2 MR. ERLER: You really get down to details  
3 and the usage factor is really connected with a lot of  
4 -- the transients that you have and the number of  
5 cycles. You end up changing details in order to make  
6 --

7 DR. WALLIS: How is it you know how much  
8 these things vibrate in the first place?

9 MR. ERLER: That's the advantage of  
10 looking at it in an operating environment because when  
11 you know the number of transients, you have  
12 monitoring, you have data.

13 When you apply Section 3, you're looking  
14 at future.

15 MR. BANERJEE: Where are most of these  
16 restraints? I mean the issue that you're bringing up  
17 that you have to restrain these pipes more than they  
18 are currently being restrained. And that is  
19 introducing some problem.

20 MR. ERLER: There are two issues. One is  
21 the issue of if the usage factors go up, you have to  
22 postulate breaks more frequently. If you postulate  
23 breaks, then you've got to put in pipe restraints and  
24 protection against those breaks. You can't get at the  
25 pipe as well for inspection and monitoring very well.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BANERJEE: Could you just give us an  
2 example of where this would have the most impact?

3 MR. ERLER: On pipes, on class 1 pipes.

4 DR. WALLIS: Main steam line or something  
5 like that?

6 MR. BANERJEE: Steam line?

7 MR. ERLER: The surge line has a lot of  
8 them on, you know. Feedwater line.

9 MR. FERRER: This is John Ferrer. Could  
10 I add a point on this issue you were just talking  
11 about? One of our responses to the public comments  
12 was that that concern that you could increase the  
13 number of postulated rupture locations was legitimate  
14 and that if in implementing this new criteria it turns  
15 out it causes a lot of extra pipe rupture locations to  
16 be postulated, we will reconsider the criteria based  
17 on fatigue so that doesn't happen.

18 MR. SIEBER: Then what do you accomplish  
19 when you do that?

20 MR. FERRER: There was back in the '80s  
21 when they were trying to get rid of the problem with  
22 the excessive number of pipe whip restraints, one of  
23 the issues that was implemented was leak before break.

24 MR. SIEBER: That's right. That was a  
25 sensible one.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FERRER: There was another proposal at  
2 the time to increase the fatigue usage factor from .1  
3 which is the usage you postulate a rupture at to .4.  
4 However, at the time this particular change was  
5 postulated, we were aware of the concern with  
6 environmental fatigue and that the ASME fatigue curves  
7 may not be conservative. So we did not accept that  
8 change.

9 Now if we're taking care of that problem  
10 with the ASME fatigue curves, then a change in the  
11 pipe rupture criteria may be appropriate at this time.

12 DR. WALLIS: Is the idea to reduce the  
13 burden?

14 MR. FERRER: Well, what we've said in our  
15 responses is if the industry comes in and shows us  
16 that this is going to cause an excessive number of  
17 rupture postulations to occur, we will reconsider the  
18 criteria to try to levelize it so it doesn't increase  
19 or decrease the burden.

20 MR. SIEBER: Well, you have to balance the  
21 increases or decreases in the burden with increases or  
22 decreases in the risk and so it takes more to say oh,  
23 I don't think we should do that.

24 DR. WALLIS: He's saying if you know more,  
25 you might be less conservative.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: That's right.

2 DR. WALLIS: Usage factors, but actually,  
3 it would make it easier for industry to reduce the  
4 burden.

5 MR. SIEBER: That's right, and that would  
6 be acceptable. On the other hand, just to reconsider  
7 what somebody is complaining --

8 DR. WALLIS: But the claim of the ASME  
9 seems to be by implementing these F factors you  
10 actually increase the burden.

11 MR. SIEBER: Yes.

12 MR. BANERJEE: And is there a case for  
13 thinking that it would reduce the burden?

14 MR. FERRER: Well, if you increase it when  
15 you implement the environmental fatigue curves and  
16 we've done that in license renewal, a lot of the  
17 cases, the change in fatigue usage wasn't that great.  
18 So if we were to increase the usage factor for  
19 postulating breaks from .1 which is the current  
20 position to .4 which was the proposed position in the  
21 '80s, this would be about a factor of 4 change in the  
22 usage. So you might indeed reduce the burden in some  
23 cases.

24 DR. HOFFMAN: Just to complete, you've  
25 already heard a lot on the three options here about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 whether there's a need to make a change.

2 DR. WALLIS: These members of Subcommittee  
3 3, are these taken from the nuclear industry?

4 DR. HOFFMAN: Yes. We've also heard  
5 recently from the French. They've done a lot of  
6 updating of their codes and standards recently in the  
7 last few years and they've decided not to include this  
8 as a design consideration in their code. Similarly,  
9 the Japanese have introduced this as an operating  
10 plant evaluation methodology.

11 MR. BANERJEE: Have they heard the view  
12 that NRC just put forward?

13 DR. HOFFMAN: The French?

14 MR. ERLER: Both.

15 MR. BANERJEE: And they agree with what  
16 was said or they disagree with what was said?

17 DR. HOFFMAN: I'm not sure exactly which  
18 --

19 DR. WALLIS: Did they see the Argonne data  
20 though?

21 DR. HOFFMAN: They've seen the data, yes.  
22 They participated in the --

23 MR. BANERJEE: The last argument was  
24 actually not increase the burden, but may reduce the  
25 burden because you've got better knowledge now, you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going through a more sort of a fundamentally sound  
2 procedure than you were before, so it may actually  
3 reduce the burden, correct?

4 DR. HOFFMAN: Potentially.

5 MR. BANERJEE: Now did they actually hear  
6 that view and did they disagree with it or did they  
7 agree with it?

8 DR. HOFFMAN: I don't think -- they  
9 probably have not heard that view. I think most  
10 people's perception in these meetings is initially  
11 that the burden is going to be increased. And until  
12 you've got through that process --

13 DR. WALLIS: If the burden was reduced,  
14 would that make this more acceptable then?

15 DR. HOFFMAN: The problem is you have to  
16 go through the process to find out if that burden is  
17 going to be reduced or not.

18 MR. ERLER: The Japanese, they participate  
19 significantly on all the code committees, on the  
20 Board, as well as on Section 3 and Section 11. And so  
21 they're very much involved in all of the data that's  
22 being talked about here.

23 The same is true, not as much in terms of  
24 active involvement, but the French are always at the  
25 meetings and following what we're doing. They do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 share their decisions on it.

2 DR. WALLIS: Maybe we should move on to  
3 the next slide and see what the other options are.

4 DR. HOFFMAN: As I said, the adoption of  
5 new curves, that's been considered. There have been  
6 a couple of proposals brought forward. The problems  
7 with this have been identified. They tend to be  
8 overly conservative. We're applying a factor across  
9 the board for everything and again, the concern that  
10 the additional restraints that might be needed  
11 resulting from higher usage factors.

12 CHAIRMAN ARMIJO: Is that really the only  
13 solution you have, that you'd have to put pipe whip  
14 restraints? Couldn't you change the dimensions of the  
15 pipe beam or wall thicknesses or just sharpen your  
16 pencil and do more detailed analysis? It seems like  
17 there's only one outcome and that's a whole bunch of  
18 pipe whip that nobody wants.

19 DR. HOFFMAN: The comment we received from  
20 Don Landers who chaired the Subcommittee 3 task group  
21 was that applying this  $F_{en}$  factor or having new curves  
22 isn't going to change the routing of the pipe. It's  
23 just going to mean you have to do additional analysis.  
24 And I'd ask if Mr. Bruny would have any further  
25 comment on that?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ARMIJO: It's additional, more  
2 sophisticated analyses that will cost more money.

3 MR. BRUNY: Yes, and I am not privy to all  
4 the details, but John mentioned that in the life  
5 extension analysis there in several cases there was  
6 not a significant increase in the fatigue usage  
7 factor, but I challenge whether that was on the same,  
8 using the same analytical basis as the original  
9 calculations or whether it required to go through the  
10 much more extensive analysis in order to achieve that  
11 similar result.

12 MR. FERRER: I don't mind answering that  
13 question. I thank you for asking it.

14 I think one of the comments I made earlier  
15 was that the original design of these plants were done  
16 to codes that were back in '69, '71, '74. In the  
17 intervening years, in piping, there was a significant  
18 change to the criteria related to fatigue that makes  
19 it less conservative and that was a change to the  
20 parameters that were included in the primary plus  
21 secondary stress calculation. And the significance of  
22 that is if you exceed a certain value, you apply a  
23 strain concentration for the peak stress when you do  
24 the fatigue analysis and these strain concentrations  
25 are the things that really drive the fatigue usage at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 most locations.

2           What was done in later codes was to pull  
3 out what they call a delta T1 or a through-wall  
4 temperature transient stress from that equation 10 and  
5 that significantly reduced the number of locations you  
6 had to apply to strain concentration location. We  
7 took advantage of that when we were looking at license  
8 renewal, so that did have an impact. Using the more  
9 recent version of the code is not as conservative as  
10 the old version that a lot of the analyses were done  
11 to.

12           DR. HOFFMAN: The last item on the  $F_{en}$  I  
13 think most of these points have already been addressed  
14 to one extent or another.

15           DR. WALLIS: Why would they make the  
16 plants less safe now? I wasn't sure about that.

17           DR. HOFFMAN: That's the additional  
18 supports and restraints.

19           DR. WALLIS: They put it in order to make  
20 the plants more safe, why would they result in making  
21 them less safe? I don't understand that. If they  
22 were put there to stop the vibration and the strain of  
23 the motion and so on.

24           MR. ERLER: It is the issue of being -- if  
25 you look at the plants that we ended up with putting

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in a lot of supports, constraining the pipe, you have  
2 more of a chance of having other stress concentrations  
3 due to binding up of the expansion and --

4 DR. WALLIS: Is it a badly designed  
5 restraint system?

6 MR. ERLER: Like I says, it sends us back  
7 to where we were in the '70s and saying we're really  
8 better off getting a more appropriate criteria where  
9 we allow expansion, allow supports to be appropriate.

10 DR. WALLIS: That's not a question of F  
11 factors, that's a question of when you use this -- any  
12 kind of fatigue method, you're using the right kind of  
13 solution to --

14 MR. ERLER: Except if you have a greater  
15 conservatism, you end up cranking it up more. The  
16 other is the issue of access of pipe whip restraints,  
17 getting at pipes for in-service inspection is a  
18 significant problem, the more restraints you have.

19 DR. WALLIS: Despite the fact you think  
20 this is a lousy piece of work or something that you  
21 are going to try to adopt it anyway, is that -- am I  
22 just putting it in those terms to try to -- by taking  
23 that position to get you to respond.

24 What do you mean by the first bullet here?  
25 You're going to try to do something similar to what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they did?

2 MR. ERLER: That's right. Work with  
3 everybody that's working on it, do what we've been  
4 doing and try to work our way through some of the  
5 fundamental issues that have to be addressed and  
6 making sure -- you've got to remember that the F<sub>en</sub>  
7 factor is from one specific curve to another issue,  
8 depending on the environment that you're in.

9 DR. WALLIS: right.

10 MR. ERLER: And that's a different factor  
11 depending on which curve you're starting from and what  
12 the environment -- how to apply it is what we'd be  
13 working at to making sure that it would be a design  
14 practical approach.

15 DR. WALLIS: So in principle, it's not a  
16 bad idea?

17 MR. ERLER: Make an adjustment for it has  
18 merit.

19 DR. WALLIS: Sounds --

20 MR. ERLER: Like I say, the phenomena,  
21 we're quite --

22 DR. WALLIS: By following this bullet, you  
23 might actually reach consensus with the staff.

24 MR. ERLER: You have to sit in the  
25 meetings --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Why don't you do that?

2 MR. ERLER: And to hear the different  
3 points of view from around the world and different  
4 experts to understand the issues that are technically  
5 sound on the table. But there's a feeling you can  
6 work it out. It's just going to be a --

7 DR. WALLIS: The problem I have is it  
8 seems that there's an unwarranted reluctance to take  
9 this approach.

10 MR. ERLER: No, I don't think so. I think  
11 that it's finding the right  $F_{en}$  and how to apply it.

12 DR. WALLIS: Well, yes, but let's find the  
13 right  $F_{en}$  and then apply it if it's a reasonable  
14 approach.

15 MR. ERLER: That's correct.

16 DR. WALLIS: You wouldn't say that's  
17 unlikely. That's something that you could work with  
18 the staff to achieve?

19 MR. ERLER: Absolutely.

20 DR. WALLIS: How long would it take? It  
21 wouldn't take 25 years?

22 MR. ERLER: Or even 10 years or even 5  
23 years.

24 DR. WALLIS: This is like the last time we  
25 went with ASME and the staff on these issues or issues

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 like this. We simply said you guys ought to go away  
2 and work on one of these bullets and make it happen.

3 DR. BONACA: It would be interesting to  
4 hear from the staff now. Clearly, there is a search  
5 for a consensus and what really troubles me the most  
6 is that ASME is a nationwide organization, it's a  
7 worldwide organization and typically we strive for  
8 consensus. And so I hear two sides and I would like  
9 to see an effort to reach consensus. To reach  
10 consensus you have typically all parties try to step  
11 to the table and I really would like to know what you  
12 think about this.

13 MR. ERLER: I think at least at the lower  
14 group level because I did sit in on one of the groups  
15 on fatigue analysis that we were reasonably close to  
16 consensus and there were a couple of issues that were  
17 apart on the staff and the industry on a level of  
18 conservatism of these  $F_{en}$  factors.

19 With the current version, we changed the  
20 basis for defining these factors to this 95/5 which  
21 reduced some of the conservatism in the original staff  
22 position.

23 So we believe we've moved towards the  $F_{en}$   
24 position that the industry was proposing at one time  
25 and we were hoping that to see a little bit of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 movement at ASME to recognize that one, we had moved  
2 our position slightly to be slightly less conservative  
3 and it shouldn't be that far away from what they were  
4 at least proposing at the lower code committee levels.

5 DR. WALLIS: So they are proposing an  $F_{en}$   
6 approach?

7 MR. ERLER: They had an  $F_{en}$  approach that  
8 was proposed. It never got through the lower  
9 committee levels.

10 DR. WALLIS: On Slide A, they seemed to be  
11 saying the  $F_{en}$  approach itself is no good. The  
12 factors are not appropriate and inconsistent.

13 MR. ERLER: That's directed at the reg.  
14 guide itself and the specific factors.

15 DR. WALLIS: But you're saying that the  
16  $F_{en}$  approach itself is no good?

17 MR. ERLER: No.

18 DR. WALLIS: I thought you were saying  
19 that the whole approach is no good.

20 CHAIRMAN ARMIJO: I guess I am more  
21 troubled by the fact that at this stage, there is  
22 still wording in your chart that say there's a lack of  
23 agreement on need to do anything. And I would -- that  
24 means that some people in your committees are just  
25 saying we don't have to do anything at all, period.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And somehow that's gotten past your hierarchy that  
2 says sorry, guys, there is a need to do something, so  
3 we're not going to put that bullet on there, but we're  
4 going to do something.

5 At least I'd be a little more comfortable  
6 with the ASME's position if they said hey, we  
7 recognize there's a need to do something. The old  
8 codes and methodology and the old data wasn't just  
9 perfect. We have modern ways of doing things and  
10 we're going to do it in a modern way and we'll work  
11 with NRC to work it out. That, to me, would be a more  
12 comfortable --

13 MR. ENNIS: That comes back to the focus  
14 of coming to consensus on the need. What is the need  
15 that you're trying to address? If the need is let's  
16 use more modern data or let's use more modern  
17 technique, to upgrade ourselves, that is satisfying  
18 one need.

19 If you're saying the need is there are  
20 fatigue failures of this type in plants and we have to  
21 change --

22 CHAIRMAN ARMIJO: I think this industry  
23 has failed many times to design things properly with  
24 respect to environment and we've cracked pipes and  
25 replaced pipes and cracked numerous components, spent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 billions of dollars and when that happens everybody  
2 agrees there's a need to do something.

3 This approach says hey look, we've gotten  
4 a lot smarter, we've got more data. We've got more  
5 experience. So we can anticipate these things, design  
6 it right, put the right criteria, maybe be more  
7 flexible on the usage factors that the NRC regulates  
8 because we know more. It seems to me that's  
9 fundamentally a sounder way of approaching it and  
10 rather than say well, let's wait and see if we get  
11 some unexpected fatigue failures. I just don't like  
12 that approach because that's what we've been doing for  
13 so many years.

14 MR. BALKEY: And for our last slide here,  
15 I guess we felt that -- you've heard through the  
16 presentations that well, it's not explicitly, but we  
17 do have factors that are considered in our design  
18 criteria and we've obviously wrestled with the need to  
19 change the current design requirements and if there is  
20 the need, then how that change gets implemented. So  
21 it's the aspect of in going back and --

22 DR. WALLIS: It seems to me the need is to  
23 respond to this new data which seems to be fairly  
24 broad and not comprehensive which shows that you can  
25 get fatigue failures earlier if you have these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 environments.

2 I think as I gather from this -- I mean  
3 your position is that your factor of 20 is good enough  
4 because these effects are not that big. Is that  
5 really your basic position, that if the effects turn  
6 out to be bigger, then it could be covered by your  
7 factor of 20, then there would be a more obvious need.  
8 Is that your position really, that the 20 covers this?

9 MR. ERLER: Basically, that is the  
10 position of the various codes and subgroups that the  
11 fact, everything has come to a vote. It's been  
12 extremely towards the side of not changing it.  
13 There's been new curves that have been proposed.  
14 There's been an EPRI approach that's been proposed and  
15 it ends up --

16 DR. WALLIS: The rationale has been that  
17 the factor of 20 covers this new --

18 MR. ERLER: There's a whole series of  
19 rationale. You've got to have --

20 DR. WALLIS: Some of it could be just we  
21 don't want to do anything.

22 MR. ERLER: No, no. I don't think that's  
23 the truth of any of the working group. We've had two  
24 task groups that have been assigned within Section 3  
25 to work through it. The design group has been -- and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it's going to be Richard Barnes wasn't able to make it  
2 here, but he wants to drive it up to Section 3 and  
3 make a decision with regard to get a vote at Section  
4 3 and at such a vote you'll see the negative reasons.  
5 They have to be written reasons as to why -- as  
6 opposed to discussions.

7           We have months and months of discussions  
8 that last all day, arguing about the shape of these  
9 curves, the data, the statistics. The experts are  
10 quite amazed, you know, where they all come from, but  
11 the process is such that I think that it is really a  
12 series of concerns that have been identified of how to  
13 deal with it. The simple statement that we agree the  
14 phenomena is there.

15           To date, it looks like we haven't had any  
16 failures that we can identify specifically with  
17 environmental contributing to a shorter fatigue life  
18 for a particular component provides a lot of  
19 reassurance for people to -- at the same time, there  
20 has not been an agreement to stop doing anything on  
21 it.

22           I mean our last bullet down here is we're  
23 going to continue to get money and do research, work  
24 with the NRC, work with all of the organizations to  
25 get data, to find out where it's appropriate.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           It's not unusual, the design of any -- of  
2 a building that you don't design for exact conditions  
3 that you have.

4           DR. WALLIS: Does license renewal make a  
5 difference? Now you're extending the life, so that  
6 experience up to date with fatigue may not cover the  
7 future.

8           DR. HOFFMAN: Can I? Well, this  
9 environmental fatigue effect is addressed for license  
10 renewal by a set of sample analyses. But, in fact, to  
11 my knowledge, no plant that's gone for license renewal  
12 has increased their number of transients by a factor  
13 of 50 percent.

14           DR. WALLIS: It is close to this usage  
15 factor limit? They don't get close to that?

16           DR. HOFFMAN: No. It's been addressed for  
17 license renewal and it's just another example of a lot  
18 of the extra margin that's built into the Section 3  
19 design process.

20           The design transients that are identified  
21 are far grater than what are actually seen in  
22 operation. So there's lots of other sources of margin  
23 in the design.

24           MR. FERRER: May I comment on that because  
25 we have looked at at least two dozen plants on license

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 renewal and actually we have a NUREG CR-6260 which we  
2 did some sample analyses. The staff had done by EG&G  
3 at Idaho. That's not quite correct. There are cases  
4 where the number of design transients was  
5 nonconservative and it occurred mostly on BWRs where  
6 they originally assumed 120 cycles of start-up and  
7 shut-down and now they're postulating something closer  
8 to 200 cycles.

9 And so there are cases where there were  
10 more design cycles, the original design was not  
11 necessarily conservative in terms of cycles. There  
12 are a number of cases that were evaluated where they  
13 did an evaluation and the fatigue usage came out  
14 greater than one. And there's an open issue for them  
15 to come back before the period of extended operations  
16 to propose to either do some more rigorous re-analysis  
17 or to do some kind of an aging management program at  
18 those locations. And that's an open issue in a number  
19 of license renewal reviews.

20 DR. WALLIS: Now if you use the F factor  
21 method as proposed, presumably those usage factors  
22 would become even bigger.

23 MR. FERRER: Well, that's what we did in  
24 license renewal.

25 DR. WALLIS: You did in license renewal.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 You used the F factor.

2 MR. FERRER: Yes, but we used a slightly  
3 more conservative position than is now being proposed.  
4 We originally took the 2 and 20 adjustment factors to  
5 the environmental data to get the design curve. Now  
6 we use this 95/5 which is 12. So it's not quite as  
7 conservative.

8 CHAIRMAN ARMIJO: Did you have to relax  
9 the regulatory position on the -- what was allowed,  
10 the usage, the .1?

11 MR. FERRER: What we did in license  
12 renewal was we didn't apply the environmental on the  
13 calculation of the pipe postulation locations. We  
14 only applied it on the calculation of the fatigue  
15 usage for code compliance considerations.

16 The reason this hasn't been discussed  
17 previously, I think is the first time the staff really  
18 thought about it is based on the public comments to  
19 the reg. guide. When somebody mentioned that this may  
20 be a problem, causing additional pipe break  
21 postulations, we said we'll consider adjusting the  
22 criteria. But in license renewal, we've had no  
23 problems with that because we didn't specifically ask  
24 them to apply the environmental factors on a break  
25 location calculation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BONACA: Now these are Regulatory  
2 Guide. This is an approach. You still have the  
3 option of presenting alternatives.

4 MR. FERRER: You are correct.

5 DR. BONACA: That means there will be  
6 additional work and maybe there is some consensus.

7 MR. BALKEY: That's what we're trying to  
8 say in the last slide here. I mean it's -- we're not  
9 trying to say we don't want to do this. We do, but  
10 we're just wrestling wit how you do it and we're  
11 willing to even look at the draft reg. guide as a code  
12 case in order to get the input to the ASME  
13 constituents.

14 We're also looking at other alternatives  
15 and we have other alternatives in process. But it's  
16 a difficult challenge with getting all the  
17 stakeholders to agree, based on an extra day, how we  
18 can go forward in doing that, both from both design as  
19 well as in operational evaluation.

20 CHAIRMAN ARMIJO: Okay.

21 MR. BALKEY: Thank you.

22 DR. WALLIS: What do you expect the ACRS  
23 to do?

24 DR. SIEBER: There's always somebody.

25 (Laughter.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Are we supposed to come down  
2 on some side or the other or are we supposed to say  
3 knock your heads together and say go away and agree or  
4 what are we supposed to do with this?

5 MR. BALKEY: The thing that struck me, as  
6 I said, I did piping work in the 1970s for about 10  
7 years and this issue became much more knowledgeable as  
8 the reg. guide came out over the summer.

9 And one thing, I get concerned when we met  
10 from B311 and it addressed the comment about we want  
11 to go to much better analytical methods. We went  
12 through B311 to 317. Everyone viewed 317 for better  
13 design rules. The plant that I worked on, the  
14 architect did all the piping layout based on 311. But  
15 when the commitment was one that hey, this plant would  
16 be licensed to the B317 code, then a confirmatory  
17 analysis was done.

18 And what happened when we moved and did  
19 this better work, we ended up adding in 230 snubbers  
20 at the last couple months before this plant needed to  
21 go on critical path. And I know when I went out to  
22 walk down the line with the architect, I mean we  
23 really had a lot of congestion. And you set yourself  
24 up for pipe growth that ended up, you know, snubbers  
25 would lock up and you end up with high stresses that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you weren't counting on.

2           And as John Ferrer and my other colleagues  
3 said then, that was just one plant. That was  
4 experienced across a number of reactors back in the  
5 '70s. The code worked real hard with the NRC. We  
6 actually changed evaluation methods to pull all those  
7 restraints back out. But snubbers as well as whip  
8 restraints. That was an enormous amount of effort.

9           I think the question that I have from that  
10 experience from 30 years ago is right now I've not  
11 seen where somebody took a plant and did a trial  
12 application to see using these methods from a design  
13 standpoint. where do we end up here.

14           What we have to be careful is that we  
15 don't end up what we did 30 years ago where you do a  
16 lot of work and then you find out well, we're back  
17 here again. We're revising this criteria, that  
18 criteria and all it does is set up regulatory  
19 instability, both with the code as well as the  
20 regulations.

21           That would be -- that's the question in  
22 terms, because the plants that we hope are all coming  
23 forward, they're all looking for regulatory stability.  
24 They're trying to keep the design fixed and not get  
25 into what we did 30 some years ago.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So that would be the question I would have  
2 with -- and I know you've done this on other  
3 regulatory guides where instead of the issue is final,  
4 it's issued out as a trial application until you get  
5 real experience, then make the determination.

6           A trial application would be real helpful  
7 data to ASME.

8           DR. WALLIS: Would that fit in with your  
9 second bullet here? I'm not sure what the code case  
10 is.

11           MR. BALKEY: A code case allows --  
12 whenever we have a new technology and you want to try  
13 it out, a code case allows for early use and gets some  
14 trial applications. A good example is --

15           DR. WALLIS: It doesn't make a lot of  
16 sense. Does the NRC agree with that sort of thing?

17           MR. SIEBER: They occasionally approve it.

18           MR. FERRER: Yes, as a matter of fact, one  
19 of the proposals in the ASME was exactly to do that  
20 and it was with the F<sub>en</sub> approach, but it didn't go  
21 through the system.

22           We would have probably -- had they put one  
23 out, we would have probably endorsed it with some  
24 exceptions, minor exceptions. We would have been  
25 slight more conservative, but we would have endorsed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it and I said that at many of the code meetings that  
2 I sat in when they were discussing that there was a  
3 difference between ASME and NRC that all they had to  
4 do was issue their proposal and we would adopt it with  
5 the exceptions that we thought were necessary.

6 MS. VALENTINE: And I would just like to  
7 add to that, this is really a timing issue. As we  
8 said many times before there has been discussion on  
9 this for many, many years.

10 The staff is very clear with the  
11 instruction from the Commission that we have several  
12 high priority reg. guides to issue by March 2007 to  
13 support new reactor applications. As we stated many  
14 times, this has been a consistent process, but this  
15 does not -- our reg. guide does not stop that  
16 consensus process.

17 This is a Regulatory Guide, not a  
18 regulation. So the staff has been very clear on what  
19 we expect to come out of this meeting which is  
20 agreement for issuance of an effective reg. guide.

21 CHAIRMAN ARMIJO: Okay, with that, I think  
22 we'll close on this one. We have one more  
23 presentation by -- thank you, gentlemen, for your  
24 presentation. I appreciate it.

25 (Pause.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ARMIJO: Okay, let's start.

2 MR. COFFLIN: Mr. Chairman, Committee  
3 Members, first of all, I'd like to thank you for  
4 giving me the opportunity to make statement here  
5 today. I won't be presenting. I'll just be taking  
6 from some notes I have.

7 I kind of got inserted at the last minute  
8 and I appreciate that.

9 Thank you, Gary.

10 My name is David Cofflin, and I work for  
11 AREVA MP, Incorporated in Lynchburg, Virginia. I  
12 supervise a group of engineers who are responsible for  
13 loading, stress and fatigue analysis of the reactor  
14 coolant system for the USEPR which is AREVA's entry  
15 into the advanced light water reactor market. And as  
16 such, I have a practical viewpoint of what this reg.  
17 guide means to people say at the working level.

18 We have received DG-1144 some time ago and  
19 we issued it to all three regions of AREVA. That  
20 would be France and Germany and the U.S. And we  
21 reviewed in September on the 22nd. We sent a letter  
22 to the NRC which outlined out concerns and comments  
23 with the draft reg. guide.

24 I actually have copies of the letter here.  
25 There were some passed out earlier. Does everyone

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have one?

2 Others in the gallery, I have some here  
3 too.

4 My purpose here today is not to go through  
5 the letter point by point or in detail. I just want  
6 to summarize our major areas of concern with the draft  
7 reg. guide.

8 What AREVA would like out of this is that  
9 the advisory committee consider these concerns and  
10 questions when they're formulating their  
11 recommendation to the Commission regarding  
12 implementation of the draft reg. guide.

13 I'll move onto our concerns. AREVA is not  
14 aware of any operating experience that supports the  
15 need for the conservative fatigue design rules  
16 proposed in DG-1144. I guess my placement in the  
17 schedule was fortunate because ASME has handled most,  
18 if not all of these comments already.

19 DR. WALLIS: Are you saying that because  
20 nothing has happened we don't nearly need a rationale  
21 way to predict what might happen?

22 MR. COFFLIN: I would argue that the  
23 method that we're using now is sufficient for what  
24 we're doing.

25 DR. WALLIS: We don't need a rational

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 method of predicting what might happen?

2 MR. COFFLIN: That's a fair statement.

3 But all I'm saying is I think the method that we have  
4 now is rational.

5 DR. WALLIS: But it seems to be the  
6 argument that because nothing has happened so far, we  
7 don't have to worry about it. We don't need to  
8 rationally predict what might happen?

9 CHAIRMAN ARMIJO: If absolutely nothing  
10 changed. And the methods and the data and the  
11 regulations of 1960 or whatever, then you might have  
12 an argument. But things are always changing and I  
13 don't know if we can count on that kind of stability  
14 in the analytical processes to be there to provide the  
15 conservatism that it provided by being just so  
16 simplistic.

17 And so I don't understand this idea that  
18 we have to have something fail before we do something.

19 MR. SIEBER: Let's not think that nothing  
20 has ever failed. There's been a lot of nickel-based  
21 alloys that have not performed well.

22 MR. COFFLIN: Through different  
23 mechanisms.

24 MR. BANERJEE: Every 7 or 10 years we find  
25 a surprise. Is that Bill Shack who said that?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MR. SIEBER: And that keeps a lot of us  
3 employed.

4 CHAIRMAN ARMIJO: Okay, go on.

5 MR. COFFLIN: AREVA believes that the  
6 proposed rules and we've been through this again, will  
7 lead to more postulated break locations which will  
8 lead to more whip restraints and jet shields.

9 This will lead, in turn, to reduction in  
10 overall plant safety due to the increased risk of our  
11 spring thermal expansion and more difficulty in  
12 obtaining accurate inspection results due to the  
13 addition of whip restraints and jet shields. Again,  
14 a point that the ASME has made.

15 It is not clear why the application of the  
16 proposed rules is not limited to those locations which  
17 are most sensitive to environmental fatigue effects  
18 similar to how environmental fatigue effects are  
19 treated in license renewals phase. License renewal is  
20 operating under a different set of rules.

21 AREVA does not believe that the NRC should  
22 establish very conservative design rules without peer  
23 consensus which we talked about.

24 The entire fatigue analysis methodology  
25 should be considered when developing rules to account

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for the effects of environment, rather than limiting  
2 considering to material effects only. And practiced  
3 the current ASME fatigue analysis and practice the  
4 current ASME fatigue analysis methodology already  
5 contains multiple conservatisms that are not easily  
6 removed from the fatigue analysis process.

7 Finally, in our September 22nd letter  
8 through the NRC, AREVA has highlighted several  
9 technical concerns with the proposed rules. These  
10 include concerns with the representative nature of the  
11 materials tested and the loading applied during the  
12 tests. The difficulty in translating results from  
13 laboratory specimen test results to field components  
14 and the lack of appropriate threshold values in some  
15 of the formulations.

16 And that is a very quick and brief summary  
17 of what's in the letter. You'll find much more detail  
18 in the letter. I'm a practical guy. I'm trying to  
19 look at it from the standpoint of what it means to me  
20 as a piping and component analyst, but particularly  
21 the technical component, the technical comments.  
22 There's a fair bit of detail and background in the  
23 letter that describes what they are. I just briefly  
24 hit them.

25 Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: You seem to agree that there  
2 is an environmental effect.

3 MR. COFFLIN: Yes, sir. There is.

4 DR. WALLIS: But it's not big enough to  
5 require any change in the procedures.

6 MR. COFFLIN: I believe to restate that is  
7 that it -- we believe that the methods that we're  
8 currently using would cover environmental fatigue  
9 effects.

10 MR. BANERJEE: Your letter here has quite  
11 a lot of detail technical points.

12 MR. COFFLIN: Yes, sir.

13 MR. BANERJEE: The NRC, presumably, has  
14 looked at this because the letter was sent on the 22nd  
15 of September. And did you respond to these points  
16 that they made?

17 MR. COFFLIN: I think one of the biggest  
18 points that they made and said previously that it may  
19 increase the number of pipe break postulations and we  
20 considered that a valid comments and would consider  
21 adding the criteria.

22 With regard to some of the detailed  
23 technical comments on the conservatisms and the  
24 analysis, we agreed with some of them, but some of  
25 them we disagree with and one of them we just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mentioned earlier in the number of postulated  
2 transients is not always conservative as we found in  
3 our reevaluations. There's some that they under-  
4 estimated in the original design and it turned out to  
5 be more transients than they estimated.

6 One of the comments in the AREVA letter  
7 was technically incorrect. One of the arguments they  
8 made in the letter was that the ASME evaluation  
9 criteria is based on Tresca which is called the  
10 maximum stress criteria and that was overly  
11 conservative in the analysis.

12 Well, the Tresca criteria is an overly  
13 conservative failure criteria, but if you use a  
14 different criteria such as VonMises criteria, you  
15 would calculate a higher stress and therefore a higher  
16 strain to go into the ASME fatigue curves. So really  
17 that argument, that part of it is really not  
18 conservative, if you look at it in terms of VonMises  
19 criteria.

20 MR. GURDAL: But Omnesis is less. I hope  
21 it is so. I may not speak, but it is truth. In every  
22 book they list a rectangle, and an ellipse and it  
23 shows that you can go to a higher stress level to come  
24 to a rupture when you have Omnesis. So in other  
25 words, the Omnesis stress itself is less than Tresca.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Tresca is always more severe than Omnesis. All the  
2 same. All the same. Fifteen percent maximum. I'll  
3 send you that page.

4 MR. FERRER: I'll refer you to an MRP  
5 study where they were looking at those U-bend  
6 specimens that Dr. Chopra showed you and they  
7 evaluated them based on Tresca and showed that there  
8 was a clear effect of the environment. And they went  
9 back to a VonMises type criteria and showed that with  
10 higher calculated strains they were closer to the ASME  
11 fatigue curves. However, you don't use VonMises to do  
12 fatigue analysis.

13 MR. GURDAL: This is not a competition for  
14 Omnesis and Tresca. It's the one where it's called  
15 maximum total principle strain range. It's that one.  
16 It's not a comparison between Tresca and Omnesis.

17 MR. FERRER: I don't think we're going to  
18 get anywhere with this cross argument, but if you go  
19 into a textbook, they will show you a plot of VonMises  
20 versus Tresca. It's a standard plot under two  
21 dimensions.

22 MR. BANERJEE: To go back to the original  
23 question, they lay out a number of let's say technical  
24 comments. Now do we have a response to these -- okay.  
25 That's really the question I was asking.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   And then these responses have been  
2 received by AREVA, presumably.

3                   MR. GURDAL: No.

4                   MR. BANERJEE: Have not. I see. I think  
5 that answers my question.

6                   DR. SIEBER: Or by us.

7                   MR. BANERJEE: Or by us, right.

8                   DR. WALLIS: We have received them.

9                   DR. SIEBER: We have?

10                  MR. SANTOS: It's on the disk.

11                  DR. SIEBER: Oh, okay. I'll look at this.

12                  CHAIRMAN ARMIJO: But I think this thing  
13 about pipe whip restraints and snubbers and  
14 proliferation of those things as being the only  
15 outcome of applying this reg. guide is kind of hard to  
16 believe. It's either that or spend some more money  
17 and more sophisticated mechanical analysis and/or seek  
18 some relaxation of the criteria, all of which are  
19 available to you.

20                  I don't think it's the end of the world  
21 and the only thing that will come out of this is a  
22 bonanza from the pipe whip restraint industry. It  
23 seems like that's the point that's getting overstated,  
24 at least my point.

25                  DR. SIEBER: I guess I'm in a position to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 confirm that having to redo your analysis and have a  
2 ton of restraints costs millions of dollars, does  
3 occur.

4 CHAIRMAN ARMIJO: But I think this is a  
5 different situation now, Jack. They're saying that  
6 nobody wants it. The staff certainly doesn't want  
7 that to be the outcome, at least that's what I've  
8 heard.

9 DR. SIEBER: Well, you may be in better  
10 shape now than you were in 1980 when these things  
11 became a fact.

12 DR. WALLIS: I don't quite understand  
13 that. Because if the F factors are already within  
14 this ASME factor of 20 as they claim, I don't see why  
15 it's making that much difference.

16 DR. BONACA: Well, that is the point of  
17 ASME. I think the presentation we got from the staff  
18 made a case for addressing specifically environmental  
19 concerns and so now if, in fact, this causes many more  
20 restraints to be placed in location and an assumption  
21 to be made, does it mean that the ASME position, in  
22 act, does not address environmental concerns  
23 adequately. We're left with a question. It means  
24 that there is sufficient difference there to state  
25 that the ASME case currently does not address

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 adequately the environmental concerns, it seems to me.

2           If you're telling me that there are going  
3 to be hundreds of additional constraints and locations  
4 for breaks, it means to me again that there is  
5 significant difference between what we have heard in  
6 a technical presentation where environmental concerns  
7 were specifically addressed in the ASME case which is  
8 really most about the basis. It simply provides some  
9 multipliers.

10           So I'm left with having to judge between  
11 something I understand. I saw a presentation. I saw  
12 some basis for it versus an assumption that says this  
13 number has not been causing problems in the past, so  
14 we just live by that.

15           I really have the feeling that I don't  
16 know, maybe it's not going to cause so many additional  
17 restraints.

18           DR. SIEBER: It seems to me that if the  
19 staff were to issue this reg. guide and ASME would  
20 develop their code case and staff would approve that  
21 with some delayed implementation, we would learn a lot  
22 of these answers.

23           DR. BONACA: Yes.

24           DR. SIEBER: Technically that's -- if we  
25 say don't issue the reg. guide, it will be 25 years --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that won't happen. On the other hand, industry  
2 arguments are good enough as to question whether this  
3 is too rigorous. I think this is a way to show  
4 whether it is rigorous or not, too rigorous or not.

5 DR. BONACA: You know, I agree with you,  
6 by the way, on the case. On the other hand, this is  
7 the first time I've seen specific calculations or  
8 tests addressing environmental concerns. We have  
9 discussed this through license renewals plenty of  
10 times and we had no information except we had GSI-190  
11 and we were left with the question of what does it  
12 mean for license renewal 20 more years? This is the  
13 first time I've seen some of these.

14 Now the letter from AREVA questions some  
15 of the technical aspects of the tests, so that -- it's  
16 open here and I think there are answers for that. But  
17 in general, I think that we have seen some technical  
18 basis for what is being proposed.

19 DR. SIEBER: I think what the staff is now  
20 doing in license renewal space is probably as good as  
21 they can do with the regulatory authority that they  
22 have.

23 Yes sir?

24 MR. ERLER: I guess the one other issue  
25 that -- you've identified the issues that are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 critical. I'd add to that how to apply the  $F_n$ . That  
2 is a difficulty. It was identified in the MRP-47 and  
3 that has not been addressed. There's as many  
4 negatives on getting something through, of passing  
5 something that you don't know how to apply it to the  
6 person. So that's what's going to take us a little  
7 more time in our code case to be able to develop the  
8 application of it so that it makes sense, with the  
9 code equations and everything.

10 That's why we really would like to buy  
11 some time. I think it's good that you put some  
12 pressure on us to move by having something in front,  
13 but I would like rather than lock it in place, some  
14 time there to work through that.

15 DR. SIEBER: There is a way to do that, I  
16 think.

17 MR. FERRER: Again, we need something to  
18 implement our current reviews. If ASME develops  
19 something as has been stated here before, this is a  
20 regulatory guide, just gives a method acceptable to  
21 the staff and an alternative method could be found  
22 acceptable if we find you put out something that had  
23 an adequate basis to cover the concerns.

24 MR. BANERJEE: How many reviews are you  
25 facing in the near future?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FERRER: Right now, two. We have  
2 ASBWR and EPR. That's why AREVA is here. The other  
3 one would be GE. And they're near term. We need the  
4 criteria now if we're going to implement something.

5 DR. WALLIS: We have no idea what is the  
6 actual impact of these criteria on say the ASBWR?

7 MR. FERRER: No, because at this point,  
8 this was an open issue in the review and we're waiting  
9 for the proposed response on how they're going to  
10 address it. Because at the time we raised it, they  
11 didn't -- the reg. guide wasn't on the street. In the  
12 interim, it has now been issued, so that they could  
13 come in and propose to use our reg. guide and then we  
14 could do an evaluation of its impact.

15 DR. KRESS: Won't it show up at the COL  
16 stage instead of --

17 DR. SIEBER: Yes, but that's  
18 certification. It will be grandfathered.

19 DR. BONACA: It will show up at the design  
20 stage.

21 MR. FERRER: This is not quite true  
22 because they are doing some sample analysis in the  
23 design certification stage for both plants, I believe,  
24 and so we will get a feel for the amount, whatever the  
25 amount they do in the design certification stages,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what the impact is.

2 DR. SIEBER: Well, it certainly is easier  
3 to do before you've taken any mortar and steel and  
4 played with it. Pencil and paper is far cheaper.

5 MR. BANERJEE: Well, with EPR you still  
6 have time before that happens, right?

7 MR. FERRER: Yes, yes. Right now they  
8 have a topical in I think on the criteria which we're  
9 going to review. We haven't really gotten started  
10 with it yet. ESBWR, we're much further along.  
11 They're actually doing analyses of certain systems and  
12 we have the issue as an open issue with them, waiting  
13 to see how they're going to attempt to resolve it.

14 If we can't resolve it in the design  
15 certification review, then it will be an open issue  
16 and it will roll over to COL.

17 DR. BONACA: Now AREVA is in the process  
18 of building an EPR in Finland, correct?

19 MR. FERRER: That's correct.

20 DR. BONACA: So you should have some  
21 feedback there. I mean what kind of codes and  
22 standards are they using?

23 MR. COFFLIN: They are using RCCM which is  
24 the French code. It's roughly equivalent to the ASME.  
25 It does not have environmental fatigue rules in it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. SIEBER: Then that's not going to help  
2 you.

3 MR. GURDAL: I am Robert Gurdal. For  
4 Finland, like David said, they are using RCCM which is  
5 the code from the French which was really based on the  
6 ASME to start with, but then it just further  
7 developed, so it's kind of a hybrid from the ASME. I  
8 don't know how to say. But now that code does not  
9 tell you to do environmental effect, but STUK, if you  
10 know them, S-T-U-K, that's like the corresponding NRC  
11 in Finland, can I say like that, I think.

12 DR. SIEBER: Right.

13 MR. GURDAL: And their code is called YVL.  
14 They are asking what the French, because it's really  
15 under France and Germany, are going to do for the  
16 environmental effects. So it's a question there, but  
17 it's kind of kept open to the French to see what they  
18 want to do. And what they have promised is to look at  
19 four locations very similar to the license renewal and  
20 those four locations are surge, surge nozzle and CDCS  
21 with a nozzle. What is it? Control and volume?

22 DR. BONACA: So AREVA has an ability to  
23 have a test then, it's an evaluation in and of itself.

24 MR. GURDAL: Yes.

25 DR. BONACA: This case, and really see

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what the impact is.

2 MR. FERRER: It may be a timing thing. I  
3 prefer the music.

4 MR. GURDAL: They hope to do this analysis  
5 for the first three months of 2007, but then prior to  
6 that they are also doing tests, because what they  
7 don't really believe in is those triangular types of  
8 cycles. They say that the real cycles are more what  
9 I would call Delta T1, Delta T2 types. In other  
10 words, when the fluid is coming. So in that case, the  
11 environmental effects are in place. But the other  
12 big, big thing that they don't believe is that you  
13 don't have the surface effect and the environmental  
14 effects at the same time. Very important.

15 He has an incredible surface effect in his  
16 12 which is what between 2 and 3.5. You take the  
17 square root of that, that's approximately 2.6 and the  
18 surface effect we see is something like 1.1, 1.2 that  
19 you can see in the EPRI tests done in Ireland.

20 So what they really think is that once you  
21 use the environmental effects, you should not have  
22 those factors of 2 and 20. If you have any factor a  
23 lot less of 2 and 12, and that's completely  
24 consistent with the Japanese who have a 1.5 down and  
25 nothing else. First, that's Dr. Nakamura if you want.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: That's in your letter, right?

2 MR. GURDAL: I don't remember. That was  
3 in September.

4 Part of it is. I could -- in the  
5 meantime, we learn a little more, but because of the  
6 deadline we have to rush. That's why it's September  
7 22nd, which was a Friday for the 25th. We would have  
8 more information. And the French, I spoke with the  
9 French yesterday on the phone and he wants to be sure  
10 for Flamonville, that's the second EPR in the world,  
11 the third, hopefully, is in the United States. For  
12 Flamonville, it's already decided no environmental  
13 effects. And that's reported by EDF.

14 No, the environmental effects is an R&D  
15 phenomenon that you don't see in components. That's  
16 his one sentence. Maybe we shouldn't put that in the  
17 record.

18 So Flamonville -- the only interesting  
19 question about Flamonville is they are discussing  
20 whether the design would be according to ASME or RCCM.  
21 I don't know if that -- but for Finland, it's RCCM.  
22 Oh, but the fatigue curves in the RCCM are the same as  
23 ours, the fatigue curves.

24 CHAIRMAN ARMIJO: Okay, thank you very  
25 much.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FERRER: Thank you. Thank you for  
2 your time.

3 CHAIRMAN ARMIJO: I think we've got --  
4 we're done, unless the Committee wants to make any  
5 comments, speeches. There will be an abridged  
6 presentation to the Full Committee.

7 DR. WALLIS: Do you want to have a caucus  
8 of the Committee off the record, after this?

9 CHAIRMAN ARMIJO: Yes, I would. I think  
10 it would be a good idea of what to write.

11 Okay, with that, I'm going to close the  
12 meeting and thank everybody for their presentations  
13 and for the discussion. I think it was very well  
14 done. Off the record.

15 (Whereupon, at 5:18 p.m., the meeting was  
16 concluded.)

17

18

19

20

21

22

23

24

25