

Official Transcript of Proceedings
NUCLEAR REGULATORY
COMMISSION

Title: Advisory Committee on Reactor Safeguards
Plant License Renewal Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, May 30, 2006

Work Order No.: NRC-1057

Pages 1-114

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

PLANT LICENSE RENEWAL SUBCOMMITTEE

MEETING

+ + + + +

ROCKVILLE, MARYLAND

TUESDAY

MAY 30, 2006

The Subcommittee met in Room 2TB3 at Two White Flint North, 14555 Rockville Pike, Rockville, Maryland, at 1:30 p.m., Mario V. Bonaca, Subcommittee Chair, presiding.

MEMBERS PRESENT:

MARIO V. BONACA Chairman

J. SAM ARMIJO

WILLIAM J. SHACK

JOHN D. SIEBER

GRAHAM B. WALLIS

OTTO MAYNARD

1 NRC STAFF PRESENT:

2 CAYETANO SANTOS Designated Federal Official

3 JAKE ZIMMERMAN

4 DAN MERZKE

5 PATRICIA LOUGHEED

6 DAVE POTTER

7 MICHAEL ALEKSEY

8 PETER WEN

9 BARRY ELLIOTT

10 HANSRAJ ASHAR

11 JAMES MEDOFF

12 DR. KEN CHANG

13 DR. K.T. KUO

14 MONTICELLO REPRESENTATIVES PRESENT:

15 PATRICK BURKE

16 JOHN GRUBB

17 JOEL PAIRITZ

18 SHERRY BERNHOFT

19 JIM ROOTES

20 RON SIEPEL

21 STEVE HAMMER

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18

A-G-E-N-D-A

OPENING REMARKS 4

STAFF INTRODUCTION, Mr. Zimmerman 5

MONTICELLO LICENSE RENEWAL APPLICATION, P. Burke 8

 Description, J. Grubb 10

 Operating history, background, scoping,
 P Burke 15

 Application of GALL, P. Burke 34

 Industry topics, J. Pairitz 34

 Commitment process, J. Pairitz 68

SER OVERVIEW 70

 Overview, D. Merzke 70

 Scoping and screening results, D. Merzke 72

 License renewal inspections, P Lougheed 75

AGING MANAGEMENT REVIEW RESULTS and TIME-LIMITED
AGING ANALYSES, D. Merzke 84

SUBCOMMITTEE DISCUSSION 107

P-R-O-C-E-E-D-I-N-G-S

1.31 p.m.

CHAIRMAN BONACA: The meeting will now come to order.

This is a meeting of the Plant License Renewal Subcommittee. I am Mario Bonaca, Chairman of the Plant License Renewal Subcommittee.

The ACRS members in attendance are Jack Sieber, Bill Shack, Graham Wallis, Sam Armijo and Otto Maynard.

Cayetano Santos of the ACRS Staff is a Designated Federal Official for this meeting.

The purpose of the meeting is to discuss the license renewal application for the Monticello Nuclear Generating Plant. We will hear presentations from the NRC's Office of Nuclear Reactor Regulation and representatives of the Nuclear Management Company.

The Subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberation by the full Committee.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the *Federal*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Register. We have received no written comments or
2 requests for time to make oral statements from
3 members of the public regarding today's meeting.

4 A transcript of the meeting is being
5 kept and will be made available as stated in the
6 *Federal Register* notice. Therefore, we request that
7 participants in this meeting use the microphones
8 located throughout the meeting room when addressing
9 the Subcommittee. The participants should first
10 identify themselves and speak with sufficient
11 clarity and volume so that they may readily heard.

12 We will now proceed with the meeting.
13 And I call upon Mr. Jake Zimmerman to begin the
14 meeting.

15 MR. ZIMMERMAN: Thank you, Dr. Bonaca.

16 Good afternoon. My name is Jake
17 Zimmerman. I'm the Branch Chief in License Renewal
18 Branch B, in the Division of License Renewal.

19 With me today is Dr. Ken Chang, who is
20 the Branch Chief for License Renewal Branch C, whose
21 responsibility is the on-site audits of the aging
22 management programs and the aging management reviews
23 and also the time limit and aging analysis.

24 Behind me also is Dr. P.T. Kuo, our
25 Deputy Director for the Division of License Renewal,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 who you all are familiar with.

2 The Staff has conducted a very detailed
3 and thorough review of the Monticello Nuclear
4 Generating Plant license renewal application which
5 was submitted in March of 2005. Mr. Dan Merzke,
6 here to my right, is the Project Manager for this
7 review. He will lead the Staff's presentation this
8 afternoon on the draft safety evaluation report.

9 In addition we have Ms. Patricia
10 Lougheed who is our team leader for the Region III
11 inspections that were conducted at Monticello
12 Nuclear Generating Plant.

13 We also have several members of the NRR
14 technical staff here in the audience to provide
15 additional information and answer your questions.

16 The Staff felt that the Monticello
17 Nuclear Generating Plant application was of very
18 good quality. This resulted in the issuance of only
19 a 113 formal requests for additional information. I
20 know the ACRS has been interested in the number of
21 questions that have come out of these reviews in the
22 past. We believe part of that reduction is as a
23 result of the Generic Aging Lessons Learned Report.
24 This application was submitted using the draft GALL
25 Report that was issued back in January of 2005,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 however it was reconciled with the September 2005
2 version of the GALL Report. In fact, it resulted in
3 a 95 percent consistency between their application
4 and the revised GALL. So I think it was a good
5 application. The GALL certainly helped with the
6 review providing a roadmap.

7 In addition, the Staff at Monticello
8 provided excellent support for our on-site audits,
9 the inspections that were conducted and also the
10 headquarters reviews through the conference calls
11 and numerous meetings that we had.

12 Because there are no open items, the
13 Staff has requested that we accelerate the schedule
14 to complete this review in 20 months versus our
15 standard 22 months. That's been the practice over
16 the last several license renewal applications, and
17 we're working with ACRS Staff to set up the next
18 meeting.

19 And with that, I'd like to turn it over
20 to Pat Burke, who is the Manager of this project to
21 begin the applicant's presentation.

22 MR. BURKE: Thank you, Jake.

23 And thank you members of the ACRS
24 Subcommittee for allowing Monticello to present this
25 presentation in support of the Staff in this meeting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 today.

2 What I'd like to do is start off by
3 giving a brief introduction of the team and the
4 members that we have here today to help answer any
5 questions you may have.

6 Now we have on my left here a Mr. John
7 Grubb, who our Director of Engineer.

8 We have Ms. Sherry Bernhoft, who is the
9 Director of Fleet Project Management in the
10 audience.

11 Again, I am Patrick Burke, the Manager
12 of Projects.

13 Joel Pairitz is our License Renewal
14 Project Manager.

15 Ray Dennis is our civil lead.

16 Ron Spiepel is our electrical lead.

17 Jim Rootes is our programs lead.

18 Michael Aleksey we have as our TLAA
19 support.

20 Dave Potter is our engineering
21 supervisor of inspections and materials.

22 And Steve Hammer is a principal engineer
23 on the project.

24 We also have with us today our sister
25 plant, Palisades from the Nuclear Management Company

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 observing and gaining any lessons learned during
2 this presentation today.

3 What we'd like to talk about today is
4 the agenda. We will start with having John Grubb go
5 over a brief description of the Monticello Nuclear
6 Generating Plant.

7 And I'll talk a little bit about the
8 operating history and some highlights. I'll talk a
9 little bit about the project application and
10 background. I'll discuss the methodology. And as
11 Jake mentioned, we'll talk a little bit about the
12 application of the GALL to Monticello's application.

13 At that point I'll turn it over to Joe,
14 our Project Manager to go over a couple of industry
15 topics such as drywell shell corrosion shroud
16 cracking, steam dryer. And then we'll conclude with
17 a short discussion on commitment process.

18 At this point I'd like to turn it over
19 to Mr. John Grubb.

20 MR. GRUBB: All right. Thank you, Pat.
21 And again, thanks to the Committee.

22 A brief description of the Monticello
23 plant. The plant is located, it's on the banks of
24 the Mississippi River. It's roughly 30 miles
25 northwest of Minneapolis. It's approximately 2100

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 acres of land that's owned by Xcel Energy.

2 The plant is a single unit GE BWR 3. We
3 do have a Mark I containment.

4 MEMBER WALLIS: One question about this.

5 MR. GRUBB: Yes, sir.

6 MEMBER WALLIS: How far do the suburbs
7 of Minneapolis extend the direction of the plant?

8 MR. GRUBB: The closest suburb actual
9 Minneapolis suburb to the plant is the Maple Grove
10 suburb, and it's about 18 to 20 miles.

11 MEMBER WALLIS: Okay. Thank you.

12 MR. GRUBB: Our current license thermal
13 power is 17075 megawatts thermal, approximately 600
14 megawatts electric.

15 The plant is owned by Northern States
16 Power Company, which is a subsidiary of Xcel Energy.

17 The plant is operated by the Nuclear
18 Management Company.

19 And we have an on-site staff of
20 approximately 420.

21 Just a quick aerial view of the station.
22 The Mississippi River, which is ultimate heat sink.
23 Intake structure here. Turbine building. Reactor
24 building. Cooling towers and discharge canal here.
25 Return to the river up in the upper left. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 subyard is here. It's a pretty small, relatively
2 compact site.

3 Next.

4 What you'll see in this slide is that
5 Monticello has historically been and continues to be
6 a very reliable plant. Our current unit capability
7 factor is rated at 93 percent. Our INPO performance
8 index is at 100 percent. We are greater than 1500
9 days since our last scram from power. Our current
10 operating cycle, we've been online for greater than
11 400 days. We currently have no equipment issues that
12 are threatening unit availability.

13 MEMBER SHACK: What's your fuel like?

14 MR. GRUBB: We are on a two year fuel
15 cycle.

16 The performance indicators are all
17 green. And we have no findings that have been
18 greater than green.

19 MEMBER SIEBER: I have a question about
20 the inspection findings.

21 MR. GRUBB: Yes, sir.

22 MEMBER SIEBER: I looked through all of
23 your inspection reports for the last couple of
24 years, and including the summary of the findings.
25 And they were all green or less. And I noticed a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lot of areas didn't have any findings at all, which
2 is actually a good thing.

3 On the other hand, if I review all those
4 findings which resulted in on-sited violations, I
5 think that you might be able to pick out a trend.
6 And I was wondering if you have done that and see a
7 trend or a problem area in your findings?

8 MR. GRUBB: Well, I wouldn't say I see a
9 problem area. What Monticello has been going
10 through over the last several years is we focused on
11 the programs area specifically and we've done a lot
12 of reconstitution. And a lot of time focusing,
13 doing assessments in the programs area. So we have
14 a number of things that have come up in the
15 programs; Appendix R, fire protection, EQ, some of
16 those areas that we have focused on. But we've
17 been doing that because we recognize that maybe we
18 hadn't been at the top of the industry with respect
19 to how we treated programs historically.

20 MEMBER SIEBER: Another thing that I
21 noticed was several operator errors that occurred
22 during surveillance testing. Does your staff have a
23 pretty good size turnover at this time? It's an
24 older plant and older plants often have a staff that
25 grew up with the plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GRUBB: Yes. There has not been a
2 lot of turnover in the operations area specifically.
3 We have been trying to bring groups of new license
4 candidates and new operator candidates over the last
5 several years. We hired ten last year.

6 As far as the human performance, we do
7 recognize that. There is two initiatives at the
8 site level that we're going after to try to address
9 that.

10 What the station is is we have six focus
11 areas. And the way we treat those is if we do
12 nothing else as a station, those six areas are going
13 to get a lot of attention. Two of those, one is
14 operations leadership which is making sure the Ops
15 department is leading the station and the operators
16 are taking responsibilities. The second one is
17 procedure use and adherence. So we have recognized
18 that trend and we are focusing on those two areas.

19 MEMBER SIEBER: And how would you
20 describe compared to other plants the material
21 condition of Monticello?

22 MR. GRUBB: I guess I don't have a good
23 picture of the rest of the plants. Our material
24 condition is very good. We're in pretty good shape.
25 The plant has historically been maintained very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well. What you'll see at Monticello and the people
2 that come to Monticello, the craft and the mechanics
3 and so forth that maintain the equipment take a
4 tremendous amount of ownership. And as a result of
5 that, our equipment performance and our equipment is
6 in very good condition.

7 MEMBER SIEBER: I would caution that
8 even though Minnesota is a great place, you might
9 not want to isolate yourself from your brethren in
10 the industry and get out and see what the best
11 plants look like and make yours just like it.

12 MR. GRUBB: We agree.

13 MEMBER SIEBER: Okay. Thanks.

14 MR. GRUBB: All right. Pat, back to
15 you.

16 MR. BURKE: All right. I'd like to
17 start my discussion with a little bit on the
18 operating history and highlights, some background,
19 Monticello's construction. The permit was issued in
20 1967. We obtained our operating license in
21 September of 1970. That means that 40 years later
22 in September of 2010, our 40 year license would
23 expire. And as Jake mentioned earlier, we did
24 submit our license renewal application in March 16th
25 of 2005.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 These next couple of slides I'll talk a
2 little bit about the operating history, and this
3 will go to the point of material condition which we
4 just talked about.

5 In 1984 we replaced all the resurg
6 piping with a low carbon stainless steel resistant
7 to intergranular stress corrosion cracking. The
8 small bar piping was a 304L material. The large bar
9 piping was a 316 NG material. During that project
10 we replaced risers, supply headers, suction piping
11 and safe-ends.

12 We made some additional improvements by
13 reducing the number of welds and doing some
14 induction heating, stress improvement and
15 electropolishing was applied to the new pipe.

16 In 1986 we replaced spray safe-ends with
17 intergranular stress corrosion cracking resistant
18 material also.

19 In 1989 we implemented the hydrogen
20 water chemistry. We were one of the early plants in
21 implementing that. We implement the moderate
22 hydrogen water chemistry for protection of the
23 vessel internals.

24 MEMBER SHACK: And you're still doing
25 that rather than noble metal?

1 MR. BURKE: That's correct. We are
2 still with moderate hydrogen water chemistry. We
3 have been evaluating noble metals. We've been kind
4 of a slow deliberate approach to reviewing that.
5 We've had very, very good fuel reliability. So
6 we're kind of going slowly into noble metals.

7 MEMBER ARMIJO: Have you been adding any
8 zinc for dose retrieval?

9 MR. BURKE: Yes, we have. We inject
10 depleted zinc.

11 MEMBER SHACK: This is probably getting
12 ahead because you're going to tell us about core
13 strength, but what's the condition of your core
14 shroud jus as a sample internal that's seen a lot of
15 cracking in other plants?

16 MR. BURKE: I think I'll defer that Mr.
17 Dave Potter.

18 MR. POTTER: I am Dave Potter from the
19 Monticello plant.

20 The condition of our shroud is actually
21 better than most in the industry. I wouldn't say
22 it's the best. Our most cracked weld is the H3 weld
23 which had 27 percent indication of our last
24 inspection. But we had three-quarters of that weld
25 basically covered in our last inspection. So in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relative terms our shroud is very good.

2 MR. BURKE: And we will be giving more
3 information in a minute also.

4 In 1997 we did replace the emergency
5 core cooling system suction strainers. And we
6 increased the surface area of those strainers for
7 debris loading.

8 In 1998 we did initiate a power uprate.
9 We increased our power level from 1670 megawatters
10 thermal up to 1775 megawatts thermal, which was a
11 6.3 percent increase.

12 As part of the license renewal effort,
13 we did implement six SAMAs, which did significantly
14 reduce our overall plant risk.

15 MEMBER SHACK: Now those are the six
16 SAMAs that were identified in your environmental
17 impact statement as having a favorable cost risk?

18 MR. BURKE: Yes, sir. That is correct.

19 MEMBER SHACK: That's all six, including
20 the manual RCIC which reduced your CDF but upped
21 your risk?

22 MR. BURKE: That is correct.

23 MEMBER SHACK: Okay. Well, if one of my
24 colleagues was here, he'd ask you about that. But
25 we'll let that one pass.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: He's not here.

2 I would like to know, however, what is
3 the CDF for this plant?

4 MR. BURKE: The core damage frequency
5 before the six SAMAs was 4.37 ten to the minus
6 fifth. And the after implementation --

7 CHAIRMAN BONACA: Internal events or
8 total?

9 MR. BURKE: Total events.

10 CHAIRMAN BONACA: Internal events?

11 MR. BURKE: Internal, that's right.

12 And after the implementation of this was
13 changed to 5.99 times ten to the minus six per year.

14 MEMBER SHACK: That was a question I was
15 going to have for the Staff. You know, reading
16 through here this was the first environmental impact
17 where I came to the SAMAs and they actually, you
18 know, they had a bunch of favorable ones. And the
19 fire truck one was a real bargain. You know, you
20 haul the fire truck and hook it up.

21 What is the criteria for when -- why did
22 we ask these people to do these SAMA analysis? Is
23 there some criterion that they would meet that they
24 would have to do them or is it just something they
25 look at? You know, they obviously choose to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implement a number of the SAMAs. And I just
2 wondered in general what do we do with the SAMA
3 analysis after they do it?

4 You can come up with that later or
5 answer now?

6 MR. KUO: Yes. P.T. Kuo, License
7 Renewal.

8 We generally perform the SAMA analysis
9 and if we see there is a cost benefit area that the
10 applicant can improve, then we make the
11 recommendations. And we send this recommendations
12 to them that these are the cost beneficial actions
13 that they have to take.

14 And then later on --

15 MEMBER SHACK: So they don't have to
16 take them, though?

17 MR. KUO: They don't have to take them.

18 MEMBER SHACK: They could take them?

19 MR. KUO: But based on our SAMA analysis
20 we identify, if we identified any actions that we
21 believe is beneficial, we'll let them know.

22 MEMBER SIEBER: Before you move forward,
23 I'd like to go back to your 6.3 percent power
24 uprate. Do you have additional margin in your plant
25 where you could perform another uprate in power?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: We've done some studies,
2 some evaluation on that. There would be significant
3 cost. If we decided to do another power uprate, it
4 would be a significant cost to replace the
5 equipment.

6 MEMBER SIEBER: Like the turbine?

7 MR. BURKE: Like the turbine, generator
8 rewinds, transformers, feed pumps.

9 I think the answer to your question is
10 there is probably not a lot of margin above and
11 beyond for another power uprate. We have margin
12 where we're at.

13 MEMBER SIEBER: Okay. Thanks.

14 MR. BURKE: Now looking out into the
15 future, we have a number of future lifecycle
16 management projects that are in progress and being
17 implemented, such as replacement of feedwater
18 heaters, recirc pump motors and rotating pump
19 assemblies. We've done the 11 pump last outage and
20 we plan to do the 12 pump this outage the service
21 water pump replacements and transformers and
22 generator rewinds.

23 The next couple of slides I would like
24 to talk a little bit about the project. This slide
25 here what I'd like to talk about is how we selected

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the people for the project and how we made sure we
2 had the right people for the project.

3 Now, we initiated the project through an
4 interview process for site employees. We selected a
5 core team. They're NMC employees that were from the
6 site. Four of them had SROs or SRO certifications
7 and all of them were very experienced and
8 multidisciplined.

9 We supplemented that core team with
10 license renewal experienced contractors. Again, the
11 majority of those contractors were on-site
12 performing that work. We did retain the majority of
13 that team during the audits and inspections. So we
14 had the same people that prepared the application
15 supporting the audits and inspections.

16 We contracted with General Electric to
17 perform the reactor pressure vessel and internal
18 time-limited aging analysis and aging management
19 reviews.

20 And we also did engage the plant and the
21 site staff in review of aging management review
22 documents and aging management program documents.

23 MEMBER SHACK: The one thing that struck
24 me as extraordinary, though, in the TLAA for the
25 core shroud, the first estimate of the shroud

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence peak was 3 times 10 to the 20, and then it
2 got changed to 3.8 times 10 to the 21. Now that's a
3 factor of 14 and it was a change in methodology.
4 I'm a little surprised to see that kind of a change.
5 Is there some explanation for what went on there?

6 MR. BURKE: Yes. I'd like to defer that
7 to Michael Aleksey.

8 MR. ALEKSEY: My name is Michael
9 Aleksey.

10 I'd like you to rephrase that question,
11 please? I didn't hear the first part of it.

12 MEMBER SHACK: In the initial license
13 renewal application it says the peak shroud fluence
14 was 3 times 10 to the 20 neutrons per square
15 centimeter greater than 10 leV.

16 MR. ALEKSEY: Yes.

17 MEMBER SHACK: Then it got changed to
18 3.8 times 10 to the 21. I mean it's a factor of 14.

19 MR. ALEKSEY: Well, the original
20 analysis was based on Reg. Guide 1.99 and the
21 original capsule that was pulled in 1984
22 thereabouts, we went to the Reg. Guide 1.190
23 evaluation and used the typical factors to bump that
24 up by 30 percent at certain areas and stuff like
25 that, and came up with the results that we got.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I don't think that that's unusual in
2 terms of --

3 MEMBER SHACK: It's not unusual? A
4 factor of 14? I mean, you know from a case 3 times
5 10 to the minus 20 you're hardly seeing any
6 influence of irradiation on stainless steel to 3
7 times 10 to the 21; it's, you know, a big time
8 change. It's embrittlement, it's high crack growth
9 rates without your hydrogen water chemistry.

10 I mean, normally I hear the Staff
11 beating up people over 10 percent changes in fluence
12 and a factor of 14 just seems very large.

13 Barry is going to enlighten me.

14 MR. ELLIOTT: Barry Elliott, NRC.

15 I'd just like to talk to them for a
16 second.

17 I believe in their application, and I'm
18 making some assumptions, the original applications
19 likes the fluence is calculated for either 1775
20 megawatts or 1680 or something like that. When they
21 did the recalculation for these, it looks like they
22 used 1830 megawatts or 1880 megawatts for cycle 23
23 through the end of the license renewal period. So
24 that would account for some of the large increase.
25 In other words --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: But a factor of 14?

2 MR. ELLIOTT: I'm just saying that they
3 went from 1660 or something like that all the way up
4 to 1880 megawatt thermal. So that increases it quite
5 a bit.

6 And then they used a new GE methodology,
7 which they hadn't used before.

8 So all this stuff added in, I mean this
9 is what you did. So, I mean, I'm just reading the
10 application. You tell me is that what you did?

11 MR. ALEKSEY: This is Mike Aleksey.

12 Yes, we did. Originally it was based on
13 1670 and the Reg. Guide 1.190 evaluation it was
14 based on 1775 up through cycle 22 and then we
15 increased that to 1880 for cycle 23 on, which did
16 provide a significant conservatism. And the reason
17 we did that is because we had performed other
18 analyses at that level before and we thought it was
19 a prudent thing to do.

20 MEMBER SHACK: Okay. Well, I mean
21 since you can live with 3 times 10 to the 21, you
22 know and that sounds like the typical value I have
23 for end-of-life for a core shroud. You know, when I
24 saw the 3 times 10 to the 20 in the original
25 application, I wondered how much water you had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 between your core and your shroud, and it seemed
2 extremely low. The 3 times 10 to the 21 is about
3 where I expected it to be. I still don't understand
4 why it's so different, but obviously you can live
5 with it. And, as I say, it's a value that I find
6 plausible.

7 CHAIRMAN BONACA: Okay. Next slide,
8 please.

9 This slide talks a little about how we
10 were engaged in the industry during the development
11 of license renewal application. We attended many of
12 the working groups. We did participate in the GALL
13 draft revision 1 review and comments through NEI.

14 And we participated in our sister NMC
15 plants during their audits and inspections to gain
16 lessons learned.

17 We supported numerous license renewal
18 peer reviews throughout the industry. We also
19 hosted our own peer review where we did have seven
20 external peers on that team.

21 And then we did review many industry
22 RAIs and in detail we reviewed the Nine Mile, Point
23 Beach and Dresden/Quad's RAIs.

24 These next couple of slides we'll talk a
25 little bit about the methodology. Most of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bullets that I'll talk about now is where we added
2 additional detail into the application that you
3 might not always see. For example, we identified
4 system functions and tied those to the different
5 criterion for the different scoping to help better
6 describe why the system wasn't scoped.

7 We paid a lot of attention to our
8 boundary drawings and included boundary flags and
9 multicolored boundary drawings.

10 We used plant documentation to identify
11 our scoping components. Use DBDs and did extensive
12 plant walkdowns.

13 We created a number of technical reports
14 including those for criterion 2, nonsafety effecting
15 safety and also for the regulated events.

16 And then we did use the spaces approach
17 for our criterion 2, and that was incorporated into
18 the application.

19 MEMBER MAYNARD: I did have a question
20 here. Taking about your scoping, your boundary
21 drawings and everything. And yet in the inspection
22 report I noticed that the inspectors found a number
23 of items or systems where the boundary needed to be
24 changed or something needed to brought into scope,
25 or whatever. I'd like to get your perspective on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. Because it seemed like there's a number -- I
2 don't know if the inspectors were really picky or
3 whether you guys had missed these or what.

4 CHAIRMAN BONACA: No. We didn't have
5 some. There were some areas in the drawings, but I
6 think overall we felt that our drawings were pretty
7 accurate as boundary drawings typically go in the
8 industry.

9 MR. PAIRITZ: I am Joe Pairitz, the
10 Project Manager.

11 Some of the cases, too, occurred where a
12 color suddenly stopped and there wasn't an
13 explanation for why that was. And basically it was
14 that it went through a wall so it was no longer in
15 scope for criterion 2. And we had quite a few
16 instances where we had to go walk that down with NRC
17 inspectors to look at that. And we're doing it over
18 again, I would draw the wall in the drawing and make
19 it easier. But that was the cause for a good number
20 of those questions.

21 MEMBER SIEBER: You had other situations
22 where the line that started off on 1 PNID as a
23 colored line in scope, the adjoining PNID didn't
24 have a colored line in scope. So it ended at the
25 boundary of the drawing as opposed to some physical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 boundary.

2 MR. PAIRITZ: This is Joe Pairitz again.

3 That's correct. There were several
4 instances where the continuation went to the next
5 drawing, it didn't color it properly, and we did
6 correct those.

7 MEMBER SIEBER: Well, I read the same
8 inspection reports. And it just seemed like there
9 was a lot of them, relatively speaking.

10 My question to you would be now that the
11 inspection's over with, which is vertical slices and
12 not comprehensive, how confident are you that you
13 have captured all that should be in scope and
14 identified that on your plant drawings?

15 MR. PAIRITZ: Joe Pairitz again.

16 We did capture those instances in our
17 corrective action program. And part of that was
18 looking at other drawings to see the extent of
19 condition basically. And we're confident right now
20 that we have corrected those problems.

21 MEMBER SIEBER: When you did that, did
22 you find additional problems that wasn't found by
23 NRC inspectors?

24 MR. PAIRITZ: Off the top of my head
25 right now, I don't know for sure. There might have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been a couple, but basically no. And we spent a lot
2 of times on the drawings so we we're pretty
3 confident that they were right to begin with. They
4 did find a few instances, and in our works to
5 correct that I think we might have found a couple
6 more. But it wasn't a significant number.

7 And these things were in scope. It was
8 just the drawing didn't get colored properly.

9 MEMBER SIEBER: Yes. I gathered that
10 from the write-up.

11 CHAIRMAN BONACA: Well, some items were
12 also brought into scope, so there was some of both.

13 MR. PAIRITZ: Right.

14 CHAIRMAN BONACA: Since we're talking
15 inspections, I had a question about the corrosion
16 that the inspectors found on the conductor
17 termination logs of the fire diesel pump. And I'm
18 sure you have a surveillance program for that pump.
19 And so it was disturbing to read it because in
20 license renewal you are going to have a program
21 dealing with this fire pump which is an extension of
22 your existing program. And when I have to wait for
23 an inspector to find it, it troubles me and I
24 wondered about your view on that issue.

25 CHAIRMAN BONACA: Could I defer that to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Ron? He was involved with that inspection activity.

2 MR. SIEPEL: Right. My name is Ron
3 Siepel. I'm the electrical lead.

4 And if I understand the question right
5 is you had a question on the corrosion of the wire
6 that was in the diesel generator panel, is that the
7 question?

8 CHAIRMAN BONACA: Fire diesel -- fire
9 pump.

10 MR. SIEPEL: Okay. The diesel fire pump
11 panel, that panel had been identified on a previous
12 CAP or condition action request that was in the
13 process of replacement and it just hadn't been
14 replaced to date. And if it hasn't been replaced
15 now, it'll be replaced shortly. But that had been
16 previously identified out there under our program,
17 and it was in the process of being replaced.

18 CHAIRMAN BONACA: It wasn't identified
19 before? Wasn't clear from the inspections?

20 MEMBER SHACK: I was just curious. The
21 Staff SER sort of credits your computerized history
22 and maintenance planning system with helping in the
23 scoping, and yet it's not credited at all in your
24 license renewal application. You actually use this
25 thing or is it just sort of sitting around.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: This is Pat.

2 The CHAMPS database was used as a
3 starting point for the scoping process. That was
4 downloaded into a licensed renewal database called
5 ALEX.

6 The CHAMPS database is used more for
7 work management, so you have many of the active
8 components in there. And that was a starting point.
9 By taking that and using that as a starting point
10 and then adding all of the passive components,
11 therefore you would up with a complete ALEX database
12 for scoping and screening to take you through the
13 process methodically on a databased driven platform.

14 The next slide I'd like to talk a little
15 bit about the ageing management review. A couple of
16 other details that we added that I think help tell a
17 better story in the application was adding mechanism
18 for the aging effects.

19 MEMBER SIEBER: Let me ask one quick
20 question before we leave scoping. Is your
21 condensate storage tank in scope? I know piping and
22 anchors and bolts and housings are. But the tank
23 doesn't seem to be. Do you know?

24 CHAIRMAN BONACA: I don't know off the
25 top of my head.

1 MR. PAIRITZ: This is Joe Pairitz.

2 The piping leading up to the tank is in
3 scope. The tanks themselves, I guess I'll have Ray
4 check on that, but I think the tanks themselves are
5 not in scope.

6 CHAIRMAN BONACA: Individual --

7 MEMBER SIEBER: Yes, that's the way to
8 be. And I was wondering, you know, if all the other
9 stuff is in scope, why isn't the tank is in scope?
10 And if the tank would fail, can you still accomplish
11 what you're supposed to accomplish?

12 MR. BURKE: Yes. I'll answer one of the
13 questions, the CSTs being in scope or not. We do
14 not credit the condensate storage tank for any
15 design basis accident so they are not considered
16 safety related.

17 The piping going up to the tanks, I
18 believe and correct me if I'm wrong, Joe, is in
19 there from a nonsafety effecting safety standpoint.
20 Because they do lead in --

21 MEMBER SIEBER: Criterion 1?

22 MR. BURKE: Yes, that's correct.
23 Criterion 2. So that's why we terminated at the
24 tank.

25 And I guess Ray agrees with that. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I will have to think
2 about it? Thank you.

3 CHAIRMAN BONACA: Sure.

4 And also for the aging management
5 reviews we did numerous walkdowns to identify
6 materials and environments.

7 As for the aging management programs, we
8 wound up with 36 aging management programs. And we
9 did include the ten elements from GALL in the
10 application describing each program.

11 And lastly, I'd like to talk about the
12 application of GALL, and this is consistent with
13 what Jake started with, is we did have GALL
14 reconciliation to the Rev 0. That showed us to be
15 75 percent consistent with GALL. After we submitted
16 it we performed a precedents review, which brought
17 us up to 95 percent consistent with GALL. And we
18 believe that that high consistency with GALL
19 increased the efficiency of the audit and inspection
20 process.

21 At this point I'd like to turn it over
22 to Joe to go over the industry topics.

23 MR. PAIRITZ: Thank you, Pat.

24 Again, I'm Joe Pairitz. I'm the license
25 renewal Project Manager and also the mechanical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lead.

2 I'm going to talk about three industry
3 topics, the first being drywell shell corrosion,
4 second being the shroud cracking and thirdly the
5 steam dryer.

6 Starting with the drywell shell
7 corrosion, I'll give a little fresher on the Mark I
8 primary containment. This is a cut away view of the
9 reactor building. You have the reactor here in the
10 center, the drywell is the inverted light bulb
11 shaped liner right here. We have the vent pipes
12 going down to the suppression chamber, otherwise
13 known as the Torus.

14 We will concentrating on the refueling
15 bellows located at the top here. The air gap region
16 between the drywell shell and the surrounding
17 concrete and also the sand pocket region here
18 towards the bottom.

19 While the reactor cavity is flooded, and
20 that would be this area here. This is the spent fuel
21 pool over here. While the reactor cavity is flooded
22 for refueling activities, Monticello has multiple
23 design features for vent leakage from entering or
24 accumulating in the air gap region and in the sand
25 pocket regions. There are three separate drain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paths that exist to channel leakage away from these
2 areas in question.

3 We have a seal barrier over the sand
4 pocket region and we also have a flow switch that
5 would alert operators to any leakage from the
6 bellows.

7 MEMBER ARMIJO: This is Sam Armijo.

8 I have a quick question: Is this unique
9 for this particular BWR 3? Are these features added
10 that other --

11 MR. PAIRITZ: Some of the BWR 3s have
12 them and some don't. I think it might be related to
13 who the AE was on the project. I'm not sure of that.

14 MEMBER ARMIJO: Okay.

15 MR. PAIRITZ: We'll move into the
16 refueling bellows area, otherwise known to some
17 people are a refueling seal.

18 We have the reactor pressure vessel
19 shell over here on this side. The first set of
20 bellows we have are the reactor vessel to drywell
21 bellows. We move over, we have the drywell shell
22 right here. We have the second set of bellows that
23 are between the drywell shell and the reactor
24 building concrete. These bellows are in scope for
25 license renewal. If these bellows were to leak, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first barrier we have to protect the air gap, which
2 is down here, would be this trough or channel that's
3 down here that's supposed to catch any leakage that
4 would come from that bellows.

5 And then you have an 8 inch pipe here
6 that eventually reduces to a 4 inch pipe and goes to
7 rad waste. That line also has a flow switch on it.
8 Instead of 3 gallons per minute, that gives an alarm
9 in the control room. So if they've got a leak here
10 that's 3 gallons per minute or greater, it would
11 alarm in the control room.

12 These bellows and center spool plate
13 have been inspected in the past with no significant
14 degradation noted at that time. That was in the
15 late '80s.

16 I think we'll go on to the next slide.

17 Continuing into the air gap region here,
18 we have a 4 inch drain pipe here. There's actually
19 4 of these, 4 four inch drain pipes.

20 MEMBER MAYNARD: I'm sorry.

21 MR. PAIRITZ: Yes.

22 MEMBER MAYNARD: Go back. You say a
23 setpoint at 3 gallons per minute. Now wouldn't
24 typically you'd expect to see none?

25 MR. PAIRITZ: We expect to see none,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correct.

2 MEMBER MAYNARD: Okay. I'm not familiar
3 with it, but 3 gallons a minute --

4 MEMBER SHACK: That's a lot of water.

5 MEMBER MAYNARD: You know, 2 gallons a
6 minute wouldn't set the alarm off and that's seems
7 to me like it'd be quite a bit of water.

8 MR. PAIRITZ: Well, it is set at three.
9 I can't address the design basis for the three right
10 now. I think basically it was there to address
11 gross failure of the bellows. But if we had any
12 leakage, I can show you were that would be detected.

13 MEMBER MAYNARD: Okay. So any leakage
14 would be detected?

15 MR. PAIRITZ: Yes. And I'll think we'll
16 get to that when we talk about this picture.

17 MEMBER MAYNARD: Okay. All right.

18 MR. PAIRITZ: Here we have the air gap
19 which extends up towards the bellows. We have 4 four
20 inch drain pipes that drain this air gap region if
21 water were to get in that region. We have 18 gauge
22 galvanized sheet metal cover the sand pocket region
23 that's sealed to the drywell shell and sealed to the
24 surrounding concrete. So any water that might
25 accumulate on this sheet metal cover should be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drained away by the 4 four inch drain lines.

2 Now these drain lines come into the
3 Torus room, some people might know it as reactor
4 building basement. They're open. They come down to
5 floor level. They're open. You're going to have
6 water on the floor if there's any leakage in this
7 air gap region because they empty. They don't go to
8 rad waste, they go right on the floor into the
9 reactor building.

10 MEMBER WALLIS: You are concerned about
11 corrosion. And what you need for corrosion is
12 oxygen, presumably. That's from the air gap.

13 MR. PAIRITZ: Correct.

14 MEMBER WALLIS: And you need some
15 moisture. But you don't need a flow of water. And
16 the drains take away a flow of water, but a
17 sufficient humidity in there with very small amount
18 of liquid on the surface could lead to corrosion.

19 I'm not quite sure why drain prevents
20 corrosion. You've got to really control the
21 humidity, don't you?

22 MR. PAIRITZ: Well, when the linear was
23 originally manufactured it was painted with a
24 primer. So it does have some protection on it from
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The humidity you get in there, I mean
2 the drain pipe was obvious to remove any liquid
3 water. If you had high humidity in there, I can't
4 say what the drain would do in that case, although I
5 don't think there's a motive force to -- you know,
6 this one we're running, operating, the drywell shell
7 is fairly warm. So any water should evaporate from
8 there and, hopefully, would come out the drains. I
9 mean, not as liquid water but as a vapor.

10 MEMBER WALLIS: What happens to the air
11 gap? Do you ventilate it in some way? It just sits
12 there, sits there?

13 MR. PAIRITZ: It sits there.

14 MEMBER WALLIS: Silent air. So if there
15 were oxygen in there, it would get used up if it
16 were corroding?

17 MR. PAIRITZ: If there were oxygen in
18 there --

19 MEMBER WALLIS: It would get used up
20 pretty --

21 MEMBER SHACK: Very little.

22 MEMBER WALLIS: Yes.

23 MR. PAIRITZ: Yes. These drain pipes
24 point straight down to the floor, too. You know, I
25 don't think you get a lot of air movement into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 air gap. Maybe during heat up and cool down, but not
2 during normal operation.

3 MEMBER WALLIS: Yes, but doesn't
4 moisture slowly come out of concrete and things like
5 that over a long period of time?

6 MR. PAIRITZ: Ray, can you answer the
7 concrete question?

8 MR. DENNIS: Yes, this is Ray Dennis.
9 I'm the civil structural lead.

10 The air gap, it's not an airtight
11 environment. There's many, many penetrations to the
12 air gap or piping penetrations that go into the
13 reactor vessel and drywell. So it's a free flow of
14 oxygen and it's continuously being replenished --

15 MEMBER WALLIS: There is an oxygen
16 supply, right?

17 MR. DENNIS: Right.

18 MEMBER WALLIS: And you're carrying away
19 the water vapor --

20 MR. DENNIS: If the water vapor is heavy
21 enough to condense and then be carried away by the
22 drains. But the environment in the air gap is
23 basically the same environment you'd find in the
24 reactor building at all times.

25 MEMBER WALLIS: I guess my -- my concern

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is with enough water to cause corrosion, which
2 doesn't necessarily drain out but just stays there.
3 That's probably the worst condition for making
4 corrosion, isn't it?

5 MR. PAIRITZ: I think Ray makes a good
6 point, though, when he mentions that we have
7 penetrations going through this air gap that would
8 help, not necessarily ventilate it, but prevent more
9 humidity than is already in the air from building
10 up.

11 MEMBER WALLIS: Have some control over
12 it.

13 MR. PAIRITZ: And again, I would point
14 out that drywell shell is going to be a lot warmer
15 than the ambient air.

16 MEMBER WALLIS: That helps you. That
17 helps.

18 MEMBER SIEBER: On the other hand I
19 don't hear any kind of a argument that says we're
20 certain enough that there isn't corrosion because of
21 these factors that would tell me that I don't need
22 to go and make a thickness measurement of the linear
23 plate. So it seems to me that that's one of the
24 things you ought to be doing.

25 MR. PAIRITZ: Well, we did do that in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 response to Generic Letter 87-05. We took over 50--

2 MEMBER SIEBER: Right.

3 MR. PAIRITZ: -- readings there and we
4 could not detect any degradation from the original
5 material specifications, and that was after 17 years
6 of operations.

7 MEMBER SIEBER: That was in '87?

8 MR. PAIRITZ: That's correct. '86 and
9 '87.

10 MEMBER SIEBER: Well, it's still an
11 issue because some plants have found problems.

12 MR. PAIRITZ: That's right.

13 MEMBER SIEBER: And it's probably
14 generic to this style of containment and this age
15 group. And I understand a generic letter is in the
16 process to ask you to look at it.

17 MR. PAIRITZ: Well, ISG. I don't know
18 anything about a generic letter.

19 MEMBER SIEBER: ISG. Yes, okay.

20 MR. PAIRITZ: The other, though, as
21 plants that have experienced this, some of them have
22 not had this design. I know that one design in
23 particular doesn't have the cover on the sand pocket
24 region, doesn't have the four inch drain pipe. They
25 just have the sand pocket drains here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes.

2 MR. PAIRITZ: There are some
3 differences.

4 CHAIRMAN BONACA: What are you trying to
5 do? I know you're trying to perform visual
6 inspections problem.

7 MR. PAIRITZ: Okay.

8 CHAIRMAN BONACA: Are you going to
9 perform any UT, I mean volumetric inspections?

10 MR. PAIRITZ: Not at this time. I will
11 tell you that these drains, both the air gap drains
12 and the sand pocket drains are inspected before we
13 flood up refueling and after the bellows are well
14 submerged looking for leakage from any of those
15 lines. And that's what we do right now. And that
16 is proposed action in the ISG also.

17 MEMBER MAYNARD: What has your
18 experience been? Have you found leakage at times or
19 have you never found any signs of leakage? What's
20 your history?

21 MR. PAIRITZ: We've never had any
22 leakage. Never had the three gallon per minute flow
23 switch go off. We've never seen any leakage from
24 the four inch drain pipe for the air gap region.
25 We've never seen any leakage from the 4 2 inch drain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lines in the sand pocket. However, in February of
2 1987 as part of the plant life extension program and
3 part of work that was going on for Generic Letter
4 87-05 they did find 3½ ounces water in one of the
5 four drain lines in the sand pocket. Now this drain
6 line comes out of the concrete. It has a 90 degree
7 elbow and then a one foot stand pipe pointing up
8 vertically. They noticed a little crusty material
9 on top of the sand. They investigated that, found
10 out that that was calcium carbonate. They removed
11 the sand from the stand pipe and at the bottom of
12 the stand pipe they found 3½ ounces of water.

13 They had that water analyzed by two
14 different labs. It was not radioactive. It did not
15 contain any materials that would be indicative of it
16 coming from the reactor cavity. And it was
17 considered to be water that had come from inside the
18 Torus room.

19 These stand pipes are open to the
20 atmosphere. If you were doing some work on top of
21 the Torus and accidentally sprayed some water or
22 sprayed a hose, you could theoretically put some
23 water in there. And 3 ounces, 3½ ounces isn't very
24 much.

25 And I also think the calcification at

1 the top of the surface there would indicate that the
2 water came in through the top, calcified the sand
3 and then sat in the bottom there.

4 So we don't believe that we've ever had
5 any leakage from the air gap or for the sand pocket
6 region.

7 MEMBER ARMIJO: Have you ever done
8 anything to confirm that that sand pocket region is
9 dry, or can you?

10 MR. PAIRITZ: Well, the other three
11 drain lines, they took the sand out of those stand
12 pipes. There was no water there.

13 The top of the stand pipe is at the same
14 elevation as the bottom of this drain right here.
15 So even if the stand pipe were full of water, the
16 level in the sand pocket would still be down here.
17 The stand pipe would have to be overflowing for
18 there to be any water building up into this area.

19 We did remove part of the concrete floor
20 inside the drywell and do UTs on this area. And,
21 again, we compared that to our original material
22 specifications and we can't detect any thinning
23 there.

24 CHAIRMAN BONACA: You did that, what, 19
25 years ago?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: 1986 and 1987.

2 CHAIRMAN BONACA: Now on your slide
3 number 16 you're saying that drywell shell is
4 managed by the primary containment is ISI, which
5 again advised to specifically address the ISG.

6 MR. PAIRITZ: Correct.

7 CHAIRMAN BONACA: How --

8 MR. PAIRITZ: The ISG recommends doing a
9 surveillance on your drain piping to verify that
10 you're not having any leakage. It talks about a
11 cover n the sand pocket, which we have. And using
12 the IWE program to verify no significant corrosion.
13 Of course, that's from the inside the drywell.

14 CHAIRMAN BONACA: It doesn't tell you
15 anything about what happens on the outside of the
16 wall. So you're left with a question about the past
17 -- projected future?

18 MR. PAIRITZ: Right. We have no reason
19 to believe that there is any water in those areas.

20 CHAIRMAN BONACA: The steel liner is
21 your containment boundary, right?

22 MR. PAIRITZ: That's correct.

23 Anyway, just to finish this slide, we do
24 have the 18 gauge galvanized sheet metal cover over
25 the sand pocket region. As I mentioned there are 4

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two inch drain lines that would drain any water from
2 the sand pocket region.

3 We talked about the stand pipes filled
4 with sand. I think that's all I want to cover on
5 this slide.

6 Now with regards to the proposed ISG
7 2006 01, we've talked about the UTs that we did in
8 response to Generic Letter 87-05. Again, we
9 compared those to our original materials
10 specifications and we can't detect any wall thinning
11 or degradation there.

12 Again, the air gap and sand pocket drain
13 outlets are visually inspected, as prescribed by the
14 ISG. The top of the sand pocket area is sealed with
15 the galvanized steel sheet metal. The drywell shell
16 is managed by the primary containment in-service
17 inspection program, the IWE program and we will
18 revise it to specifically call out those procedures
19 that already exist that inspect the drains.

20 MEMBER ARMIJO: Were those 1987 UT
21 inspection points, are they still accessible? Were
22 any provisions made to have them still accessible or
23 were they concreted over?

24 MR. PAIRITZ: Well, they took readings
25 up in the air gap region 2. Those are marked on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inside of the drywell.

2 MEMBER ARMIJO: I'm talking about sand
3 pocket.

4 MR. PAIRITZ: Jim, do you have any idea?
5 I mean, I know where we excavated. I don't know if
6 the grid is still there that they used. Ray Dennis,
7 please?

8 MR. DENNIS: Yes. This is Ray Dennis
9 again.

10 Rather than fill the holes completely in
11 with concrete, they filled them in with a sand type
12 material and then put basically a concrete plug over
13 them.

14 MEMBER ARMIJO: So they would be --

15 MR. DENNIS: They'd be relatively easy
16 to inspect again. It would just be a matter of
17 removing a few inches of concrete rather than
18 several inches.

19 MEMBER ARMIJO: Yes. That's great.

20 Because --

21 MR. PAIRITZ: But whether or not they
22 have the grid the work that they used to ensure that
23 you're looking at the exact same place I think is
24 more the question.

25 MR. DENNIS: Yes. These spots are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 readily identified in our program where they are.
2 Plus, they're relatively easy to pick out given
3 their surrounding area.

4 MEMBER ARMIJO: So it would be an ideal
5 measurement. You've got a 1987 measurement,
6 possibly a later measurement at pretty much the same
7 location without tearing up the whole plant to get
8 at it? It's probably more doable than other people.

9 MR. PAIRITZ: I can't say. I mean, it
10 could be done.

11 MEMBER ARMIJO: I don't want to put
12 words in your mouth.

13 CHAIRMAN BONACA: No. I would like to
14 hear at some point from the Staff, you know, what's
15 the logic for accepting. Here, more than anything
16 else I'm thinking about precedent. You know, we had
17 some decisions and recommendations for TVA, Browns
18 Ferry. And it doesn't seem to be a consistent
19 approach that we're taking on this issue.

20 MR. ASHAR: Dr. Bonaca, I am Hans Ashar
21 with Dresden with Division of Engineering, NRR.

22 While reviewing this particular
23 application before this, I had reviewed close to
24 about a dozen other Mark I containments. Every time
25 I look for the telltale signs as to what could have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 caused partial area of corrosion. We looked at the
2 Dresden/Quad for example. We saw telltale signs.
3 They have to have something done there.

4 We saw Browns Ferry, we felt that that
5 there has to be something other.

6 And all the questions that we asked to
7 the applicant in this case, we found almost negative
8 -- negative to the extent that there were no water
9 in the top of the plane near the -- in the upper
10 area of the earlier -- can you show me the earlier
11 sketch?

12 MR. PAIRITZ: Sure. Hold on. Yes.

13 MR. ASHAR: Upper area, there is a plane
14 from the drywell. They did not see any, that's what
15 they told us. Then we went to down, because the
16 water can go into the sand pocket area. And we saw
17 no way that water can seep into that area in the
18 large quantities that could corrode that particular
19 area.

20 So there are a number of telltale signs
21 that we look for. We ask questions on each one of
22 them and we found out that, hey, this particular
23 plant does not have this type of problem. And it
24 does not -- it's not effective in telling us
25 anything about it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I have written down a very thorough
2 evaluation on this particular area because I knew
3 that ACRS, as well as other individuals, will have
4 some questions on this particular area.

5 CHAIRMAN BONACA: Well, I think my main
6 question is we need to have a constant understanding
7 of the issue.

8 MR. ASHAR: Agreed.

9 CHAIRMAN BONACA: And consistent
10 approach.

11 MR. ASHAR: I Agree.

12 CHAIRMAN BONACA: I mean, we can't
13 possibly have a tentative, you know, approach to the
14 -- when you're telling me that you don't have
15 significant amount of water or a large quantity of
16 water, it doesn't tell me anything.

17 MR. ASHAR: There is no water problem.

18 CHAIRMAN BONACA: I mean, the point that
19 Dr. Wallis was making, all you need is humidity
20 there for corrosion, you know it's well taken.

21 So I'm struggling with the ISG and the
22 way it is being interpreted by the plant that way.
23 Because all you have is statements by the licensee
24 for the same kind of configurations. One licensee is
25 more insistent than other than defending that he has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 no water there, so therefore -- you know, he's
2 argumenting about something that cannot be seen.

3 And on the other hand that's a primary
4 containment function.

5 MR. ASHAR: I fully agree. I recognize
6 what you are saying. I'm not contradicting what you
7 are telling me. But what I'm trying to say is this:
8 That the question of relatedness, I understand there
9 is a form by which everybody is to follow. And when
10 we -- They went up to ISG. We said you are going to
11 talk about various things, okay, like the drain
12 pipes being cleared, there is a control on drain
13 pipes. They are going to examine the drain pipes.
14 There is a seal. Some of the plants do not have
15 that seal that they here, okay. That makes
16 difference as to the wetness in the sand pocket
17 area.

18 It has to be quite a bit wet in order to
19 have corrosion initiated and become something like
20 some of the other plants had. And this particular
21 plant does not have that type of telltale signs.

22 It was very difficult to put them
23 through some kind of a UT inspections if we don't
24 find any reason to believe that we have problems
25 with this plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Okay. Thank you.

2 MR. PAIRITZ: Well, that concludes the
3 drywell shell corrosion. If there aren't any more
4 questions right now, I'll move on to the shroud.

5 Concerning the shroud, I have a rollout
6 view here. The horizontal welds are labeled on the
7 right side, H1 through H12. We have the vertical
8 welds labeled throughout the center of the drawing.

9 To give you an idea of the are we're
10 talking about, here's a jet pump on the side.

11 The points I want to make here is our
12 inspection coverages have increased from about 50
13 percent up to about 75 percent of the welds over the
14 past ten years due to improvements in technology.

15 As Mr. Potter was saying earlier, our H3
16 weld here has indications on 27 percent of the
17 inspected region, and we are able to inspect 71
18 percent of that weld.

19 MEMBER SHACK: Now is this VT1 enhanced
20 or is some sort of UT inspection?

21 MR. PAIRITZ: I'll let Mr. Potter answer
22 that.

23 MR. POTTER: This is Dave Potter from
24 Monticello.

25 The 73 percent converge on the H3 weld

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was from UT inspection.

2 MEMBER SHACK: That's a creeping wave
3 kind of thing?

4 MR. POTTER: There's three transducers
5 that were used in the package, but I don't recall if
6 there were a creeping wave, a shear wave and what
7 angles they were used. The processed was qualified
8 in accordance with the PIP processes for crack
9 identification.

10 MR. PAIRITZ: And moving on to the H1
11 weld, 16 percent of that weld showed indication and
12 we were able to look at 75 percent of that weld.

13 And then the other horizontal welds that
14 were looked at it was less than 10 percent
15 indication on varying degrees of inspection area.

16 The inspection results and evaluation to
17 allow inspection frequency to remain at the maximum
18 allowed ten year interval for circumferential welds,
19 for our horizontal welds.

20 We have looked at three vertical welds
21 per the BWRVIP. The inspection frequency for these
22 welds is established by inspection coverage.

23 MEMBER SHACK: Do you happen to know
24 whether these vertical welds, you know do they hit
25 high fluence regions or do they happen to hit low

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence regions? It's kind of a random event?

2 MR. PAIRITZ: Mr. Potter?

3 MR. POTTER: This is Dave Potter from
4 Monticello.

5 The regions, as shown on the diagram,
6 the V3, V4, V1 and V2 are relatively high fluence
7 areas.

8 MEMBER ARMIJO: Just a quick question.
9 Since you've instituted hydrogen water chemistry
10 have you noticed any change in any of the growth
11 rate or the initiation of cracking in the shrouds?

12 MR. PAIRITZ: I'll let Mr. Potter
13 address that. He's the expert here.

14 MR. POTTER: Since we've instituted
15 hydrogen water chemistry at Monticello, we have
16 three inspections to our credit. One that was
17 performed in 1994, another performed in '96 and this
18 most recent one in 2005. The crack indications that
19 we've identified in all three of those inspections
20 have not demonstrated substantial crack growth. So
21 our assumption has to be is that the cracking
22 occurred before hydrogen water chemistry was
23 instituted.

24 MEMBER ARMIJO: How about initiation?

25 MR. POTTER: The initiation that we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seen, I wouldn't call it substantial. A lot of it
2 has to do with UT uncertainty and our coverage that
3 we've gotten from previous inspections.

4 Our '94 inspection we did not have a lot
5 of coverage. And as we've spoken to, or as Joe
6 spoken to a moment ago, we increased our inspection
7 coverage from 1996 all the welds were approximately
8 50 percent to 2005 where they're 75. So we're
9 actually, the cracks that we were seeing were
10 basically in the areas that we hadn't inspected
11 before.

12 MEMBER ARMIJO: Okay. Thank you.

13 MR. PAIRITZ: Well, that covers crack
14 growth.

15 We feel that the moderate hydrogen water
16 chemistry has effectively contributed to mitigating
17 crack growth on our shroud, and we will continue to
18 manage the shroud per BWRVIP guidance.

19 CHAIRMAN BONACA: Well, you do have
20 additional cracking that you are monitoring that
21 way. Are they internals? For example, on the tack
22 welds on the jet pumps set screws and so forth.
23 Those cracks, I mean you just simply monitor the
24 size of the crack and whether or not they're
25 propagating further?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: I'll defer to Mr. Potter
2 again?

3 MR. POTTER: Yes. This is Dave Potter
4 again.

5 The cracking that we've identified on
6 the jet pump set screws we periodically
7 reinvestigate to make sure that they are not
8 behaving in an abnormal fashion. However, the safety
9 concern of the jet pump's tack screws is minimized,
10 basically, due to the crack geometry and what the
11 purpose of those tack welds are. And that's
12 basically to keep the set screws from rotating out.

13 CHAIRMAN BONACA: Okay. All right.
14 That's the function. I didn't know that. I didn't
15 understand.

16 I have another question, by the way.
17 It's more curiosity. When in the application you
18 talk about the belt line nozzle and the fact that
19 the weld material is not known insofar as CU and
20 nickel content. Could you tell me about it?
21 Because there is a technique you're using. You're
22 averaging CU and nickel on 9 sister plants. And then
23 you're adding one standard deviation, if I remember.
24 That, I really wasn't familiar with the technique.
25 And maybe --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: I'll Michael Aleksey,
2 answer that, our TLAA person.

3 MR. ALEKSEY: Was your question with
4 regard to the N2 nozzle?

5 CHAIRMAN BONACA: Yes. Yes, that's
6 right. The belt line nozzle.

7 MR. PAIRITZ: The one the unknown
8 chemistry.

9 MR. ALEKSEY: For the N2 nozzle the
10 nickel content was a result of industry information
11 that we had accumulated for those types of nozzles.
12 And we also used information from the RVID database
13 to establish the chemistries of that nozzle.

14 CHAIRMAN BONACA: Yes. The reason why I
15 was intrigued I thought that was a process that has
16 been reviewed and approved. I mean, it uses hits
17 from 9 sister plants or similar plants.

18 MR. ALEKSEY: Yes.

19 CHAIRMAN BONACA: Averages it and then
20 adds one standard deviation. So is it a process
21 that the NRC is familiar with and is it a approved
22 process?

23 MR. ELLIOTT: I don't know. Excuse me.
24 This Barry Elliott.

25 I can't hear you, so I can't hear what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're asking.

2 CHAIRMAN BONACA: It's the belt line
3 nozzle I'm talking about.

4 MR. ELLIOTT: Okay. Yes. What happened
5 is the belt line nozzles -- they aren't in the belt
6 lines. They're slightly above the belt line.

7 CHAIRMAN BONACA: Yes.

8 MR. ELLIOTT: But the fluence has gone
9 up because of license renewal. Also, because of the
10 way they're calculating the --

11 CHAIRMAN BONACA: That's right.

12 MR. ELLIOTT: -- fluence. They're doing
13 a very conservative thing with the fluence here.
14 And so now these nozzles are getting above the
15 criteria which we say you have to evaluate.

16 So they had to go out and evaluate the
17 nozzles. They have chemistry for the nozzles. What
18 they didn't have is underradiated properties for the
19 -- because the nozzles were built a long time ago
20 and they didn't have full C harpy curves, from what
21 I remember. So they went out and they got what's
22 equivalent to that. And went through their other
23 nozzles in the BWR fleet made the same way, and they
24 used that data. And then they establish a confidence
25 interval for that data. And they used the 95

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percent confidence interval lower bound for their
2 upper shelf energy unirradiated.

3 And we have accepted similar things to
4 that.

5 CHAIRMAN BONACA: So this is a process
6 you accept?

7 MR. ELLIOTT: Yes, we accept that.

8 CHAIRMAN BONACA: Although, I mean
9 you're not certain that the percent of Cu and
10 nickel are identical? Nine sister plants, I mean
11 they were similar plants.

12 MR. ELLIOTT: Right.

13 CHAIRMAN BONACA: But you don't have
14 specific information about this plant?

15 MR. ELLIOTT: No. We don't have specific
16 information about this plant. But we feel that we
17 looked at how they were made, the nozzles were
18 fabricated and they were fabricated equivalent ways
19 and the properties should be about the same.

20 CHAIRMAN BONACA: By the same vendors?

21 MR. ELLIOTT: I don't remember if we had
22 the same -- I'm not sure about the vendors.

23 MR. MEDOFF: This is Jim Medoff.

24 What Barry is saying is true. We've
25 evaluated the VIP processes for the vessel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 materials. And it's based on weld fluxes, how they
2 were laid down. So they grouped all those type --
3 like a shielded metal arc welds, they gathered the
4 data for all that type of welds and then they came
5 up with their statistical analysis.

6 CHAIRMAN BONACA: Well, I was expecting
7 that there will be a reference to some BWR always
8 group activity to --

9 MR. MEDOFF: There is, VIP 86.

10 CHAIRMAN BONACA: -- to provide this
11 kind of -- I mean without any pedigree to this
12 package of information, I'm only left on this
13 averaging that is stated in a little footnote in the
14 application. So since I am not the specialist in
15 metallurgy, but I know the importance of Cu in
16 nickel in the welds.

17 MR. ELLIOTT: We had to get an estimate
18 of the upper shelf energy for these forgings. So the
19 only thing we look at is the fleet, what the whole
20 fleet has for forgings. And that's what they did.
21 And then we used a 95 percent lower confidence bound
22 to establish its properties. And we've done that in
23 other cases where we don't have properties. We used
24 the entire BWR fleet and then established low bound
25 properties for welds that don't have properties.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And in this case we did it for the forgings.

2 CHAIRMAN BONACA: I return to my
3 metallurgical colleagues here and say how
4 comfortable are you with all this?

5 MEMBER ARMIJO: Well, you know, I
6 thought I heard that they knew the chemistry but
7 they didn't Charpy data. And they created the
8 Charpy data by a comparison with the rest of the
9 industry and then used a lower bound that was pretty
10 conservative.

11 CHAIRMAN BONACA: I can remember that 10
12 years ago, 15 years ago we were -- anyway --

13 MEMBER SHACK: Yes. I mean, you know you
14 just can't go back and recreate that data.

15 CHAIRMAN BONACA: Absolutely.

16 MEMBER SHACK: So you try to take a
17 conservative answer and --

18 CHAIRMAN BONACA: Is it conservative,
19 that's always the question. And that's what we're
20 looking for.

21 MEMBER SHACK: It is quite likely to be
22 conservative.

23 MEMBER ARMIJO: I think it's
24 conservative.

25 CHAIRMAN BONACA: Okay. That's --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: Are we ready to move on?

2 CHAIRMAN BONACA: Yes, let's move on.

3 MR. PAIRITZ: Okay. The last topic I
4 will talk about is the steam dryer. The steam dryer
5 is in scope for license renewal at Monticello. It's
6 a square hood dryer design. It looks like this.

7 In 1998 we inspected the dryer and we
8 noted indication in the area of the 324 degree
9 jacking bolt tack weld. Is down here in the blowup
10 on the bottom right. It was analyzed and determined
11 not to be structurally significant.

12 In 2001 we again reinspected this area
13 and found no additional indications and no change in
14 the indication at the 324 degree location.

15 In 2005 we did a comprehensive
16 inspection on the dryer. We specifically looked at
17 areas of dryer failures at other sites, and we did
18 not find any indications are those areas.

19 We did find some acceptable indications
20 on dryer shell behind three of the lifting lugs and
21 on the right side of the guide rod channel 215
22 degrees. Right here. And then we found behind the
23 lifting lugs on the shelves some indications in
24 three out of the four lifting lugs. Again, these
25 were analyzed and confirmed to be not structurally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant.

2 We will be inspecting the dryer in 2007
3 again to confirm continued acceptability. And we
4 plan on managing the dryer in accordance with the
5 BWRVIP.

6 Dryer questions?

7 MEMBER WALLIS: How does it compare with
8 other dryers? The various dryer designs, some of
9 which have more problems than others, how does --

10 MR. PAIRITZ: I'll have Mr. Potter
11 answer the question.

12 MR. POTTER: Could you clarify your
13 question for me? Are you talking in general the
14 dryer design or --

15 MEMBER WALLIS: There are about four or
16 five different versions of this GE dryer, Quad
17 Cities, Dresden, Vermont Yankee and so on. And some
18 of them had more problems than others. And I just
19 wondered how yours fitted into this sort of spectrum
20 of different shapes and histories?

21 MR. POTTER: Okay. This is Dave Potter
22 from Monticello.

23 There is in essence right now four types
24 of dryers that are used in the industry. You might
25 even consider five depending on how you cut it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's the square hood design, which is
2 Monticello's design, which is similar to Vermont
3 Yankee's, Quad Cities' Unit 1 and 2, and Dresden
4 Unit 2 and 3.

5 Then the slanted hood dryers which a
6 great deal of plants use.

7 And then the last would be the curved
8 hood dryers.

9 Finally, the very last design would be
10 the new dryers that have been installed in the Quad
11 Cities and Dresden plants. So Monticello's dryer is
12 similar to that. The original Quad Cities Unit 1 and
13 2 and Dresden Unit 2 and 3 and the Vermont Yankee
14 dryers which did experience the failures.

15 Does that answer your question, sir?

16 MEMBER WALLIS: And you haven't seen the
17 same kind of thing that they've seen?

18 MR. POTTER: No. The failures that
19 we're seeing at Quad Cities and Dresden were flow
20 induced type vibration failures that were seen
21 basically on the plate -- this plate region right
22 here as well as this plate cover view and this plate
23 region right here or this seam weld. Those areas
24 were inspected at Monticello in 2005 and we did not
25 identify any cracking.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I think there are
2 differences between the units. For example thermal
3 megawatt output.

4 MEMBER SHACK: Core power density are a
5 lot--

6 MEMBER SIEBER: Core power -- well steam
7 flow.

8 MEMBER SHACK: Right.

9 MEMBER SIEBER: The steam header
10 diameter. And so some dryers are more susceptible
11 than others because of different environment. This
12 apparently is a milder environment than plants that
13 have shown more damage.

14 Do you have any idea what the steam
15 velocity is at the outlet of the reactor nozzles?

16 MR. POTTER: This is Dave Potter again.
17 To be absolutely honest with you I have looked at
18 that number and compared our numbers to the
19 industry. But from memory I can't recite the
20 velocity and feet per second.

21 MEMBER SIEBER: Can you say whether it's
22 higher or lower?

23 MR. POTTER: I can say that it is
24 definitely lower than -- this is Dave Potter again.

25 I can say that the steam line velocity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is definitely lower than the Quad Cities Unit 1 and
2 2 and Dresden 2 and 3 at their extended power uprate
3 conditions. And Vermont Yankee, I know we are very
4 close, but I don't recall whose velocity is higher.

5 MEMBER SIEBER: It sort of all ties
6 together, at least in my mind.

7 MR. PAIRITZ: Any more dryer questions?
8 If not, the last topic I'll cover is on the
9 commitment process. Monticello's made 60
10 commitments to enhance aging management. The
11 commitments are described in the Monticello license
12 renewal updated safety analysis report supplement.

13 All Monticello commitments are entered
14 into the corrective action program. And this ensures
15 that there is a owner and a due date. The process
16 was looked at several times during the audits and
17 inspections.

18 Any questions on the commitment process?

19 MEMBER SIEBER: Well, the due date is
20 probably when your license expires, right?

21 MR. PAIRITZ: Well, most of them are --

22 MEMBER SIEBER: Or they all become due
23 at once?

24 MR. PAIRITZ: -- prior to the period of
25 extended operation. There are a few that are before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that.

2 MEMBER SIEBER: Yes. The question is do
3 you have a schedule as to when you're going to do
4 each of the items that you have in your commitment
5 tracking system?

6 MR. PAIRITZ: Yes. We have put together
7 a level 1 type schedule as to when those will be
8 accomplished and be part of our implementation
9 effort.

10 MEMBER SIEBER: Do you have the
11 resources to do the work?

12 MR. PAIRITZ: Yes. We got people
13 working on implementation right now. A couple of
14 contractors, some of the people that were on the
15 team. And that will continue.

16 Finally we're at the end. Are there any
17 other general questions that we can answer.

18 MEMBER SIEBER: You mean you would like
19 more questions.

20 MR. PAIRITZ: I'm here to answer them.

21 MEMBER MAYNARD: A comment. I do
22 appreciate you including your backup slides in the
23 package. I do appreciate that.

24 CHAIRMAN BONACA: Any additional
25 questions for the applicant? None. Thank you for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. It was a pleasure.

2 MR. PAIRITZ: Thank you.

3 CHAIRMAN BONACA: And we'll ask the
4 Staff now to present the SER.

5 MR. ZIMMERMAN: Dan Merzke the Project
6 Manager for the Monticello review and Patricia
7 Lougheed will lead the Staff's presentation.

8 MR. MERZKE: All right. Good afternoon,
9 gentlemen. My name is Dan Merzke. I'm the Project
10 Manager for the Staff review of the Monticello
11 license renewal application.

12 Joining me today is Patricia Lougheed
13 from Region III. She's our inspection team leader.
14 Also in the audience is Peter Wen, who is our audit
15 team leader. And supporting all of us are the
16 technical reviewers in the audience to answer any
17 questions that I can't answer for you.

18 The introduction will be start off with
19 an overview. We'll give you the plant and the
20 application followed by a discussion of the results
21 of the scoping and screening results.

22 I'll turn the mike over to Patricia who
23 will discuss the results of the license renewal
24 inspections.

25 And then I'll take it back over and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 finish with the Section III results of the aging
2 management review and the time-limited aging
3 analyses.

4 The application was submitted to us by
5 letter dated March 16, 2005. The Monticello plant
6 is General Electric BWR 3 design with a Mark I steel
7 containment, as already discussed. 17075 megawatt
8 thermal rated with a 600 megawatt electric power,
9 and that includes a 6.3 percent power uprate
10 approved in 1998.

11 Current operating license expires
12 September 8 of 2010.

13 And the plant, as already discussed, is
14 located approximately 30 miles northwest of
15 Minneapolis.

16 The draft SER was issued in April 26,
17 2006 with no open unconformity items. It also
18 included three license conditions. They're the
19 standard three license conditions for all the
20 approved plants so far.

21 We already discussed, Jake mentioned
22 that there were 113 form RAIs issued, which is
23 significantly lower than standard review.

24 And I think Jake touched on the fact
25 that we considered it a pretty good quality

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. The applicant went back and did a
2 thorough review of historical RAIs from previous
3 applications and tried to address those issues up
4 front.

5 In addition, we had 260 audit questions
6 between the scoping screening methodology and the
7 GALL audits.

8 And approximately, and as discussed
9 earlier, about 95 percent consistency with the draft
10 GALL Report revision 1, which was issued in January
11 of 2005. When the final GALL was issued in
12 September 2005 we did a scrub of that to make sure
13 that everything was covered.

14 During the review we did find some minor
15 components which were brought into scope. And I'll
16 discuss those during the scoping and screening
17 section.

18 Continuing on with the overview, the
19 audits were conducted during June and July of 2005.
20 Regional inspections were conducted in January and
21 February of this year.

22 Section 2.1 covers the scoping and
23 screening methodology. During the scoping and
24 screening methodology audit the audit team reviewed
25 the current licensing basis for flood control

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measures and determined that storage steel plate and
2 floor hatches designed to be installed for flood
3 control were not included within the scope of
4 license renewal. The applicant initially did not
5 include components storage in a warehouse within the
6 scope of license renewal. After further evaluation
7 and an extended condition, the applicant brought
8 these components into the scope of license renewal.

9 In Section 2.2 the plant-level scoping,
10 the Staff determined that there were omissions of
11 systems or structures within the scope of license
12 renewal.

13 For Section 2.3, the mechanical systems,
14 the Staff reviewed 36 mechanical systems, which was
15 a 100 review.

16 During the scoping and screening review
17 the Staff was unable to determine the scoping
18 boundary for 17 areas in the boundary drawings. The
19 Staff requested that the regional inspection team
20 visually inspect these areas to ensure the scoping
21 boundaries were in accordance with 10 CFR 54.4(a).
22 The inspections resulted in a length of steam piping
23 with a steam trap in the emergency diesel generator
24 room being brought into scope. And I'll mention,
25 that one was brought into scope because basically it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was below the floor deck plating in the emergency
2 diesel generator room. And the applicant considered
3 the floor as the boundary. However, it was not a
4 robust boundary because you could see through the
5 deck plating down into the area underneath. Any
6 steam coming out of there was going to impact or
7 potentially impact the operating temperature of the
8 EDG room. So the applicant agreed to bring that
9 steam piping and steam trap within the scope of
10 license renewal.

11 In addition during another walkdown, one
12 of the floor drains in the sodium hydrochloride
13 building which penetrates the floor into the intake
14 structure was also identified as being needed to be
15 brought into scope.

16 Section 2.4 covered the containment
17 structures and supports. Staff found no omissions
18 of structures or supports within the scope of
19 license renewal during the review.

20 For Section 2.5 the review of scoping
21 for the electrical system identified a motor control
22 center which was found to be outside the scope of
23 license renewal. It supplied power to the tank
24 heater for a standby liquid control tank. Since
25 standby liquid control system mitigates an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anticipated transient without scram or ATWS event,
2 the Staff determined it should be brought into the
3 scope of license renewal in accordance with 10 CFR
4 54.4(a)(3). The applicant determined that the motor
5 control centers are active components so they were
6 screened in accordance with 10 CFR 54.12(a)(1).

7 During the regional inspection the
8 inspectors determined that 480 volt load center
9 breakers should be scoped in. The applicant
10 determined these are active components also, so they
11 were screened out in accordance with 10 CFR
12 54.21(a)(1).

13 To conclude the scoping and screening
14 summary, it was the staff's determination that the
15 applicant's scoping methodology meets the
16 requirements of 10 CFR 54.4 and the scoping and
17 screening results as amended included all systems,
18 structures and components within the scope of
19 license renewal and subject to an aging management
20 review.

21 I'd like to turn it over now to Patricia
22 Lougheed from Region II who will discuss the license
23 renewal inspections.

24 MS. LOUGHEED: Hello. I'm Patricia
25 Lougheed. I was a lead inspector for the license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 renewal inspection conducted at Monticello.

2 My slide is on page 6 -- well, the one
3 that's shown there. Basically gives you some of the
4 logistics information about our inspection.

5 One thing that I would like to note is
6 that on this inspection I did have a person, a
7 metallurgist who really looked into a lot of the
8 core internals of the BWRVIP program to make sure
9 that it was being implemented in accordance with
10 what was proposed for license renewal. And to make
11 sure because there was not an official commitment
12 right now that NRC regulates or this program. So it
13 was ensuring that it was going to be brought forward
14 into license renewal properly.

15 Going on to my next slide, Dan touched
16 briefly upon the scoping and screening area. We did
17 look at all the issues that were brought forward
18 from the audit inspection. It was interesting,
19 besides the two cases where there were items that
20 were brought into scope, there were also a number of
21 areas most particularly what the licensee called the
22 985 pump room where there were components that were
23 identified as being in scope that really did not
24 need to be in scope. And there were quite a few
25 discussions during our inspection to clarify whether

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those items really should have been an in scope or
2 not. So there were some removals of things from the
3 scope as well as some additions.

4 CHAIRMAN BONACA: For understanding
5 better the logistic. You already had in hand the
6 audit report?

7 MS. LOUGHEED: We had the audit report.

8 CHAIRMAN BONACA: So that really was a
9 big help already --

10 MS. LOUGHEED: Right.

11 CHAIRMAN BONACA: -- in determining what
12 is consistent or exceptions and enhancements.

13 MS. LOUGHEED: Right.

14 CHAIRMAN BONACA: And you could start
15 from that?

16 MS. LOUGHEED: Right. And there's
17 always what we do in the region and the inspections
18 is that we look at the boundaries. Not the things
19 that are definitely in scope, the safety systems or
20 things like that. We look at those where they have
21 nonsafety safety interfaces, where there's nonsafety
22 systems that are going to be in the vicinity of
23 safety systems. We looked at what the actual
24 barriers were to make sure that there actually was
25 separation. Because it was not very obvious on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 license renewal drawings.

2 CHAIRMAN BONACA: I had a question, and
3 that doesn't go to this application. It's more
4 general.

5 You know, when you do PRA you find that
6 you have a lot of safety related components and
7 others important as you thought they were. And you
8 also find that the few, or a minor population of
9 components which are nonsafety related are
10 critically important for certain sequences. That's
11 really coming from the insides of the PRA. But
12 there is no -- I mean, license renewal does not
13 apply to these components.

14 MS. LOUGHEED: That is true.

15 CHAIRMAN BONACA: Do you find that the
16 licensees however are aware of the importance of
17 those components and take care of them or --

18 MS. LOUGHEED: My impression, and I
19 can't say that this is necessarily that we looked at
20 it on Monticello specifically. But licensees where
21 they have components that their PRAs have shown them
22 to be risk significant, they tend to pay more
23 attention to them because of that.

24 CHAIRMAN BONACA: Yes.

25 MS. LOUGHEED: Simply a lot of times

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because it becomes a matter of economics more. You
2 keep those pieces of equipment operating well and
3 your risk, and therefore your chance of a shutdown
4 go down.

5 So even though they're not considered
6 important to safety, they are treated with more
7 significance than things that are not risk
8 significant at all.

9 CHAIRMAN BONACA: Good.

10 MS. LOUGHEED: And I'll also the little
11 caveat that I think that a lot of the reason that
12 some of the safety systems don't show up as being
13 risk significant is because of the defense-in-depth
14 concept. You know, when you putt redundancy upon
15 redundancy well from a PRA aspect --

16 CHAIRMAN BONACA: Right.

17 MS. LOUGHEED: -- that does drive down
18 the significance.

19 CHAIRMAN BONACA: Right. Yes.

20 MS. LOUGHEED: Basically our conclusion,
21 and I probably should say we did do a lot of
22 walkdowns including into some fairly high radiation
23 areas. Our metallurgist also spent a number of
24 hours reviewing videotapes of the vessel internal
25 inspections and various welding inspections, areas

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that obviously he would not have access to with the
2 plant at power. So we did look at quite a bit from a
3 physical aspect, not just relying on the paperwork
4 and things like that.

5 Overall, we found that with a few minor
6 exceptions the systems were appropriately scoped.
7 We felt that we concentrated on the ones that were
8 most suspect rather than the ones where we knew 100
9 percent was going to be thrown into scope.

10 The applicant did submit some
11 clarification because they were coming up to doing
12 their annual submittal for the license application
13 while it was under review. A lot of the things that
14 we had identified were brought forward into that and
15 were submitted in that way.

16 Going on, we also looked at aging
17 management. My slide says that we reviewed all 33
18 aging management programs, where I notice that the
19 applicant said that there were 36 programs. I'm
20 still scratching my head which three we missed. We
21 really spent a lot of time on this one partly
22 because of the team that I had and the abilities of
23 that team to go in and look at a number of systems.

24 We found that the aging management
25 programs were implemented as described. That the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enhancement and exceptions that were being proposed
2 were acceptable.

3 We did identify some minor
4 inconsistencies, and those were either captured in a
5 revision to the application or in the corrective
6 action program. However.

7 CHAIRMAN BONACA: We talked about the
8 containment liner?

9 MS. LOUGHEED: Right.

10 CHAIRMAN BONACA: What's your opinion?
11 I mean, you went there and looked at it.

12 MS. LOUGHEED: Monticello is not one of
13 the plants that I would worry in Region III about
14 containment liner problems. All right. There are a
15 couple of plants that I have concerns about their
16 containment liners, but Monticello is not one of
17 them.

18 CHAIRMAN BONACA: Okay. Thank you.

19 MS. LOUGHEED: Basically that's -- I
20 know you've read through the inspection report in
21 some detail. We didn't find anything in there
22 either scoping, screening or aging management which
23 we felt would cause any sort of a hinderance to the
24 license being renewed. Overall, we found Monticello
25 to be in very good condition.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: But I must say that
2 I'm very impressed by the inspection report and by
3 the information from the audit. And I think they're
4 quite insightful.

5 MEMBER SIEBER: I concur with Dr.
6 Bonaca's opinion. A very good report.

7 MEMBER MAYNARD: Yes, I agree. It looked
8 like you did a very thorough job.

9 I've got one question. One of the things
10 in the inspection report that came out, I don't
11 think it necessarily associated with the scoping
12 itself, but on the failure to dismiss and relief
13 request. Was that something that your inspection
14 team found or is that something that just occurred
15 while you guys were there?

16 MS. LOUGHEED: No. It was something our
17 inspection team found. I very definitely had a
18 very, very, very team. Especially in the
19 metallurgical area. And we used him to full
20 advantage reviewing a lot of areas that we would not
21 have been able to look at otherwise.

22 MEMBER MAYNARD: Good. Good.

23 MS. LOUGHEED: Going on, you want me to
24 do the current performance? Okay.

25 Monticello is one of our good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performance in Region III. They are in column 1,
2 which was licensee response problem column. We
3 don't have any crosscutting issues opened. We have
4 no major issues at Monticello at all right now. So
5 we are following the revised oversight process with
6 minimum baseline inspections. And we will continue
7 to do that.

8 You can see the screens coming up. We
9 are green in every area on performance indicators.
10 And if you move on to the inspection findings, w
11 really have a lot of areas that we're doing
12 inspections where we don't have findings, which is
13 where the grey comes in. It doesn't mean we're not
14 inspecting there, it means that we haven't found
15 anything. And the areas where we have found things,
16 they have all been green or a very low safety
17 significance.

18 CHAIRMAN BONACA: Very good. Thank you.

19 MR. MERZKE: Just for Patricia's
20 benefit, the 33 aging management programs were the
21 official aging management programs listed in the
22 application. The two timed-limited aging analysis
23 support programs were also considered to be aging
24 management program. So that was 35.

25 Number 36 was a commitment made by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applicant late to implement an E6 program for
2 electrical cable connections.

3 CHAIRMAN BONACA: I'm sorry. Which one
4 is the --

5 MR. MERZKE: It was GALL E6 program.
6 I'll address it in a little bit and we'll have a
7 little discussion, but --

8 CHAIRMAN BONACA: First of all, I want
9 to thank you for the --

10 MS. LOUGHEED: Yes. We did very close
11 to 100 percent on this one.

12 CHAIRMAN BONACA: Great.

13 MS. LOUGHEED: We found they were able
14 to support it and we were able to get it done within
15 the time constraints.

16 CHAIRMAN BONACA: Thanks again.

17 Additional questions for the inspection?
18 If not, we're going to take a break and get back
19 here at 25 after 3:00.

20 (Whereupon, at 3:07 p.m. off the record
21 until 3:30 p.m.)

22 CHAIRMAN BONACA: We are back into
23 session. And we are going to be reviewing now the
24 aging management review results.

25 MR. MERZKE: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'll move on to the discussion of the
2 Staff's review of the aging management program and
3 reviews now.

4 The Staff reviewed at the time 35 aging
5 management programs based on the application. There
6 were 36 overall. The 36 was a late commitment by the
7 applicant to implement the GALL E6 program, which
8 would be consistent with GALL. And I'll discuss
9 that a little bit more in the electrical section.

10 So overall there were 36 aging
11 management programs, 29 of which were existing
12 programs and 7 which will be new programs to be
13 implemented prior to the period of extended
14 operations.

15 Of those, 9 of them were consistent with
16 the GALL Report and 25 were consistent with the GALL
17 Report with exceptions and/or enhancements. There
18 were two plant specific aging management programs;
19 they were a bust duct inspection and system
20 condition monitoring programs.

21 I'm going to start this discussion with
22 I picked a few of the aging management programs out
23 which involves considerable amount of Staff review.
24 And I thought I'd go over the results of those.

25 The first one would be the ASME Section

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 XI In Service Inspection subsections IWB, IWC and
2 IWD program. It's an existing program which is
3 consistent with the GALL Report with exceptions.

4 The LRA stated that relief requests in
5 code cases were not considered exceptions to the
6 GALL Report. The audit team did not agree and
7 requested the applicant evaluate all code cases and
8 relief requests for aging management concerns.

9 The Staff position is that relief
10 requests are not acceptable for aging management
11 because they expire after ten years.

12 The applicant subsequently removed
13 reference requests from the application except for
14 one relief request which has been approved 21 months
15 into the period of extended operations.

16 There were three code cases associated
17 with this aging management program are identified to
18 be exceptions to the GALL Report. They're endorsed
19 by NRC in the Reg. Guide 1.147. They were N-307-2
20 which concerned ultrasonic testing for Class 1
21 bolting with center holes; N-526, which concerned
22 successive examinations when a flaw is detected,
23 and; N-613-N which concerned examine volume of weld
24 and nozzles.

25 The Staff found these acceptable because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're endorsed by the NRC in Reg. Guide 1.147.

2 The bolting integrity AMP was found to
3 be consistent with the Gall report with
4 enhancements. The program will incorporate guidance
5 from EPRI technical reports which include *Bolted*
6 *Joint Maintenance and Application Guide* and the *Good*
7 *Bolting Practices Handbook*

8 . Staff determine the guidelines
9 reflect industry practice and meet the
10 recommendations of the GALL Report.

11 The buried piping and tanks inspection,
12 an aging management program which is consistent with
13 the GALL Report with enhancements. These
14 enhancements are all detailed in the commitment
15 section of the SER.

16 The applicant has committed to perform
17 inspections every ten years. They will credit
18 inspections of opportunity when excavating.

19 The applicant also committed to
20 performing an internal inspection of the diesel fuel
21 oil storage tank every ten years in addition to the
22 external inspection.

23 Other enhancements include a review of
24 operating experience to determine the susceptible
25 locations and to perform further evaluation on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extended condition if pipe wall thickness shows a
2 susceptibility to corrosion.

3 CHAIRMAN BONACA: So let me understand
4 now for buried pipes they're going to do a
5 inspections, but if they do not have any inspection
6 in ten years, they'll do one?

7 MR. MERZKE: That is correct.

8 CHAIRMAN BONACA: Okay.

9 MR. MERZKE: Yes, sir.

10 CHAIRMAN BONACA: And that's consistent
11 with GALL, yes.

12 MR. MERZKE: Ultrasonic testing and
13 visual inspections completed in 1999 and 2003 showed
14 no degradation or aging effects.

15 BWR vessels internals program. It's
16 consistent with the GALL Report with exception and
17 enhancement. The exception was that the applicant
18 used the updated water chemistry guidelines of
19 BWRVIP-130, as the GALL recommended BWRVIP-29. The
20 Staff found this acceptable as it's an updated
21 version of the same guidelines, and that was issued
22 in 2004.

23 Enhancement to this program is to use
24 the BWRVIP guidelines for inspection, evaluation and
25 repair to the maximum extent possible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The applicant made a number of
2 commitments based on questions from the audit and
3 inspection teams. They include additional top guide
4 inspections beyond those required by BWRVIP-26 and
5 steam dryer per BWRVIP-139.

6 Regional inspectors identified a couple
7 of issues which resulted in commitments to inspect
8 in core monitoring dry tubes per General Electric
9 Service Information Letter 409 and spray core piping
10 welds in accordance with BWRVIP-18.

11 In addition, core plate hold down bolts
12 will be inspected in accordance with BWRVIP-25 which
13 requires either UT or enhanced visual inspection or
14 another inspection technique which would be reviewed
15 and approved by the NRC.

16 In lieu of inspections, the applicant
17 has committed to installing wedges to replace
18 lateral load resistance prior to the period of
19 extended operations if they're unable to complete
20 those inspections.

21 CHAIRMAN BONACA: For core spray piping
22 welds, if I remember, the issue was that they did
23 not identify the flow through the welds, through the
24 cracks that you may have.

25 MR. MERZKE: The issue was that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were not doing the inspection on the welds because
2 the welds were -- they have mechanical clamps
3 surrounding them which replace the structural
4 integrity of the welds. The inspection team looked
5 at it a different way. If the crack developed in the
6 weld, it would be a diversion path for core spray.
7 And in case of an accident, that core spray would be
8 diverted outside the shroud and unavailable and it
9 might impact P-clad temperature. So the applicant
10 decided that it would be prudent to bring those --
11 inspect in accordance with BWRVIP-18.

12 CHAIRMAN BONACA: Good.

13 MR. MERZKE: The flow accelerated
14 corrosion program. This is an existing program
15 which is consistent with the GALL Report. The
16 application originally stated that the trigger point
17 for conducting an engineering evaluation for
18 nonsafety related piping would be 60 percent nominal
19 wall thickness. Staff could find no technical basis
20 for this number, so the applicant committed to using
21 87.5 percent nominal wall thickness as a trigger
22 point for all piping susceptible to flow accelerated
23 corrosion. The applicant uses 87.5 percent nominal
24 wall thickness as a trigger point for evaluation for
25 safety related piping also.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 For inaccessible medium voltage cables
2 not subject to 10 CFR 50.49 environmental
3 qualification requirements. This is a new program
4 which will be consistent with GALL and implemented
5 prior to the period of extended operation.

6 The application originally indicated
7 that medium voltage cables that are not subject to
8 prolonged exposure to significant moisture due to
9 inspecting for water collection and cable manholes
10 and conduits do not require testing. The Staff
11 position was that testing should be in addition to
12 inspection for water collection. The applicant
13 committed to conduct the testing as well as to
14 inspect initially at least once every two years, and
15 that two years comes from their operating
16 experience.

17 CHAIRMAN BONACA: Now from reading the
18 application most of these cables are just simply
19 buried in the ground. I mean, so --

20 MR. MERZKE: they do have some conduit,
21 too, sir.

22 CHAIRMAN BONACA: Some of them?

23 MR. MERZKE: Yes.

24 CHAIRMAN BONACA: A few. So, I mean,
25 the first portion of this program only addresses

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those few. So there's nothing you can do about
2 that?

3 MR. MERZKE: Well, the applicant has not
4 detected any water in any manholes during the
5 inspection process. So they've not detected any
6 moisture.

7 This program is supposed to be
8 consistent with the GALL Report which will cover all
9 medium --

10 CHAIRMAN BONACA: Oh, I agree with that.

11 MR. MERZKE: Okay. Reflecting on the
12 fact, and I was wondering because tomorrow we're
13 going to have presentation on this issue for current
14 licensing value. And after feeling comfortable with
15 the fact that this program is going to inspect for
16 water in manholes I was startled by the reality that
17 most of these cables are really in the ground,
18 they're not in conduits. And so that portion of the
19 program doesn't do much for us.

20 MR. MERZKE: Right. I guess that's where
21 the testing comes in.

22 CHAIRMAN BONACA: Yes.

23 MR. MERZKE: The reactor head closure
24 studs programs. It's an existing program which is
25 consistent with the GALL Report. The application

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 did not identify any exceptions to GALL here. The
2 audit team review determined that the use of code
3 case N-307-2 was an exception to GALL. This code
4 case alters the portion of the stub which examined.

5 The Staff found the exception acceptable
6 because the examination will identify the relevant
7 aging effects cracking and corrosion as the high
8 stressed portion of the stud continues to be
9 examined.

10 Inspectors also identified installed
11 studs which exceeds 175 kilo pounds per square inch
12 tinsel strength, which is what's recommend in Reg.
13 Guide 1.65 to minimize the likelihood of stress
14 corrosion cracking.

15 The applicant considers all these
16 students susceptible to cracking and is implementing
17 the preventive measures of Reg. Guide 1.65. The
18 applicant continues to conduct ultrasonic testing
19 and surface examinations on a ten year interval. And
20 to date, no parent degradation has been identified.

21 For the aging management review results
22 there's 100 percent review done; 36 plant systems,
23 18 structure in four commodity groups. I just
24 highlighted a few areas here.

25 Section 3.3 in the auxiliary systems

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there was a significant discussion on elastomers.
2 The application originally identified AMRs for
3 elastomers subject to elevated temperatures,
4 ultraviolet or ionizing radiation. The applicant
5 claimed no aging effect for elastomers in a plant
6 indoor air environment. It was the Staff's position
7 that elastomers subject to an ozone environment
8 experienced degradation that needs to be managed.
9 The applicant amended their application to manage
10 aging of elastomers in an air environment using the
11 system condition monitoring program and the one time
12 inspection programs.

13 The cable spreading room Halon system
14 will be inspected and tested every 18 months. Life
15 to six months is recommended by the GALL Report.
16 The GALL is based on the NFPA recommendations, which
17 takes into consideration system failures across all
18 industry, not just do to aging effects. Plant
19 specific operating experience has demonstrated that
20 an 18 month inspection interval will detect aging
21 effects prior to loss of intended function. Staff
22 accepted this exception because the 18 month
23 surveillance interval is part of the NRC approved
24 fire protection program and thus forms of an element
25 of the plant's current licensing basis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Section 3.5 aging management for the
2 drywell shell, the Staff found the applicant's
3 program for managing aging effects to the drywell
4 shell acceptable and consistent with the proposed
5 staff license renewal ISG which was issued for
6 comment earlier this month.

7 The applicant follows the code
8 requirements specified by ASME Section XI,
9 subsection IWE. UT performed in the sand pocket
10 region in 1986 and 1987 detected no degradation.
11 The applicant instituted a leakage monitoring
12 program which detects for water leakage past the
13 refueling seal bellows which is in the scope of
14 license renewal. It also detects leakage in the
15 drywell air gap drains and the sand pocket drains.
16 Drains are verified open and no leakage detected
17 every refueling outage. In addition, there's an 19
18 gauge galvanized sheet metal cover sealed to the
19 vessel and surrounding concrete which covers the
20 sand pocket region. Drywell air gap drains drain
21 any water on top of the cover, as you saw in the
22 applicant's diagram.

23 MEMBER MAYNARD: When did this
24 monitoring program start?

25 MR. MERZKE: I believe it was a result

1 of the response to Generic Letter 87-05.

2 MEMBER MAYNARD: So it's been in place
3 since 1987? Is that correct?

4 MR. MERZKE: That's correct.

5 The Staff found this program acceptable
6 to managing aging of the drywell.

7 CHAIRMAN BONACA: You had a comment,
8 Sam, it was important all the --

9 MEMBER ARMIJO: Yes. I had a question
10 when the UT examine was done in 1987 there's four
11 drain lines, sand drain lines. And was a UT done in
12 between those where there might be a low point there
13 that wasn't drained in the sand pocket region or was
14 it done at the location where the drain lines are?

15 MR. MERZKE: I don't have an answer to
16 that. I think the applicant may.

17 MEMBER ARMIJO: Do you have an idea?
18 Could we find out sometime, on call or something?

19 MR. MERZKE: Okay. Any other questions?

20 CHAIRMAN BONACA: You have those
21 requests regarding the configuration of the drain
22 pipe and the fact that --

23 MR. MERZKE: Well, look, I start --

24 CHAIRMAN BONACA: -- the design to
25 accumulate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: Yes. The stand pipe
2 design, it's kind of strange to me why it even
3 exists. Why isn't it just cut off and if there's
4 anything in there, it drains out onto the floor.
5 You know, it's not the scope of the ACRS to do a
6 design, but it seems strange to me that that stand
7 pipe is an asset. I think it's necessary. I don't
8 know why you guys --

9 MR. MERZKE: You'll have to talk about
10 it.

11 MEMBER ARMIJO: You must like it for
12 some reason or somebody likes it.

13 MR. PAIRITZ: This is Joe Pairitz the
14 Project Manager for Monticello.

15 The stand pipe, I believe, was
16 originally designed that way because the drain is
17 full of sand and part of the stand pipe is full of
18 sand. I think it was meant to keep the sand from
19 migrating out and going all over the floor. You'd
20 constantly be sweeping up sand.

21 So I looked at it and said they must
22 have done that to keep the sand in, but that's my
23 personal opinion.

24 MEMBER ARMIJO: Thank you.

25 I don't think it would pore out. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think it'd just jam up in there. As long as the
2 water gets out.

3 MR. MERZKE: All right. Continue on for
4 aging management of in scope inaccessible concrete,
5 the applicant stated and the Staff verified that the
6 below grade environment is not aggressive. Periodic
7 testing of the ground water will be performed as
8 part of the structure's monitoring program.

9 Section 3.6 covered electrical and I&C
10 components. There were four commodity groups
11 reviewed; electrical penetrations, fuse holders,
12 nine EQ cables and connections and off-site power
13 and station blackout recovery paths.

14 The Staff noted that industry operating
15 experience shows loosening of metallic parts of the
16 cable connections. Requested that the applicant
17 demonstrate how this effect will be managed. In
18 response, the applicant committed to implement a new
19 aging management program consistent with the GALL
20 AMP E6 electrical cable connections not subject to
21 10 CFR 50.49 EQ requirements prior to entering the
22 period of extended operations.

23 This application was originally reviewed
24 under the original GALL, GALL Rev. 0. The E6
25 program was not part of that GALL. The applicant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has committed to basically implementing one of the
2 programs implemented in the latest GALL revision.

3 I'd like to move on and discuss the
4 timed-limited again analyses. The first table here
5 summarizes the upper shelf energy for the limiting
6 belt line components. The acceptance criteria for
7 upper shelf energy is greater than 50 foot pounds.
8 The applicant has demonstrated and the Staff has
9 verified that the upper shelf energy for the
10 limiting belt line components at Monticello will
11 exceed 50 foot pounds at the end of the period of
12 extended operations.

13 The next table summarizes the mean nil
14 ductility reference temperature for the limiting
15 circumferential and axial welds. The values for
16 both are calculated to be within acceptable limits
17 through the period of extended operation pursuant to
18 10 CFR 54.21(a)(1)(ii).

19 CHAIRMAN BONACA: A question I have,
20 okay, this is more learning on my part, but I found
21 for this plant a lot of equivalent margin analysis
22 and, you know, which we haven't seen often before.
23 Maybe it is because of BWR versus PWR, but typically
24 we have a screening process by which you say you
25 meet the screening criteria and you don't have to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any further analysis.

2 MR. ELLIOTT: Right.

3 CHAIRMAN BONACA: And here I saw a lot
4 of equivalent margin analysis. If it's a separate
5 issue, you might want to address both. In page 422
6 of the application when it speaks of reactor
7 pressure vessels circumferential weld properties and
8 then it presents a conditional failure probability
9 at 64 EFPY of 1.78 as an acceptance criteria. And I
10 haven't seen that.

11 MR. ELLIOTT: I can't hear you. But let
12 me just summarize.

13 We went through the licensee what they
14 had to do for the upper shelf energy. And it turns
15 out they have four plates in the -- I think it's
16 four plates in the belt line. And one of the plates
17 is in their surveillance program, so they actually
18 have Charpy data for that plate.

19 CHAIRMAN BONACA: Okay.

20 MR. ELLIOTT: The problem is the other
21 three plates they don't have enough Charpy data to
22 know what the upper shelf energy is. And this is
23 not something that's specific to them. There's a
24 lot of GE plants that have the same problem.

25 When these plants were originally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensed there was no requirement to do upper shelf
2 energy testing. You just had to test in the
3 transition region and you had to have a lower enough
4 transition temperature so that you had adequate
5 toughness. So they didn't do the testing on the
6 upper shelf energy. And this is typical of a lot of
7 GE plants.

8 So what GE did was they have a topical
9 report on this issue in which they say that if you
10 don't have specific values of upper shelf energy,
11 they have developed a methodology, equivalent margin
12 analysis methodology that if you have a certain
13 amount of irradiation embrittlement, you're with
14 their bounds of their analysis. So that's what they
15 were first attempting to do; to show that for these
16 plates they were within the bounds of GE and generic
17 analysis.

18 CHAIRMAN BONACA: Yes. Okay. So that's
19 likely that for GE plants we're going to see more of
20 this?

21 MR. ELLIOTT: Yes. For GE plants this
22 is very typical.

23 CHAIRMAN BONACA: But it is not really a
24 marginality of this vessel. It's more like it's
25 typical of the approach we're going to see for GE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plants, for boilers?

2 MR. ELLIOTT: Right.

3 CHAIRMAN BONACA: Well the other issue
4 is that cable on page 422 where they're speaking of,
5 sort of the, configuration of weld -- essentially
6 the calculation reference, NRC calculation where a
7 condition of failure probability as 64 EFPY is used
8 as a criteria.

9 MR. ELLIOTT: Yes.

10 CHAIRMAN BONACA: And that's 1.78 and
11 ten to the minus five. And I really surprised by
12 seeing this kind of criteria used.

13 MR. ELLIOTT: Are we talking about the
14 circumferential welds?

15 MR. MERZKE: Yes. It's the BWRVIP-05.

16 MR. ELLIOTT: Okay. We reviewed the
17 circumferential welds under the BWRVIP-05 program.

18 CHAIRMAN BONACA: Okay.

19 MR. ELLIOTT: And the purpose of that
20 review at the time was to eliminate the inspection
21 of the circumferential welds. And GE put out their
22 report, and we reviewed it. And we did our own
23 analyses to convince ourselves that what they were
24 saying was true. So we put out in our safety
25 evaluation of that topical report our own analyses.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes.

2 MR. ELLIOTT: And we took their
3 fluences.

4 CHAIRMAN BONACA: Yes.A

5 MR. ELLIOTT: And we extended it,
6 originals were 40 years. And we extended it to 64
7 effective full power years just to show how it would
8 impact the analyses. And we determined that even at
9 65 effective full power years they would still be
10 the criteria that we had established to eliminate
11 the inspection of the circumferential welds.

12 CHAIRMAN BONACA: That's the inspection
13 effect. Okay. Yes, that was on page 422 of the
14 application. Bill, you were looking at it.

15 All right. That was to eliminate the
16 inspection. Okay. All right. I think that you've
17 gotten what I needed.

18 MEMBER SHACK: I mean, they eliminate
19 the inspection mostly because they can't do it?

20 MR. ELLIOTT: No, no. They can't do a
21 100 percent.

22 MEMBER SHACK: They can't do a 100
23 percent, yes.

24 MR. ELLIOTT: But the reason we have
25 eliminated it isn't because of that. We find that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the axial welds are much more susceptible. If
2 something was going to happen, they're under a much
3 higher stress than the circumferential welds. And
4 so that the axial welds would be a precursor to what
5 would happen for the circumferential welds. So as
6 long as we inspect the axial welds, we're
7 comfortable that you don't need to inspect the
8 circumferential welds.

9 CHAIRMAN BONACA: Okay. Thank you.

10 MR. MERZKE: On to Section 4.3 the
11 application covering metal fatigue. The applicant
12 satisfactorily demonstrated that the cumulative
13 usage factor, CUF, for all components subject to
14 fatigue will not exceed 1.0 through the period of
15 extended operations. Components evaluated are
16 monitored by the applicant's fatigue monitoring
17 program, which the staff found acceptable.

18 Section 4.4 covers irradiation-assisted
19 stress corrosion cracking or IASCC. Components made
20 from austenitic stainless steel exposed to a neutron
21 fluence in excess of 5 times 10 to the 20th neutron
22 per centimeter squared considered it susceptible to
23 IASCC. These components include the top guide,
24 shroud and in core instrumentation, dry tubes and
25 guide tubes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 IASCC is managed by Monticello by the
2 ASME Section 11 ISI sub sections IWB, IWC and IWD
3 program, vessel internals implant chemistry
4 programs.

5 In 1999 the applicant implemented the
6 hydrogen water chemistry program to reduce the
7 oxygenated environment also reducing the
8 susceptibility to IASCC.

9 In addition to the examinations required
10 by the ISI program, the applicant committed to
11 conduct additional top guide inspections of the high
12 fluence locations using the enhanced visual
13 inspection technique.

14 Section 4.7 covers the environmental
15 qualification of electrical equipment. The Staff
16 reviewed the applicant's TLAA on environmental
17 qualification program and concluded that the
18 evaluation was acceptable in accordance with 10 CFR
19 54.21(c)(0)(ii).

20 Section 4.8 covered the stress
21 relaxation of rim hold-down bolts. The applicant
22 provided an analysis on the stress relaxation of the
23 core plate hold-down bolts, which the Staff
24 reviewed. The Staff found the initial evaluation
25 unacceptable because it relied on friction, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was not included in the generic analysis accepted in
2 BWRVIP-25. The Staff requested the applicant
3 provide an analysis which did not include friction.
4 Subsequent analysis was provided by General
5 Electric. It was comparative analysis between the
6 BWRVIP-25 loads and the Monticello specific loads.
7 The analysis determined that the bolt stresses at
8 Monticello were either bounded by the BWRVIP-25
9 analysis or within ASME allowables. The Staff found
10 the analysis acceptable pursuant to 10 CFR
11 54.21(C)(1)(ii).

12 To summarize the TLAAs, pursuant to 10
13 CFR 54.3 the Staff found the TLAA list adequate and
14 pursuant to 10 CFR 54.21(c)(1) the Staff found that
15 the analyses provided would be the remain valid for
16 the period of extended operations. They were
17 projected to the end of the period of extended
18 operations or that the effects of aging will be
19 adequately managed for the period of extended
20 operations.

21 And pursuant to 10 CFR 54.21(c)(2) there
22 are no plant specific exceptions.

23 In conclusion, the Staff has concluded
24 that there is reasonable assurance that the
25 activities authorized by the renewed license will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 continue to be conducted in accordance with the
2 current licensing basis. And that any changes made
3 to the MNGP current licensing basis in order to
4 comply with 10 CFR 54.29(e) or (a) are in accord
5 with the Act and the Commission's regulations.

6 Does anybody have any further questions?

7 CHAIRMAN BONACA: Any questions? No
8 questions. We thank you for that presentation. It
9 was very informative.

10 At this stage what I would like to do is
11 to, first of all, ask the audience if you have any
12 questions for the presenters. There are none.

13 What I would like to do is to go around
14 the table and get insights on two things. One, do
15 we need to have a interim letter. And a second
16 question that I have is views regarding the
17 application and the safety evaluation reports by
18 individual members. You know, what are the most
19 notable issues. I believe I'm scheduled for a brief
20 update to the full Committee tomorrow or the day
21 after. So I would like to know from you what input
22 I should provide.

23 So again, two questions: (1) Should we
24 have an interim letter, and; (2) what feedback
25 should we give to the full Committee on this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. And also some views that you may have
2 on the application and the safety evaluation report.

3 So I'll start with you, Jack?

4 MEMBER SIEBER: Okay. The answer to
5 your first question is I don't see a need for an
6 interim letter.

7 My view of the application and the SER
8 and the audit and inspection report is that all
9 three documents were generally well done and
10 complete. I think the application was
11 comprehensive, even though the Staff did determine
12 in the area of scoping there were a few minor
13 corrections that needed to be made.

14 I think particularly impressive was the
15 inspection and audit report headed up by Region III.
16 Again, they have done an excellent job and it
17 results in including the licensee's effort to review
18 RAIs sent to other LER license renewal candidates.
19 Their requests for additional information and
20 include the answers in their application; I think
21 that saves a lot of effort for both the licensee and
22 the Staff. And I commend the licensee for doing
23 that.

24 And the result was an unusually low
25 number of RAIs. And I think the process more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 efficient. I think it reduces burden on all parties
2 involved. And I think shows the maturing of the
3 license renewal process.

4 The inspection and audit report, again,
5 was very thorough and well written. And basically
6 left no stone unturned. It was very clear to me what
7 steps the inspectors took to make their
8 determinations.

9 And so I think overall I would say that
10 it was a job well done.

11 In addition to looking at the
12 application, the inspection and audit report and the
13 SER, I also looked at other inspection reports
14 related to that plant on the NRC's website along
15 with their reactor oversight process, performance
16 indicators. And I was familiar years ago with the
17 performance of both of those northern states power
18 plants, Monticello and Perry Island. And it appears
19 based on what I could read and what I reviewed, that
20 they continue to perform well, and to me that's an
21 important factor.

22 So overall I was generally impressed
23 with the quality of both the licensee and the
24 Staff's reports. And I think the job was well done.

25 CHAIRMAN BONACA: Good. Thank you, Jack.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Appreciate it.

2 Bill?

3 MEMBER SHACK: I don't see any need for
4 an interim letter.

5 I'm still curious about this factor of
6 14 in the fluence. I mean, that just strikes me as
7 an extraordinary change in value that I can't
8 conceive of. And if somebody could email an
9 explanation of where it comes from --

10 MR. ZIMMERMAN: We'll do that. We'll get
11 that to you.

12 CHAIRMAN BONACA: Okay. Sam?

13 MEMBER ARMIJO: Yes. I don't want to
14 comment on the need for an interim letter. I don't
15 know enough about the process yet to talk about
16 that.

17 I think I agree with Jack's assessment
18 overall. I think a very nice job done by the Staff
19 and by the applicant.

20 I still have a nagging concern about the
21 drywell in that I'm not sure that the UT inspection
22 that was done was done in the worst location or the
23 most severe location. So I'd appreciate if either
24 the Staff or Niagara-Mohawk could tell where these
25 inspections were done before we put that issue to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bed. If it was done in the worst case location, I
2 think they've got plenty of margin in this plant.
3 BWR 3s have always been our really nice little
4 plants, low powered power density plants. And I
5 think the plant's been very well maintained. And I
6 think the plan to keep it that way is good.

7 So other than the issue n the --

8 CHAIRMAN BONACA: Well, let me just
9 point out that the issue on the interim letter. If
10 this was, for example, to be a significant issue for
11 which we have expectations, that would be a
12 motivation for writing an interim letter.

13 MEMBER ARMIJO: That's what I wanted to
14 ask. You know, maybe we just don't have the
15 information. But if it turned out, for example I
16 just have this concern that there could be a low
17 point where water's accumulated and stayed there for
18 a long time, and that wasn't the location where the
19 UT exam was done, it was done somewhere else. So
20 that's really my remaining concern.

21 MR. ZIMMERMAN: We'll look into that,
22 and we'll get that back to you through Tany. And
23 we'll talk to the licensee about that.

24 CHAIRMAN BONACA: Otto?

25 MEMBER MAYNARD: And you said Niagara-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mohawk, I don't think Niagara-Mohawk is going to get
2 you anywhere on --

3 MEMBER ARMIJO: Oh, no, no. Monticello.
4 I'm sorry. I said Niagara-Mohawk, I'm sorry. It's
5 still a BWR, I think.

6 MEMBER MAYNARD: Yes.

7 I see no need for an interim letter. I
8 agree with the previous comments on the overall
9 quality, scope and depth of the reports.
10 Especially complimentary of the inspection report
11 there.

12 And I believe that other Sam's specific
13 question on the location of these inspections, I
14 think that most of the issues that we may have
15 lingering a little bit on the shell is really more
16 of a generic question and issue that we need to come
17 to grips with than it is a Monticello specific as to
18 exactly what's required. It appears to me as though
19 they're doing exactly what the interim staff
20 guidance is requiring and have done that. So I think
21 it's more of a generic than a plant specific force.

22 CHAIRMAN BONACA: Okay. Thank you.

23 Yes, I share some of the views of the
24 rest of the Committee.

25 First of all, I was impressed by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 clarity of the application, and most of all the
2 inspection reports. I mean they were quite informed,
3 they provided a lot of information.

4 Regarding the liner, containment liner,
5 you know the presentation from the inspector leader
6 here gave some confidence. Because, I mean, they
7 probed the issue, they went back and looked at it.

8 I still believe, however, that it is
9 somewhat concern to me and I tend to agree with you,
10 Otto, that it is a generic issue right now. You
11 know we don't have a very clear basis for saying
12 Browns Ferry should inspect and Monticello should
13 not or doesn't need to. I mean I don't understand
14 yet what makes the big distinction there, okay. And
15 I think we have to clarify this issue.

16 In addition to that, I'm kind of
17 concerned about license renewal and all this
18 inaccessible components. I mean, the issue is not
19 only the liner. The issue is the cables we are going
20 to discuss tomorrow on this Generic Letter. The
21 issue is piping, which is buried under. And you
22 know these components are not going to operate
23 forever. You're going to have some incidents of
24 degradation tied to aging and I'm not sure that the
25 programs we have in place are going to address the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues in a complete fashion.

2 I know going back to the containment
3 liner, I mean I am puzzled by the guidance that we
4 have licensees by which we impose a requirement for
5 an inspection on one and we do not on some other. It
6 is all left to the judgment of the reviewer. I
7 think it's an important issue that we have to look
8 at.

9 If that was my plant and I have been 19
10 years without looking at it, I would commit to do an
11 inspection. Now does it meet however the
12 requirement of the rule? It sounds like it does.
13 So, you know, my sense is is maybe we don't interim
14 letter. The only purpose of an interim letter would
15 be for us to say to recommend that they have an
16 inspection done. And, you know, my sense is that
17 let's leave it as a generic issue.

18 And I think it will be interesting to
19 gain an understanding of this issue as we go forward
20 so that we have a better understanding of when we're
21 going to ask for an inspection and when we're not.

22 MR. ZIMMERMAN: In fact, tomorrow at
23 3:15 we're scheduled to come over here and brief you
24 on the ISG, so that will prompt further dialogue on
25 the issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes. Okay. Good.
2 And that brings it to the table anyway.

3 So outside of these comments, I mean I
4 think that again it sounds like this is a good
5 plant, has a good operating history. It seems to be
6 ready for moving on to --

7 MEMBER SHACK: Well, I'm impressed when
8 they found a number of SAMAs that would improve
9 their safety, they went out and implemented them.

10 CHAIRMAN BONACA: Yes.

11 My concluding statement, I agree with
12 the other comments of the members. Very low number
13 of RAIs, by the way. It is a real improvement in
14 the process. And I think we're getting to a maturity
15 of the license renewal process.

16 Okay. So you've got our comments.
17 We're not going to have an interim letter, at least
18 we're not going to recommend one to the full
19 Committee.

20 And I'm going to turn around and see if
21 there are any further questions or comments
22 regarding these applications from the public. If
23 are no further comments, this meeting is adjourned.

24 (Whereupon, at 4:10 p.m. the meeting was
25 adjourned.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

Official Transcript of Proceedings
NUCLEAR REGULATORY
COMMISSION

Title: Advisory Committee on Reactor Safeguards
Plant License Renewal Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, May 30, 2006

Work Order No.: NRC-1057

Pages 1-114

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

PLANT LICENSE RENEWAL SUBCOMMITTEE

MEETING

+ + + + +

ROCKVILLE, MARYLAND

TUESDAY

MAY 30, 2006

The Subcommittee met in Room 2TB3 at Two White Flint North, 14555 Rockville Pike, Rockville, Maryland, at 1:30 p.m., Mario V. Bonaca, Subcommittee Chair, presiding.

MEMBERS PRESENT:

MARIO V. BONACA Chairman

J. SAM ARMIJO

WILLIAM J. SHACK

JOHN D. SIEBER

GRAHAM B. WALLIS

OTTO MAYNARD

1 NRC STAFF PRESENT:

2 CAYETANO SANTOS Designated Federal Official

3 JAKE ZIMMERMAN

4 DAN MERZKE

5 PATRICIA LOUGHEED

6 DAVE POTTER

7 MICHAEL ALEKSEY

8 PETER WEN

9 BARRY ELLIOTT

10 HANSRAJ ASHAR

11 JAMES MEDOFF

12 DR. KEN CHANG

13 DR. K.T. KUO

14 MONTICELLO REPRESENTATIVES PRESENT:

15 PATRICK BURKE

16 JOHN GRUBB

17 JOEL PAIRITZ

18 SHERRY BERNHOFT

19 JIM ROOTES

20 RON SIEPEL

21 STEVE HAMMER

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18

A-G-E-N-D-A

OPENING REMARKS 4

STAFF INTRODUCTION, Mr. Zimmerman 5

MONTICELLO LICENSE RENEWAL APPLICATION, P. Burke 8

 Description, J. Grubb 10

 Operating history, background, scoping,
 P Burke 15

 Application of GALL, P. Burke 34

 Industry topics, J. Pairitz 34

 Commitment process, J. Pairitz 68

SER OVERVIEW 70

 Overview, D. Merzke 70

 Scoping and screening results, D. Merzke 72

 License renewal inspections, P Lougheed 75

AGING MANAGEMENT REVIEW RESULTS and TIME-LIMITED
AGING ANALYSES, D. Merzke 84

SUBCOMMITTEE DISCUSSION 107

P-R-O-C-E-E-D-I-N-G-S

1.31 p.m.

CHAIRMAN BONACA: The meeting will now come to order.

This is a meeting of the Plant License Renewal Subcommittee. I am Mario Bonaca, Chairman of the Plant License Renewal Subcommittee.

The ACRS members in attendance are Jack Sieber, Bill Shack, Graham Wallis, Sam Armijo and Otto Maynard.

Cayetano Santos of the ACRS Staff is a Designated Federal Official for this meeting.

The purpose of the meeting is to discuss the license renewal application for the Monticello Nuclear Generating Plant. We will hear presentations from the NRC's Office of Nuclear Reactor Regulation and representatives of the Nuclear Management Company.

The Subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberation by the full Committee.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the *Federal*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Register. We have received no written comments or
2 requests for time to make oral statements from
3 members of the public regarding today's meeting.

4 A transcript of the meeting is being
5 kept and will be made available as stated in the
6 *Federal Register* notice. Therefore, we request that
7 participants in this meeting use the microphones
8 located throughout the meeting room when addressing
9 the Subcommittee. The participants should first
10 identify themselves and speak with sufficient
11 clarity and volume so that they may readily heard.

12 We will now proceed with the meeting.
13 And I call upon Mr. Jake Zimmerman to begin the
14 meeting.

15 MR. ZIMMERMAN: Thank you, Dr. Bonaca.

16 Good afternoon. My name is Jake
17 Zimmerman. I'm the Branch Chief in License Renewal
18 Branch B, in the Division of License Renewal.

19 With me today is Dr. Ken Chang, who is
20 the Branch Chief for License Renewal Branch C, whose
21 responsibility is the on-site audits of the aging
22 management programs and the aging management reviews
23 and also the time limit and aging analysis.

24 Behind me also is Dr. P.T. Kuo, our
25 Deputy Director for the Division of License Renewal,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 who you all are familiar with.

2 The Staff has conducted a very detailed
3 and thorough review of the Monticello Nuclear
4 Generating Plant license renewal application which
5 was submitted in March of 2005. Mr. Dan Merzke,
6 here to my right, is the Project Manager for this
7 review. He will lead the Staff's presentation this
8 afternoon on the draft safety evaluation report.

9 In addition we have Ms. Patricia
10 Lougheed who is our team leader for the Region III
11 inspections that were conducted at Monticello
12 Nuclear Generating Plant.

13 We also have several members of the NRR
14 technical staff here in the audience to provide
15 additional information and answer your questions.

16 The Staff felt that the Monticello
17 Nuclear Generating Plant application was of very
18 good quality. This resulted in the issuance of only
19 a 113 formal requests for additional information. I
20 know the ACRS has been interested in the number of
21 questions that have come out of these reviews in the
22 past. We believe part of that reduction is as a
23 result of the Generic Aging Lessons Learned Report.
24 This application was submitted using the draft GALL
25 Report that was issued back in January of 2005,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 however it was reconciled with the September 2005
2 version of the GALL Report. In fact, it resulted in
3 a 95 percent consistency between their application
4 and the revised GALL. So I think it was a good
5 application. The GALL certainly helped with the
6 review providing a roadmap.

7 In addition, the Staff at Monticello
8 provided excellent support for our on-site audits,
9 the inspections that were conducted and also the
10 headquarters reviews through the conference calls
11 and numerous meetings that we had.

12 Because there are no open items, the
13 Staff has requested that we accelerate the schedule
14 to complete this review in 20 months versus our
15 standard 22 months. That's been the practice over
16 the last several license renewal applications, and
17 we're working with ACRS Staff to set up the next
18 meeting.

19 And with that, I'd like to turn it over
20 to Pat Burke, who is the Manager of this project to
21 begin the applicant's presentation.

22 MR. BURKE: Thank you, Jake.

23 And thank you members of the ACRS
24 Subcommittee for allowing Monticello to present this
25 presentation in support of the Staff in this meeting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 today.

2 What I'd like to do is start off by
3 giving a brief introduction of the team and the
4 members that we have here today to help answer any
5 questions you may have.

6 Now we have on my left here a Mr. John
7 Grubb, who our Director of Engineer.

8 We have Ms. Sherry Bernhoft, who is the
9 Director of Fleet Project Management in the
10 audience.

11 Again, I am Patrick Burke, the Manager
12 of Projects.

13 Joel Pairitz is our License Renewal
14 Project Manager.

15 Ray Dennis is our civil lead.

16 Ron Spiepel is our electrical lead.

17 Jim Rootes is our programs lead.

18 Michael Aleksey we have as our TLAA
19 support.

20 Dave Potter is our engineering
21 supervisor of inspections and materials.

22 And Steve Hammer is a principal engineer
23 on the project.

24 We also have with us today our sister
25 plant, Palisades from the Nuclear Management Company

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 observing and gaining any lessons learned during
2 this presentation today.

3 What we'd like to talk about today is
4 the agenda. We will start with having John Grubb go
5 over a brief description of the Monticello Nuclear
6 Generating Plant.

7 And I'll talk a little bit about the
8 operating history and some highlights. I'll talk a
9 little bit about the project application and
10 background. I'll discuss the methodology. And as
11 Jake mentioned, we'll talk a little bit about the
12 application of the GALL to Monticello's application.

13 At that point I'll turn it over to Joe,
14 our Project Manager to go over a couple of industry
15 topics such as drywell shell corrosion shroud
16 cracking, steam dryer. And then we'll conclude with
17 a short discussion on commitment process.

18 At this point I'd like to turn it over
19 to Mr. John Grubb.

20 MR. GRUBB: All right. Thank you, Pat.
21 And again, thanks to the Committee.

22 A brief description of the Monticello
23 plant. The plant is located, it's on the banks of
24 the Mississippi River. It's roughly 30 miles
25 northwest of Minneapolis. It's approximately 2100

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 acres of land that's owned by Xcel Energy.

2 The plant is a single unit GE BWR 3. We
3 do have a Mark I containment.

4 MEMBER WALLIS: One question about this.

5 MR. GRUBB: Yes, sir.

6 MEMBER WALLIS: How far do the suburbs
7 of Minneapolis extend the direction of the plant?

8 MR. GRUBB: The closest suburb actual
9 Minneapolis suburb to the plant is the Maple Grove
10 suburb, and it's about 18 to 20 miles.

11 MEMBER WALLIS: Okay. Thank you.

12 MR. GRUBB: Our current license thermal
13 power is 17075 megawatts thermal, approximately 600
14 megawatts electric.

15 The plant is owned by Northern States
16 Power Company, which is a subsidiary of Xcel Energy.

17 The plant is operated by the Nuclear
18 Management Company.

19 And we have an on-site staff of
20 approximately 420.

21 Just a quick aerial view of the station.
22 The Mississippi River, which is ultimate heat sink.
23 Intake structure here. Turbine building. Reactor
24 building. Cooling towers and discharge canal here.
25 Return to the river up in the upper left. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 subyard is here. It's a pretty small, relatively
2 compact site.

3 Next.

4 What you'll see in this slide is that
5 Monticello has historically been and continues to be
6 a very reliable plant. Our current unit capability
7 factor is rated at 93 percent. Our INPO performance
8 index is at 100 percent. We are greater than 1500
9 days since our last scram from power. Our current
10 operating cycle, we've been online for greater than
11 400 days. We currently have no equipment issues that
12 are threatening unit availability.

13 MEMBER SHACK: What's your fuel like?

14 MR. GRUBB: We are on a two year fuel
15 cycle.

16 The performance indicators are all
17 green. And we have no findings that have been
18 greater than green.

19 MEMBER SIEBER: I have a question about
20 the inspection findings.

21 MR. GRUBB: Yes, sir.

22 MEMBER SIEBER: I looked through all of
23 your inspection reports for the last couple of
24 years, and including the summary of the findings.
25 And they were all green or less. And I noticed a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lot of areas didn't have any findings at all, which
2 is actually a good thing.

3 On the other hand, if I review all those
4 findings which resulted in on-sited violations, I
5 think that you might be able to pick out a trend.
6 And I was wondering if you have done that and see a
7 trend or a problem area in your findings?

8 MR. GRUBB: Well, I wouldn't say I see a
9 problem area. What Monticello has been going
10 through over the last several years is we focused on
11 the programs area specifically and we've done a lot
12 of reconstitution. And a lot of time focusing,
13 doing assessments in the programs area. So we have
14 a number of things that have come up in the
15 programs; Appendix R, fire protection, EQ, some of
16 those areas that we have focused on. But we've
17 been doing that because we recognize that maybe we
18 hadn't been at the top of the industry with respect
19 to how we treated programs historically.

20 MEMBER SIEBER: Another thing that I
21 noticed was several operator errors that occurred
22 during surveillance testing. Does your staff have a
23 pretty good size turnover at this time? It's an
24 older plant and older plants often have a staff that
25 grew up with the plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GRUBB: Yes. There has not been a
2 lot of turnover in the operations area specifically.
3 We have been trying to bring groups of new license
4 candidates and new operator candidates over the last
5 several years. We hired ten last year.

6 As far as the human performance, we do
7 recognize that. There is two initiatives at the
8 site level that we're going after to try to address
9 that.

10 What the station is is we have six focus
11 areas. And the way we treat those is if we do
12 nothing else as a station, those six areas are going
13 to get a lot of attention. Two of those, one is
14 operations leadership which is making sure the Ops
15 department is leading the station and the operators
16 are taking responsibilities. The second one is
17 procedure use and adherence. So we have recognized
18 that trend and we are focusing on those two areas.

19 MEMBER SIEBER: And how would you
20 describe compared to other plants the material
21 condition of Monticello?

22 MR. GRUBB: I guess I don't have a good
23 picture of the rest of the plants. Our material
24 condition is very good. We're in pretty good shape.
25 The plant has historically been maintained very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well. What you'll see at Monticello and the people
2 that come to Monticello, the craft and the mechanics
3 and so forth that maintain the equipment take a
4 tremendous amount of ownership. And as a result of
5 that, our equipment performance and our equipment is
6 in very good condition.

7 MEMBER SIEBER: I would caution that
8 even though Minnesota is a great place, you might
9 not want to isolate yourself from your brethren in
10 the industry and get out and see what the best
11 plants look like and make yours just like it.

12 MR. GRUBB: We agree.

13 MEMBER SIEBER: Okay. Thanks.

14 MR. GRUBB: All right. Pat, back to
15 you.

16 MR. BURKE: All right. I'd like to
17 start my discussion with a little bit on the
18 operating history and highlights, some background,
19 Monticello's construction. The permit was issued in
20 1967. We obtained our operating license in
21 September of 1970. That means that 40 years later
22 in September of 2010, our 40 year license would
23 expire. And as Jake mentioned earlier, we did
24 submit our license renewal application in March 16th
25 of 2005.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 These next couple of slides I'll talk a
2 little bit about the operating history, and this
3 will go to the point of material condition which we
4 just talked about.

5 In 1984 we replaced all the resurg
6 piping with a low carbon stainless steel resistant
7 to intergranular stress corrosion cracking. The
8 small bar piping was a 304L material. The large bar
9 piping was a 316 NG material. During that project
10 we replaced risers, supply headers, suction piping
11 and safe-ends.

12 We made some additional improvements by
13 reducing the number of welds and doing some
14 induction heating, stress improvement and
15 electropolishing was applied to the new pipe.

16 In 1986 we replaced spray safe-ends with
17 intergranular stress corrosion cracking resistant
18 material also.

19 In 1989 we implemented the hydrogen
20 water chemistry. We were one of the early plants in
21 implementing that. We implement the moderate
22 hydrogen water chemistry for protection of the
23 vessel internals.

24 MEMBER SHACK: And you're still doing
25 that rather than noble metal?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: That's correct. We are
2 still with moderate hydrogen water chemistry. We
3 have been evaluating noble metals. We've been kind
4 of a slow deliberate approach to reviewing that.
5 We've had very, very good fuel reliability. So
6 we're kind of going slowly into noble metals.

7 MEMBER ARMIJO: Have you been adding any
8 zinc for dose retrieval?

9 MR. BURKE: Yes, we have. We inject
10 depleted zinc.

11 MEMBER SHACK: This is probably getting
12 ahead because you're going to tell us about core
13 strength, but what's the condition of your core
14 shroud jus as a sample internal that's seen a lot of
15 cracking in other plants?

16 MR. BURKE: I think I'll defer that Mr.
17 Dave Potter.

18 MR. POTTER: I am Dave Potter from the
19 Monticello plant.

20 The condition of our shroud is actually
21 better than most in the industry. I wouldn't say
22 it's the best. Our most cracked weld is the H3 weld
23 which had 27 percent indication of our last
24 inspection. But we had three-quarters of that weld
25 basically covered in our last inspection. So in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relative terms our shroud is very good.

2 MR. BURKE: And we will be giving more
3 information in a minute also.

4 In 1997 we did replace the emergency
5 core cooling system suction strainers. And we
6 increased the surface area of those strainers for
7 debris loading.

8 In 1998 we did initiate a power uprate.
9 We increased our power level from 1670 megawatters
10 thermal up to 1775 megawatts thermal, which was a
11 6.3 percent increase.

12 As part of the license renewal effort,
13 we did implement six SAMAs, which did significantly
14 reduce our overall plant risk.

15 MEMBER SHACK: Now those are the six
16 SAMAs that were identified in your environmental
17 impact statement as having a favorable cost risk?

18 MR. BURKE: Yes, sir. That is correct.

19 MEMBER SHACK: That's all six, including
20 the manual RCIC which reduced your CDF but upped
21 your risk?

22 MR. BURKE: That is correct.

23 MEMBER SHACK: Okay. Well, if one of my
24 colleagues was here, he'd ask you about that. But
25 we'll let that one pass.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: He's not here.

2 I would like to know, however, what is
3 the CDF for this plant?

4 MR. BURKE: The core damage frequency
5 before the six SAMAs was 4.37 ten to the minus
6 fifth. And the after implementation --

7 CHAIRMAN BONACA: Internal events or
8 total?

9 MR. BURKE: Total events.

10 CHAIRMAN BONACA: Internal events?

11 MR. BURKE: Internal, that's right.

12 And after the implementation of this was
13 changed to 5.99 times ten to the minus six per year.

14 MEMBER SHACK: That was a question I was
15 going to have for the Staff. You know, reading
16 through here this was the first environmental impact
17 where I came to the SAMAs and they actually, you
18 know, they had a bunch of favorable ones. And the
19 fire truck one was a real bargain. You know, you
20 haul the fire truck and hook it up.

21 What is the criteria for when -- why did
22 we ask these people to do these SAMA analysis? Is
23 there some criterion that they would meet that they
24 would have to do them or is it just something they
25 look at? You know, they obviously choose to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implement a number of the SAMAs. And I just
2 wondered in general what do we do with the SAMA
3 analysis after they do it?

4 You can come up with that later or
5 answer now?

6 MR. KUO: Yes. P.T. Kuo, License
7 Renewal.

8 We generally perform the SAMA analysis
9 and if we see there is a cost benefit area that the
10 applicant can improve, then we make the
11 recommendations. And we send this recommendations
12 to them that these are the cost beneficial actions
13 that they have to take.

14 And then later on --

15 MEMBER SHACK: So they don't have to
16 take them, though?

17 MR. KUO: They don't have to take them.

18 MEMBER SHACK: They could take them?

19 MR. KUO: But based on our SAMA analysis
20 we identify, if we identified any actions that we
21 believe is beneficial, we'll let them know.

22 MEMBER SIEBER: Before you move forward,
23 I'd like to go back to your 6.3 percent power
24 uprate. Do you have additional margin in your plant
25 where you could perform another uprate in power?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: We've done some studies,
2 some evaluation on that. There would be significant
3 cost. If we decided to do another power uprate, it
4 would be a significant cost to replace the
5 equipment.

6 MEMBER SIEBER: Like the turbine?

7 MR. BURKE: Like the turbine, generator
8 rewinds, transformers, feed pumps.

9 I think the answer to your question is
10 there is probably not a lot of margin above and
11 beyond for another power uprate. We have margin
12 where we're at.

13 MEMBER SIEBER: Okay. Thanks.

14 MR. BURKE: Now looking out into the
15 future, we have a number of future lifecycle
16 management projects that are in progress and being
17 implemented, such as replacement of feedwater
18 heaters, recirc pump motors and rotating pump
19 assemblies. We've done the 11 pump last outage and
20 we plan to do the 12 pump this outage the service
21 water pump replacements and transformers and
22 generator rewinds.

23 The next couple of slides I would like
24 to talk a little bit about the project. This slide
25 here what I'd like to talk about is how we selected

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the people for the project and how we made sure we
2 had the right people for the project.

3 Now, we initiated the project through an
4 interview process for site employees. We selected a
5 core team. They're NMC employees that were from the
6 site. Four of them had SROs or SRO certifications
7 and all of them were very experienced and
8 multidisciplined.

9 We supplemented that core team with
10 license renewal experienced contractors. Again, the
11 majority of those contractors were on-site
12 performing that work. We did retain the majority of
13 that team during the audits and inspections. So we
14 had the same people that prepared the application
15 supporting the audits and inspections.

16 We contracted with General Electric to
17 perform the reactor pressure vessel and internal
18 time-limited aging analysis and aging management
19 reviews.

20 And we also did engage the plant and the
21 site staff in review of aging management review
22 documents and aging management program documents.

23 MEMBER SHACK: The one thing that struck
24 me as extraordinary, though, in the TLAA for the
25 core shroud, the first estimate of the shroud

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence peak was 3 times 10 to the 20, and then it
2 got changed to 3.8 times 10 to the 21. Now that's a
3 factor of 14 and it was a change in methodology.
4 I'm a little surprised to see that kind of a change.
5 Is there some explanation for what went on there?

6 MR. BURKE: Yes. I'd like to defer that
7 to Michael Aleksey.

8 MR. ALEKSEY: My name is Michael
9 Aleksey.

10 I'd like you to rephrase that question,
11 please? I didn't hear the first part of it.

12 MEMBER SHACK: In the initial license
13 renewal application it says the peak shroud fluence
14 was 3 times 10 to the 20 neutrons per square
15 centimeter greater than 10 leV.

16 MR. ALEKSEY: Yes.

17 MEMBER SHACK: Then it got changed to
18 3.8 times 10 to the 21. I mean it's a factor of 14.

19 MR. ALEKSEY: Well, the original
20 analysis was based on Reg. Guide 1.99 and the
21 original capsule that was pulled in 1984
22 thereabouts, we went to the Reg. Guide 1.190
23 evaluation and used the typical factors to bump that
24 up by 30 percent at certain areas and stuff like
25 that, and came up with the results that we got.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I don't think that that's unusual in
2 terms of --

3 MEMBER SHACK: It's not unusual? A
4 factor of 14? I mean, you know from a case 3 times
5 10 to the minus 20 you're hardly seeing any
6 influence of irradiation on stainless steel to 3
7 times 10 to the 21; it's, you know, a big time
8 change. It's embrittlement, it's high crack growth
9 rates without your hydrogen water chemistry.

10 I mean, normally I hear the Staff
11 beating up people over 10 percent changes in fluence
12 and a factor of 14 just seems very large.

13 Barry is going to enlighten me.

14 MR. ELLIOTT: Barry Elliott, NRC.

15 I'd just like to talk to them for a
16 second.

17 I believe in their application, and I'm
18 making some assumptions, the original applications
19 likes the fluence is calculated for either 1775
20 megawatts or 1680 or something like that. When they
21 did the recalculation for these, it looks like they
22 used 1830 megawatts or 1880 megawatts for cycle 23
23 through the end of the license renewal period. So
24 that would account for some of the large increase.
25 In other words --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: But a factor of 14?

2 MR. ELLIOTT: I'm just saying that they
3 went from 1660 or something like that all the way up
4 to 1880 megawatt thermal. So that increases it quite
5 a bit.

6 And then they used a new GE methodology,
7 which they hadn't used before.

8 So all this stuff added in, I mean this
9 is what you did. So, I mean, I'm just reading the
10 application. You tell me is that what you did?

11 MR. ALEKSEY: This is Mike Aleksey.

12 Yes, we did. Originally it was based on
13 1670 and the Reg. Guide 1.190 evaluation it was
14 based on 1775 up through cycle 22 and then we
15 increased that to 1880 for cycle 23 on, which did
16 provide a significant conservatism. And the reason
17 we did that is because we had performed other
18 analyses at that level before and we thought it was
19 a prudent thing to do.

20 MEMBER SHACK: Okay. Well, I mean
21 since you can live with 3 times 10 to the 21, you
22 know and that sounds like the typical value I have
23 for end-of-life for a core shroud. You know, when I
24 saw the 3 times 10 to the 20 in the original
25 application, I wondered how much water you had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 between your core and your shroud, and it seemed
2 extremely low. The 3 times 10 to the 21 is about
3 where I expected it to be. I still don't understand
4 why it's so different, but obviously you can live
5 with it. And, as I say, it's a value that I find
6 plausible.

7 CHAIRMAN BONACA: Okay. Next slide,
8 please.

9 This slide talks a little about how we
10 were engaged in the industry during the development
11 of license renewal application. We attended many of
12 the working groups. We did participate in the GALL
13 draft revision 1 review and comments through NEI.

14 And we participated in our sister NMC
15 plants during their audits and inspections to gain
16 lessons learned.

17 We supported numerous license renewal
18 peer reviews throughout the industry. We also
19 hosted our own peer review where we did have seven
20 external peers on that team.

21 And then we did review many industry
22 RAIs and in detail we reviewed the Nine Mile, Point
23 Beach and Dresden/Quad's RAIs.

24 These next couple of slides we'll talk a
25 little bit about the methodology. Most of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bullets that I'll talk about now is where we added
2 additional detail into the application that you
3 might not always see. For example, we identified
4 system functions and tied those to the different
5 criterion for the different scoping to help better
6 describe why the system wasn't scoped.

7 We paid a lot of attention to our
8 boundary drawings and included boundary flags and
9 multicolored boundary drawings.

10 We used plant documentation to identify
11 our scoping components. Use DBDs and did extensive
12 plant walkdowns.

13 We created a number of technical reports
14 including those for criterion 2, nonsafety effecting
15 safety and also for the regulated events.

16 And then we did use the spaces approach
17 for our criterion 2, and that was incorporated into
18 the application.

19 MEMBER MAYNARD: I did have a question
20 here. Taking about your scoping, your boundary
21 drawings and everything. And yet in the inspection
22 report I noticed that the inspectors found a number
23 of items or systems where the boundary needed to be
24 changed or something needed to brought into scope,
25 or whatever. I'd like to get your perspective on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. Because it seemed like there's a number -- I
2 don't know if the inspectors were really picky or
3 whether you guys had missed these or what.

4 CHAIRMAN BONACA: No. We didn't have
5 some. There were some areas in the drawings, but I
6 think overall we felt that our drawings were pretty
7 accurate as boundary drawings typically go in the
8 industry.

9 MR. PAIRITZ: I am Joe Pairitz, the
10 Project Manager.

11 Some of the cases, too, occurred where a
12 color suddenly stopped and there wasn't an
13 explanation for why that was. And basically it was
14 that it went through a wall so it was no longer in
15 scope for criterion 2. And we had quite a few
16 instances where we had to go walk that down with NRC
17 inspectors to look at that. And we're doing it over
18 again, I would draw the wall in the drawing and make
19 it easier. But that was the cause for a good number
20 of those questions.

21 MEMBER SIEBER: You had other situations
22 where the line that started off on 1 PNID as a
23 colored line in scope, the adjoining PNID didn't
24 have a colored line in scope. So it ended at the
25 boundary of the drawing as opposed to some physical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 boundary.

2 MR. PAIRITZ: This is Joe Pairitz again.

3 That's correct. There were several
4 instances where the continuation went to the next
5 drawing, it didn't color it properly, and we did
6 correct those.

7 MEMBER SIEBER: Well, I read the same
8 inspection reports. And it just seemed like there
9 was a lot of them, relatively speaking.

10 My question to you would be now that the
11 inspection's over with, which is vertical slices and
12 not comprehensive, how confident are you that you
13 have captured all that should be in scope and
14 identified that on your plant drawings?

15 MR. PAIRITZ: Joe Pairitz again.

16 We did capture those instances in our
17 corrective action program. And part of that was
18 looking at other drawings to see the extent of
19 condition basically. And we're confident right now
20 that we have corrected those problems.

21 MEMBER SIEBER: When you did that, did
22 you find additional problems that wasn't found by
23 NRC inspectors?

24 MR. PAIRITZ: Off the top of my head
25 right now, I don't know for sure. There might have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been a couple, but basically no. And we spent a lot
2 of times on the drawings so we we're pretty
3 confident that they were right to begin with. They
4 did find a few instances, and in our works to
5 correct that I think we might have found a couple
6 more. But it wasn't a significant number.

7 And these things were in scope. It was
8 just the drawing didn't get colored properly.

9 MEMBER SIEBER: Yes. I gathered that
10 from the write-up.

11 CHAIRMAN BONACA: Well, some items were
12 also brought into scope, so there was some of both.

13 MR. PAIRITZ: Right.

14 CHAIRMAN BONACA: Since we're talking
15 inspections, I had a question about the corrosion
16 that the inspectors found on the conductor
17 termination logs of the fire diesel pump. And I'm
18 sure you have a surveillance program for that pump.
19 And so it was disturbing to read it because in
20 license renewal you are going to have a program
21 dealing with this fire pump which is an extension of
22 your existing program. And when I have to wait for
23 an inspector to find it, it troubles me and I
24 wondered about your view on that issue.

25 CHAIRMAN BONACA: Could I defer that to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Ron? He was involved with that inspection activity.

2 MR. SIEPEL: Right. My name is Ron
3 Siepel. I'm the electrical lead.

4 And if I understand the question right
5 is you had a question on the corrosion of the wire
6 that was in the diesel generator panel, is that the
7 question?

8 CHAIRMAN BONACA: Fire diesel -- fire
9 pump.

10 MR. SIEPEL: Okay. The diesel fire pump
11 panel, that panel had been identified on a previous
12 CAP or condition action request that was in the
13 process of replacement and it just hadn't been
14 replaced to date. And if it hasn't been replaced
15 now, it'll be replaced shortly. But that had been
16 previously identified out there under our program,
17 and it was in the process of being replaced.

18 CHAIRMAN BONACA: It wasn't identified
19 before? Wasn't clear from the inspections?

20 MEMBER SHACK: I was just curious. The
21 Staff SER sort of credits your computerized history
22 and maintenance planning system with helping in the
23 scoping, and yet it's not credited at all in your
24 license renewal application. You actually use this
25 thing or is it just sort of sitting around.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: This is Pat.

2 The CHAMPS database was used as a
3 starting point for the scoping process. That was
4 downloaded into a licensed renewal database called
5 ALEX.

6 The CHAMPS database is used more for
7 work management, so you have many of the active
8 components in there. And that was a starting point.
9 By taking that and using that as a starting point
10 and then adding all of the passive components,
11 therefore you would up with a complete ALEX database
12 for scoping and screening to take you through the
13 process methodically on a databased driven platform.

14 The next slide I'd like to talk a little
15 bit about the ageing management review. A couple of
16 other details that we added that I think help tell a
17 better story in the application was adding mechanism
18 for the aging effects.

19 MEMBER SIEBER: Let me ask one quick
20 question before we leave scoping. Is your
21 condensate storage tank in scope? I know piping and
22 anchors and bolts and housings are. But the tank
23 doesn't seem to be. Do you know?

24 CHAIRMAN BONACA: I don't know off the
25 top of my head.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: This is Joe Pairitz.

2 The piping leading up to the tank is in
3 scope. The tanks themselves, I guess I'll have Ray
4 check on that, but I think the tanks themselves are
5 not in scope.

6 CHAIRMAN BONACA: Individual --

7 MEMBER SIEBER: Yes, that's the way to
8 be. And I was wondering, you know, if all the other
9 stuff is in scope, why isn't the tank is in scope?
10 And if the tank would fail, can you still accomplish
11 what you're supposed to accomplish?

12 MR. BURKE: Yes. I'll answer one of the
13 questions, the CSTs being in scope or not. We do
14 not credit the condensate storage tank for any
15 design basis accident so they are not considered
16 safety related.

17 The piping going up to the tanks, I
18 believe and correct me if I'm wrong, Joe, is in
19 there from a nonsafety effecting safety standpoint.
20 Because they do lead in --

21 MEMBER SIEBER: Criterion 1?

22 MR. BURKE: Yes, that's correct.
23 Criterion 2. So that's why we terminated at the
24 tank.

25 And I guess Ray agrees with that. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I will have to think
2 about it? Thank you.

3 CHAIRMAN BONACA: Sure.

4 And also for the aging management
5 reviews we did numerous walkdowns to identify
6 materials and environments.

7 As for the aging management programs, we
8 wound up with 36 aging management programs. And we
9 did include the ten elements from GALL in the
10 application describing each program.

11 And lastly, I'd like to talk about the
12 application of GALL, and this is consistent with
13 what Jake started with, is we did have GALL
14 reconciliation to the Rev 0. That showed us to be
15 75 percent consistent with GALL. After we submitted
16 it we performed a precedents review, which brought
17 us up to 95 percent consistent with GALL. And we
18 believe that that high consistency with GALL
19 increased the efficiency of the audit and inspection
20 process.

21 At this point I'd like to turn it over
22 to Joe to go over the industry topics.

23 MR. PAIRITZ: Thank you, Pat.

24 Again, I'm Joe Pairitz. I'm the license
25 renewal Project Manager and also the mechanical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lead.

2 I'm going to talk about three industry
3 topics, the first being drywell shell corrosion,
4 second being the shroud cracking and thirdly the
5 steam dryer.

6 Starting with the drywell shell
7 corrosion, I'll give a little fresher on the Mark I
8 primary containment. This is a cut away view of the
9 reactor building. You have the reactor here in the
10 center, the drywell is the inverted light bulb
11 shaped liner right here. We have the vent pipes
12 going down to the suppression chamber, otherwise
13 known as the Torus.

14 We will concentrating on the refueling
15 bellows located at the top here. The air gap region
16 between the drywell shell and the surrounding
17 concrete and also the sand pocket region here
18 towards the bottom.

19 While the reactor cavity is flooded, and
20 that would be this area here. This is the spent fuel
21 pool over here. While the reactor cavity is flooded
22 for refueling activities, Monticello has multiple
23 design features for vent leakage from entering or
24 accumulating in the air gap region and in the sand
25 pocket regions. There are three separate drain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paths that exist to channel leakage away from these
2 areas in question.

3 We have a seal barrier over the sand
4 pocket region and we also have a flow switch that
5 would alert operators to any leakage from the
6 bellows.

7 MEMBER ARMIJO: This is Sam Armijo.

8 I have a quick question: Is this unique
9 for this particular BWR 3? Are these features added
10 that other --

11 MR. PAIRITZ: Some of the BWR 3s have
12 them and some don't. I think it might be related to
13 who the AE was on the project. I'm not sure of that.

14 MEMBER ARMIJO: Okay.

15 MR. PAIRITZ: We'll move into the
16 refueling bellows area, otherwise known to some
17 people are a refueling seal.

18 We have the reactor pressure vessel
19 shell over here on this side. The first set of
20 bellows we have are the reactor vessel to drywell
21 bellows. We move over, we have the drywell shell
22 right here. We have the second set of bellows that
23 are between the drywell shell and the reactor
24 building concrete. These bellows are in scope for
25 license renewal. If these bellows were to leak, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first barrier we have to protect the air gap, which
2 is down here, would be this trough or channel that's
3 down here that's supposed to catch any leakage that
4 would come from that bellows.

5 And then you have an 8 inch pipe here
6 that eventually reduces to a 4 inch pipe and goes to
7 rad waste. That line also has a flow switch on it.
8 Instead of 3 gallons per minute, that gives an alarm
9 in the control room. So if they've got a leak here
10 that's 3 gallons per minute or greater, it would
11 alarm in the control room.

12 These bellows and center spool plate
13 have been inspected in the past with no significant
14 degradation noted at that time. That was in the
15 late '80s.

16 I think we'll go on to the next slide.

17 Continuing into the air gap region here,
18 we have a 4 inch drain pipe here. There's actually
19 4 of these, 4 four inch drain pipes.

20 MEMBER MAYNARD: I'm sorry.

21 MR. PAIRITZ: Yes.

22 MEMBER MAYNARD: Go back. You say a
23 setpoint at 3 gallons per minute. Now wouldn't
24 typically you'd expect to see none?

25 MR. PAIRITZ: We expect to see none,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correct.

2 MEMBER MAYNARD: Okay. I'm not familiar
3 with it, but 3 gallons a minute --

4 MEMBER SHACK: That's a lot of water.

5 MEMBER MAYNARD: You know, 2 gallons a
6 minute wouldn't set the alarm off and that's seems
7 to me like it'd be quite a bit of water.

8 MR. PAIRITZ: Well, it is set at three.
9 I can't address the design basis for the three right
10 now. I think basically it was there to address
11 gross failure of the bellows. But if we had any
12 leakage, I can show you were that would be detected.

13 MEMBER MAYNARD: Okay. So any leakage
14 would be detected?

15 MR. PAIRITZ: Yes. And I'll think we'll
16 get to that when we talk about this picture.

17 MEMBER MAYNARD: Okay. All right.

18 MR. PAIRITZ: Here we have the air gap
19 which extends up towards the bellows. We have 4 four
20 inch drain pipes that drain this air gap region if
21 water were to get in that region. We have 18 gauge
22 galvanized sheet metal cover the sand pocket region
23 that's sealed to the drywell shell and sealed to the
24 surrounding concrete. So any water that might
25 accumulate on this sheet metal cover should be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drained away by the 4 four inch drain lines.

2 Now these drain lines come into the
3 Torus room, some people might know it as reactor
4 building basement. They're open. They come down to
5 floor level. They're open. You're going to have
6 water on the floor if there's any leakage in this
7 air gap region because they empty. They don't go to
8 rad waste, they go right on the floor into the
9 reactor building.

10 MEMBER WALLIS: You are concerned about
11 corrosion. And what you need for corrosion is
12 oxygen, presumably. That's from the air gap.

13 MR. PAIRITZ: Correct.

14 MEMBER WALLIS: And you need some
15 moisture. But you don't need a flow of water. And
16 the drains take away a flow of water, but a
17 sufficient humidity in there with very small amount
18 of liquid on the surface could lead to corrosion.

19 I'm not quite sure why drain prevents
20 corrosion. You've got to really control the
21 humidity, don't you?

22 MR. PAIRITZ: Well, when the linear was
23 originally manufactured it was painted with a
24 primer. So it does have some protection on it from
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The humidity you get in there, I mean
2 the drain pipe was obvious to remove any liquid
3 water. If you had high humidity in there, I can't
4 say what the drain would do in that case, although I
5 don't think there's a motive force to -- you know,
6 this one we're running, operating, the drywell shell
7 is fairly warm. So any water should evaporate from
8 there and, hopefully, would come out the drains. I
9 mean, not as liquid water but as a vapor.

10 MEMBER WALLIS: What happens to the air
11 gap? Do you ventilate it in some way? It just sits
12 there, sits there?

13 MR. PAIRITZ: It sits there.

14 MEMBER WALLIS: Silent air. So if there
15 were oxygen in there, it would get used up if it
16 were corroding?

17 MR. PAIRITZ: If there were oxygen in
18 there --

19 MEMBER WALLIS: It would get used up
20 pretty --

21 MEMBER SHACK: Very little.

22 MEMBER WALLIS: Yes.

23 MR. PAIRITZ: Yes. These drain pipes
24 point straight down to the floor, too. You know, I
25 don't think you get a lot of air movement into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 air gap. Maybe during heat up and cool down, but not
2 during normal operation.

3 MEMBER WALLIS: Yes, but doesn't
4 moisture slowly come out of concrete and things like
5 that over a long period of time?

6 MR. PAIRITZ: Ray, can you answer the
7 concrete question?

8 MR. DENNIS: Yes, this is Ray Dennis.
9 I'm the civil structural lead.

10 The air gap, it's not an airtight
11 environment. There's many, many penetrations to the
12 air gap or piping penetrations that go into the
13 reactor vessel and drywell. So it's a free flow of
14 oxygen and it's continuously being replenished --

15 MEMBER WALLIS: There is an oxygen
16 supply, right?

17 MR. DENNIS: Right.

18 MEMBER WALLIS: And you're carrying away
19 the water vapor --

20 MR. DENNIS: If the water vapor is heavy
21 enough to condense and then be carried away by the
22 drains. But the environment in the air gap is
23 basically the same environment you'd find in the
24 reactor building at all times.

25 MEMBER WALLIS: I guess my -- my concern

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is with enough water to cause corrosion, which
2 doesn't necessarily drain out but just stays there.
3 That's probably the worst condition for making
4 corrosion, isn't it?

5 MR. PAIRITZ: I think Ray makes a good
6 point, though, when he mentions that we have
7 penetrations going through this air gap that would
8 help, not necessarily ventilate it, but prevent more
9 humidity than is already in the air from building
10 up.

11 MEMBER WALLIS: Have some control over
12 it.

13 MR. PAIRITZ: And again, I would point
14 out that drywell shell is going to be a lot warmer
15 than the ambient air.

16 MEMBER WALLIS: That helps you. That
17 helps.

18 MEMBER SIEBER: On the other hand I
19 don't hear any kind of a argument that says we're
20 certain enough that there isn't corrosion because of
21 these factors that would tell me that I don't need
22 to go and make a thickness measurement of the linear
23 plate. So it seems to me that that's one of the
24 things you ought to be doing.

25 MR. PAIRITZ: Well, we did do that in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 response to Generic Letter 87-05. We took over 50--

2 MEMBER SIEBER: Right.

3 MR. PAIRITZ: -- readings there and we
4 could not detect any degradation from the original
5 material specifications, and that was after 17 years
6 of operations.

7 MEMBER SIEBER: That was in '87?

8 MR. PAIRITZ: That's correct. '86 and
9 '87.

10 MEMBER SIEBER: Well, it's still an
11 issue because some plants have found problems.

12 MR. PAIRITZ: That's right.

13 MEMBER SIEBER: And it's probably
14 generic to this style of containment and this age
15 group. And I understand a generic letter is in the
16 process to ask you to look at it.

17 MR. PAIRITZ: Well, ISG. I don't know
18 anything about a generic letter.

19 MEMBER SIEBER: ISG. Yes, okay.

20 MR. PAIRITZ: The other, though, as
21 plants that have experienced this, some of them have
22 not had this design. I know that one design in
23 particular doesn't have the cover on the sand pocket
24 region, doesn't have the four inch drain pipe. They
25 just have the sand pocket drains here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes.

2 MR. PAIRITZ: There are some
3 differences.

4 CHAIRMAN BONACA: What are you trying to
5 do? I know you're trying to perform visual
6 inspections problem.

7 MR. PAIRITZ: Okay.

8 CHAIRMAN BONACA: Are you going to
9 perform any UT, I mean volumetric inspections?

10 MR. PAIRITZ: Not at this time. I will
11 tell you that these drains, both the air gap drains
12 and the sand pocket drains are inspected before we
13 flood up refueling and after the bellows are well
14 submerged looking for leakage from any of those
15 lines. And that's what we do right now. And that
16 is proposed action in the ISG also.

17 MEMBER MAYNARD: What has your
18 experience been? Have you found leakage at times or
19 have you never found any signs of leakage? What's
20 your history?

21 MR. PAIRITZ: We've never had any
22 leakage. Never had the three gallon per minute flow
23 switch go off. We've never seen any leakage from
24 the four inch drain pipe for the air gap region.
25 We've never seen any leakage from the 4 2 inch drain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lines in the sand pocket. However, in February of
2 1987 as part of the plant life extension program and
3 part of work that was going on for Generic Letter
4 87-05 they did find 3½ ounces water in one of the
5 four drain lines in the sand pocket. Now this drain
6 line comes out of the concrete. It has a 90 degree
7 elbow and then a one foot stand pipe pointing up
8 vertically. They noticed a little crusty material
9 on top of the sand. They investigated that, found
10 out that that was calcium carbonate. They removed
11 the sand from the stand pipe and at the bottom of
12 the stand pipe they found 3½ ounces of water.

13 They had that water analyzed by two
14 different labs. It was not radioactive. It did not
15 contain any materials that would be indicative of it
16 coming from the reactor cavity. And it was
17 considered to be water that had come from inside the
18 Torus room.

19 These stand pipes are open to the
20 atmosphere. If you were doing some work on top of
21 the Torus and accidentally sprayed some water or
22 sprayed a hose, you could theoretically put some
23 water in there. And 3 ounces, 3½ ounces isn't very
24 much.

25 And I also think the calcification at

1 the top of the surface there would indicate that the
2 water came in through the top, calcified the sand
3 and then sat in the bottom there.

4 So we don't believe that we've ever had
5 any leakage from the air gap or for the sand pocket
6 region.

7 MEMBER ARMIJO: Have you ever done
8 anything to confirm that that sand pocket region is
9 dry, or can you?

10 MR. PAIRITZ: Well, the other three
11 drain lines, they took the sand out of those stand
12 pipes. There was no water there.

13 The top of the stand pipe is at the same
14 elevation as the bottom of this drain right here.
15 So even if the stand pipe were full of water, the
16 level in the sand pocket would still be down here.
17 The stand pipe would have to be overflowing for
18 there to be any water building up into this area.

19 We did remove part of the concrete floor
20 inside the drywell and do UTs on this area. And,
21 again, we compared that to our original material
22 specifications and we can't detect any thinning
23 there.

24 CHAIRMAN BONACA: You did that, what, 19
25 years ago?

1 MR. PAIRITZ: 1986 and 1987.

2 CHAIRMAN BONACA: Now on your slide
3 number 16 you're saying that drywell shell is
4 managed by the primary containment is ISI, which
5 again advised to specifically address the ISG.

6 MR. PAIRITZ: Correct.

7 CHAIRMAN BONACA: How --

8 MR. PAIRITZ: The ISG recommends doing a
9 surveillance on your drain piping to verify that
10 you're not having any leakage. It talks about a
11 cover n the sand pocket, which we have. And using
12 the IWE program to verify no significant corrosion.
13 Of course, that's from the inside the drywell.

14 CHAIRMAN BONACA: It doesn't tell you
15 anything about what happens on the outside of the
16 wall. So you're left with a question about the past
17 -- projected future?

18 MR. PAIRITZ: Right. We have no reason
19 to believe that there is any water in those areas.

20 CHAIRMAN BONACA: The steel liner is
21 your containment boundary, right?

22 MR. PAIRITZ: That's correct.

23 Anyway, just to finish this slide, we do
24 have the 18 gauge galvanized sheet metal cover over
25 the sand pocket region. As I mentioned there are 4

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two inch drain lines that would drain any water from
2 the sand pocket region.

3 We talked about the stand pipes filled
4 with sand. I think that's all I want to cover on
5 this slide.

6 Now with regards to the proposed ISG
7 2006 01, we've talked about the UTs that we did in
8 response to Generic Letter 87-05. Again, we
9 compared those to our original materials
10 specifications and we can't detect any wall thinning
11 or degradation there.

12 Again, the air gap and sand pocket drain
13 outlets are visually inspected, as prescribed by the
14 ISG. The top of the sand pocket area is sealed with
15 the galvanized steel sheet metal. The drywell shell
16 is managed by the primary containment in-service
17 inspection program, the IWE program and we will
18 revise it to specifically call out those procedures
19 that already exist that inspect the drains.

20 MEMBER ARMIJO: Were those 1987 UT
21 inspection points, are they still accessible? Were
22 any provisions made to have them still accessible or
23 were they concreted over?

24 MR. PAIRITZ: Well, they took readings
25 up in the air gap region 2. Those are marked on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inside of the drywell.

2 MEMBER ARMIJO: I'm talking about sand
3 pocket.

4 MR. PAIRITZ: Jim, do you have any idea?
5 I mean, I know where we excavated. I don't know if
6 the grid is still there that they used. Ray Dennis,
7 please?

8 MR. DENNIS: Yes. This is Ray Dennis
9 again.

10 Rather than fill the holes completely in
11 with concrete, they filled them in with a sand type
12 material and then put basically a concrete plug over
13 them.

14 MEMBER ARMIJO: So they would be --

15 MR. DENNIS: They'd be relatively easy
16 to inspect again. It would just be a matter of
17 removing a few inches of concrete rather than
18 several inches.

19 MEMBER ARMIJO: Yes. That's great.

20 Because --

21 MR. PAIRITZ: But whether or not they
22 have the grid the work that they used to ensure that
23 you're looking at the exact same place I think is
24 more the question.

25 MR. DENNIS: Yes. These spots are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 readily identified in our program where they are.
2 Plus, they're relatively easy to pick out given
3 their surrounding area.

4 MEMBER ARMIJO: So it would be an ideal
5 measurement. You've got a 1987 measurement,
6 possibly a later measurement at pretty much the same
7 location without tearing up the whole plant to get
8 at it? It's probably more doable than other people.

9 MR. PAIRITZ: I can't say. I mean, it
10 could be done.

11 MEMBER ARMIJO: I don't want to put
12 words in your mouth.

13 CHAIRMAN BONACA: No. I would like to
14 hear at some point from the Staff, you know, what's
15 the logic for accepting. Here, more than anything
16 else I'm thinking about precedent. You know, we had
17 some decisions and recommendations for TVA, Browns
18 Ferry. And it doesn't seem to be a consistent
19 approach that we're taking on this issue.

20 MR. ASHAR: Dr. Bonaca, I am Hans Ashar
21 with Dresden with Division of Engineering, NRR.

22 While reviewing this particular
23 application before this, I had reviewed close to
24 about a dozen other Mark I containments. Every time
25 I look for the telltale signs as to what could have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 caused partial area of corrosion. We looked at the
2 Dresden/Quad for example. We saw telltale signs.
3 They have to have something done there.

4 We saw Browns Ferry, we felt that that
5 there has to be something other.

6 And all the questions that we asked to
7 the applicant in this case, we found almost negative
8 -- negative to the extent that there were no water
9 in the top of the plane near the -- in the upper
10 area of the earlier -- can you show me the earlier
11 sketch?

12 MR. PAIRITZ: Sure. Hold on. Yes.

13 MR. ASHAR: Upper area, there is a plane
14 from the drywell. They did not see any, that's what
15 they told us. Then we went to down, because the
16 water can go into the sand pocket area. And we saw
17 no way that water can seep into that area in the
18 large quantities that could corrode that particular
19 area.

20 So there are a number of telltale signs
21 that we look for. We ask questions on each one of
22 them and we found out that, hey, this particular
23 plant does not have this type of problem. And it
24 does not -- it's not effective in telling us
25 anything about it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I have written down a very thorough
2 evaluation on this particular area because I knew
3 that ACRS, as well as other individuals, will have
4 some questions on this particular area.

5 CHAIRMAN BONACA: Well, I think my main
6 question is we need to have a constant understanding
7 of the issue.

8 MR. ASHAR: Agreed.

9 CHAIRMAN BONACA: And consistent
10 approach.

11 MR. ASHAR: I Agree.

12 CHAIRMAN BONACA: I mean, we can't
13 possibly have a tentative, you know, approach to the
14 -- when you're telling me that you don't have
15 significant amount of water or a large quantity of
16 water, it doesn't tell me anything.

17 MR. ASHAR: There is no water problem.

18 CHAIRMAN BONACA: I mean, the point that
19 Dr. Wallis was making, all you need is humidity
20 there for corrosion, you know it's well taken.

21 So I'm struggling with the ISG and the
22 way it is being interpreted by the plant that way.
23 Because all you have is statements by the licensee
24 for the same kind of configurations. One licensee is
25 more insistent than other than defending that he has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 no water there, so therefore -- you know, he's
2 argumenting about something that cannot be seen.

3 And on the other hand that's a primary
4 containment function.

5 MR. ASHAR: I fully agree. I recognize
6 what you are saying. I'm not contradicting what you
7 are telling me. But what I'm trying to say is this:
8 That the question of relatedness, I understand there
9 is a form by which everybody is to follow. And when
10 we -- They went up to ISG. We said you are going to
11 talk about various things, okay, like the drain
12 pipes being cleared, there is a control on drain
13 pipes. They are going to examine the drain pipes.
14 There is a seal. Some of the plants do not have
15 that seal that they here, okay. That makes
16 difference as to the wetness in the sand pocket
17 area.

18 It has to be quite a bit wet in order to
19 have corrosion initiated and become something like
20 some of the other plants had. And this particular
21 plant does not have that type of telltale signs.

22 It was very difficult to put them
23 through some kind of a UT inspections if we don't
24 find any reason to believe that we have problems
25 with this plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Okay. Thank you.

2 MR. PAIRITZ: Well, that concludes the
3 drywell shell corrosion. If there aren't any more
4 questions right now, I'll move on to the shroud.

5 Concerning the shroud, I have a rollout
6 view here. The horizontal welds are labeled on the
7 right side, H1 through H12. We have the vertical
8 welds labeled throughout the center of the drawing.

9 To give you an idea of the are we're
10 talking about, here's a jet pump on the side.

11 The points I want to make here is our
12 inspection coverages have increased from about 50
13 percent up to about 75 percent of the welds over the
14 past ten years due to improvements in technology.

15 As Mr. Potter was saying earlier, our H3
16 weld here has indications on 27 percent of the
17 inspected region, and we are able to inspect 71
18 percent of that weld.

19 MEMBER SHACK: Now is this VT1 enhanced
20 or is some sort of UT inspection?

21 MR. PAIRITZ: I'll let Mr. Potter answer
22 that.

23 MR. POTTER: This is Dave Potter from
24 Monticello.

25 The 73 percent converge on the H3 weld

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was from UT inspection.

2 MEMBER SHACK: That's a creeping wave
3 kind of thing?

4 MR. POTTER: There's three transducers
5 that were used in the package, but I don't recall if
6 there were a creeping wave, a shear wave and what
7 angles they were used. The processed was qualified
8 in accordance with the PIP processes for crack
9 identification.

10 MR. PAIRITZ: And moving on to the H1
11 weld, 16 percent of that weld showed indication and
12 we were able to look at 75 percent of that weld.

13 And then the other horizontal welds that
14 were looked at it was less than 10 percent
15 indication on varying degrees of inspection area.

16 The inspection results and evaluation to
17 allow inspection frequency to remain at the maximum
18 allowed ten year interval for circumferential welds,
19 for our horizontal welds.

20 We have looked at three vertical welds
21 per the BWRVIP. The inspection frequency for these
22 welds is established by inspection coverage.

23 MEMBER SHACK: Do you happen to know
24 whether these vertical welds, you know do they hit
25 high fluence regions or do they happen to hit low

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence regions? It's kind of a random event?

2 MR. PAIRITZ: Mr. Potter?

3 MR. POTTER: This is Dave Potter from
4 Monticello.

5 The regions, as shown on the diagram,
6 the V3, V4, V1 and V2 are relatively high fluence
7 areas.

8 MEMBER ARMIJO: Just a quick question.
9 Since you've instituted hydrogen water chemistry
10 have you noticed any change in any of the growth
11 rate or the initiation of cracking in the shrouds?

12 MR. PAIRITZ: I'll let Mr. Potter
13 address that. He's the expert here.

14 MR. POTTER: Since we've instituted
15 hydrogen water chemistry at Monticello, we have
16 three inspections to our credit. One that was
17 performed in 1994, another performed in '96 and this
18 most recent one in 2005. The crack indications that
19 we've identified in all three of those inspections
20 have not demonstrated substantial crack growth. So
21 our assumption has to be is that the cracking
22 occurred before hydrogen water chemistry was
23 instituted.

24 MEMBER ARMIJO: How about initiation?

25 MR. POTTER: The initiation that we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seen, I wouldn't call it substantial. A lot of it
2 has to do with UT uncertainty and our coverage that
3 we've gotten from previous inspections.

4 Our '94 inspection we did not have a lot
5 of coverage. And as we've spoken to, or as Joe
6 spoken to a moment ago, we increased our inspection
7 coverage from 1996 all the welds were approximately
8 50 percent to 2005 where they're 75. So we're
9 actually, the cracks that we were seeing were
10 basically in the areas that we hadn't inspected
11 before.

12 MEMBER ARMIJO: Okay. Thank you.

13 MR. PAIRITZ: Well, that covers crack
14 growth.

15 We feel that the moderate hydrogen water
16 chemistry has effectively contributed to mitigating
17 crack growth on our shroud, and we will continue to
18 manage the shroud per BWRVIP guidance.

19 CHAIRMAN BONACA: Well, you do have
20 additional cracking that you are monitoring that
21 way. Are they internals? For example, on the tack
22 welds on the jet pumps set screws and so forth.
23 Those cracks, I mean you just simply monitor the
24 size of the crack and whether or not they're
25 propagating further?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: I'll defer to Mr. Potter
2 again?

3 MR. POTTER: Yes. This is Dave Potter
4 again.

5 The cracking that we've identified on
6 the jet pump set screws we periodically
7 reinvestigate to make sure that they are not
8 behaving in an abnormal fashion. However, the safety
9 concern of the jet pump's tack screws is minimized,
10 basically, due to the crack geometry and what the
11 purpose of those tack welds are. And that's
12 basically to keep the set screws from rotating out.

13 CHAIRMAN BONACA: Okay. All right.
14 That's the function. I didn't know that. I didn't
15 understand.

16 I have another question, by the way.
17 It's more curiosity. When in the application you
18 talk about the belt line nozzle and the fact that
19 the weld material is not known insofar as CU and
20 nickel content. Could you tell me about it?
21 Because there is a technique you're using. You're
22 averaging CU and nickel on 9 sister plants. And then
23 you're adding one standard deviation, if I remember.
24 That, I really wasn't familiar with the technique.
25 And maybe --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: I'll Michael Aleksey,
2 answer that, our TLAA person.

3 MR. ALEKSEY: Was your question with
4 regard to the N2 nozzle?

5 CHAIRMAN BONACA: Yes. Yes, that's
6 right. The belt line nozzle.

7 MR. PAIRITZ: The one the unknown
8 chemistry.

9 MR. ALEKSEY: For the N2 nozzle the
10 nickel content was a result of industry information
11 that we had accumulated for those types of nozzles.
12 And we also used information from the RVID database
13 to establish the chemistries of that nozzle.

14 CHAIRMAN BONACA: Yes. The reason why I
15 was intrigued I thought that was a process that has
16 been reviewed and approved. I mean, it uses hits
17 from 9 sister plants or similar plants.

18 MR. ALEKSEY: Yes.

19 CHAIRMAN BONACA: Averages it and then
20 adds one standard deviation. So is it a process
21 that the NRC is familiar with and is it a approved
22 process?

23 MR. ELLIOTT: I don't know. Excuse me.
24 This Barry Elliott.

25 I can't hear you, so I can't hear what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're asking.

2 CHAIRMAN BONACA: It's the belt line
3 nozzle I'm talking about.

4 MR. ELLIOTT: Okay. Yes. What happened
5 is the belt line nozzles -- they aren't in the belt
6 lines. They're slightly above the belt line.

7 CHAIRMAN BONACA: Yes.

8 MR. ELLIOTT: But the fluence has gone
9 up because of license renewal. Also, because of the
10 way they're calculating the --

11 CHAIRMAN BONACA: That's right.

12 MR. ELLIOTT: -- fluence. They're doing
13 a very conservative thing with the fluence here.
14 And so now these nozzles are getting above the
15 criteria which we say you have to evaluate.

16 So they had to go out and evaluate the
17 nozzles. They have chemistry for the nozzles. What
18 they didn't have is underradiated properties for the
19 -- because the nozzles were built a long time ago
20 and they didn't have full C harpy curves, from what
21 I remember. So they went out and they got what's
22 equivalent to that. And went through their other
23 nozzles in the BWR fleet made the same way, and they
24 used that data. And then they establish a confidence
25 interval for that data. And they used the 95

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percent confidence interval lower bound for their
2 upper shelf energy unirradiated.

3 And we have accepted similar things to
4 that.

5 CHAIRMAN BONACA: So this is a process
6 you accept?

7 MR. ELLIOTT: Yes, we accept that.

8 CHAIRMAN BONACA: Although, I mean
9 you're not certain that the percent of Cu and
10 nickel are identical? Nine sister plants, I mean
11 they were similar plants.

12 MR. ELLIOTT: Right.

13 CHAIRMAN BONACA: But you don't have
14 specific information about this plant?

15 MR. ELLIOTT: No. We don't have specific
16 information about this plant. But we feel that we
17 looked at how they were made, the nozzles were
18 fabricated and they were fabricated equivalent ways
19 and the properties should be about the same.

20 CHAIRMAN BONACA: By the same vendors?

21 MR. ELLIOTT: I don't remember if we had
22 the same -- I'm not sure about the vendors.

23 MR. MEDOFF: This is Jim Medoff.

24 What Barry is saying is true. We've
25 evaluated the VIP processes for the vessel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 materials. And it's based on weld fluxes, how they
2 were laid down. So they grouped all those type --
3 like a shielded metal arc welds, they gathered the
4 data for all that type of welds and then they came
5 up with their statistical analysis.

6 CHAIRMAN BONACA: Well, I was expecting
7 that there will be a reference to some BWR always
8 group activity to --

9 MR. MEDOFF: There is, VIP 86.

10 CHAIRMAN BONACA: -- to provide this
11 kind of -- I mean without any pedigree to this
12 package of information, I'm only left on this
13 averaging that is stated in a little footnote in the
14 application. So since I am not the specialist in
15 metallurgy, but I know the importance of Cu in
16 nickel in the welds.

17 MR. ELLIOTT: We had to get an estimate
18 of the upper shelf energy for these forgings. So the
19 only thing we look at is the fleet, what the whole
20 fleet has for forgings. And that's what they did.
21 And then we used a 95 percent lower confidence bound
22 to establish its properties. And we've done that in
23 other cases where we don't have properties. We used
24 the entire BWR fleet and then established low bound
25 properties for welds that don't have properties.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And in this case we did it for the forgings.

2 CHAIRMAN BONACA: I return to my
3 metallurgical colleagues here and say how
4 comfortable are you with all this?

5 MEMBER ARMIJO: Well, you know, I
6 thought I heard that they knew the chemistry but
7 they didn't Charpy data. And they created the
8 Charpy data by a comparison with the rest of the
9 industry and then used a lower bound that was pretty
10 conservative.

11 CHAIRMAN BONACA: I can remember that 10
12 years ago, 15 years ago we were -- anyway --

13 MEMBER SHACK: Yes. I mean, you know you
14 just can't go back and recreate that data.

15 CHAIRMAN BONACA: Absolutely.

16 MEMBER SHACK: So you try to take a
17 conservative answer and --

18 CHAIRMAN BONACA: Is it conservative,
19 that's always the question. And that's what we're
20 looking for.

21 MEMBER SHACK: It is quite likely to be
22 conservative.

23 MEMBER ARMIJO: I think it's
24 conservative.

25 CHAIRMAN BONACA: Okay. That's --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: Are we ready to move on?

2 CHAIRMAN BONACA: Yes, let's move on.

3 MR. PAIRITZ: Okay. The last topic I
4 will talk about is the steam dryer. The steam dryer
5 is in scope for license renewal at Monticello. It's
6 a square hood dryer design. It looks like this.

7 In 1998 we inspected the dryer and we
8 noted indication in the area of the 324 degree
9 jacking bolt tack weld. Is down here in the blowup
10 on the bottom right. It was analyzed and determined
11 not to be structurally significant.

12 In 2001 we again reinspected this area
13 and found no additional indications and no change in
14 the indication at the 324 degree location.

15 In 2005 we did a comprehensive
16 inspection on the dryer. We specifically looked at
17 areas of dryer failures at other sites, and we did
18 not find any indications are those areas.

19 We did find some acceptable indications
20 on dryer shell behind three of the lifting lugs and
21 on the right side of the guide rod channel 215
22 degrees. Right here. And then we found behind the
23 lifting lugs on the shelves some indications in
24 three out of the four lifting lugs. Again, these
25 were analyzed and confirmed to be not structurally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant.

2 We will be inspecting the dryer in 2007
3 again to confirm continued acceptability. And we
4 plan on managing the dryer in accordance with the
5 BWRVIP.

6 Dryer questions?

7 MEMBER WALLIS: How does it compare with
8 other dryers? The various dryer designs, some of
9 which have more problems than others, how does --

10 MR. PAIRITZ: I'll have Mr. Potter
11 answer the question.

12 MR. POTTER: Could you clarify your
13 question for me? Are you talking in general the
14 dryer design or --

15 MEMBER WALLIS: There are about four or
16 five different versions of this GE dryer, Quad
17 Cities, Dresden, Vermont Yankee and so on. And some
18 of them had more problems than others. And I just
19 wondered how yours fitted into this sort of spectrum
20 of different shapes and histories?

21 MR. POTTER: Okay. This is Dave Potter
22 from Monticello.

23 There is in essence right now four types
24 of dryers that are used in the industry. You might
25 even consider five depending on how you cut it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's the square hood design, which is
2 Monticello's design, which is similar to Vermont
3 Yankee's, Quad Cities' Unit 1 and 2, and Dresden
4 Unit 2 and 3.

5 Then the slanted hood dryers which a
6 great deal of plants use.

7 And then the last would be the curved
8 hood dryers.

9 Finally, the very last design would be
10 the new dryers that have been installed in the Quad
11 Cities and Dresden plants. So Monticello's dryer is
12 similar to that. The original Quad Cities Unit 1 and
13 2 and Dresden Unit 2 and 3 and the Vermont Yankee
14 dryers which did experience the failures.

15 Does that answer your question, sir?

16 MEMBER WALLIS: And you haven't seen the
17 same kind of thing that they've seen?

18 MR. POTTER: No. The failures that
19 we're seeing at Quad Cities and Dresden were flow
20 induced type vibration failures that were seen
21 basically on the plate -- this plate region right
22 here as well as this plate cover view and this plate
23 region right here or this seam weld. Those areas
24 were inspected at Monticello in 2005 and we did not
25 identify any cracking.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I think there are
2 differences between the units. For example thermal
3 megawatt output.

4 MEMBER SHACK: Core power density are a
5 lot--

6 MEMBER SIEBER: Core power -- well steam
7 flow.

8 MEMBER SHACK: Right.

9 MEMBER SIEBER: The steam header
10 diameter. And so some dryers are more susceptible
11 than others because of different environment. This
12 apparently is a milder environment than plants that
13 have shown more damage.

14 Do you have any idea what the steam
15 velocity is at the outlet of the reactor nozzles?

16 MR. POTTER: This is Dave Potter again.
17 To be absolutely honest with you I have looked at
18 that number and compared our numbers to the
19 industry. But from memory I can't recite the
20 velocity and feet per second.

21 MEMBER SIEBER: Can you say whether it's
22 higher or lower?

23 MR. POTTER: I can say that it is
24 definitely lower than -- this is Dave Potter again.

25 I can say that the steam line velocity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is definitely lower than the Quad Cities Unit 1 and
2 2 and Dresden 2 and 3 at their extended power uprate
3 conditions. And Vermont Yankee, I know we are very
4 close, but I don't recall whose velocity is higher.

5 MEMBER SIEBER: It sort of all ties
6 together, at least in my mind.

7 MR. PAIRITZ: Any more dryer questions?
8 If not, the last topic I'll cover is on the
9 commitment process. Monticello's made 60
10 commitments to enhance aging management. The
11 commitments are described in the Monticello license
12 renewal updated safety analysis report supplement.

13 All Monticello commitments are entered
14 into the corrective action program. And this ensures
15 that there is a owner and a due date. The process
16 was looked at several times during the audits and
17 inspections.

18 Any questions on the commitment process?

19 MEMBER SIEBER: Well, the due date is
20 probably when your license expires, right?

21 MR. PAIRITZ: Well, most of them are --

22 MEMBER SIEBER: Or they all become due
23 at once?

24 MR. PAIRITZ: -- prior to the period of
25 extended operation. There are a few that are before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that.

2 MEMBER SIEBER: Yes. The question is do
3 you have a schedule as to when you're going to do
4 each of the items that you have in your commitment
5 tracking system?

6 MR. PAIRITZ: Yes. We have put together
7 a level 1 type schedule as to when those will be
8 accomplished and be part of our implementation
9 effort.

10 MEMBER SIEBER: Do you have the
11 resources to do the work?

12 MR. PAIRITZ: Yes. We got people
13 working on implementation right now. A couple of
14 contractors, some of the people that were on the
15 team. And that will continue.

16 Finally we're at the end. Are there any
17 other general questions that we can answer.

18 MEMBER SIEBER: You mean you would like
19 more questions.

20 MR. PAIRITZ: I'm here to answer them.

21 MEMBER MAYNARD: A comment. I do
22 appreciate you including your backup slides in the
23 package. I do appreciate that.

24 CHAIRMAN BONACA: Any additional
25 questions for the applicant? None. Thank you for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. It was a pleasure.

2 MR. PAIRITZ: Thank you.

3 CHAIRMAN BONACA: And we'll ask the
4 Staff now to present the SER.

5 MR. ZIMMERMAN: Dan Merzke the Project
6 Manager for the Monticello review and Patricia
7 Lougheed will lead the Staff's presentation.

8 MR. MERZKE: All right. Good afternoon,
9 gentlemen. My name is Dan Merzke. I'm the Project
10 Manager for the Staff review of the Monticello
11 license renewal application.

12 Joining me today is Patricia Lougheed
13 from Region III. She's our inspection team leader.
14 Also in the audience is Peter Wen, who is our audit
15 team leader. And supporting all of us are the
16 technical reviewers in the audience to answer any
17 questions that I can't answer for you.

18 The introduction will be start off with
19 an overview. We'll give you the plant and the
20 application followed by a discussion of the results
21 of the scoping and screening results.

22 I'll turn the mike over to Patricia who
23 will discuss the results of the license renewal
24 inspections.

25 And then I'll take it back over and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 finish with the Section III results of the aging
2 management review and the time-limited aging
3 analyses.

4 The application was submitted to us by
5 letter dated March 16, 2005. The Monticello plant
6 is General Electric BWR 3 design with a Mark I steel
7 containment, as already discussed. 17075 megawatt
8 thermal rated with a 600 megawatt electric power,
9 and that includes a 6.3 percent power uprate
10 approved in 1998.

11 Current operating license expires
12 September 8 of 2010.

13 And the plant, as already discussed, is
14 located approximately 30 miles northwest of
15 Minneapolis.

16 The draft SER was issued in April 26,
17 2006 with no open unconformity items. It also
18 included three license conditions. They're the
19 standard three license conditions for all the
20 approved plants so far.

21 We already discussed, Jake mentioned
22 that there were 113 form RAIs issued, which is
23 significantly lower than standard review.

24 And I think Jake touched on the fact
25 that we considered it a pretty good quality

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. The applicant went back and did a
2 thorough review of historical RAIs from previous
3 applications and tried to address those issues up
4 front.

5 In addition, we had 260 audit questions
6 between the scoping screening methodology and the
7 GALL audits.

8 And approximately, and as discussed
9 earlier, about 95 percent consistency with the draft
10 GALL Report revision 1, which was issued in January
11 of 2005. When the final GALL was issued in
12 September 2005 we did a scrub of that to make sure
13 that everything was covered.

14 During the review we did find some minor
15 components which were brought into scope. And I'll
16 discuss those during the scoping and screening
17 section.

18 Continuing on with the overview, the
19 audits were conducted during June and July of 2005.
20 Regional inspections were conducted in January and
21 February of this year.

22 Section 2.1 covers the scoping and
23 screening methodology. During the scoping and
24 screening methodology audit the audit team reviewed
25 the current licensing basis for flood control

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measures and determined that storage steel plate and
2 floor hatches designed to be installed for flood
3 control were not included within the scope of
4 license renewal. The applicant initially did not
5 include components storage in a warehouse within the
6 scope of license renewal. After further evaluation
7 and an extended condition, the applicant brought
8 these components into the scope of license renewal.

9 In Section 2.2 the plant-level scoping,
10 the Staff determined that there were omissions of
11 systems or structures within the scope of license
12 renewal.

13 For Section 2.3, the mechanical systems,
14 the Staff reviewed 36 mechanical systems, which was
15 a 100 review.

16 During the scoping and screening review
17 the Staff was unable to determine the scoping
18 boundary for 17 areas in the boundary drawings. The
19 Staff requested that the regional inspection team
20 visually inspect these areas to ensure the scoping
21 boundaries were in accordance with 10 CFR 54.4(a).
22 The inspections resulted in a length of steam piping
23 with a steam trap in the emergency diesel generator
24 room being brought into scope. And I'll mention,
25 that one was brought into scope because basically it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was below the floor deck plating in the emergency
2 diesel generator room. And the applicant considered
3 the floor as the boundary. However, it was not a
4 robust boundary because you could see through the
5 deck plating down into the area underneath. Any
6 steam coming out of there was going to impact or
7 potentially impact the operating temperature of the
8 EDG room. So the applicant agreed to bring that
9 steam piping and steam trap within the scope of
10 license renewal.

11 In addition during another walkdown, one
12 of the floor drains in the sodium hydrochloride
13 building which penetrates the floor into the intake
14 structure was also identified as being needed to be
15 brought into scope.

16 Section 2.4 covered the containment
17 structures and supports. Staff found no omissions
18 of structures or supports within the scope of
19 license renewal during the review.

20 For Section 2.5 the review of scoping
21 for the electrical system identified a motor control
22 center which was found to be outside the scope of
23 license renewal. It supplied power to the tank
24 heater for a standby liquid control tank. Since
25 standby liquid control system mitigates an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anticipated transient without scram or ATWS event,
2 the Staff determined it should be brought into the
3 scope of license renewal in accordance with 10 CFR
4 54.4(a)(3). The applicant determined that the motor
5 control centers are active components so they were
6 screened in accordance with 10 CFR 54.12(a)(1).

7 During the regional inspection the
8 inspectors determined that 480 volt load center
9 breakers should be scoped in. The applicant
10 determined these are active components also, so they
11 were screened out in accordance with 10 CFR
12 54.21(a)(1).

13 To conclude the scoping and screening
14 summary, it was the staff's determination that the
15 applicant's scoping methodology meets the
16 requirements of 10 CFR 54.4 and the scoping and
17 screening results as amended included all systems,
18 structures and components within the scope of
19 license renewal and subject to an aging management
20 review.

21 I'd like to turn it over now to Patricia
22 Lougheed from Region II who will discuss the license
23 renewal inspections.

24 MS. LOUGHEED: Hello. I'm Patricia
25 Lougheed. I was a lead inspector for the license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 renewal inspection conducted at Monticello.

2 My slide is on page 6 -- well, the one
3 that's shown there. Basically gives you some of the
4 logistics information about our inspection.

5 One thing that I would like to note is
6 that on this inspection I did have a person, a
7 metallurgist who really looked into a lot of the
8 core internals of the BWRVIP program to make sure
9 that it was being implemented in accordance with
10 what was proposed for license renewal. And to make
11 sure because there was not an official commitment
12 right now that NRC regulates or this program. So it
13 was ensuring that it was going to be brought forward
14 into license renewal properly.

15 Going on to my next slide, Dan touched
16 briefly upon the scoping and screening area. We did
17 look at all the issues that were brought forward
18 from the audit inspection. It was interesting,
19 besides the two cases where there were items that
20 were brought into scope, there were also a number of
21 areas most particularly what the licensee called the
22 985 pump room where there were components that were
23 identified as being in scope that really did not
24 need to be in scope. And there were quite a few
25 discussions during our inspection to clarify whether

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those items really should have been an in scope or
2 not. So there were some removals of things from the
3 scope as well as some additions.

4 CHAIRMAN BONACA: For understanding
5 better the logistic. You already had in hand the
6 audit report?

7 MS. LOUGHEED: We had the audit report.

8 CHAIRMAN BONACA: So that really was a
9 big help already --

10 MS. LOUGHEED: Right.

11 CHAIRMAN BONACA: -- in determining what
12 is consistent or exceptions and enhancements.

13 MS. LOUGHEED: Right.

14 CHAIRMAN BONACA: And you could start
15 from that?

16 MS. LOUGHEED: Right. And there's
17 always what we do in the region and the inspections
18 is that we look at the boundaries. Not the things
19 that are definitely in scope, the safety systems or
20 things like that. We look at those where they have
21 nonsafety safety interfaces, where there's nonsafety
22 systems that are going to be in the vicinity of
23 safety systems. We looked at what the actual
24 barriers were to make sure that there actually was
25 separation. Because it was not very obvious on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 license renewal drawings.

2 CHAIRMAN BONACA: I had a question, and
3 that doesn't go to this application. It's more
4 general.

5 You know, when you do PRA you find that
6 you have a lot of safety related components and
7 others important as you thought they were. And you
8 also find that the few, or a minor population of
9 components which are nonsafety related are
10 critically important for certain sequences. That's
11 really coming from the insides of the PRA. But
12 there is no -- I mean, license renewal does not
13 apply to these components.

14 MS. LOUGHEED: That is true.

15 CHAIRMAN BONACA: Do you find that the
16 licensees however are aware of the importance of
17 those components and take care of them or --

18 MS. LOUGHEED: My impression, and I
19 can't say that this is necessarily that we looked at
20 it on Monticello specifically. But licensees where
21 they have components that their PRAs have shown them
22 to be risk significant, they tend to pay more
23 attention to them because of that.

24 CHAIRMAN BONACA: Yes.

25 MS. LOUGHEED: Simply a lot of times

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because it becomes a matter of economics more. You
2 keep those pieces of equipment operating well and
3 your risk, and therefore your chance of a shutdown
4 go down.

5 So even though they're not considered
6 important to safety, they are treated with more
7 significance than things that are not risk
8 significant at all.

9 CHAIRMAN BONACA: Good.

10 MS. LOUGHEED: And I'll also the little
11 caveat that I think that a lot of the reason that
12 some of the safety systems don't show up as being
13 risk significant is because of the defense-in-depth
14 concept. You know, when you putt redundancy upon
15 redundancy well from a PRA aspect --

16 CHAIRMAN BONACA: Right.

17 MS. LOUGHEED: -- that does drive down
18 the significance.

19 CHAIRMAN BONACA: Right. Yes.

20 MS. LOUGHEED: Basically our conclusion,
21 and I probably should say we did do a lot of
22 walkdowns including into some fairly high radiation
23 areas. Our metallurgist also spent a number of
24 hours reviewing videotapes of the vessel internal
25 inspections and various welding inspections, areas

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that obviously he would not have access to with the
2 plant at power. So we did look at quite a bit from a
3 physical aspect, not just relying on the paperwork
4 and things like that.

5 Overall, we found that with a few minor
6 exceptions the systems were appropriately scoped.
7 We felt that we concentrated on the ones that were
8 most suspect rather than the ones where we knew 100
9 percent was going to be thrown into scope.

10 The applicant did submit some
11 clarification because they were coming up to doing
12 their annual submittal for the license application
13 while it was under review. A lot of the things that
14 we had identified were brought forward into that and
15 were submitted in that way.

16 Going on, we also looked at aging
17 management. My slide says that we reviewed all 33
18 aging management programs, where I notice that the
19 applicant said that there were 36 programs. I'm
20 still scratching my head which three we missed. We
21 really spent a lot of time on this one partly
22 because of the team that I had and the abilities of
23 that team to go in and look at a number of systems.

24 We found that the aging management
25 programs were implemented as described. That the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enhancement and exceptions that were being proposed
2 were acceptable.

3 We did identify some minor
4 inconsistencies, and those were either captured in a
5 revision to the application or in the corrective
6 action program. However.

7 CHAIRMAN BONACA: We talked about the
8 containment liner?

9 MS. LOUGHEED: Right.

10 CHAIRMAN BONACA: What's your opinion?
11 I mean, you went there and looked at it.

12 MS. LOUGHEED: Monticello is not one of
13 the plants that I would worry in Region III about
14 containment liner problems. All right. There are a
15 couple of plants that I have concerns about their
16 containment liners, but Monticello is not one of
17 them.

18 CHAIRMAN BONACA: Okay. Thank you.

19 MS. LOUGHEED: Basically that's -- I
20 know you've read through the inspection report in
21 some detail. We didn't find anything in there
22 either scoping, screening or aging management which
23 we felt would cause any sort of a hinderance to the
24 license being renewed. Overall, we found Monticello
25 to be in very good condition.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: But I must say that
2 I'm very impressed by the inspection report and by
3 the information from the audit. And I think they're
4 quite insightful.

5 MEMBER SIEBER: I concur with Dr.
6 Bonaca's opinion. A very good report.

7 MEMBER MAYNARD: Yes, I agree. It looked
8 like you did a very thorough job.

9 I've got one question. One of the things
10 in the inspection report that came out, I don't
11 think it necessarily associated with the scoping
12 itself, but on the failure to dismiss and relief
13 request. Was that something that your inspection
14 team found or is that something that just occurred
15 while you guys were there?

16 MS. LOUGHEED: No. It was something our
17 inspection team found. I very definitely had a
18 very, very, very team. Especially in the
19 metallurgical area. And we used him to full
20 advantage reviewing a lot of areas that we would not
21 have been able to look at otherwise.

22 MEMBER MAYNARD: Good. Good.

23 MS. LOUGHEED: Going on, you want me to
24 do the current performance? Okay.

25 Monticello is one of our good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performance in Region III. They are in column 1,
2 which was licensee response problem column. We
3 don't have any crosscutting issues opened. We have
4 no major issues at Monticello at all right now. So
5 we are following the revised oversight process with
6 minimum baseline inspections. And we will continue
7 to do that.

8 You can see the screens coming up. We
9 are green in every area on performance indicators.
10 And if you move on to the inspection findings, w
11 really have a lot of areas that we're doing
12 inspections where we don't have findings, which is
13 where the grey comes in. It doesn't mean we're not
14 inspecting there, it means that we haven't found
15 anything. And the areas where we have found things,
16 they have all been green or a very low safety
17 significance.

18 CHAIRMAN BONACA: Very good. Thank you.

19 MR. MERZKE: Just for Patricia's
20 benefit, the 33 aging management programs were the
21 official aging management programs listed in the
22 application. The two timed-limited aging analysis
23 support programs were also considered to be aging
24 management program. So that was 35.

25 Number 36 was a commitment made by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applicant late to implement an E6 program for
2 electrical cable connections.

3 CHAIRMAN BONACA: I'm sorry. Which one
4 is the --

5 MR. MERZKE: It was GALL E6 program.
6 I'll address it in a little bit and we'll have a
7 little discussion, but --

8 CHAIRMAN BONACA: First of all, I want
9 to thank you for the --

10 MS. LOUGHEED: Yes. We did very close
11 to 100 percent on this one.

12 CHAIRMAN BONACA: Great.

13 MS. LOUGHEED: We found they were able
14 to support it and we were able to get it done within
15 the time constraints.

16 CHAIRMAN BONACA: Thanks again.

17 Additional questions for the inspection?
18 If not, we're going to take a break and get back
19 here at 25 after 3:00.

20 (Whereupon, at 3:07 p.m. off the record
21 until 3:30 p.m.)

22 CHAIRMAN BONACA: We are back into
23 session. And we are going to be reviewing now the
24 aging management review results.

25 MR. MERZKE: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'll move on to the discussion of the
2 Staff's review of the aging management program and
3 reviews now.

4 The Staff reviewed at the time 35 aging
5 management programs based on the application. There
6 were 36 overall. The 36 was a late commitment by the
7 applicant to implement the GALL E6 program, which
8 would be consistent with GALL. And I'll discuss
9 that a little bit more in the electrical section.

10 So overall there were 36 aging
11 management programs, 29 of which were existing
12 programs and 7 which will be new programs to be
13 implemented prior to the period of extended
14 operations.

15 Of those, 9 of them were consistent with
16 the GALL Report and 25 were consistent with the GALL
17 Report with exceptions and/or enhancements. There
18 were two plant specific aging management programs;
19 they were a bust duct inspection and system
20 condition monitoring programs.

21 I'm going to start this discussion with
22 I picked a few of the aging management programs out
23 which involves considerable amount of Staff review.
24 And I thought I'd go over the results of those.

25 The first one would be the ASME Section

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 XI In Service Inspection subsections IWB, IWC and
2 IWD program. It's an existing program which is
3 consistent with the GALL Report with exceptions.

4 The LRA stated that relief requests in
5 code cases were not considered exceptions to the
6 GALL Report. The audit team did not agree and
7 requested the applicant evaluate all code cases and
8 relief requests for aging management concerns.

9 The Staff position is that relief
10 requests are not acceptable for aging management
11 because they expire after ten years.

12 The applicant subsequently removed
13 reference requests from the application except for
14 one relief request which has been approved 21 months
15 into the period of extended operations.

16 There were three code cases associated
17 with this aging management program are identified to
18 be exceptions to the GALL Report. They're endorsed
19 by NRC in the Reg. Guide 1.147. They were N-307-2
20 which concerned ultrasonic testing for Class 1
21 bolting with center holes; N-526, which concerned
22 successive examinations when a flaw is detected,
23 and; N-613-N which concerned examine volume of weld
24 and nozzles.

25 The Staff found these acceptable because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're endorsed by the NRC in Reg. Guide 1.147.

2 The bolting integrity AMP was found to
3 be consistent with the Gall report with
4 enhancements. The program will incorporate guidance
5 from EPRI technical reports which include *Bolted*
6 *Joint Maintenance and Application Guide* and the *Good*
7 *Bolting Practices Handbook*

8 . Staff determine the guidelines
9 reflect industry practice and meet the
10 recommendations of the GALL Report.

11 The buried piping and tanks inspection,
12 an aging management program which is consistent with
13 the GALL Report with enhancements. These
14 enhancements are all detailed in the commitment
15 section of the SER.

16 The applicant has committed to perform
17 inspections every ten years. They will credit
18 inspections of opportunity when excavating.

19 The applicant also committed to
20 performing an internal inspection of the diesel fuel
21 oil storage tank every ten years in addition to the
22 external inspection.

23 Other enhancements include a review of
24 operating experience to determine the susceptible
25 locations and to perform further evaluation on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extended condition if pipe wall thickness shows a
2 susceptibility to corrosion.

3 CHAIRMAN BONACA: So let me understand
4 now for buried pipes they're going to do a
5 inspections, but if they do not have any inspection
6 in ten years, they'll do one?

7 MR. MERZKE: That is correct.

8 CHAIRMAN BONACA: Okay.

9 MR. MERZKE: Yes, sir.

10 CHAIRMAN BONACA: And that's consistent
11 with GALL, yes.

12 MR. MERZKE: Ultrasonic testing and
13 visual inspections completed in 1999 and 2003 showed
14 no degradation or aging effects.

15 BWR vessels internals program. It's
16 consistent with the GALL Report with exception and
17 enhancement. The exception was that the applicant
18 used the updated water chemistry guidelines of
19 BWRVIP-130, as the GALL recommended BWRVIP-29. The
20 Staff found this acceptable as it's an updated
21 version of the same guidelines, and that was issued
22 in 2004.

23 Enhancement to this program is to use
24 the BWRVIP guidelines for inspection, evaluation and
25 repair to the maximum extent possible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The applicant made a number of
2 commitments based on questions from the audit and
3 inspection teams. They include additional top guide
4 inspections beyond those required by BWRVIP-26 and
5 steam dryer per BWRVIP-139.

6 Regional inspectors identified a couple
7 of issues which resulted in commitments to inspect
8 in core monitoring dry tubes per General Electric
9 Service Information Letter 409 and spray core piping
10 welds in accordance with BWRVIP-18.

11 In addition, core plate hold down bolts
12 will be inspected in accordance with BWRVIP-25 which
13 requires either UT or enhanced visual inspection or
14 another inspection technique which would be reviewed
15 and approved by the NRC.

16 In lieu of inspections, the applicant
17 has committed to installing wedges to replace
18 lateral load resistance prior to the period of
19 extended operations if they're unable to complete
20 those inspections.

21 CHAIRMAN BONACA: For core spray piping
22 welds, if I remember, the issue was that they did
23 not identify the flow through the welds, through the
24 cracks that you may have.

25 MR. MERZKE: The issue was that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were not doing the inspection on the welds because
2 the welds were -- they have mechanical clamps
3 surrounding them which replace the structural
4 integrity of the welds. The inspection team looked
5 at it a different way. If the crack developed in the
6 weld, it would be a diversion path for core spray.
7 And in case of an accident, that core spray would be
8 diverted outside the shroud and unavailable and it
9 might impact P-clad temperature. So the applicant
10 decided that it would be prudent to bring those --
11 inspect in accordance with BWRVIP-18.

12 CHAIRMAN BONACA: Good.

13 MR. MERZKE: The flow accelerated
14 corrosion program. This is an existing program
15 which is consistent with the GALL Report. The
16 application originally stated that the trigger point
17 for conducting an engineering evaluation for
18 nonsafety related piping would be 60 percent nominal
19 wall thickness. Staff could find no technical basis
20 for this number, so the applicant committed to using
21 87.5 percent nominal wall thickness as a trigger
22 point for all piping susceptible to flow accelerated
23 corrosion. The applicant uses 87.5 percent nominal
24 wall thickness as a trigger point for evaluation for
25 safety related piping also.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 For inaccessible medium voltage cables
2 not subject to 10 CFR 50.49 environmental
3 qualification requirements. This is a new program
4 which will be consistent with GALL and implemented
5 prior to the period of extended operation.

6 The application originally indicated
7 that medium voltage cables that are not subject to
8 prolonged exposure to significant moisture due to
9 inspecting for water collection and cable manholes
10 and conduits do not require testing. The Staff
11 position was that testing should be in addition to
12 inspection for water collection. The applicant
13 committed to conduct the testing as well as to
14 inspect initially at least once every two years, and
15 that two years comes from their operating
16 experience.

17 CHAIRMAN BONACA: Now from reading the
18 application most of these cables are just simply
19 buried in the ground. I mean, so --

20 MR. MERZKE: they do have some conduit,
21 too, sir.

22 CHAIRMAN BONACA: Some of them?

23 MR. MERZKE: Yes.

24 CHAIRMAN BONACA: A few. So, I mean,
25 the first portion of this program only addresses

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those few. So there's nothing you can do about
2 that?

3 MR. MERZKE: Well, the applicant has not
4 detected any water in any manholes during the
5 inspection process. So they've not detected any
6 moisture.

7 This program is supposed to be
8 consistent with the GALL Report which will cover all
9 medium --

10 CHAIRMAN BONACA: Oh, I agree with that.

11 MR. MERZKE: Okay. Reflecting on the
12 fact, and I was wondering because tomorrow we're
13 going to have presentation on this issue for current
14 licensing value. And after feeling comfortable with
15 the fact that this program is going to inspect for
16 water in manholes I was startled by the reality that
17 most of these cables are really in the ground,
18 they're not in conduits. And so that portion of the
19 program doesn't do much for us.

20 MR. MERZKE: Right. I guess that's where
21 the testing comes in.

22 CHAIRMAN BONACA: Yes.

23 MR. MERZKE: The reactor head closure
24 studs programs. It's an existing program which is
25 consistent with the GALL Report. The application

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 did not identify any exceptions to GALL here. The
2 audit team review determined that the use of code
3 case N-307-2 was an exception to GALL. This code
4 case alters the portion of the stub which examined.

5 The Staff found the exception acceptable
6 because the examination will identify the relevant
7 aging effects cracking and corrosion as the high
8 stressed portion of the stud continues to be
9 examined.

10 Inspectors also identified installed
11 studs which exceeds 175 kilo pounds per square inch
12 tinsel strength, which is what's recommend in Reg.
13 Guide 1.65 to minimize the likelihood of stress
14 corrosion cracking.

15 The applicant considers all these
16 students susceptible to cracking and is implementing
17 the preventive measures of Reg. Guide 1.65. The
18 applicant continues to conduct ultrasonic testing
19 and surface examinations on a ten year interval. And
20 to date, no parent degradation has been identified.

21 For the aging management review results
22 there's 100 percent review done; 36 plant systems,
23 18 structure in four commodity groups. I just
24 highlighted a few areas here.

25 Section 3.3 in the auxiliary systems

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there was a significant discussion on elastomers.
2 The application originally identified AMRs for
3 elastomers subject to elevated temperatures,
4 ultraviolet or ionizing radiation. The applicant
5 claimed no aging effect for elastomers in a plant
6 indoor air environment. It was the Staff's position
7 that elastomers subject to an ozone environment
8 experienced degradation that needs to be managed.
9 The applicant amended their application to manage
10 aging of elastomers in an air environment using the
11 system condition monitoring program and the one time
12 inspection programs.

13 The cable spreading room Halon system
14 will be inspected and tested every 18 months. Life
15 to six months is recommended by the GALL Report.
16 The GALL is based on the NFPA recommendations, which
17 takes into consideration system failures across all
18 industry, not just do to aging effects. Plant
19 specific operating experience has demonstrated that
20 an 18 month inspection interval will detect aging
21 effects prior to loss of intended function. Staff
22 accepted this exception because the 18 month
23 surveillance interval is part of the NRC approved
24 fire protection program and thus forms of an element
25 of the plant's current licensing basis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Section 3.5 aging management for the
2 drywell shell, the Staff found the applicant's
3 program for managing aging effects to the drywell
4 shell acceptable and consistent with the proposed
5 staff license renewal ISG which was issued for
6 comment earlier this month.

7 The applicant follows the code
8 requirements specified by ASME Section XI,
9 subsection IWE. UT performed in the sand pocket
10 region in 1986 and 1987 detected no degradation.
11 The applicant instituted a leakage monitoring
12 program which detects for water leakage past the
13 refueling seal bellows which is in the scope of
14 license renewal. It also detects leakage in the
15 drywell air gap drains and the sand pocket drains.
16 Drains are verified open and no leakage detected
17 every refueling outage. In addition, there's an 19
18 gauge galvanized sheet metal cover sealed to the
19 vessel and surrounding concrete which covers the
20 sand pocket region. Drywell air gap drains drain
21 any water on top of the cover, as you saw in the
22 applicant's diagram.

23 MEMBER MAYNARD: When did this
24 monitoring program start?

25 MR. MERZKE: I believe it was a result

1 of the response to Generic Letter 87-05.

2 MEMBER MAYNARD: So it's been in place
3 since 1987? Is that correct?

4 MR. MERZKE: That's correct.

5 The Staff found this program acceptable
6 to managing aging of the drywell.

7 CHAIRMAN BONACA: You had a comment,
8 Sam, it was important all the --

9 MEMBER ARMIJO: Yes. I had a question
10 when the UT examine was done in 1987 there's four
11 drain lines, sand drain lines. And was a UT done in
12 between those where there might be a low point there
13 that wasn't drained in the sand pocket region or was
14 it done at the location where the drain lines are?

15 MR. MERZKE: I don't have an answer to
16 that. I think the applicant may.

17 MEMBER ARMIJO: Do you have an idea?
18 Could we find out sometime, on call or something?

19 MR. MERZKE: Okay. Any other questions?

20 CHAIRMAN BONACA: You have those
21 requests regarding the configuration of the drain
22 pipe and the fact that --

23 MR. MERZKE: Well, look, I start --

24 CHAIRMAN BONACA: -- the design to
25 accumulate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: Yes. The stand pipe
2 design, it's kind of strange to me why it even
3 exists. Why isn't it just cut off and if there's
4 anything in there, it drains out onto the floor.
5 You know, it's not the scope of the ACRS to do a
6 design, but it seems strange to me that that stand
7 pipe is an asset. I think it's necessary. I don't
8 know why you guys --

9 MR. MERZKE: You'll have to talk about
10 it.

11 MEMBER ARMIJO: You must like it for
12 some reason or somebody likes it.

13 MR. PAIRITZ: This is Joe Pairitz the
14 Project Manager for Monticello.

15 The stand pipe, I believe, was
16 originally designed that way because the drain is
17 full of sand and part of the stand pipe is full of
18 sand. I think it was meant to keep the sand from
19 migrating out and going all over the floor. You'd
20 constantly be sweeping up sand.

21 So I looked at it and said they must
22 have done that to keep the sand in, but that's my
23 personal opinion.

24 MEMBER ARMIJO: Thank you.

25 I don't think it would pore out. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think it'd just jam up in there. As long as the
2 water gets out.

3 MR. MERZKE: All right. Continue on for
4 aging management of in scope inaccessible concrete,
5 the applicant stated and the Staff verified that the
6 below grade environment is not aggressive. Periodic
7 testing of the ground water will be performed as
8 part of the structure's monitoring program.

9 Section 3.6 covered electrical and I&C
10 components. There were four commodity groups
11 reviewed; electrical penetrations, fuse holders,
12 nine EQ cables and connections and off-site power
13 and station blackout recovery paths.

14 The Staff noted that industry operating
15 experience shows loosening of metallic parts of the
16 cable connections. Requested that the applicant
17 demonstrate how this effect will be managed. In
18 response, the applicant committed to implement a new
19 aging management program consistent with the GALL
20 AMP E6 electrical cable connections not subject to
21 10 CFR 50.49 EQ requirements prior to entering the
22 period of extended operations.

23 This application was originally reviewed
24 under the original GALL, GALL Rev. 0. The E6
25 program was not part of that GALL. The applicant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has committed to basically implementing one of the
2 programs implemented in the latest GALL revision.

3 I'd like to move on and discuss the
4 timed-limited again analyses. The first table here
5 summarizes the upper shelf energy for the limiting
6 belt line components. The acceptance criteria for
7 upper shelf energy is greater than 50 foot pounds.
8 The applicant has demonstrated and the Staff has
9 verified that the upper shelf energy for the
10 limiting belt line components at Monticello will
11 exceed 50 foot pounds at the end of the period of
12 extended operations.

13 The next table summarizes the mean nil
14 ductility reference temperature for the limiting
15 circumferential and axial welds. The values for
16 both are calculated to be within acceptable limits
17 through the period of extended operation pursuant to
18 10 CFR 54.21(a)(1)(ii).

19 CHAIRMAN BONACA: A question I have,
20 okay, this is more learning on my part, but I found
21 for this plant a lot of equivalent margin analysis
22 and, you know, which we haven't seen often before.
23 Maybe it is because of BWR versus PWR, but typically
24 we have a screening process by which you say you
25 meet the screening criteria and you don't have to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any further analysis.

2 MR. ELLIOTT: Right.

3 CHAIRMAN BONACA: And here I saw a lot
4 of equivalent margin analysis. If it's a separate
5 issue, you might want to address both. In page 422
6 of the application when it speaks of reactor
7 pressure vessels circumferential weld properties and
8 then it presents a conditional failure probability
9 at 64 EFPY of 1.78 as an acceptance criteria. And I
10 haven't seen that.

11 MR. ELLIOTT: I can't hear you. But let
12 me just summarize.

13 We went through the licensee what they
14 had to do for the upper shelf energy. And it turns
15 out they have four plates in the -- I think it's
16 four plates in the belt line. And one of the plates
17 is in their surveillance program, so they actually
18 have Charpy data for that plate.

19 CHAIRMAN BONACA: Okay.

20 MR. ELLIOTT: The problem is the other
21 three plates they don't have enough Charpy data to
22 know what the upper shelf energy is. And this is
23 not something that's specific to them. There's a
24 lot of GE plants that have the same problem.

25 When these plants were originally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensed there was no requirement to do upper shelf
2 energy testing. You just had to test in the
3 transition region and you had to have a lower enough
4 transition temperature so that you had adequate
5 toughness. So they didn't do the testing on the
6 upper shelf energy. And this is typical of a lot of
7 GE plants.

8 So what GE did was they have a topical
9 report on this issue in which they say that if you
10 don't have specific values of upper shelf energy,
11 they have developed a methodology, equivalent margin
12 analysis methodology that if you have a certain
13 amount of irradiation embrittlement, you're with
14 their bounds of their analysis. So that's what they
15 were first attempting to do; to show that for these
16 plates they were within the bounds of GE and generic
17 analysis.

18 CHAIRMAN BONACA: Yes. Okay. So that's
19 likely that for GE plants we're going to see more of
20 this?

21 MR. ELLIOTT: Yes. For GE plants this
22 is very typical.

23 CHAIRMAN BONACA: But it is not really a
24 marginality of this vessel. It's more like it's
25 typical of the approach we're going to see for GE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plants, for boilers?

2 MR. ELLIOTT: Right.

3 CHAIRMAN BONACA: Well the other issue
4 is that cable on page 422 where they're speaking of,
5 sort of the, configuration of weld -- essentially
6 the calculation reference, NRC calculation where a
7 condition of failure probability as 64 EFPY is used
8 as a criteria.

9 MR. ELLIOTT: Yes.

10 CHAIRMAN BONACA: And that's 1.78 and
11 ten to the minus five. And I really surprised by
12 seeing this kind of criteria used.

13 MR. ELLIOTT: Are we talking about the
14 circumferential welds?

15 MR. MERZKE: Yes. It's the BWRVIP-05.

16 MR. ELLIOTT: Okay. We reviewed the
17 circumferential welds under the BWRVIP-05 program.

18 CHAIRMAN BONACA: Okay.

19 MR. ELLIOTT: And the purpose of that
20 review at the time was to eliminate the inspection
21 of the circumferential welds. And GE put out their
22 report, and we reviewed it. And we did our own
23 analyses to convince ourselves that what they were
24 saying was true. So we put out in our safety
25 evaluation of that topical report our own analyses.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes.

2 MR. ELLIOTT: And we took their
3 fluences.

4 CHAIRMAN BONACA: Yes.A

5 MR. ELLIOTT: And we extended it,
6 originals were 40 years. And we extended it to 64
7 effective full power years just to show how it would
8 impact the analyses. And we determined that even at
9 65 effective full power years they would still be
10 the criteria that we had established to eliminate
11 the inspection of the circumferential welds.

12 CHAIRMAN BONACA: That's the inspection
13 effect. Okay. Yes, that was on page 422 of the
14 application. Bill, you were looking at it.

15 All right. That was to eliminate the
16 inspection. Okay. All right. I think that you've
17 gotten what I needed.

18 MEMBER SHACK: I mean, they eliminate
19 the inspection mostly because they can't do it?

20 MR. ELLIOTT: No, no. They can't do a
21 100 percent.

22 MEMBER SHACK: They can't do a 100
23 percent, yes.

24 MR. ELLIOTT: But the reason we have
25 eliminated it isn't because of that. We find that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the axial welds are much more susceptible. If
2 something was going to happen, they're under a much
3 higher stress than the circumferential welds. And
4 so that the axial welds would be a precursor to what
5 would happen for the circumferential welds. So as
6 long as we inspect the axial welds, we're
7 comfortable that you don't need to inspect the
8 circumferential welds.

9 CHAIRMAN BONACA: Okay. Thank you.

10 MR. MERZKE: On to Section 4.3 the
11 application covering metal fatigue. The applicant
12 satisfactorily demonstrated that the cumulative
13 usage factor, CUF, for all components subject to
14 fatigue will not exceed 1.0 through the period of
15 extended operations. Components evaluated are
16 monitored by the applicant's fatigue monitoring
17 program, which the staff found acceptable.

18 Section 4.4 covers irradiation-assisted
19 stress corrosion cracking or IASCC. Components made
20 from austenitic stainless steel exposed to a neutron
21 fluence in excess of 5 times 10 to the 20th neutron
22 per centimeter squared considered it susceptible to
23 IASCC. These components include the top guide,
24 shroud and in core instrumentation, dry tubes and
25 guide tubes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 IASCC is managed by Monticello by the
2 ASME Section 11 ISI sub sections IWB, IWC and IWD
3 program, vessel internals implant chemistry
4 programs.

5 In 1999 the applicant implemented the
6 hydrogen water chemistry program to reduce the
7 oxygenated environment also reducing the
8 susceptibility to IASCC.

9 In addition to the examinations required
10 by the ISI program, the applicant committed to
11 conduct additional top guide inspections of the high
12 fluence locations using the enhanced visual
13 inspection technique.

14 Section 4.7 covers the environmental
15 qualification of electrical equipment. The Staff
16 reviewed the applicant's TLAA on environmental
17 qualification program and concluded that the
18 evaluation was acceptable in accordance with 10 CFR
19 54.21(c)(0)(ii).

20 Section 4.8 covered the stress
21 relaxation of rim hold-down bolts. The applicant
22 provided an analysis on the stress relaxation of the
23 core plate hold-down bolts, which the Staff
24 reviewed. The Staff found the initial evaluation
25 unacceptable because it relied on friction, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was not included in the generic analysis accepted in
2 BWRVIP-25. The Staff requested the applicant
3 provide an analysis which did not include friction.
4 Subsequent analysis was provided by General
5 Electric. It was comparative analysis between the
6 BWRVIP-25 loads and the Monticello specific loads.
7 The analysis determined that the bolt stresses at
8 Monticello were either bounded by the BWRVIP-25
9 analysis or within ASME allowables. The Staff found
10 the analysis acceptable pursuant to 10 CFR
11 54.21(C)(1)(ii).

12 To summarize the TLAAs, pursuant to 10
13 CFR 54.3 the Staff found the TLAA list adequate and
14 pursuant to 10 CFR 54.21(c)(1) the Staff found that
15 the analyses provided would be the remain valid for
16 the period of extended operations. They were
17 projected to the end of the period of extended
18 operations or that the effects of aging will be
19 adequately managed for the period of extended
20 operations.

21 And pursuant to 10 CFR 54.21(c)(2) there
22 are no plant specific exceptions.

23 In conclusion, the Staff has concluded
24 that there is reasonable assurance that the
25 activities authorized by the renewed license will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 continue to be conducted in accordance with the
2 current licensing basis. And that any changes made
3 to the MNGP current licensing basis in order to
4 comply with 10 CFR 54.29(e) or (a) are in accord
5 with the Act and the Commission's regulations.

6 Does anybody have any further questions?

7 CHAIRMAN BONACA: Any questions? No
8 questions. We thank you for that presentation. It
9 was very informative.

10 At this stage what I would like to do is
11 to, first of all, ask the audience if you have any
12 questions for the presenters. There are none.

13 What I would like to do is to go around
14 the table and get insights on two things. One, do
15 we need to have a interim letter. And a second
16 question that I have is views regarding the
17 application and the safety evaluation reports by
18 individual members. You know, what are the most
19 notable issues. I believe I'm scheduled for a brief
20 update to the full Committee tomorrow or the day
21 after. So I would like to know from you what input
22 I should provide.

23 So again, two questions: (1) Should we
24 have an interim letter, and; (2) what feedback
25 should we give to the full Committee on this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. And also some views that you may have
2 on the application and the safety evaluation report.

3 So I'll start with you, Jack?

4 MEMBER SIEBER: Okay. The answer to
5 your first question is I don't see a need for an
6 interim letter.

7 My view of the application and the SER
8 and the audit and inspection report is that all
9 three documents were generally well done and
10 complete. I think the application was
11 comprehensive, even though the Staff did determine
12 in the area of scoping there were a few minor
13 corrections that needed to be made.

14 I think particularly impressive was the
15 inspection and audit report headed up by Region III.
16 Again, they have done an excellent job and it
17 results in including the licensee's effort to review
18 RAIs sent to other LER license renewal candidates.
19 Their requests for additional information and
20 include the answers in their application; I think
21 that saves a lot of effort for both the licensee and
22 the Staff. And I commend the licensee for doing
23 that.

24 And the result was an unusually low
25 number of RAIs. And I think the process more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 efficient. I think it reduces burden on all parties
2 involved. And I think shows the maturing of the
3 license renewal process.

4 The inspection and audit report, again,
5 was very thorough and well written. And basically
6 left no stone unturned. It was very clear to me what
7 steps the inspectors took to make their
8 determinations.

9 And so I think overall I would say that
10 it was a job well done.

11 In addition to looking at the
12 application, the inspection and audit report and the
13 SER, I also looked at other inspection reports
14 related to that plant on the NRC's website along
15 with their reactor oversight process, performance
16 indicators. And I was familiar years ago with the
17 performance of both of those northern states power
18 plants, Monticello and Perry Island. And it appears
19 based on what I could read and what I reviewed, that
20 they continue to perform well, and to me that's an
21 important factor.

22 So overall I was generally impressed
23 with the quality of both the licensee and the
24 Staff's reports. And I think the job was well done.

25 CHAIRMAN BONACA: Good. Thank you, Jack.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Appreciate it.

2 Bill?

3 MEMBER SHACK: I don't see any need for
4 an interim letter.

5 I'm still curious about this factor of
6 14 in the fluence. I mean, that just strikes me as
7 an extraordinary change in value that I can't
8 conceive of. And if somebody could email an
9 explanation of where it comes from --

10 MR. ZIMMERMAN: We'll do that. We'll get
11 that to you.

12 CHAIRMAN BONACA: Okay. Sam?

13 MEMBER ARMIJO: Yes. I don't want to
14 comment on the need for an interim letter. I don't
15 know enough about the process yet to talk about
16 that.

17 I think I agree with Jack's assessment
18 overall. I think a very nice job done by the Staff
19 and by the applicant.

20 I still have a nagging concern about the
21 drywell in that I'm not sure that the UT inspection
22 that was done was done in the worst location or the
23 most severe location. So I'd appreciate if either
24 the Staff or Niagara-Mohawk could tell where these
25 inspections were done before we put that issue to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bed. If it was done in the worst case location, I
2 think they've got plenty of margin in this plant.
3 BWR 3s have always been our really nice little
4 plants, low powered power density plants. And I
5 think the plant's been very well maintained. And I
6 think the plan to keep it that way is good.

7 So other than the issue n the --

8 CHAIRMAN BONACA: Well, let me just
9 point out that the issue on the interim letter. If
10 this was, for example, to be a significant issue for
11 which we have expectations, that would be a
12 motivation for writing an interim letter.

13 MEMBER ARMIJO: That's what I wanted to
14 ask. You know, maybe we just don't have the
15 information. But if it turned out, for example I
16 just have this concern that there could be a low
17 point where water's accumulated and stayed there for
18 a long time, and that wasn't the location where the
19 UT exam was done, it was done somewhere else. So
20 that's really my remaining concern.

21 MR. ZIMMERMAN: We'll look into that,
22 and we'll get that back to you through Tany. And
23 we'll talk to the licensee about that.

24 CHAIRMAN BONACA: Otto?

25 MEMBER MAYNARD: And you said Niagara-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mohawk, I don't think Niagara-Mohawk is going to get
2 you anywhere on --

3 MEMBER ARMIJO: Oh, no, no. Monticello.
4 I'm sorry. I said Niagara-Mohawk, I'm sorry. It's
5 still a BWR, I think.

6 MEMBER MAYNARD: Yes.

7 I see no need for an interim letter. I
8 agree with the previous comments on the overall
9 quality, scope and depth of the reports.
10 Especially complimentary of the inspection report
11 there.

12 And I believe that other Sam's specific
13 question on the location of these inspections, I
14 think that most of the issues that we may have
15 lingering a little bit on the shell is really more
16 of a generic question and issue that we need to come
17 to grips with than it is a Monticello specific as to
18 exactly what's required. It appears to me as though
19 they're doing exactly what the interim staff
20 guidance is requiring and have done that. So I think
21 it's more of a generic than a plant specific force.

22 CHAIRMAN BONACA: Okay. Thank you.

23 Yes, I share some of the views of the
24 rest of the Committee.

25 First of all, I was impressed by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 clarity of the application, and most of all the
2 inspection reports. I mean they were quite informed,
3 they provided a lot of information.

4 Regarding the liner, containment liner,
5 you know the presentation from the inspector leader
6 here gave some confidence. Because, I mean, they
7 probed the issue, they went back and looked at it.

8 I still believe, however, that it is
9 somewhat concern to me and I tend to agree with you,
10 Otto, that it is a generic issue right now. You
11 know we don't have a very clear basis for saying
12 Browns Ferry should inspect and Monticello should
13 not or doesn't need to. I mean I don't understand
14 yet what makes the big distinction there, okay. And
15 I think we have to clarify this issue.

16 In addition to that, I'm kind of
17 concerned about license renewal and all this
18 inaccessible components. I mean, the issue is not
19 only the liner. The issue is the cables we are going
20 to discuss tomorrow on this Generic Letter. The
21 issue is piping, which is buried under. And you
22 know these components are not going to operate
23 forever. You're going to have some incidents of
24 degradation tied to aging and I'm not sure that the
25 programs we have in place are going to address the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues in a complete fashion.

2 I know going back to the containment
3 liner, I mean I am puzzled by the guidance that we
4 have licensees by which we impose a requirement for
5 an inspection on one and we do not on some other. It
6 is all left to the judgment of the reviewer. I
7 think it's an important issue that we have to look
8 at.

9 If that was my plant and I have been 19
10 years without looking at it, I would commit to do an
11 inspection. Now does it meet however the
12 requirement of the rule? It sounds like it does.
13 So, you know, my sense is is maybe we don't interim
14 letter. The only purpose of an interim letter would
15 be for us to say to recommend that they have an
16 inspection done. And, you know, my sense is that
17 let's leave it as a generic issue.

18 And I think it will be interesting to
19 gain an understanding of this issue as we go forward
20 so that we have a better understanding of when we're
21 going to ask for an inspection and when we're not.

22 MR. ZIMMERMAN: In fact, tomorrow at
23 3:15 we're scheduled to come over here and brief you
24 on the ISG, so that will prompt further dialogue on
25 the issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes. Okay. Good.
2 And that brings it to the table anyway.

3 So outside of these comments, I mean I
4 think that again it sounds like this is a good
5 plant, has a good operating history. It seems to be
6 ready for moving on to --

7 MEMBER SHACK: Well, I'm impressed when
8 they found a number of SAMAs that would improve
9 their safety, they went out and implemented them.

10 CHAIRMAN BONACA: Yes.

11 My concluding statement, I agree with
12 the other comments of the members. Very low number
13 of RAIs, by the way. It is a real improvement in
14 the process. And I think we're getting to a maturity
15 of the license renewal process.

16 Okay. So you've got our comments.
17 We're not going to have an interim letter, at least
18 we're not going to recommend one to the full
19 Committee.

20 And I'm going to turn around and see if
21 there are any further questions or comments
22 regarding these applications from the public. If
23 are no further comments, this meeting is adjourned.

24 (Whereupon, at 4:10 p.m. the meeting was
25 adjourned.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

Official Transcript of Proceedings
NUCLEAR REGULATORY
COMMISSION

Title: Advisory Committee on Reactor Safeguards
Plant License Renewal Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, May 30, 2006

Work Order No.: NRC-1057

Pages 1-114

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

PLANT LICENSE RENEWAL SUBCOMMITTEE

MEETING

+ + + + +

ROCKVILLE, MARYLAND

TUESDAY

MAY 30, 2006

The Subcommittee met in Room 2TB3 at Two White Flint North, 14555 Rockville Pike, Rockville, Maryland, at 1:30 p.m., Mario V. Bonaca, Subcommittee Chair, presiding.

MEMBERS PRESENT:

- MARIO V. BONACA Chairman
- J. SAM ARMIJO
- WILLIAM J. SHACK
- JOHN D. SIEBER
- GRAHAM B. WALLIS
- OTTO MAYNARD

1 NRC STAFF PRESENT:

2 CAYETANO SANTOS Designated Federal Official

3 JAKE ZIMMERMAN

4 DAN MERZKE

5 PATRICIA LOUGHEED

6 DAVE POTTER

7 MICHAEL ALEKSEY

8 PETER WEN

9 BARRY ELLIOTT

10 HANSRAJ ASHAR

11 JAMES MEDOFF

12 DR. KEN CHANG

13 DR. K.T. KUO

14 MONTICELLO REPRESENTATIVES PRESENT:

15 PATRICK BURKE

16 JOHN GRUBB

17 JOEL PAIRITZ

18 SHERRY BERNHOFT

19 JIM ROOTES

20 RON SIEPEL

21 STEVE HAMMER

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18

A-G-E-N-D-A

OPENING REMARKS 4

STAFF INTRODUCTION, Mr. Zimmerman 5

MONTICELLO LICENSE RENEWAL APPLICATION, P. Burke 8

 Description, J. Grubb 10

 Operating history, background, scoping,
 P Burke 15

 Application of GALL, P. Burke 34

 Industry topics, J. Pairitz 34

 Commitment process, J. Pairitz 68

SER OVERVIEW 70

 Overview, D. Merzke 70

 Scoping and screening results, D. Merzke 72

 License renewal inspections, P Lougheed 75

AGING MANAGEMENT REVIEW RESULTS and TIME-LIMITED
AGING ANALYSES, D. Merzke 84

SUBCOMMITTEE DISCUSSION 107

P-R-O-C-E-E-D-I-N-G-S

1.31 p.m.

CHAIRMAN BONACA: The meeting will now come to order.

This is a meeting of the Plant License Renewal Subcommittee. I am Mario Bonaca, Chairman of the Plant License Renewal Subcommittee.

The ACRS members in attendance are Jack Sieber, Bill Shack, Graham Wallis, Sam Armijo and Otto Maynard.

Cayetano Santos of the ACRS Staff is a Designated Federal Official for this meeting.

The purpose of the meeting is to discuss the license renewal application for the Monticello Nuclear Generating Plant. We will hear presentations from the NRC's Office of Nuclear Reactor Regulation and representatives of the Nuclear Management Company.

The Subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberation by the full Committee.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the *Federal*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Register. We have received no written comments or
2 requests for time to make oral statements from
3 members of the public regarding today's meeting.

4 A transcript of the meeting is being
5 kept and will be made available as stated in the
6 *Federal Register* notice. Therefore, we request that
7 participants in this meeting use the microphones
8 located throughout the meeting room when addressing
9 the Subcommittee. The participants should first
10 identify themselves and speak with sufficient
11 clarity and volume so that they may readily heard.

12 We will now proceed with the meeting.
13 And I call upon Mr. Jake Zimmerman to begin the
14 meeting.

15 MR. ZIMMERMAN: Thank you, Dr. Bonaca.

16 Good afternoon. My name is Jake
17 Zimmerman. I'm the Branch Chief in License Renewal
18 Branch B, in the Division of License Renewal.

19 With me today is Dr. Ken Chang, who is
20 the Branch Chief for License Renewal Branch C, whose
21 responsibility is the on-site audits of the aging
22 management programs and the aging management reviews
23 and also the time limit and aging analysis.

24 Behind me also is Dr. P.T. Kuo, our
25 Deputy Director for the Division of License Renewal,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 who you all are familiar with.

2 The Staff has conducted a very detailed
3 and thorough review of the Monticello Nuclear
4 Generating Plant license renewal application which
5 was submitted in March of 2005. Mr. Dan Merzke,
6 here to my right, is the Project Manager for this
7 review. He will lead the Staff's presentation this
8 afternoon on the draft safety evaluation report.

9 In addition we have Ms. Patricia
10 Lougheed who is our team leader for the Region III
11 inspections that were conducted at Monticello
12 Nuclear Generating Plant.

13 We also have several members of the NRR
14 technical staff here in the audience to provide
15 additional information and answer your questions.

16 The Staff felt that the Monticello
17 Nuclear Generating Plant application was of very
18 good quality. This resulted in the issuance of only
19 a 113 formal requests for additional information. I
20 know the ACRS has been interested in the number of
21 questions that have come out of these reviews in the
22 past. We believe part of that reduction is as a
23 result of the Generic Aging Lessons Learned Report.
24 This application was submitted using the draft GALL
25 Report that was issued back in January of 2005,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 however it was reconciled with the September 2005
2 version of the GALL Report. In fact, it resulted in
3 a 95 percent consistency between their application
4 and the revised GALL. So I think it was a good
5 application. The GALL certainly helped with the
6 review providing a roadmap.

7 In addition, the Staff at Monticello
8 provided excellent support for our on-site audits,
9 the inspections that were conducted and also the
10 headquarters reviews through the conference calls
11 and numerous meetings that we had.

12 Because there are no open items, the
13 Staff has requested that we accelerate the schedule
14 to complete this review in 20 months versus our
15 standard 22 months. That's been the practice over
16 the last several license renewal applications, and
17 we're working with ACRS Staff to set up the next
18 meeting.

19 And with that, I'd like to turn it over
20 to Pat Burke, who is the Manager of this project to
21 begin the applicant's presentation.

22 MR. BURKE: Thank you, Jake.

23 And thank you members of the ACRS
24 Subcommittee for allowing Monticello to present this
25 presentation in support of the Staff in this meeting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 today.

2 What I'd like to do is start off by
3 giving a brief introduction of the team and the
4 members that we have here today to help answer any
5 questions you may have.

6 Now we have on my left here a Mr. John
7 Grubb, who our Director of Engineer.

8 We have Ms. Sherry Bernhoft, who is the
9 Director of Fleet Project Management in the
10 audience.

11 Again, I am Patrick Burke, the Manager
12 of Projects.

13 Joel Pairitz is our License Renewal
14 Project Manager.

15 Ray Dennis is our civil lead.

16 Ron Spiepel is our electrical lead.

17 Jim Rootes is our programs lead.

18 Michael Aleksey we have as our TLAA
19 support.

20 Dave Potter is our engineering
21 supervisor of inspections and materials.

22 And Steve Hammer is a principal engineer
23 on the project.

24 We also have with us today our sister
25 plant, Palisades from the Nuclear Management Company

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 observing and gaining any lessons learned during
2 this presentation today.

3 What we'd like to talk about today is
4 the agenda. We will start with having John Grubb go
5 over a brief description of the Monticello Nuclear
6 Generating Plant.

7 And I'll talk a little bit about the
8 operating history and some highlights. I'll talk a
9 little bit about the project application and
10 background. I'll discuss the methodology. And as
11 Jake mentioned, we'll talk a little bit about the
12 application of the GALL to Monticello's application.

13 At that point I'll turn it over to Joe,
14 our Project Manager to go over a couple of industry
15 topics such as drywell shell corrosion shroud
16 cracking, steam dryer. And then we'll conclude with
17 a short discussion on commitment process.

18 At this point I'd like to turn it over
19 to Mr. John Grubb.

20 MR. GRUBB: All right. Thank you, Pat.
21 And again, thanks to the Committee.

22 A brief description of the Monticello
23 plant. The plant is located, it's on the banks of
24 the Mississippi River. It's roughly 30 miles
25 northwest of Minneapolis. It's approximately 2100

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 acres of land that's owned by Xcel Energy.

2 The plant is a single unit GE BWR 3. We
3 do have a Mark I containment.

4 MEMBER WALLIS: One question about this.

5 MR. GRUBB: Yes, sir.

6 MEMBER WALLIS: How far do the suburbs
7 of Minneapolis extend the direction of the plant?

8 MR. GRUBB: The closest suburb actual
9 Minneapolis suburb to the plant is the Maple Grove
10 suburb, and it's about 18 to 20 miles.

11 MEMBER WALLIS: Okay. Thank you.

12 MR. GRUBB: Our current license thermal
13 power is 17075 megawatts thermal, approximately 600
14 megawatts electric.

15 The plant is owned by Northern States
16 Power Company, which is a subsidiary of Xcel Energy.

17 The plant is operated by the Nuclear
18 Management Company.

19 And we have an on-site staff of
20 approximately 420.

21 Just a quick aerial view of the station.
22 The Mississippi River, which is ultimate heat sink.
23 Intake structure here. Turbine building. Reactor
24 building. Cooling towers and discharge canal here.
25 Return to the river up in the upper left. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 subyard is here. It's a pretty small, relatively
2 compact site.

3 Next.

4 What you'll see in this slide is that
5 Monticello has historically been and continues to be
6 a very reliable plant. Our current unit capability
7 factor is rated at 93 percent. Our INPO performance
8 index is at 100 percent. We are greater than 1500
9 days since our last scram from power. Our current
10 operating cycle, we've been online for greater than
11 400 days. We currently have no equipment issues that
12 are threatening unit availability.

13 MEMBER SHACK: What's your fuel like?

14 MR. GRUBB: We are on a two year fuel
15 cycle.

16 The performance indicators are all
17 green. And we have no findings that have been
18 greater than green.

19 MEMBER SIEBER: I have a question about
20 the inspection findings.

21 MR. GRUBB: Yes, sir.

22 MEMBER SIEBER: I looked through all of
23 your inspection reports for the last couple of
24 years, and including the summary of the findings.
25 And they were all green or less. And I noticed a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lot of areas didn't have any findings at all, which
2 is actually a good thing.

3 On the other hand, if I review all those
4 findings which resulted in on-sited violations, I
5 think that you might be able to pick out a trend.
6 And I was wondering if you have done that and see a
7 trend or a problem area in your findings?

8 MR. GRUBB: Well, I wouldn't say I see a
9 problem area. What Monticello has been going
10 through over the last several years is we focused on
11 the programs area specifically and we've done a lot
12 of reconstitution. And a lot of time focusing,
13 doing assessments in the programs area. So we have
14 a number of things that have come up in the
15 programs; Appendix R, fire protection, EQ, some of
16 those areas that we have focused on. But we've
17 been doing that because we recognize that maybe we
18 hadn't been at the top of the industry with respect
19 to how we treated programs historically.

20 MEMBER SIEBER: Another thing that I
21 noticed was several operator errors that occurred
22 during surveillance testing. Does your staff have a
23 pretty good size turnover at this time? It's an
24 older plant and older plants often have a staff that
25 grew up with the plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GRUBB: Yes. There has not been a
2 lot of turnover in the operations area specifically.
3 We have been trying to bring groups of new license
4 candidates and new operator candidates over the last
5 several years. We hired ten last year.

6 As far as the human performance, we do
7 recognize that. There is two initiatives at the
8 site level that we're going after to try to address
9 that.

10 What the station is is we have six focus
11 areas. And the way we treat those is if we do
12 nothing else as a station, those six areas are going
13 to get a lot of attention. Two of those, one is
14 operations leadership which is making sure the Ops
15 department is leading the station and the operators
16 are taking responsibilities. The second one is
17 procedure use and adherence. So we have recognized
18 that trend and we are focusing on those two areas.

19 MEMBER SIEBER: And how would you
20 describe compared to other plants the material
21 condition of Monticello?

22 MR. GRUBB: I guess I don't have a good
23 picture of the rest of the plants. Our material
24 condition is very good. We're in pretty good shape.
25 The plant has historically been maintained very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well. What you'll see at Monticello and the people
2 that come to Monticello, the craft and the mechanics
3 and so forth that maintain the equipment take a
4 tremendous amount of ownership. And as a result of
5 that, our equipment performance and our equipment is
6 in very good condition.

7 MEMBER SIEBER: I would caution that
8 even though Minnesota is a great place, you might
9 not want to isolate yourself from your brethren in
10 the industry and get out and see what the best
11 plants look like and make yours just like it.

12 MR. GRUBB: We agree.

13 MEMBER SIEBER: Okay. Thanks.

14 MR. GRUBB: All right. Pat, back to
15 you.

16 MR. BURKE: All right. I'd like to
17 start my discussion with a little bit on the
18 operating history and highlights, some background,
19 Monticello's construction. The permit was issued in
20 1967. We obtained our operating license in
21 September of 1970. That means that 40 years later
22 in September of 2010, our 40 year license would
23 expire. And as Jake mentioned earlier, we did
24 submit our license renewal application in March 16th
25 of 2005.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 These next couple of slides I'll talk a
2 little bit about the operating history, and this
3 will go to the point of material condition which we
4 just talked about.

5 In 1984 we replaced all the resurg
6 piping with a low carbon stainless steel resistant
7 to intergranular stress corrosion cracking. The
8 small bar piping was a 304L material. The large bar
9 piping was a 316 NG material. During that project
10 we replaced risers, supply headers, suction piping
11 and safe-ends.

12 We made some additional improvements by
13 reducing the number of welds and doing some
14 induction heating, stress improvement and
15 electropolishing was applied to the new pipe.

16 In 1986 we replaced spray safe-ends with
17 intergranular stress corrosion cracking resistant
18 material also.

19 In 1989 we implemented the hydrogen
20 water chemistry. We were one of the early plants in
21 implementing that. We implement the moderate
22 hydrogen water chemistry for protection of the
23 vessel internals.

24 MEMBER SHACK: And you're still doing
25 that rather than noble metal?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: That's correct. We are
2 still with moderate hydrogen water chemistry. We
3 have been evaluating noble metals. We've been kind
4 of a slow deliberate approach to reviewing that.
5 We've had very, very good fuel reliability. So
6 we're kind of going slowly into noble metals.

7 MEMBER ARMIJO: Have you been adding any
8 zinc for dose retrieval?

9 MR. BURKE: Yes, we have. We inject
10 depleted zinc.

11 MEMBER SHACK: This is probably getting
12 ahead because you're going to tell us about core
13 strength, but what's the condition of your core
14 shroud jus as a sample internal that's seen a lot of
15 cracking in other plants?

16 MR. BURKE: I think I'll defer that Mr.
17 Dave Potter.

18 MR. POTTER: I am Dave Potter from the
19 Monticello plant.

20 The condition of our shroud is actually
21 better than most in the industry. I wouldn't say
22 it's the best. Our most cracked weld is the H3 weld
23 which had 27 percent indication of our last
24 inspection. But we had three-quarters of that weld
25 basically covered in our last inspection. So in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relative terms our shroud is very good.

2 MR. BURKE: And we will be giving more
3 information in a minute also.

4 In 1997 we did replace the emergency
5 core cooling system suction strainers. And we
6 increased the surface area of those strainers for
7 debris loading.

8 In 1998 we did initiate a power uprate.
9 We increased our power level from 1670 megawatters
10 thermal up to 1775 megawatts thermal, which was a
11 6.3 percent increase.

12 As part of the license renewal effort,
13 we did implement six SAMAs, which did significantly
14 reduce our overall plant risk.

15 MEMBER SHACK: Now those are the six
16 SAMAs that were identified in your environmental
17 impact statement as having a favorable cost risk?

18 MR. BURKE: Yes, sir. That is correct.

19 MEMBER SHACK: That's all six, including
20 the manual RCIC which reduced your CDF but upped
21 your risk?

22 MR. BURKE: That is correct.

23 MEMBER SHACK: Okay. Well, if one of my
24 colleagues was here, he'd ask you about that. But
25 we'll let that one pass.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: He's not here.

2 I would like to know, however, what is
3 the CDF for this plant?

4 MR. BURKE: The core damage frequency
5 before the six SAMAs was 4.37 ten to the minus
6 fifth. And the after implementation --

7 CHAIRMAN BONACA: Internal events or
8 total?

9 MR. BURKE: Total events.

10 CHAIRMAN BONACA: Internal events?

11 MR. BURKE: Internal, that's right.

12 And after the implementation of this was
13 changed to 5.99 times ten to the minus six per year.

14 MEMBER SHACK: That was a question I was
15 going to have for the Staff. You know, reading
16 through here this was the first environmental impact
17 where I came to the SAMAs and they actually, you
18 know, they had a bunch of favorable ones. And the
19 fire truck one was a real bargain. You know, you
20 haul the fire truck and hook it up.

21 What is the criteria for when -- why did
22 we ask these people to do these SAMA analysis? Is
23 there some criterion that they would meet that they
24 would have to do them or is it just something they
25 look at? You know, they obviously choose to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implement a number of the SAMAs. And I just
2 wondered in general what do we do with the SAMA
3 analysis after they do it?

4 You can come up with that later or
5 answer now?

6 MR. KUO: Yes. P.T. Kuo, License
7 Renewal.

8 We generally perform the SAMA analysis
9 and if we see there is a cost benefit area that the
10 applicant can improve, then we make the
11 recommendations. And we send this recommendations
12 to them that these are the cost beneficial actions
13 that they have to take.

14 And then later on --

15 MEMBER SHACK: So they don't have to
16 take them, though?

17 MR. KUO: They don't have to take them.

18 MEMBER SHACK: They could take them?

19 MR. KUO: But based on our SAMA analysis
20 we identify, if we identified any actions that we
21 believe is beneficial, we'll let them know.

22 MEMBER SIEBER: Before you move forward,
23 I'd like to go back to your 6.3 percent power
24 uprate. Do you have additional margin in your plant
25 where you could perform another uprate in power?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: We've done some studies,
2 some evaluation on that. There would be significant
3 cost. If we decided to do another power uprate, it
4 would be a significant cost to replace the
5 equipment.

6 MEMBER SIEBER: Like the turbine?

7 MR. BURKE: Like the turbine, generator
8 rewinds, transformers, feed pumps.

9 I think the answer to your question is
10 there is probably not a lot of margin above and
11 beyond for another power uprate. We have margin
12 where we're at.

13 MEMBER SIEBER: Okay. Thanks.

14 MR. BURKE: Now looking out into the
15 future, we have a number of future lifecycle
16 management projects that are in progress and being
17 implemented, such as replacement of feedwater
18 heaters, recirc pump motors and rotating pump
19 assemblies. We've done the 11 pump last outage and
20 we plan to do the 12 pump this outage the service
21 water pump replacements and transformers and
22 generator rewinds.

23 The next couple of slides I would like
24 to talk a little bit about the project. This slide
25 here what I'd like to talk about is how we selected

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the people for the project and how we made sure we
2 had the right people for the project.

3 Now, we initiated the project through an
4 interview process for site employees. We selected a
5 core team. They're NMC employees that were from the
6 site. Four of them had SROs or SRO certifications
7 and all of them were very experienced and
8 multidisciplined.

9 We supplemented that core team with
10 license renewal experienced contractors. Again, the
11 majority of those contractors were on-site
12 performing that work. We did retain the majority of
13 that team during the audits and inspections. So we
14 had the same people that prepared the application
15 supporting the audits and inspections.

16 We contracted with General Electric to
17 perform the reactor pressure vessel and internal
18 time-limited aging analysis and aging management
19 reviews.

20 And we also did engage the plant and the
21 site staff in review of aging management review
22 documents and aging management program documents.

23 MEMBER SHACK: The one thing that struck
24 me as extraordinary, though, in the TLAA for the
25 core shroud, the first estimate of the shroud

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence peak was 3 times 10 to the 20, and then it
2 got changed to 3.8 times 10 to the 21. Now that's a
3 factor of 14 and it was a change in methodology.
4 I'm a little surprised to see that kind of a change.
5 Is there some explanation for what went on there?

6 MR. BURKE: Yes. I'd like to defer that
7 to Michael Aleksey.

8 MR. ALEKSEY: My name is Michael
9 Aleksey.

10 I'd like you to rephrase that question,
11 please? I didn't hear the first part of it.

12 MEMBER SHACK: In the initial license
13 renewal application it says the peak shroud fluence
14 was 3 times 10 to the 20 neutrons per square
15 centimeter greater than 10 leV.

16 MR. ALEKSEY: Yes.

17 MEMBER SHACK: Then it got changed to
18 3.8 times 10 to the 21. I mean it's a factor of 14.

19 MR. ALEKSEY: Well, the original
20 analysis was based on Reg. Guide 1.99 and the
21 original capsule that was pulled in 1984
22 thereabouts, we went to the Reg. Guide 1.190
23 evaluation and used the typical factors to bump that
24 up by 30 percent at certain areas and stuff like
25 that, and came up with the results that we got.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I don't think that that's unusual in
2 terms of --

3 MEMBER SHACK: It's not unusual? A
4 factor of 14? I mean, you know from a case 3 times
5 10 to the minus 20 you're hardly seeing any
6 influence of irradiation on stainless steel to 3
7 times 10 to the 21; it's, you know, a big time
8 change. It's embrittlement, it's high crack growth
9 rates without your hydrogen water chemistry.

10 I mean, normally I hear the Staff
11 beating up people over 10 percent changes in fluence
12 and a factor of 14 just seems very large.

13 Barry is going to enlighten me.

14 MR. ELLIOTT: Barry Elliott, NRC.

15 I'd just like to talk to them for a
16 second.

17 I believe in their application, and I'm
18 making some assumptions, the original applications
19 likes the fluence is calculated for either 1775
20 megawatts or 1680 or something like that. When they
21 did the recalculation for these, it looks like they
22 used 1830 megawatts or 1880 megawatts for cycle 23
23 through the end of the license renewal period. So
24 that would account for some of the large increase.
25 In other words --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: But a factor of 14?

2 MR. ELLIOTT: I'm just saying that they
3 went from 1660 or something like that all the way up
4 to 1880 megawatt thermal. So that increases it quite
5 a bit.

6 And then they used a new GE methodology,
7 which they hadn't used before.

8 So all this stuff added in, I mean this
9 is what you did. So, I mean, I'm just reading the
10 application. You tell me is that what you did?

11 MR. ALEKSEY: This is Mike Aleksey.

12 Yes, we did. Originally it was based on
13 1670 and the Reg. Guide 1.190 evaluation it was
14 based on 1775 up through cycle 22 and then we
15 increased that to 1880 for cycle 23 on, which did
16 provide a significant conservatism. And the reason
17 we did that is because we had performed other
18 analyses at that level before and we thought it was
19 a prudent thing to do.

20 MEMBER SHACK: Okay. Well, I mean
21 since you can live with 3 times 10 to the 21, you
22 know and that sounds like the typical value I have
23 for end-of-life for a core shroud. You know, when I
24 saw the 3 times 10 to the 20 in the original
25 application, I wondered how much water you had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 between your core and your shroud, and it seemed
2 extremely low. The 3 times 10 to the 21 is about
3 where I expected it to be. I still don't understand
4 why it's so different, but obviously you can live
5 with it. And, as I say, it's a value that I find
6 plausible.

7 CHAIRMAN BONACA: Okay. Next slide,
8 please.

9 This slide talks a little about how we
10 were engaged in the industry during the development
11 of license renewal application. We attended many of
12 the working groups. We did participate in the GALL
13 draft revision 1 review and comments through NEI.

14 And we participated in our sister NMC
15 plants during their audits and inspections to gain
16 lessons learned.

17 We supported numerous license renewal
18 peer reviews throughout the industry. We also
19 hosted our own peer review where we did have seven
20 external peers on that team.

21 And then we did review many industry
22 RAIs and in detail we reviewed the Nine Mile, Point
23 Beach and Dresden/Quad's RAIs.

24 These next couple of slides we'll talk a
25 little bit about the methodology. Most of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bullets that I'll talk about now is where we added
2 additional detail into the application that you
3 might not always see. For example, we identified
4 system functions and tied those to the different
5 criterion for the different scoping to help better
6 describe why the system wasn't scoped.

7 We paid a lot of attention to our
8 boundary drawings and included boundary flags and
9 multicolored boundary drawings.

10 We used plant documentation to identify
11 our scoping components. Use DBDs and did extensive
12 plant walkdowns.

13 We created a number of technical reports
14 including those for criterion 2, nonsafety effecting
15 safety and also for the regulated events.

16 And then we did use the spaces approach
17 for our criterion 2, and that was incorporated into
18 the application.

19 MEMBER MAYNARD: I did have a question
20 here. Taking about your scoping, your boundary
21 drawings and everything. And yet in the inspection
22 report I noticed that the inspectors found a number
23 of items or systems where the boundary needed to be
24 changed or something needed to brought into scope,
25 or whatever. I'd like to get your perspective on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. Because it seemed like there's a number -- I
2 don't know if the inspectors were really picky or
3 whether you guys had missed these or what.

4 CHAIRMAN BONACA: No. We didn't have
5 some. There were some areas in the drawings, but I
6 think overall we felt that our drawings were pretty
7 accurate as boundary drawings typically go in the
8 industry.

9 MR. PAIRITZ: I am Joe Pairitz, the
10 Project Manager.

11 Some of the cases, too, occurred where a
12 color suddenly stopped and there wasn't an
13 explanation for why that was. And basically it was
14 that it went through a wall so it was no longer in
15 scope for criterion 2. And we had quite a few
16 instances where we had to go walk that down with NRC
17 inspectors to look at that. And we're doing it over
18 again, I would draw the wall in the drawing and make
19 it easier. But that was the cause for a good number
20 of those questions.

21 MEMBER SIEBER: You had other situations
22 where the line that started off on 1 PNID as a
23 colored line in scope, the adjoining PNID didn't
24 have a colored line in scope. So it ended at the
25 boundary of the drawing as opposed to some physical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 boundary.

2 MR. PAIRITZ: This is Joe Pairitz again.

3 That's correct. There were several
4 instances where the continuation went to the next
5 drawing, it didn't color it properly, and we did
6 correct those.

7 MEMBER SIEBER: Well, I read the same
8 inspection reports. And it just seemed like there
9 was a lot of them, relatively speaking.

10 My question to you would be now that the
11 inspection's over with, which is vertical slices and
12 not comprehensive, how confident are you that you
13 have captured all that should be in scope and
14 identified that on your plant drawings?

15 MR. PAIRITZ: Joe Pairitz again.

16 We did capture those instances in our
17 corrective action program. And part of that was
18 looking at other drawings to see the extent of
19 condition basically. And we're confident right now
20 that we have corrected those problems.

21 MEMBER SIEBER: When you did that, did
22 you find additional problems that wasn't found by
23 NRC inspectors?

24 MR. PAIRITZ: Off the top of my head
25 right now, I don't know for sure. There might have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been a couple, but basically no. And we spent a lot
2 of times on the drawings so we we're pretty
3 confident that they were right to begin with. They
4 did find a few instances, and in our works to
5 correct that I think we might have found a couple
6 more. But it wasn't a significant number.

7 And these things were in scope. It was
8 just the drawing didn't get colored properly.

9 MEMBER SIEBER: Yes. I gathered that
10 from the write-up.

11 CHAIRMAN BONACA: Well, some items were
12 also brought into scope, so there was some of both.

13 MR. PAIRITZ: Right.

14 CHAIRMAN BONACA: Since we're talking
15 inspections, I had a question about the corrosion
16 that the inspectors found on the conductor
17 termination logs of the fire diesel pump. And I'm
18 sure you have a surveillance program for that pump.
19 And so it was disturbing to read it because in
20 license renewal you are going to have a program
21 dealing with this fire pump which is an extension of
22 your existing program. And when I have to wait for
23 an inspector to find it, it troubles me and I
24 wondered about your view on that issue.

25 CHAIRMAN BONACA: Could I defer that to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Ron? He was involved with that inspection activity.

2 MR. SIEPEL: Right. My name is Ron
3 Siepel. I'm the electrical lead.

4 And if I understand the question right
5 is you had a question on the corrosion of the wire
6 that was in the diesel generator panel, is that the
7 question?

8 CHAIRMAN BONACA: Fire diesel -- fire
9 pump.

10 MR. SIEPEL: Okay. The diesel fire pump
11 panel, that panel had been identified on a previous
12 CAP or condition action request that was in the
13 process of replacement and it just hadn't been
14 replaced to date. And if it hasn't been replaced
15 now, it'll be replaced shortly. But that had been
16 previously identified out there under our program,
17 and it was in the process of being replaced.

18 CHAIRMAN BONACA: It wasn't identified
19 before? Wasn't clear from the inspections?

20 MEMBER SHACK: I was just curious. The
21 Staff SER sort of credits your computerized history
22 and maintenance planning system with helping in the
23 scoping, and yet it's not credited at all in your
24 license renewal application. You actually use this
25 thing or is it just sort of sitting around.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: This is Pat.

2 The CHAMPS database was used as a
3 starting point for the scoping process. That was
4 downloaded into a licensed renewal database called
5 ALEX.

6 The CHAMPS database is used more for
7 work management, so you have many of the active
8 components in there. And that was a starting point.
9 By taking that and using that as a starting point
10 and then adding all of the passive components,
11 therefore you would up with a complete ALEX database
12 for scoping and screening to take you through the
13 process methodically on a databased driven platform.

14 The next slide I'd like to talk a little
15 bit about the ageing management review. A couple of
16 other details that we added that I think help tell a
17 better story in the application was adding mechanism
18 for the aging effects.

19 MEMBER SIEBER: Let me ask one quick
20 question before we leave scoping. Is your
21 condensate storage tank in scope? I know piping and
22 anchors and bolts and housings are. But the tank
23 doesn't seem to be. Do you know?

24 CHAIRMAN BONACA: I don't know off the
25 top of my head.

1 MR. PAIRITZ: This is Joe Pairitz.

2 The piping leading up to the tank is in
3 scope. The tanks themselves, I guess I'll have Ray
4 check on that, but I think the tanks themselves are
5 not in scope.

6 CHAIRMAN BONACA: Individual --

7 MEMBER SIEBER: Yes, that's the way to
8 be. And I was wondering, you know, if all the other
9 stuff is in scope, why isn't the tank is in scope?
10 And if the tank would fail, can you still accomplish
11 what you're supposed to accomplish?

12 MR. BURKE: Yes. I'll answer one of the
13 questions, the CSTs being in scope or not. We do
14 not credit the condensate storage tank for any
15 design basis accident so they are not considered
16 safety related.

17 The piping going up to the tanks, I
18 believe and correct me if I'm wrong, Joe, is in
19 there from a nonsafety effecting safety standpoint.
20 Because they do lead in --

21 MEMBER SIEBER: Criterion 1?

22 MR. BURKE: Yes, that's correct.
23 Criterion 2. So that's why we terminated at the
24 tank.

25 And I guess Ray agrees with that. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I will have to think
2 about it? Thank you.

3 CHAIRMAN BONACA: Sure.

4 And also for the aging management
5 reviews we did numerous walkdowns to identify
6 materials and environments.

7 As for the aging management programs, we
8 wound up with 36 aging management programs. And we
9 did include the ten elements from GALL in the
10 application describing each program.

11 And lastly, I'd like to talk about the
12 application of GALL, and this is consistent with
13 what Jake started with, is we did have GALL
14 reconciliation to the Rev 0. That showed us to be
15 75 percent consistent with GALL. After we submitted
16 it we performed a precedents review, which brought
17 us up to 95 percent consistent with GALL. And we
18 believe that that high consistency with GALL
19 increased the efficiency of the audit and inspection
20 process.

21 At this point I'd like to turn it over
22 to Joe to go over the industry topics.

23 MR. PAIRITZ: Thank you, Pat.

24 Again, I'm Joe Pairitz. I'm the license
25 renewal Project Manager and also the mechanical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lead.

2 I'm going to talk about three industry
3 topics, the first being drywell shell corrosion,
4 second being the shroud cracking and thirdly the
5 steam dryer.

6 Starting with the drywell shell
7 corrosion, I'll give a little fresher on the Mark I
8 primary containment. This is a cut away view of the
9 reactor building. You have the reactor here in the
10 center, the drywell is the inverted light bulb
11 shaped liner right here. We have the vent pipes
12 going down to the suppression chamber, otherwise
13 known as the Torus.

14 We will concentrating on the refueling
15 bellows located at the top here. The air gap region
16 between the drywell shell and the surrounding
17 concrete and also the sand pocket region here
18 towards the bottom.

19 While the reactor cavity is flooded, and
20 that would be this area here. This is the spent fuel
21 pool over here. While the reactor cavity is flooded
22 for refueling activities, Monticello has multiple
23 design features for vent leakage from entering or
24 accumulating in the air gap region and in the sand
25 pocket regions. There are three separate drain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paths that exist to channel leakage away from these
2 areas in question.

3 We have a seal barrier over the sand
4 pocket region and we also have a flow switch that
5 would alert operators to any leakage from the
6 bellows.

7 MEMBER ARMIJO: This is Sam Armijo.

8 I have a quick question: Is this unique
9 for this particular BWR 3? Are these features added
10 that other --

11 MR. PAIRITZ: Some of the BWR 3s have
12 them and some don't. I think it might be related to
13 who the AE was on the project. I'm not sure of that.

14 MEMBER ARMIJO: Okay.

15 MR. PAIRITZ: We'll move into the
16 refueling bellows area, otherwise known to some
17 people are a refueling seal.

18 We have the reactor pressure vessel
19 shell over here on this side. The first set of
20 bellows we have are the reactor vessel to drywell
21 bellows. We move over, we have the drywell shell
22 right here. We have the second set of bellows that
23 are between the drywell shell and the reactor
24 building concrete. These bellows are in scope for
25 license renewal. If these bellows were to leak, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first barrier we have to protect the air gap, which
2 is down here, would be this trough or channel that's
3 down here that's supposed to catch any leakage that
4 would come from that bellows.

5 And then you have an 8 inch pipe here
6 that eventually reduces to a 4 inch pipe and goes to
7 rad waste. That line also has a flow switch on it.
8 Instead of 3 gallons per minute, that gives an alarm
9 in the control room. So if they've got a leak here
10 that's 3 gallons per minute or greater, it would
11 alarm in the control room.

12 These bellows and center spool plate
13 have been inspected in the past with no significant
14 degradation noted at that time. That was in the
15 late '80s.

16 I think we'll go on to the next slide.

17 Continuing into the air gap region here,
18 we have a 4 inch drain pipe here. There's actually
19 4 of these, 4 four inch drain pipes.

20 MEMBER MAYNARD: I'm sorry.

21 MR. PAIRITZ: Yes.

22 MEMBER MAYNARD: Go back. You say a
23 setpoint at 3 gallons per minute. Now wouldn't
24 typically you'd expect to see none?

25 MR. PAIRITZ: We expect to see none,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correct.

2 MEMBER MAYNARD: Okay. I'm not familiar
3 with it, but 3 gallons a minute --

4 MEMBER SHACK: That's a lot of water.

5 MEMBER MAYNARD: You know, 2 gallons a
6 minute wouldn't set the alarm off and that's seems
7 to me like it'd be quite a bit of water.

8 MR. PAIRITZ: Well, it is set at three.
9 I can't address the design basis for the three right
10 now. I think basically it was there to address
11 gross failure of the bellows. But if we had any
12 leakage, I can show you were that would be detected.

13 MEMBER MAYNARD: Okay. So any leakage
14 would be detected?

15 MR. PAIRITZ: Yes. And I'll think we'll
16 get to that when we talk about this picture.

17 MEMBER MAYNARD: Okay. All right.

18 MR. PAIRITZ: Here we have the air gap
19 which extends up towards the bellows. We have 4 four
20 inch drain pipes that drain this air gap region if
21 water were to get in that region. We have 18 gauge
22 galvanized sheet metal cover the sand pocket region
23 that's sealed to the drywell shell and sealed to the
24 surrounding concrete. So any water that might
25 accumulate on this sheet metal cover should be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drained away by the 4 four inch drain lines.

2 Now these drain lines come into the
3 Torus room, some people might know it as reactor
4 building basement. They're open. They come down to
5 floor level. They're open. You're going to have
6 water on the floor if there's any leakage in this
7 air gap region because they empty. They don't go to
8 rad waste, they go right on the floor into the
9 reactor building.

10 MEMBER WALLIS: You are concerned about
11 corrosion. And what you need for corrosion is
12 oxygen, presumably. That's from the air gap.

13 MR. PAIRITZ: Correct.

14 MEMBER WALLIS: And you need some
15 moisture. But you don't need a flow of water. And
16 the drains take away a flow of water, but a
17 sufficient humidity in there with very small amount
18 of liquid on the surface could lead to corrosion.

19 I'm not quite sure why drain prevents
20 corrosion. You've got to really control the
21 humidity, don't you?

22 MR. PAIRITZ: Well, when the linear was
23 originally manufactured it was painted with a
24 primer. So it does have some protection on it from
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The humidity you get in there, I mean
2 the drain pipe was obvious to remove any liquid
3 water. If you had high humidity in there, I can't
4 say what the drain would do in that case, although I
5 don't think there's a motive force to -- you know,
6 this one we're running, operating, the drywell shell
7 is fairly warm. So any water should evaporate from
8 there and, hopefully, would come out the drains. I
9 mean, not as liquid water but as a vapor.

10 MEMBER WALLIS: What happens to the air
11 gap? Do you ventilate it in some way? It just sits
12 there, sits there?

13 MR. PAIRITZ: It sits there.

14 MEMBER WALLIS: Silent air. So if there
15 were oxygen in there, it would get used up if it
16 were corroding?

17 MR. PAIRITZ: If there were oxygen in
18 there --

19 MEMBER WALLIS: It would get used up
20 pretty --

21 MEMBER SHACK: Very little.

22 MEMBER WALLIS: Yes.

23 MR. PAIRITZ: Yes. These drain pipes
24 point straight down to the floor, too. You know, I
25 don't think you get a lot of air movement into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 air gap. Maybe during heat up and cool down, but not
2 during normal operation.

3 MEMBER WALLIS: Yes, but doesn't
4 moisture slowly come out of concrete and things like
5 that over a long period of time?

6 MR. PAIRITZ: Ray, can you answer the
7 concrete question?

8 MR. DENNIS: Yes, this is Ray Dennis.
9 I'm the civil structural lead.

10 The air gap, it's not an airtight
11 environment. There's many, many penetrations to the
12 air gap or piping penetrations that go into the
13 reactor vessel and drywell. So it's a free flow of
14 oxygen and it's continuously being replenished --

15 MEMBER WALLIS: There is an oxygen
16 supply, right?

17 MR. DENNIS: Right.

18 MEMBER WALLIS: And you're carrying away
19 the water vapor --

20 MR. DENNIS: If the water vapor is heavy
21 enough to condense and then be carried away by the
22 drains. But the environment in the air gap is
23 basically the same environment you'd find in the
24 reactor building at all times.

25 MEMBER WALLIS: I guess my -- my concern

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is with enough water to cause corrosion, which
2 doesn't necessarily drain out but just stays there.
3 That's probably the worst condition for making
4 corrosion, isn't it?

5 MR. PAIRITZ: I think Ray makes a good
6 point, though, when he mentions that we have
7 penetrations going through this air gap that would
8 help, not necessarily ventilate it, but prevent more
9 humidity than is already in the air from building
10 up.

11 MEMBER WALLIS: Have some control over
12 it.

13 MR. PAIRITZ: And again, I would point
14 out that drywell shell is going to be a lot warmer
15 than the ambient air.

16 MEMBER WALLIS: That helps you. That
17 helps.

18 MEMBER SIEBER: On the other hand I
19 don't hear any kind of a argument that says we're
20 certain enough that there isn't corrosion because of
21 these factors that would tell me that I don't need
22 to go and make a thickness measurement of the linear
23 plate. So it seems to me that that's one of the
24 things you ought to be doing.

25 MR. PAIRITZ: Well, we did do that in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 response to Generic Letter 87-05. We took over 50--

2 MEMBER SIEBER: Right.

3 MR. PAIRITZ: -- readings there and we
4 could not detect any degradation from the original
5 material specifications, and that was after 17 years
6 of operations.

7 MEMBER SIEBER: That was in '87?

8 MR. PAIRITZ: That's correct. '86 and
9 '87.

10 MEMBER SIEBER: Well, it's still an
11 issue because some plants have found problems.

12 MR. PAIRITZ: That's right.

13 MEMBER SIEBER: And it's probably
14 generic to this style of containment and this age
15 group. And I understand a generic letter is in the
16 process to ask you to look at it.

17 MR. PAIRITZ: Well, ISG. I don't know
18 anything about a generic letter.

19 MEMBER SIEBER: ISG. Yes, okay.

20 MR. PAIRITZ: The other, though, as
21 plants that have experienced this, some of them have
22 not had this design. I know that one design in
23 particular doesn't have the cover on the sand pocket
24 region, doesn't have the four inch drain pipe. They
25 just have the sand pocket drains here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes.

2 MR. PAIRITZ: There are some
3 differences.

4 CHAIRMAN BONACA: What are you trying to
5 do? I know you're trying to perform visual
6 inspections problem.

7 MR. PAIRITZ: Okay.

8 CHAIRMAN BONACA: Are you going to
9 perform any UT, I mean volumetric inspections?

10 MR. PAIRITZ: Not at this time. I will
11 tell you that these drains, both the air gap drains
12 and the sand pocket drains are inspected before we
13 flood up refueling and after the bellows are well
14 submerged looking for leakage from any of those
15 lines. And that's what we do right now. And that
16 is proposed action in the ISG also.

17 MEMBER MAYNARD: What has your
18 experience been? Have you found leakage at times or
19 have you never found any signs of leakage? What's
20 your history?

21 MR. PAIRITZ: We've never had any
22 leakage. Never had the three gallon per minute flow
23 switch go off. We've never seen any leakage from
24 the four inch drain pipe for the air gap region.
25 We've never seen any leakage from the 4 2 inch drain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lines in the sand pocket. However, in February of
2 1987 as part of the plant life extension program and
3 part of work that was going on for Generic Letter
4 87-05 they did find 3½ ounces water in one of the
5 four drain lines in the sand pocket. Now this drain
6 line comes out of the concrete. It has a 90 degree
7 elbow and then a one foot stand pipe pointing up
8 vertically. They noticed a little crusty material
9 on top of the sand. They investigated that, found
10 out that that was calcium carbonate. They removed
11 the sand from the stand pipe and at the bottom of
12 the stand pipe they found 3½ ounces of water.

13 They had that water analyzed by two
14 different labs. It was not radioactive. It did not
15 contain any materials that would be indicative of it
16 coming from the reactor cavity. And it was
17 considered to be water that had come from inside the
18 Torus room.

19 These stand pipes are open to the
20 atmosphere. If you were doing some work on top of
21 the Torus and accidentally sprayed some water or
22 sprayed a hose, you could theoretically put some
23 water in there. And 3 ounces, 3½ ounces isn't very
24 much.

25 And I also think the calcification at

1 the top of the surface there would indicate that the
2 water came in through the top, calcified the sand
3 and then sat in the bottom there.

4 So we don't believe that we've ever had
5 any leakage from the air gap or for the sand pocket
6 region.

7 MEMBER ARMIJO: Have you ever done
8 anything to confirm that that sand pocket region is
9 dry, or can you?

10 MR. PAIRITZ: Well, the other three
11 drain lines, they took the sand out of those stand
12 pipes. There was no water there.

13 The top of the stand pipe is at the same
14 elevation as the bottom of this drain right here.
15 So even if the stand pipe were full of water, the
16 level in the sand pocket would still be down here.
17 The stand pipe would have to be overflowing for
18 there to be any water building up into this area.

19 We did remove part of the concrete floor
20 inside the drywell and do UTs on this area. And,
21 again, we compared that to our original material
22 specifications and we can't detect any thinning
23 there.

24 CHAIRMAN BONACA: You did that, what, 19
25 years ago?

1 MR. PAIRITZ: 1986 and 1987.

2 CHAIRMAN BONACA: Now on your slide
3 number 16 you're saying that drywell shell is
4 managed by the primary containment is ISI, which
5 again advised to specifically address the ISG.

6 MR. PAIRITZ: Correct.

7 CHAIRMAN BONACA: How --

8 MR. PAIRITZ: The ISG recommends doing a
9 surveillance on your drain piping to verify that
10 you're not having any leakage. It talks about a
11 cover n the sand pocket, which we have. And using
12 the IWE program to verify no significant corrosion.
13 Of course, that's from the inside the drywell.

14 CHAIRMAN BONACA: It doesn't tell you
15 anything about what happens on the outside of the
16 wall. So you're left with a question about the past
17 -- projected future?

18 MR. PAIRITZ: Right. We have no reason
19 to believe that there is any water in those areas.

20 CHAIRMAN BONACA: The steel liner is
21 your containment boundary, right?

22 MR. PAIRITZ: That's correct.

23 Anyway, just to finish this slide, we do
24 have the 18 gauge galvanized sheet metal cover over
25 the sand pocket region. As I mentioned there are 4

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two inch drain lines that would drain any water from
2 the sand pocket region.

3 We talked about the stand pipes filled
4 with sand. I think that's all I want to cover on
5 this slide.

6 Now with regards to the proposed ISG
7 2006 01, we've talked about the UTs that we did in
8 response to Generic Letter 87-05. Again, we
9 compared those to our original materials
10 specifications and we can't detect any wall thinning
11 or degradation there.

12 Again, the air gap and sand pocket drain
13 outlets are visually inspected, as prescribed by the
14 ISG. The top of the sand pocket area is sealed with
15 the galvanized steel sheet metal. The drywell shell
16 is managed by the primary containment in-service
17 inspection program, the IWE program and we will
18 revise it to specifically call out those procedures
19 that already exist that inspect the drains.

20 MEMBER ARMIJO: Were those 1987 UT
21 inspection points, are they still accessible? Were
22 any provisions made to have them still accessible or
23 were they concreted over?

24 MR. PAIRITZ: Well, they took readings
25 up in the air gap region 2. Those are marked on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inside of the drywell.

2 MEMBER ARMIJO: I'm talking about sand
3 pocket.

4 MR. PAIRITZ: Jim, do you have any idea?
5 I mean, I know where we excavated. I don't know if
6 the grid is still there that they used. Ray Dennis,
7 please?

8 MR. DENNIS: Yes. This is Ray Dennis
9 again.

10 Rather than fill the holes completely in
11 with concrete, they filled them in with a sand type
12 material and then put basically a concrete plug over
13 them.

14 MEMBER ARMIJO: So they would be --

15 MR. DENNIS: They'd be relatively easy
16 to inspect again. It would just be a matter of
17 removing a few inches of concrete rather than
18 several inches.

19 MEMBER ARMIJO: Yes. That's great.

20 Because --

21 MR. PAIRITZ: But whether or not they
22 have the grid the work that they used to ensure that
23 you're looking at the exact same place I think is
24 more the question.

25 MR. DENNIS: Yes. These spots are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 readily identified in our program where they are.
2 Plus, they're relatively easy to pick out given
3 their surrounding area.

4 MEMBER ARMIJO: So it would be an ideal
5 measurement. You've got a 1987 measurement,
6 possibly a later measurement at pretty much the same
7 location without tearing up the whole plant to get
8 at it? It's probably more doable than other people.

9 MR. PAIRITZ: I can't say. I mean, it
10 could be done.

11 MEMBER ARMIJO: I don't want to put
12 words in your mouth.

13 CHAIRMAN BONACA: No. I would like to
14 hear at some point from the Staff, you know, what's
15 the logic for accepting. Here, more than anything
16 else I'm thinking about precedent. You know, we had
17 some decisions and recommendations for TVA, Browns
18 Ferry. And it doesn't seem to be a consistent
19 approach that we're taking on this issue.

20 MR. ASHAR: Dr. Bonaca, I am Hans Ashar
21 with Dresden with Division of Engineering, NRR.

22 While reviewing this particular
23 application before this, I had reviewed close to
24 about a dozen other Mark I containments. Every time
25 I look for the telltale signs as to what could have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 caused partial area of corrosion. We looked at the
2 Dresden/Quad for example. We saw telltale signs.
3 They have to have something done there.

4 We saw Browns Ferry, we felt that that
5 there has to be something other.

6 And all the questions that we asked to
7 the applicant in this case, we found almost negative
8 -- negative to the extent that there were no water
9 in the top of the plane near the -- in the upper
10 area of the earlier -- can you show me the earlier
11 sketch?

12 MR. PAIRITZ: Sure. Hold on. Yes.

13 MR. ASHAR: Upper area, there is a plane
14 from the drywell. They did not see any, that's what
15 they told us. Then we went to down, because the
16 water can go into the sand pocket area. And we saw
17 no way that water can seep into that area in the
18 large quantities that could corrode that particular
19 area.

20 So there are a number of telltale signs
21 that we look for. We ask questions on each one of
22 them and we found out that, hey, this particular
23 plant does not have this type of problem. And it
24 does not -- it's not effective in telling us
25 anything about it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I have written down a very thorough
2 evaluation on this particular area because I knew
3 that ACRS, as well as other individuals, will have
4 some questions on this particular area.

5 CHAIRMAN BONACA: Well, I think my main
6 question is we need to have a constant understanding
7 of the issue.

8 MR. ASHAR: Agreed.

9 CHAIRMAN BONACA: And consistent
10 approach.

11 MR. ASHAR: I Agree.

12 CHAIRMAN BONACA: I mean, we can't
13 possibly have a tentative, you know, approach to the
14 -- when you're telling me that you don't have
15 significant amount of water or a large quantity of
16 water, it doesn't tell me anything.

17 MR. ASHAR: There is no water problem.

18 CHAIRMAN BONACA: I mean, the point that
19 Dr. Wallis was making, all you need is humidity
20 there for corrosion, you know it's well taken.

21 So I'm struggling with the ISG and the
22 way it is being interpreted by the plant that way.
23 Because all you have is statements by the licensee
24 for the same kind of configurations. One licensee is
25 more insistent than other than defending that he has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 no water there, so therefore -- you know, he's
2 argumenting about something that cannot be seen.

3 And on the other hand that's a primary
4 containment function.

5 MR. ASHAR: I fully agree. I recognize
6 what you are saying. I'm not contradicting what you
7 are telling me. But what I'm trying to say is this:
8 That the question of relatedness, I understand there
9 is a form by which everybody is to follow. And when
10 we -- They went up to ISG. We said you are going to
11 talk about various things, okay, like the drain
12 pipes being cleared, there is a control on drain
13 pipes. They are going to examine the drain pipes.
14 There is a seal. Some of the plants do not have
15 that seal that they here, okay. That makes
16 difference as to the wetness in the sand pocket
17 area.

18 It has to be quite a bit wet in order to
19 have corrosion initiated and become something like
20 some of the other plants had. And this particular
21 plant does not have that type of telltale signs.

22 It was very difficult to put them
23 through some kind of a UT inspections if we don't
24 find any reason to believe that we have problems
25 with this plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Okay. Thank you.

2 MR. PAIRITZ: Well, that concludes the
3 drywell shell corrosion. If there aren't any more
4 questions right now, I'll move on to the shroud.

5 Concerning the shroud, I have a rollout
6 view here. The horizontal welds are labeled on the
7 right side, H1 through H12. We have the vertical
8 welds labeled throughout the center of the drawing.

9 To give you an idea of the are we're
10 talking about, here's a jet pump on the side.

11 The points I want to make here is our
12 inspection coverages have increased from about 50
13 percent up to about 75 percent of the welds over the
14 past ten years due to improvements in technology.

15 As Mr. Potter was saying earlier, our H3
16 weld here has indications on 27 percent of the
17 inspected region, and we are able to inspect 71
18 percent of that weld.

19 MEMBER SHACK: Now is this VT1 enhanced
20 or is some sort of UT inspection?

21 MR. PAIRITZ: I'll let Mr. Potter answer
22 that.

23 MR. POTTER: This is Dave Potter from
24 Monticello.

25 The 73 percent converge on the H3 weld

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was from UT inspection.

2 MEMBER SHACK: That's a creeping wave
3 kind of thing?

4 MR. POTTER: There's three transducers
5 that were used in the package, but I don't recall if
6 there were a creeping wave, a shear wave and what
7 angles they were used. The processed was qualified
8 in accordance with the PIP processes for crack
9 identification.

10 MR. PAIRITZ: And moving on to the H1
11 weld, 16 percent of that weld showed indication and
12 we were able to look at 75 percent of that weld.

13 And then the other horizontal welds that
14 were looked at it was less than 10 percent
15 indication on varying degrees of inspection area.

16 The inspection results and evaluation to
17 allow inspection frequency to remain at the maximum
18 allowed ten year interval for circumferential welds,
19 for our horizontal welds.

20 We have looked at three vertical welds
21 per the BWRVIP. The inspection frequency for these
22 welds is established by inspection coverage.

23 MEMBER SHACK: Do you happen to know
24 whether these vertical welds, you know do they hit
25 high fluence regions or do they happen to hit low

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence regions? It's kind of a random event?

2 MR. PAIRITZ: Mr. Potter?

3 MR. POTTER: This is Dave Potter from
4 Monticello.

5 The regions, as shown on the diagram,
6 the V3, V4, V1 and V2 are relatively high fluence
7 areas.

8 MEMBER ARMIJO: Just a quick question.
9 Since you've instituted hydrogen water chemistry
10 have you noticed any change in any of the growth
11 rate or the initiation of cracking in the shrouds?

12 MR. PAIRITZ: I'll let Mr. Potter
13 address that. He's the expert here.

14 MR. POTTER: Since we've instituted
15 hydrogen water chemistry at Monticello, we have
16 three inspections to our credit. One that was
17 performed in 1994, another performed in '96 and this
18 most recent one in 2005. The crack indications that
19 we've identified in all three of those inspections
20 have not demonstrated substantial crack growth. So
21 our assumption has to be is that the cracking
22 occurred before hydrogen water chemistry was
23 instituted.

24 MEMBER ARMIJO: How about initiation?

25 MR. POTTER: The initiation that we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seen, I wouldn't call it substantial. A lot of it
2 has to do with UT uncertainty and our coverage that
3 we've gotten from previous inspections.

4 Our '94 inspection we did not have a lot
5 of coverage. And as we've spoken to, or as Joe
6 spoken to a moment ago, we increased our inspection
7 coverage from 1996 all the welds were approximately
8 50 percent to 2005 where they're 75. So we're
9 actually, the cracks that we were seeing were
10 basically in the areas that we hadn't inspected
11 before.

12 MEMBER ARMIJO: Okay. Thank you.

13 MR. PAIRITZ: Well, that covers crack
14 growth.

15 We feel that the moderate hydrogen water
16 chemistry has effectively contributed to mitigating
17 crack growth on our shroud, and we will continue to
18 manage the shroud per BWRVIP guidance.

19 CHAIRMAN BONACA: Well, you do have
20 additional cracking that you are monitoring that
21 way. Are they internals? For example, on the tack
22 welds on the jet pumps set screws and so forth.
23 Those cracks, I mean you just simply monitor the
24 size of the crack and whether or not they're
25 propagating further?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: I'll defer to Mr. Potter
2 again?

3 MR. POTTER: Yes. This is Dave Potter
4 again.

5 The cracking that we've identified on
6 the jet pump set screws we periodically
7 reinvestigate to make sure that they are not
8 behaving in an abnormal fashion. However, the safety
9 concern of the jet pump's tack screws is minimized,
10 basically, due to the crack geometry and what the
11 purpose of those tack welds are. And that's
12 basically to keep the set screws from rotating out.

13 CHAIRMAN BONACA: Okay. All right.
14 That's the function. I didn't know that. I didn't
15 understand.

16 I have another question, by the way.
17 It's more curiosity. When in the application you
18 talk about the belt line nozzle and the fact that
19 the weld material is not known insofar as CU and
20 nickel content. Could you tell me about it?
21 Because there is a technique you're using. You're
22 averaging CU and nickel on 9 sister plants. And then
23 you're adding one standard deviation, if I remember.
24 That, I really wasn't familiar with the technique.
25 And maybe --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: I'll Michael Aleksey,
2 answer that, our TLAA person.

3 MR. ALEKSEY: Was your question with
4 regard to the N2 nozzle?

5 CHAIRMAN BONACA: Yes. Yes, that's
6 right. The belt line nozzle.

7 MR. PAIRITZ: The one the unknown
8 chemistry.

9 MR. ALEKSEY: For the N2 nozzle the
10 nickel content was a result of industry information
11 that we had accumulated for those types of nozzles.
12 And we also used information from the RVID database
13 to establish the chemistries of that nozzle.

14 CHAIRMAN BONACA: Yes. The reason why I
15 was intrigued I thought that was a process that has
16 been reviewed and approved. I mean, it uses hits
17 from 9 sister plants or similar plants.

18 MR. ALEKSEY: Yes.

19 CHAIRMAN BONACA: Averages it and then
20 adds one standard deviation. So is it a process
21 that the NRC is familiar with and is it a approved
22 process?

23 MR. ELLIOTT: I don't know. Excuse me.
24 This Barry Elliott.

25 I can't hear you, so I can't hear what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're asking.

2 CHAIRMAN BONACA: It's the belt line
3 nozzle I'm talking about.

4 MR. ELLIOTT: Okay. Yes. What happened
5 is the belt line nozzles -- they aren't in the belt
6 lines. They're slightly above the belt line.

7 CHAIRMAN BONACA: Yes.

8 MR. ELLIOTT: But the fluence has gone
9 up because of license renewal. Also, because of the
10 way they're calculating the --

11 CHAIRMAN BONACA: That's right.

12 MR. ELLIOTT: -- fluence. They're doing
13 a very conservative thing with the fluence here.
14 And so now these nozzles are getting above the
15 criteria which we say you have to evaluate.

16 So they had to go out and evaluate the
17 nozzles. They have chemistry for the nozzles. What
18 they didn't have is underradiated properties for the
19 -- because the nozzles were built a long time ago
20 and they didn't have full C harpy curves, from what
21 I remember. So they went out and they got what's
22 equivalent to that. And went through their other
23 nozzles in the BWR fleet made the same way, and they
24 used that data. And then they establish a confidence
25 interval for that data. And they used the 95

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percent confidence interval lower bound for their
2 upper shelf energy unirradiated.

3 And we have accepted similar things to
4 that.

5 CHAIRMAN BONACA: So this is a process
6 you accept?

7 MR. ELLIOTT: Yes, we accept that.

8 CHAIRMAN BONACA: Although, I mean
9 you're not certain that the percent of Cu and
10 nickel are identical? Nine sister plants, I mean
11 they were similar plants.

12 MR. ELLIOTT: Right.

13 CHAIRMAN BONACA: But you don't have
14 specific information about this plant?

15 MR. ELLIOTT: No. We don't have specific
16 information about this plant. But we feel that we
17 looked at how they were made, the nozzles were
18 fabricated and they were fabricated equivalent ways
19 and the properties should be about the same.

20 CHAIRMAN BONACA: By the same vendors?

21 MR. ELLIOTT: I don't remember if we had
22 the same -- I'm not sure about the vendors.

23 MR. MEDOFF: This is Jim Medoff.

24 What Barry is saying is true. We've
25 evaluated the VIP processes for the vessel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 materials. And it's based on weld fluxes, how they
2 were laid down. So they grouped all those type --
3 like a shielded metal arc welds, they gathered the
4 data for all that type of welds and then they came
5 up with their statistical analysis.

6 CHAIRMAN BONACA: Well, I was expecting
7 that there will be a reference to some BWR always
8 group activity to --

9 MR. MEDOFF: There is, VIP 86.

10 CHAIRMAN BONACA: -- to provide this
11 kind of -- I mean without any pedigree to this
12 package of information, I'm only left on this
13 averaging that is stated in a little footnote in the
14 application. So since I am not the specialist in
15 metallurgy, but I know the importance of Cu in
16 nickel in the welds.

17 MR. ELLIOTT: We had to get an estimate
18 of the upper shelf energy for these forgings. So the
19 only thing we look at is the fleet, what the whole
20 fleet has for forgings. And that's what they did.
21 And then we used a 95 percent lower confidence bound
22 to establish its properties. And we've done that in
23 other cases where we don't have properties. We used
24 the entire BWR fleet and then established low bound
25 properties for welds that don't have properties.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And in this case we did it for the forgings.

2 CHAIRMAN BONACA: I return to my
3 metallurgical colleagues here and say how
4 comfortable are you with all this?

5 MEMBER ARMIJO: Well, you know, I
6 thought I heard that they knew the chemistry but
7 they didn't Charpy data. And they created the
8 Charpy data by a comparison with the rest of the
9 industry and then used a lower bound that was pretty
10 conservative.

11 CHAIRMAN BONACA: I can remember that 10
12 years ago, 15 years ago we were -- anyway --

13 MEMBER SHACK: Yes. I mean, you know you
14 just can't go back and recreate that data.

15 CHAIRMAN BONACA: Absolutely.

16 MEMBER SHACK: So you try to take a
17 conservative answer and --

18 CHAIRMAN BONACA: Is it conservative,
19 that's always the question. And that's what we're
20 looking for.

21 MEMBER SHACK: It is quite likely to be
22 conservative.

23 MEMBER ARMIJO: I think it's
24 conservative.

25 CHAIRMAN BONACA: Okay. That's --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: Are we ready to move on?

2 CHAIRMAN BONACA: Yes, let's move on.

3 MR. PAIRITZ: Okay. The last topic I
4 will talk about is the steam dryer. The steam dryer
5 is in scope for license renewal at Monticello. It's
6 a square hood dryer design. It looks like this.

7 In 1998 we inspected the dryer and we
8 noted indication in the area of the 324 degree
9 jacking bolt tack weld. Is down here in the blowup
10 on the bottom right. It was analyzed and determined
11 not to be structurally significant.

12 In 2001 we again reinspected this area
13 and found no additional indications and no change in
14 the indication at the 324 degree location.

15 In 2005 we did a comprehensive
16 inspection on the dryer. We specifically looked at
17 areas of dryer failures at other sites, and we did
18 not find any indications are those areas.

19 We did find some acceptable indications
20 on dryer shell behind three of the lifting lugs and
21 on the right side of the guide rod channel 215
22 degrees. Right here. And then we found behind the
23 lifting lugs on the shelves some indications in
24 three out of the four lifting lugs. Again, these
25 were analyzed and confirmed to be not structurally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant.

2 We will be inspecting the dryer in 2007
3 again to confirm continued acceptability. And we
4 plan on managing the dryer in accordance with the
5 BWRVIP.

6 Dryer questions?

7 MEMBER WALLIS: How does it compare with
8 other dryers? The various dryer designs, some of
9 which have more problems than others, how does --

10 MR. PAIRITZ: I'll have Mr. Potter
11 answer the question.

12 MR. POTTER: Could you clarify your
13 question for me? Are you talking in general the
14 dryer design or --

15 MEMBER WALLIS: There are about four or
16 five different versions of this GE dryer, Quad
17 Cities, Dresden, Vermont Yankee and so on. And some
18 of them had more problems than others. And I just
19 wondered how yours fitted into this sort of spectrum
20 of different shapes and histories?

21 MR. POTTER: Okay. This is Dave Potter
22 from Monticello.

23 There is in essence right now four types
24 of dryers that are used in the industry. You might
25 even consider five depending on how you cut it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's the square hood design, which is
2 Monticello's design, which is similar to Vermont
3 Yankee's, Quad Cities' Unit 1 and 2, and Dresden
4 Unit 2 and 3.

5 Then the slanted hood dryers which a
6 great deal of plants use.

7 And then the last would be the curved
8 hood dryers.

9 Finally, the very last design would be
10 the new dryers that have been installed in the Quad
11 Cities and Dresden plants. So Monticello's dryer is
12 similar to that. The original Quad Cities Unit 1 and
13 2 and Dresden Unit 2 and 3 and the Vermont Yankee
14 dryers which did experience the failures.

15 Does that answer your question, sir?

16 MEMBER WALLIS: And you haven't seen the
17 same kind of thing that they've seen?

18 MR. POTTER: No. The failures that
19 we're seeing at Quad Cities and Dresden were flow
20 induced type vibration failures that were seen
21 basically on the plate -- this plate region right
22 here as well as this plate cover view and this plate
23 region right here or this seam weld. Those areas
24 were inspected at Monticello in 2005 and we did not
25 identify any cracking.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I think there are
2 differences between the units. For example thermal
3 megawatt output.

4 MEMBER SHACK: Core power density are a
5 lot--

6 MEMBER SIEBER: Core power -- well steam
7 flow.

8 MEMBER SHACK: Right.

9 MEMBER SIEBER: The steam header
10 diameter. And so some dryers are more susceptible
11 than others because of different environment. This
12 apparently is a milder environment than plants that
13 have shown more damage.

14 Do you have any idea what the steam
15 velocity is at the outlet of the reactor nozzles?

16 MR. POTTER: This is Dave Potter again.
17 To be absolutely honest with you I have looked at
18 that number and compared our numbers to the
19 industry. But from memory I can't recite the
20 velocity and feet per second.

21 MEMBER SIEBER: Can you say whether it's
22 higher or lower?

23 MR. POTTER: I can say that it is
24 definitely lower than -- this is Dave Potter again.

25 I can say that the steam line velocity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is definitely lower than the Quad Cities Unit 1 and
2 2 and Dresden 2 and 3 at their extended power uprate
3 conditions. And Vermont Yankee, I know we are very
4 close, but I don't recall whose velocity is higher.

5 MEMBER SIEBER: It sort of all ties
6 together, at least in my mind.

7 MR. PAIRITZ: Any more dryer questions?
8 If not, the last topic I'll cover is on the
9 commitment process. Monticello's made 60
10 commitments to enhance aging management. The
11 commitments are described in the Monticello license
12 renewal updated safety analysis report supplement.

13 All Monticello commitments are entered
14 into the corrective action program. And this ensures
15 that there is a owner and a due date. The process
16 was looked at several times during the audits and
17 inspections.

18 Any questions on the commitment process?

19 MEMBER SIEBER: Well, the due date is
20 probably when your license expires, right?

21 MR. PAIRITZ: Well, most of them are --

22 MEMBER SIEBER: Or they all become due
23 at once?

24 MR. PAIRITZ: -- prior to the period of
25 extended operation. There are a few that are before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that.

2 MEMBER SIEBER: Yes. The question is do
3 you have a schedule as to when you're going to do
4 each of the items that you have in your commitment
5 tracking system?

6 MR. PAIRITZ: Yes. We have put together
7 a level 1 type schedule as to when those will be
8 accomplished and be part of our implementation
9 effort.

10 MEMBER SIEBER: Do you have the
11 resources to do the work?

12 MR. PAIRITZ: Yes. We got people
13 working on implementation right now. A couple of
14 contractors, some of the people that were on the
15 team. And that will continue.

16 Finally we're at the end. Are there any
17 other general questions that we can answer.

18 MEMBER SIEBER: You mean you would like
19 more questions.

20 MR. PAIRITZ: I'm here to answer them.

21 MEMBER MAYNARD: A comment. I do
22 appreciate you including your backup slides in the
23 package. I do appreciate that.

24 CHAIRMAN BONACA: Any additional
25 questions for the applicant? None. Thank you for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. It was a pleasure.

2 MR. PAIRITZ: Thank you.

3 CHAIRMAN BONACA: And we'll ask the
4 Staff now to present the SER.

5 MR. ZIMMERMAN: Dan Merzke the Project
6 Manager for the Monticello review and Patricia
7 Lougheed will lead the Staff's presentation.

8 MR. MERZKE: All right. Good afternoon,
9 gentlemen. My name is Dan Merzke. I'm the Project
10 Manager for the Staff review of the Monticello
11 license renewal application.

12 Joining me today is Patricia Lougheed
13 from Region III. She's our inspection team leader.
14 Also in the audience is Peter Wen, who is our audit
15 team leader. And supporting all of us are the
16 technical reviewers in the audience to answer any
17 questions that I can't answer for you.

18 The introduction will be start off with
19 an overview. We'll give you the plant and the
20 application followed by a discussion of the results
21 of the scoping and screening results.

22 I'll turn the mike over to Patricia who
23 will discuss the results of the license renewal
24 inspections.

25 And then I'll take it back over and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 finish with the Section III results of the aging
2 management review and the time-limited aging
3 analyses.

4 The application was submitted to us by
5 letter dated March 16, 2005. The Monticello plant
6 is General Electric BWR 3 design with a Mark I steel
7 containment, as already discussed. 17075 megawatt
8 thermal rated with a 600 megawatt electric power,
9 and that includes a 6.3 percent power uprate
10 approved in 1998.

11 Current operating license expires
12 September 8 of 2010.

13 And the plant, as already discussed, is
14 located approximately 30 miles northwest of
15 Minneapolis.

16 The draft SER was issued in April 26,
17 2006 with no open unconformity items. It also
18 included three license conditions. They're the
19 standard three license conditions for all the
20 approved plants so far.

21 We already discussed, Jake mentioned
22 that there were 113 form RAIs issued, which is
23 significantly lower than standard review.

24 And I think Jake touched on the fact
25 that we considered it a pretty good quality

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. The applicant went back and did a
2 thorough review of historical RAIs from previous
3 applications and tried to address those issues up
4 front.

5 In addition, we had 260 audit questions
6 between the scoping screening methodology and the
7 GALL audits.

8 And approximately, and as discussed
9 earlier, about 95 percent consistency with the draft
10 GALL Report revision 1, which was issued in January
11 of 2005. When the final GALL was issued in
12 September 2005 we did a scrub of that to make sure
13 that everything was covered.

14 During the review we did find some minor
15 components which were brought into scope. And I'll
16 discuss those during the scoping and screening
17 section.

18 Continuing on with the overview, the
19 audits were conducted during June and July of 2005.
20 Regional inspections were conducted in January and
21 February of this year.

22 Section 2.1 covers the scoping and
23 screening methodology. During the scoping and
24 screening methodology audit the audit team reviewed
25 the current licensing basis for flood control

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measures and determined that storage steel plate and
2 floor hatches designed to be installed for flood
3 control were not included within the scope of
4 license renewal. The applicant initially did not
5 include components storage in a warehouse within the
6 scope of license renewal. After further evaluation
7 and an extended condition, the applicant brought
8 these components into the scope of license renewal.

9 In Section 2.2 the plant-level scoping,
10 the Staff determined that there were omissions of
11 systems or structures within the scope of license
12 renewal.

13 For Section 2.3, the mechanical systems,
14 the Staff reviewed 36 mechanical systems, which was
15 a 100 review.

16 During the scoping and screening review
17 the Staff was unable to determine the scoping
18 boundary for 17 areas in the boundary drawings. The
19 Staff requested that the regional inspection team
20 visually inspect these areas to ensure the scoping
21 boundaries were in accordance with 10 CFR 54.4(a).
22 The inspections resulted in a length of steam piping
23 with a steam trap in the emergency diesel generator
24 room being brought into scope. And I'll mention,
25 that one was brought into scope because basically it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was below the floor deck plating in the emergency
2 diesel generator room. And the applicant considered
3 the floor as the boundary. However, it was not a
4 robust boundary because you could see through the
5 deck plating down into the area underneath. Any
6 steam coming out of there was going to impact or
7 potentially impact the operating temperature of the
8 EDG room. So the applicant agreed to bring that
9 steam piping and steam trap within the scope of
10 license renewal.

11 In addition during another walkdown, one
12 of the floor drains in the sodium hydrochloride
13 building which penetrates the floor into the intake
14 structure was also identified as being needed to be
15 brought into scope.

16 Section 2.4 covered the containment
17 structures and supports. Staff found no omissions
18 of structures or supports within the scope of
19 license renewal during the review.

20 For Section 2.5 the review of scoping
21 for the electrical system identified a motor control
22 center which was found to be outside the scope of
23 license renewal. It supplied power to the tank
24 heater for a standby liquid control tank. Since
25 standby liquid control system mitigates an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anticipated transient without scram or ATWS event,
2 the Staff determined it should be brought into the
3 scope of license renewal in accordance with 10 CFR
4 54.4(a)(3). The applicant determined that the motor
5 control centers are active components so they were
6 screened in accordance with 10 CFR 54.12(a)(1).

7 During the regional inspection the
8 inspectors determined that 480 volt load center
9 breakers should be scoped in. The applicant
10 determined these are active components also, so they
11 were screened out in accordance with 10 CFR
12 54.21(a)(1).

13 To conclude the scoping and screening
14 summary, it was the staff's determination that the
15 applicant's scoping methodology meets the
16 requirements of 10 CFR 54.4 and the scoping and
17 screening results as amended included all systems,
18 structures and components within the scope of
19 license renewal and subject to an aging management
20 review.

21 I'd like to turn it over now to Patricia
22 Lougheed from Region II who will discuss the license
23 renewal inspections.

24 MS. LOUGHEED: Hello. I'm Patricia
25 Lougheed. I was a lead inspector for the license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 renewal inspection conducted at Monticello.

2 My slide is on page 6 -- well, the one
3 that's shown there. Basically gives you some of the
4 logistics information about our inspection.

5 One thing that I would like to note is
6 that on this inspection I did have a person, a
7 metallurgist who really looked into a lot of the
8 core internals of the BWRVIP program to make sure
9 that it was being implemented in accordance with
10 what was proposed for license renewal. And to make
11 sure because there was not an official commitment
12 right now that NRC regulates or this program. So it
13 was ensuring that it was going to be brought forward
14 into license renewal properly.

15 Going on to my next slide, Dan touched
16 briefly upon the scoping and screening area. We did
17 look at all the issues that were brought forward
18 from the audit inspection. It was interesting,
19 besides the two cases where there were items that
20 were brought into scope, there were also a number of
21 areas most particularly what the licensee called the
22 985 pump room where there were components that were
23 identified as being in scope that really did not
24 need to be in scope. And there were quite a few
25 discussions during our inspection to clarify whether

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those items really should have been an in scope or
2 not. So there were some removals of things from the
3 scope as well as some additions.

4 CHAIRMAN BONACA: For understanding
5 better the logistic. You already had in hand the
6 audit report?

7 MS. LOUGHEED: We had the audit report.

8 CHAIRMAN BONACA: So that really was a
9 big help already --

10 MS. LOUGHEED: Right.

11 CHAIRMAN BONACA: -- in determining what
12 is consistent or exceptions and enhancements.

13 MS. LOUGHEED: Right.

14 CHAIRMAN BONACA: And you could start
15 from that?

16 MS. LOUGHEED: Right. And there's
17 always what we do in the region and the inspections
18 is that we look at the boundaries. Not the things
19 that are definitely in scope, the safety systems or
20 things like that. We look at those where they have
21 nonsafety safety interfaces, where there's nonsafety
22 systems that are going to be in the vicinity of
23 safety systems. We looked at what the actual
24 barriers were to make sure that there actually was
25 separation. Because it was not very obvious on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 license renewal drawings.

2 CHAIRMAN BONACA: I had a question, and
3 that doesn't go to this application. It's more
4 general.

5 You know, when you do PRA you find that
6 you have a lot of safety related components and
7 others important as you thought they were. And you
8 also find that the few, or a minor population of
9 components which are nonsafety related are
10 critically important for certain sequences. That's
11 really coming from the insides of the PRA. But
12 there is no -- I mean, license renewal does not
13 apply to these components.

14 MS. LOUGHEED: That is true.

15 CHAIRMAN BONACA: Do you find that the
16 licensees however are aware of the importance of
17 those components and take care of them or --

18 MS. LOUGHEED: My impression, and I
19 can't say that this is necessarily that we looked at
20 it on Monticello specifically. But licensees where
21 they have components that their PRAs have shown them
22 to be risk significant, they tend to pay more
23 attention to them because of that.

24 CHAIRMAN BONACA: Yes.

25 MS. LOUGHEED: Simply a lot of times

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because it becomes a matter of economics more. You
2 keep those pieces of equipment operating well and
3 your risk, and therefore your chance of a shutdown
4 go down.

5 So even though they're not considered
6 important to safety, they are treated with more
7 significance than things that are not risk
8 significant at all.

9 CHAIRMAN BONACA: Good.

10 MS. LOUGHEED: And I'll also the little
11 caveat that I think that a lot of the reason that
12 some of the safety systems don't show up as being
13 risk significant is because of the defense-in-depth
14 concept. You know, when you putt redundancy upon
15 redundancy well from a PRA aspect --

16 CHAIRMAN BONACA: Right.

17 MS. LOUGHEED: -- that does drive down
18 the significance.

19 CHAIRMAN BONACA: Right. Yes.

20 MS. LOUGHEED: Basically our conclusion,
21 and I probably should say we did do a lot of
22 walkdowns including into some fairly high radiation
23 areas. Our metallurgist also spent a number of
24 hours reviewing videotapes of the vessel internal
25 inspections and various welding inspections, areas

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that obviously he would not have access to with the
2 plant at power. So we did look at quite a bit from a
3 physical aspect, not just relying on the paperwork
4 and things like that.

5 Overall, we found that with a few minor
6 exceptions the systems were appropriately scoped.
7 We felt that we concentrated on the ones that were
8 most suspect rather than the ones where we knew 100
9 percent was going to be thrown into scope.

10 The applicant did submit some
11 clarification because they were coming up to doing
12 their annual submittal for the license application
13 while it was under review. A lot of the things that
14 we had identified were brought forward into that and
15 were submitted in that way.

16 Going on, we also looked at aging
17 management. My slide says that we reviewed all 33
18 aging management programs, where I notice that the
19 applicant said that there were 36 programs. I'm
20 still scratching my head which three we missed. We
21 really spent a lot of time on this one partly
22 because of the team that I had and the abilities of
23 that team to go in and look at a number of systems.

24 We found that the aging management
25 programs were implemented as described. That the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enhancement and exceptions that were being proposed
2 were acceptable.

3 We did identify some minor
4 inconsistencies, and those were either captured in a
5 revision to the application or in the corrective
6 action program. However.

7 CHAIRMAN BONACA: We talked about the
8 containment liner?

9 MS. LOUGHEED: Right.

10 CHAIRMAN BONACA: What's your opinion?
11 I mean, you went there and looked at it.

12 MS. LOUGHEED: Monticello is not one of
13 the plants that I would worry in Region III about
14 containment liner problems. All right. There are a
15 couple of plants that I have concerns about their
16 containment liners, but Monticello is not one of
17 them.

18 CHAIRMAN BONACA: Okay. Thank you.

19 MS. LOUGHEED: Basically that's -- I
20 know you've read through the inspection report in
21 some detail. We didn't find anything in there
22 either scoping, screening or aging management which
23 we felt would cause any sort of a hinderance to the
24 license being renewed. Overall, we found Monticello
25 to be in very good condition.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: But I must say that
2 I'm very impressed by the inspection report and by
3 the information from the audit. And I think they're
4 quite insightful.

5 MEMBER SIEBER: I concur with Dr.
6 Bonaca's opinion. A very good report.

7 MEMBER MAYNARD: Yes, I agree. It looked
8 like you did a very thorough job.

9 I've got one question. One of the things
10 in the inspection report that came out, I don't
11 think it necessarily associated with the scoping
12 itself, but on the failure to dismiss and relief
13 request. Was that something that your inspection
14 team found or is that something that just occurred
15 while you guys were there?

16 MS. LOUGHEED: No. It was something our
17 inspection team found. I very definitely had a
18 very, very, very team. Especially in the
19 metallurgical area. And we used him to full
20 advantage reviewing a lot of areas that we would not
21 have been able to look at otherwise.

22 MEMBER MAYNARD: Good. Good.

23 MS. LOUGHEED: Going on, you want me to
24 do the current performance? Okay.

25 Monticello is one of our good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performance in Region III. They are in column 1,
2 which was licensee response problem column. We
3 don't have any crosscutting issues opened. We have
4 no major issues at Monticello at all right now. So
5 we are following the revised oversight process with
6 minimum baseline inspections. And we will continue
7 to do that.

8 You can see the screens coming up. We
9 are green in every area on performance indicators.
10 And if you move on to the inspection findings, w
11 really have a lot of areas that we're doing
12 inspections where we don't have findings, which is
13 where the grey comes in. It doesn't mean we're not
14 inspecting there, it means that we haven't found
15 anything. And the areas where we have found things,
16 they have all been green or a very low safety
17 significance.

18 CHAIRMAN BONACA: Very good. Thank you.

19 MR. MERZKE: Just for Patricia's
20 benefit, the 33 aging management programs were the
21 official aging management programs listed in the
22 application. The two timed-limited aging analysis
23 support programs were also considered to be aging
24 management program. So that was 35.

25 Number 36 was a commitment made by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applicant late to implement an E6 program for
2 electrical cable connections.

3 CHAIRMAN BONACA: I'm sorry. Which one
4 is the --

5 MR. MERZKE: It was GALL E6 program.
6 I'll address it in a little bit and we'll have a
7 little discussion, but --

8 CHAIRMAN BONACA: First of all, I want
9 to thank you for the --

10 MS. LOUGHEED: Yes. We did very close
11 to 100 percent on this one.

12 CHAIRMAN BONACA: Great.

13 MS. LOUGHEED: We found they were able
14 to support it and we were able to get it done within
15 the time constraints.

16 CHAIRMAN BONACA: Thanks again.

17 Additional questions for the inspection?
18 If not, we're going to take a break and get back
19 here at 25 after 3:00.

20 (Whereupon, at 3:07 p.m. off the record
21 until 3:30 p.m.)

22 CHAIRMAN BONACA: We are back into
23 session. And we are going to be reviewing now the
24 aging management review results.

25 MR. MERZKE: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'll move on to the discussion of the
2 Staff's review of the aging management program and
3 reviews now.

4 The Staff reviewed at the time 35 aging
5 management programs based on the application. There
6 were 36 overall. The 36 was a late commitment by the
7 applicant to implement the GALL E6 program, which
8 would be consistent with GALL. And I'll discuss
9 that a little bit more in the electrical section.

10 So overall there were 36 aging
11 management programs, 29 of which were existing
12 programs and 7 which will be new programs to be
13 implemented prior to the period of extended
14 operations.

15 Of those, 9 of them were consistent with
16 the GALL Report and 25 were consistent with the GALL
17 Report with exceptions and/or enhancements. There
18 were two plant specific aging management programs;
19 they were a bust duct inspection and system
20 condition monitoring programs.

21 I'm going to start this discussion with
22 I picked a few of the aging management programs out
23 which involves considerable amount of Staff review.
24 And I thought I'd go over the results of those.

25 The first one would be the ASME Section

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 XI In Service Inspection subsections IWB, IWC and
2 IWD program. It's an existing program which is
3 consistent with the GALL Report with exceptions.

4 The LRA stated that relief requests in
5 code cases were not considered exceptions to the
6 GALL Report. The audit team did not agree and
7 requested the applicant evaluate all code cases and
8 relief requests for aging management concerns.

9 The Staff position is that relief
10 requests are not acceptable for aging management
11 because they expire after ten years.

12 The applicant subsequently removed
13 reference requests from the application except for
14 one relief request which has been approved 21 months
15 into the period of extended operations.

16 There were three code cases associated
17 with this aging management program are identified to
18 be exceptions to the GALL Report. They're endorsed
19 by NRC in the Reg. Guide 1.147. They were N-307-2
20 which concerned ultrasonic testing for Class 1
21 bolting with center holes; N-526, which concerned
22 successive examinations when a flaw is detected,
23 and; N-613-N which concerned examine volume of weld
24 and nozzles.

25 The Staff found these acceptable because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're endorsed by the NRC in Reg. Guide 1.147.

2 The bolting integrity AMP was found to
3 be consistent with the Gall report with
4 enhancements. The program will incorporate guidance
5 from EPRI technical reports which include *Bolted*
6 *Joint Maintenance and Application Guide* and the *Good*
7 *Bolting Practices Handbook*

8 . Staff determine the guidelines
9 reflect industry practice and meet the
10 recommendations of the GALL Report.

11 The buried piping and tanks inspection,
12 an aging management program which is consistent with
13 the GALL Report with enhancements. These
14 enhancements are all detailed in the commitment
15 section of the SER.

16 The applicant has committed to perform
17 inspections every ten years. They will credit
18 inspections of opportunity when excavating.

19 The applicant also committed to
20 performing an internal inspection of the diesel fuel
21 oil storage tank every ten years in addition to the
22 external inspection.

23 Other enhancements include a review of
24 operating experience to determine the susceptible
25 locations and to perform further evaluation on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extended condition if pipe wall thickness shows a
2 susceptibility to corrosion.

3 CHAIRMAN BONACA: So let me understand
4 now for buried pipes they're going to do a
5 inspections, but if they do not have any inspection
6 in ten years, they'll do one?

7 MR. MERZKE: That is correct.

8 CHAIRMAN BONACA: Okay.

9 MR. MERZKE: Yes, sir.

10 CHAIRMAN BONACA: And that's consistent
11 with GALL, yes.

12 MR. MERZKE: Ultrasonic testing and
13 visual inspections completed in 1999 and 2003 showed
14 no degradation or aging effects.

15 BWR vessels internals program. It's
16 consistent with the GALL Report with exception and
17 enhancement. The exception was that the applicant
18 used the updated water chemistry guidelines of
19 BWRVIP-130, as the GALL recommended BWRVIP-29. The
20 Staff found this acceptable as it's an updated
21 version of the same guidelines, and that was issued
22 in 2004.

23 Enhancement to this program is to use
24 the BWRVIP guidelines for inspection, evaluation and
25 repair to the maximum extent possible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The applicant made a number of
2 commitments based on questions from the audit and
3 inspection teams. They include additional top guide
4 inspections beyond those required by BWRVIP-26 and
5 steam dryer per BWRVIP-139.

6 Regional inspectors identified a couple
7 of issues which resulted in commitments to inspect
8 in core monitoring dry tubes per General Electric
9 Service Information Letter 409 and spray core piping
10 welds in accordance with BWRVIP-18.

11 In addition, core plate hold down bolts
12 will be inspected in accordance with BWRVIP-25 which
13 requires either UT or enhanced visual inspection or
14 another inspection technique which would be reviewed
15 and approved by the NRC.

16 In lieu of inspections, the applicant
17 has committed to installing wedges to replace
18 lateral load resistance prior to the period of
19 extended operations if they're unable to complete
20 those inspections.

21 CHAIRMAN BONACA: For core spray piping
22 welds, if I remember, the issue was that they did
23 not identify the flow through the welds, through the
24 cracks that you may have.

25 MR. MERZKE: The issue was that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were not doing the inspection on the welds because
2 the welds were -- they have mechanical clamps
3 surrounding them which replace the structural
4 integrity of the welds. The inspection team looked
5 at it a different way. If the crack developed in the
6 weld, it would be a diversion path for core spray.
7 And in case of an accident, that core spray would be
8 diverted outside the shroud and unavailable and it
9 might impact P-clad temperature. So the applicant
10 decided that it would be prudent to bring those --
11 inspect in accordance with BWRVIP-18.

12 CHAIRMAN BONACA: Good.

13 MR. MERZKE: The flow accelerated
14 corrosion program. This is an existing program
15 which is consistent with the GALL Report. The
16 application originally stated that the trigger point
17 for conducting an engineering evaluation for
18 nonsafety related piping would be 60 percent nominal
19 wall thickness. Staff could find no technical basis
20 for this number, so the applicant committed to using
21 87.5 percent nominal wall thickness as a trigger
22 point for all piping susceptible to flow accelerated
23 corrosion. The applicant uses 87.5 percent nominal
24 wall thickness as a trigger point for evaluation for
25 safety related piping also.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 For inaccessible medium voltage cables
2 not subject to 10 CFR 50.49 environmental
3 qualification requirements. This is a new program
4 which will be consistent with GALL and implemented
5 prior to the period of extended operation.

6 The application originally indicated
7 that medium voltage cables that are not subject to
8 prolonged exposure to significant moisture due to
9 inspecting for water collection and cable manholes
10 and conduits do not require testing. The Staff
11 position was that testing should be in addition to
12 inspection for water collection. The applicant
13 committed to conduct the testing as well as to
14 inspect initially at least once every two years, and
15 that two years comes from their operating
16 experience.

17 CHAIRMAN BONACA: Now from reading the
18 application most of these cables are just simply
19 buried in the ground. I mean, so --

20 MR. MERZKE: they do have some conduit,
21 too, sir.

22 CHAIRMAN BONACA: Some of them?

23 MR. MERZKE: Yes.

24 CHAIRMAN BONACA: A few. So, I mean,
25 the first portion of this program only addresses

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those few. So there's nothing you can do about
2 that?

3 MR. MERZKE: Well, the applicant has not
4 detected any water in any manholes during the
5 inspection process. So they've not detected any
6 moisture.

7 This program is supposed to be
8 consistent with the GALL Report which will cover all
9 medium --

10 CHAIRMAN BONACA: Oh, I agree with that.

11 MR. MERZKE: Okay. Reflecting on the
12 fact, and I was wondering because tomorrow we're
13 going to have presentation on this issue for current
14 licensing value. And after feeling comfortable with
15 the fact that this program is going to inspect for
16 water in manholes I was startled by the reality that
17 most of these cables are really in the ground,
18 they're not in conduits. And so that portion of the
19 program doesn't do much for us.

20 MR. MERZKE: Right. I guess that's where
21 the testing comes in.

22 CHAIRMAN BONACA: Yes.

23 MR. MERZKE: The reactor head closure
24 studs programs. It's an existing program which is
25 consistent with the GALL Report. The application

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 did not identify any exceptions to GALL here. The
2 audit team review determined that the use of code
3 case N-307-2 was an exception to GALL. This code
4 case alters the portion of the stub which examined.

5 The Staff found the exception acceptable
6 because the examination will identify the relevant
7 aging effects cracking and corrosion as the high
8 stressed portion of the stud continues to be
9 examined.

10 Inspectors also identified installed
11 studs which exceeds 175 kilo pounds per square inch
12 tinsel strength, which is what's recommend in Reg.
13 Guide 1.65 to minimize the likelihood of stress
14 corrosion cracking.

15 The applicant considers all these
16 students susceptible to cracking and is implementing
17 the preventive measures of Reg. Guide 1.65. The
18 applicant continues to conduct ultrasonic testing
19 and surface examinations on a ten year interval. And
20 to date, no parent degradation has been identified.

21 For the aging management review results
22 there's 100 percent review done; 36 plant systems,
23 18 structure in four commodity groups. I just
24 highlighted a few areas here.

25 Section 3.3 in the auxiliary systems

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there was a significant discussion on elastomers.
2 The application originally identified AMRs for
3 elastomers subject to elevated temperatures,
4 ultraviolet or ionizing radiation. The applicant
5 claimed no aging effect for elastomers in a plant
6 indoor air environment. It was the Staff's position
7 that elastomers subject to an ozone environment
8 experienced degradation that needs to be managed.
9 The applicant amended their application to manage
10 aging of elastomers in an air environment using the
11 system condition monitoring program and the one time
12 inspection programs.

13 The cable spreading room Halon system
14 will be inspected and tested every 18 months. Life
15 to six months is recommended by the GALL Report.
16 The GALL is based on the NFPA recommendations, which
17 takes into consideration system failures across all
18 industry, not just do to aging effects. Plant
19 specific operating experience has demonstrated that
20 an 18 month inspection interval will detect aging
21 effects prior to loss of intended function. Staff
22 accepted this exception because the 18 month
23 surveillance interval is part of the NRC approved
24 fire protection program and thus forms of an element
25 of the plant's current licensing basis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Section 3.5 aging management for the
2 drywell shell, the Staff found the applicant's
3 program for managing aging effects to the drywell
4 shell acceptable and consistent with the proposed
5 staff license renewal ISG which was issued for
6 comment earlier this month.

7 The applicant follows the code
8 requirements specified by ASME Section XI,
9 subsection IWE. UT performed in the sand pocket
10 region in 1986 and 1987 detected no degradation.
11 The applicant instituted a leakage monitoring
12 program which detects for water leakage past the
13 refueling seal bellows which is in the scope of
14 license renewal. It also detects leakage in the
15 drywell air gap drains and the sand pocket drains.
16 Drains are verified open and no leakage detected
17 every refueling outage. In addition, there's an 19
18 gauge galvanized sheet metal cover sealed to the
19 vessel and surrounding concrete which covers the
20 sand pocket region. Drywell air gap drains drain
21 any water on top of the cover, as you saw in the
22 applicant's diagram.

23 MEMBER MAYNARD: When did this
24 monitoring program start?

25 MR. MERZKE: I believe it was a result

1 of the response to Generic Letter 87-05.

2 MEMBER MAYNARD: So it's been in place
3 since 1987? Is that correct?

4 MR. MERZKE: That's correct.

5 The Staff found this program acceptable
6 to managing aging of the drywell.

7 CHAIRMAN BONACA: You had a comment,
8 Sam, it was important all the --

9 MEMBER ARMIJO: Yes. I had a question
10 when the UT examine was done in 1987 there's four
11 drain lines, sand drain lines. And was a UT done in
12 between those where there might be a low point there
13 that wasn't drained in the sand pocket region or was
14 it done at the location where the drain lines are?

15 MR. MERZKE: I don't have an answer to
16 that. I think the applicant may.

17 MEMBER ARMIJO: Do you have an idea?
18 Could we find out sometime, on call or something?

19 MR. MERZKE: Okay. Any other questions?

20 CHAIRMAN BONACA: You have those
21 requests regarding the configuration of the drain
22 pipe and the fact that --

23 MR. MERZKE: Well, look, I start --

24 CHAIRMAN BONACA: -- the design to
25 accumulate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: Yes. The stand pipe
2 design, it's kind of strange to me why it even
3 exists. Why isn't it just cut off and if there's
4 anything in there, it drains out onto the floor.
5 You know, it's not the scope of the ACRS to do a
6 design, but it seems strange to me that that stand
7 pipe is an asset. I think it's necessary. I don't
8 know why you guys --

9 MR. MERZKE: You'll have to talk about
10 it.

11 MEMBER ARMIJO: You must like it for
12 some reason or somebody likes it.

13 MR. PAIRITZ: This is Joe Pairitz the
14 Project Manager for Monticello.

15 The stand pipe, I believe, was
16 originally designed that way because the drain is
17 full of sand and part of the stand pipe is full of
18 sand. I think it was meant to keep the sand from
19 migrating out and going all over the floor. You'd
20 constantly be sweeping up sand.

21 So I looked at it and said they must
22 have done that to keep the sand in, but that's my
23 personal opinion.

24 MEMBER ARMIJO: Thank you.

25 I don't think it would pore out. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think it'd just jam up in there. As long as the
2 water gets out.

3 MR. MERZKE: All right. Continue on for
4 aging management of in scope inaccessible concrete,
5 the applicant stated and the Staff verified that the
6 below grade environment is not aggressive. Periodic
7 testing of the ground water will be performed as
8 part of the structure's monitoring program.

9 Section 3.6 covered electrical and I&C
10 components. There were four commodity groups
11 reviewed; electrical penetrations, fuse holders,
12 nine EQ cables and connections and off-site power
13 and station blackout recovery paths.

14 The Staff noted that industry operating
15 experience shows loosening of metallic parts of the
16 cable connections. Requested that the applicant
17 demonstrate how this effect will be managed. In
18 response, the applicant committed to implement a new
19 aging management program consistent with the GALL
20 AMP E6 electrical cable connections not subject to
21 10 CFR 50.49 EQ requirements prior to entering the
22 period of extended operations.

23 This application was originally reviewed
24 under the original GALL, GALL Rev. 0. The E6
25 program was not part of that GALL. The applicant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has committed to basically implementing one of the
2 programs implemented in the latest GALL revision.

3 I'd like to move on and discuss the
4 timed-limited again analyses. The first table here
5 summarizes the upper shelf energy for the limiting
6 belt line components. The acceptance criteria for
7 upper shelf energy is greater than 50 foot pounds.
8 The applicant has demonstrated and the Staff has
9 verified that the upper shelf energy for the
10 limiting belt line components at Monticello will
11 exceed 50 foot pounds at the end of the period of
12 extended operations.

13 The next table summarizes the mean nil
14 ductility reference temperature for the limiting
15 circumferential and axial welds. The values for
16 both are calculated to be within acceptable limits
17 through the period of extended operation pursuant to
18 10 CFR 54.21(a)(1)(ii).

19 CHAIRMAN BONACA: A question I have,
20 okay, this is more learning on my part, but I found
21 for this plant a lot of equivalent margin analysis
22 and, you know, which we haven't seen often before.
23 Maybe it is because of BWR versus PWR, but typically
24 we have a screening process by which you say you
25 meet the screening criteria and you don't have to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any further analysis.

2 MR. ELLIOTT: Right.

3 CHAIRMAN BONACA: And here I saw a lot
4 of equivalent margin analysis. If it's a separate
5 issue, you might want to address both. In page 422
6 of the application when it speaks of reactor
7 pressure vessels circumferential weld properties and
8 then it presents a conditional failure probability
9 at 64 EFPY of 1.78 as an acceptance criteria. And I
10 haven't seen that.

11 MR. ELLIOTT: I can't hear you. But let
12 me just summarize.

13 We went through the licensee what they
14 had to do for the upper shelf energy. And it turns
15 out they have four plates in the -- I think it's
16 four plates in the belt line. And one of the plates
17 is in their surveillance program, so they actually
18 have Charpy data for that plate.

19 CHAIRMAN BONACA: Okay.

20 MR. ELLIOTT: The problem is the other
21 three plates they don't have enough Charpy data to
22 know what the upper shelf energy is. And this is
23 not something that's specific to them. There's a
24 lot of GE plants that have the same problem.

25 When these plants were originally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensed there was no requirement to do upper shelf
2 energy testing. You just had to test in the
3 transition region and you had to have a lower enough
4 transition temperature so that you had adequate
5 toughness. So they didn't do the testing on the
6 upper shelf energy. And this is typical of a lot of
7 GE plants.

8 So what GE did was they have a topical
9 report on this issue in which they say that if you
10 don't have specific values of upper shelf energy,
11 they have developed a methodology, equivalent margin
12 analysis methodology that if you have a certain
13 amount of irradiation embrittlement, you're with
14 their bounds of their analysis. So that's what they
15 were first attempting to do; to show that for these
16 plates they were within the bounds of GE and generic
17 analysis.

18 CHAIRMAN BONACA: Yes. Okay. So that's
19 likely that for GE plants we're going to see more of
20 this?

21 MR. ELLIOTT: Yes. For GE plants this
22 is very typical.

23 CHAIRMAN BONACA: But it is not really a
24 marginality of this vessel. It's more like it's
25 typical of the approach we're going to see for GE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plants, for boilers?

2 MR. ELLIOTT: Right.

3 CHAIRMAN BONACA: Well the other issue
4 is that cable on page 422 where they're speaking of,
5 sort of the, configuration of weld -- essentially
6 the calculation reference, NRC calculation where a
7 condition of failure probability as 64 EFPY is used
8 as a criteria.

9 MR. ELLIOTT: Yes.

10 CHAIRMAN BONACA: And that's 1.78 and
11 ten to the minus five. And I really surprised by
12 seeing this kind of criteria used.

13 MR. ELLIOTT: Are we talking about the
14 circumferential welds?

15 MR. MERZKE: Yes. It's the BWRVIP-05.

16 MR. ELLIOTT: Okay. We reviewed the
17 circumferential welds under the BWRVIP-05 program.

18 CHAIRMAN BONACA: Okay.

19 MR. ELLIOTT: And the purpose of that
20 review at the time was to eliminate the inspection
21 of the circumferential welds. And GE put out their
22 report, and we reviewed it. And we did our own
23 analyses to convince ourselves that what they were
24 saying was true. So we put out in our safety
25 evaluation of that topical report our own analyses.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes.

2 MR. ELLIOTT: And we took their
3 fluences.

4 CHAIRMAN BONACA: Yes.A

5 MR. ELLIOTT: And we extended it,
6 originals were 40 years. And we extended it to 64
7 effective full power years just to show how it would
8 impact the analyses. And we determined that even at
9 65 effective full power years they would still be
10 the criteria that we had established to eliminate
11 the inspection of the circumferential welds.

12 CHAIRMAN BONACA: That's the inspection
13 effect. Okay. Yes, that was on page 422 of the
14 application. Bill, you were looking at it.

15 All right. That was to eliminate the
16 inspection. Okay. All right. I think that you've
17 gotten what I needed.

18 MEMBER SHACK: I mean, they eliminate
19 the inspection mostly because they can't do it?

20 MR. ELLIOTT: No, no. They can't do a
21 100 percent.

22 MEMBER SHACK: They can't do a 100
23 percent, yes.

24 MR. ELLIOTT: But the reason we have
25 eliminated it isn't because of that. We find that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the axial welds are much more susceptible. If
2 something was going to happen, they're under a much
3 higher stress than the circumferential welds. And
4 so that the axial welds would be a precursor to what
5 would happen for the circumferential welds. So as
6 long as we inspect the axial welds, we're
7 comfortable that you don't need to inspect the
8 circumferential welds.

9 CHAIRMAN BONACA: Okay. Thank you.

10 MR. MERZKE: On to Section 4.3 the
11 application covering metal fatigue. The applicant
12 satisfactorily demonstrated that the cumulative
13 usage factor, CUF, for all components subject to
14 fatigue will not exceed 1.0 through the period of
15 extended operations. Components evaluated are
16 monitored by the applicant's fatigue monitoring
17 program, which the staff found acceptable.

18 Section 4.4 covers irradiation-assisted
19 stress corrosion cracking or IASCC. Components made
20 from austenitic stainless steel exposed to a neutron
21 fluence in excess of 5 times 10 to the 20th neutron
22 per centimeter squared considered it susceptible to
23 IASCC. These components include the top guide,
24 shroud and in core instrumentation, dry tubes and
25 guide tubes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 IASCC is managed by Monticello by the
2 ASME Section 11 ISI sub sections IWB, IWC and IWD
3 program, vessel internals implant chemistry
4 programs.

5 In 1999 the applicant implemented the
6 hydrogen water chemistry program to reduce the
7 oxygenated environment also reducing the
8 susceptibility to IASCC.

9 In addition to the examinations required
10 by the ISI program, the applicant committed to
11 conduct additional top guide inspections of the high
12 fluence locations using the enhanced visual
13 inspection technique.

14 Section 4.7 covers the environmental
15 qualification of electrical equipment. The Staff
16 reviewed the applicant's TLAA on environmental
17 qualification program and concluded that the
18 evaluation was acceptable in accordance with 10 CFR
19 54.21(c)(0)(ii).

20 Section 4.8 covered the stress
21 relaxation of rim hold-down bolts. The applicant
22 provided an analysis on the stress relaxation of the
23 core plate hold-down bolts, which the Staff
24 reviewed. The Staff found the initial evaluation
25 unacceptable because it relied on friction, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was not included in the generic analysis accepted in
2 BWRVIP-25. The Staff requested the applicant
3 provide an analysis which did not include friction.
4 Subsequent analysis was provided by General
5 Electric. It was comparative analysis between the
6 BWRVIP-25 loads and the Monticello specific loads.
7 The analysis determined that the bolt stresses at
8 Monticello were either bounded by the BWRVIP-25
9 analysis or within ASME allowables. The Staff found
10 the analysis acceptable pursuant to 10 CFR
11 54.21(C)(1)(ii).

12 To summarize the TLAAs, pursuant to 10
13 CFR 54.3 the Staff found the TLAA list adequate and
14 pursuant to 10 CFR 54.21(c)(1) the Staff found that
15 the analyses provided would be the remain valid for
16 the period of extended operations. They were
17 projected to the end of the period of extended
18 operations or that the effects of aging will be
19 adequately managed for the period of extended
20 operations.

21 And pursuant to 10 CFR 54.21(c)(2) there
22 are no plant specific exceptions.

23 In conclusion, the Staff has concluded
24 that there is reasonable assurance that the
25 activities authorized by the renewed license will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 continue to be conducted in accordance with the
2 current licensing basis. And that any changes made
3 to the MNGP current licensing basis in order to
4 comply with 10 CFR 54.29(e) or (a) are in accord
5 with the Act and the Commission's regulations.

6 Does anybody have any further questions?

7 CHAIRMAN BONACA: Any questions? No
8 questions. We thank you for that presentation. It
9 was very informative.

10 At this stage what I would like to do is
11 to, first of all, ask the audience if you have any
12 questions for the presenters. There are none.

13 What I would like to do is to go around
14 the table and get insights on two things. One, do
15 we need to have a interim letter. And a second
16 question that I have is views regarding the
17 application and the safety evaluation reports by
18 individual members. You know, what are the most
19 notable issues. I believe I'm scheduled for a brief
20 update to the full Committee tomorrow or the day
21 after. So I would like to know from you what input
22 I should provide.

23 So again, two questions: (1) Should we
24 have an interim letter, and; (2) what feedback
25 should we give to the full Committee on this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. And also some views that you may have
2 on the application and the safety evaluation report.

3 So I'll start with you, Jack?

4 MEMBER SIEBER: Okay. The answer to
5 your first question is I don't see a need for an
6 interim letter.

7 My view of the application and the SER
8 and the audit and inspection report is that all
9 three documents were generally well done and
10 complete. I think the application was
11 comprehensive, even though the Staff did determine
12 in the area of scoping there were a few minor
13 corrections that needed to be made.

14 I think particularly impressive was the
15 inspection and audit report headed up by Region III.
16 Again, they have done an excellent job and it
17 results in including the licensee's effort to review
18 RAIs sent to other LER license renewal candidates.
19 Their requests for additional information and
20 include the answers in their application; I think
21 that saves a lot of effort for both the licensee and
22 the Staff. And I commend the licensee for doing
23 that.

24 And the result was an unusually low
25 number of RAIs. And I think the process more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 efficient. I think it reduces burden on all parties
2 involved. And I think shows the maturing of the
3 license renewal process.

4 The inspection and audit report, again,
5 was very thorough and well written. And basically
6 left no stone unturned. It was very clear to me what
7 steps the inspectors took to make their
8 determinations.

9 And so I think overall I would say that
10 it was a job well done.

11 In addition to looking at the
12 application, the inspection and audit report and the
13 SER, I also looked at other inspection reports
14 related to that plant on the NRC's website along
15 with their reactor oversight process, performance
16 indicators. And I was familiar years ago with the
17 performance of both of those northern states power
18 plants, Monticello and Perry Island. And it appears
19 based on what I could read and what I reviewed, that
20 they continue to perform well, and to me that's an
21 important factor.

22 So overall I was generally impressed
23 with the quality of both the licensee and the
24 Staff's reports. And I think the job was well done.

25 CHAIRMAN BONACA: Good. Thank you, Jack.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Appreciate it.

2 Bill?

3 MEMBER SHACK: I don't see any need for
4 an interim letter.

5 I'm still curious about this factor of
6 14 in the fluence. I mean, that just strikes me as
7 an extraordinary change in value that I can't
8 conceive of. And if somebody could email an
9 explanation of where it comes from --

10 MR. ZIMMERMAN: We'll do that. We'll get
11 that to you.

12 CHAIRMAN BONACA: Okay. Sam?

13 MEMBER ARMIJO: Yes. I don't want to
14 comment on the need for an interim letter. I don't
15 know enough about the process yet to talk about
16 that.

17 I think I agree with Jack's assessment
18 overall. I think a very nice job done by the Staff
19 and by the applicant.

20 I still have a nagging concern about the
21 drywell in that I'm not sure that the UT inspection
22 that was done was done in the worst location or the
23 most severe location. So I'd appreciate if either
24 the Staff or Niagara-Mohawk could tell where these
25 inspections were done before we put that issue to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bed. If it was done in the worst case location, I
2 think they've got plenty of margin in this plant.
3 BWR 3s have always been our really nice little
4 plants, low powered power density plants. And I
5 think the plant's been very well maintained. And I
6 think the plan to keep it that way is good.

7 So other than the issue n the --

8 CHAIRMAN BONACA: Well, let me just
9 point out that the issue on the interim letter. If
10 this was, for example, to be a significant issue for
11 which we have expectations, that would be a
12 motivation for writing an interim letter.

13 MEMBER ARMIJO: That's what I wanted to
14 ask. You know, maybe we just don't have the
15 information. But if it turned out, for example I
16 just have this concern that there could be a low
17 point where water's accumulated and stayed there for
18 a long time, and that wasn't the location where the
19 UT exam was done, it was done somewhere else. So
20 that's really my remaining concern.

21 MR. ZIMMERMAN: We'll look into that,
22 and we'll get that back to you through Tany. And
23 we'll talk to the licensee about that.

24 CHAIRMAN BONACA: Otto?

25 MEMBER MAYNARD: And you said Niagara-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mohawk, I don't think Niagara-Mohawk is going to get
2 you anywhere on --

3 MEMBER ARMIJO: Oh, no, no. Monticello.
4 I'm sorry. I said Niagara-Mohawk, I'm sorry. It's
5 still a BWR, I think.

6 MEMBER MAYNARD: Yes.

7 I see no need for an interim letter. I
8 agree with the previous comments on the overall
9 quality, scope and depth of the reports.
10 Especially complimentary of the inspection report
11 there.

12 And I believe that other Sam's specific
13 question on the location of these inspections, I
14 think that most of the issues that we may have
15 lingering a little bit on the shell is really more
16 of a generic question and issue that we need to come
17 to grips with than it is a Monticello specific as to
18 exactly what's required. It appears to me as though
19 they're doing exactly what the interim staff
20 guidance is requiring and have done that. So I think
21 it's more of a generic than a plant specific force.

22 CHAIRMAN BONACA: Okay. Thank you.

23 Yes, I share some of the views of the
24 rest of the Committee.

25 First of all, I was impressed by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 clarity of the application, and most of all the
2 inspection reports. I mean they were quite informed,
3 they provided a lot of information.

4 Regarding the liner, containment liner,
5 you know the presentation from the inspector leader
6 here gave some confidence. Because, I mean, they
7 probed the issue, they went back and looked at it.

8 I still believe, however, that it is
9 somewhat concern to me and I tend to agree with you,
10 Otto, that it is a generic issue right now. You
11 know we don't have a very clear basis for saying
12 Browns Ferry should inspect and Monticello should
13 not or doesn't need to. I mean I don't understand
14 yet what makes the big distinction there, okay. And
15 I think we have to clarify this issue.

16 In addition to that, I'm kind of
17 concerned about license renewal and all this
18 inaccessible components. I mean, the issue is not
19 only the liner. The issue is the cables we are going
20 to discuss tomorrow on this Generic Letter. The
21 issue is piping, which is buried under. And you
22 know these components are not going to operate
23 forever. You're going to have some incidents of
24 degradation tied to aging and I'm not sure that the
25 programs we have in place are going to address the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues in a complete fashion.

2 I know going back to the containment
3 liner, I mean I am puzzled by the guidance that we
4 have licensees by which we impose a requirement for
5 an inspection on one and we do not on some other. It
6 is all left to the judgment of the reviewer. I
7 think it's an important issue that we have to look
8 at.

9 If that was my plant and I have been 19
10 years without looking at it, I would commit to do an
11 inspection. Now does it meet however the
12 requirement of the rule? It sounds like it does.
13 So, you know, my sense is is maybe we don't interim
14 letter. The only purpose of an interim letter would
15 be for us to say to recommend that they have an
16 inspection done. And, you know, my sense is that
17 let's leave it as a generic issue.

18 And I think it will be interesting to
19 gain an understanding of this issue as we go forward
20 so that we have a better understanding of when we're
21 going to ask for an inspection and when we're not.

22 MR. ZIMMERMAN: In fact, tomorrow at
23 3:15 we're scheduled to come over here and brief you
24 on the ISG, so that will prompt further dialogue on
25 the issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes. Okay. Good.
2 And that brings it to the table anyway.

3 So outside of these comments, I mean I
4 think that again it sounds like this is a good
5 plant, has a good operating history. It seems to be
6 ready for moving on to --

7 MEMBER SHACK: Well, I'm impressed when
8 they found a number of SAMAs that would improve
9 their safety, they went out and implemented them.

10 CHAIRMAN BONACA: Yes.

11 My concluding statement, I agree with
12 the other comments of the members. Very low number
13 of RAIs, by the way. It is a real improvement in
14 the process. And I think we're getting to a maturity
15 of the license renewal process.

16 Okay. So you've got our comments.
17 We're not going to have an interim letter, at least
18 we're not going to recommend one to the full
19 Committee.

20 And I'm going to turn around and see if
21 there are any further questions or comments
22 regarding these applications from the public. If
23 are no further comments, this meeting is adjourned.

24 (Whereupon, at 4:10 p.m. the meeting was
25 adjourned.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

Official Transcript of Proceedings
NUCLEAR REGULATORY
COMMISSION

Title: Advisory Committee on Reactor Safeguards
Plant License Renewal Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, May 30, 2006

Work Order No.: NRC-1057

Pages 1-114

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

PLANT LICENSE RENEWAL SUBCOMMITTEE

MEETING

+ + + + +

ROCKVILLE, MARYLAND

TUESDAY

MAY 30, 2006

The Subcommittee met in Room 2TB3 at Two White Flint North, 14555 Rockville Pike, Rockville, Maryland, at 1:30 p.m., Mario V. Bonaca, Subcommittee Chair, presiding.

MEMBERS PRESENT:

MARIO V. BONACA Chairman

J. SAM ARMIJO

WILLIAM J. SHACK

JOHN D. SIEBER

GRAHAM B. WALLIS

OTTO MAYNARD

1 NRC STAFF PRESENT:

2 CAYETANO SANTOS Designated Federal Official

3 JAKE ZIMMERMAN

4 DAN MERZKE

5 PATRICIA LOUGHEED

6 DAVE POTTER

7 MICHAEL ALEKSEY

8 PETER WEN

9 BARRY ELLIOTT

10 HANSRAJ ASHAR

11 JAMES MEDOFF

12 DR. KEN CHANG

13 DR. K.T. KUO

14 MONTICELLO REPRESENTATIVES PRESENT:

15 PATRICK BURKE

16 JOHN GRUBB

17 JOEL PAIRITZ

18 SHERRY BERNHOFT

19 JIM ROOTES

20 RON SIEPEL

21 STEVE HAMMER

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18

A-G-E-N-D-A

OPENING REMARKS 4

STAFF INTRODUCTION, Mr. Zimmerman 5

MONTICELLO LICENSE RENEWAL APPLICATION, P. Burke 8

 Description, J. Grubb 10

 Operating history, background, scoping,
 P Burke 15

 Application of GALL, P. Burke 34

 Industry topics, J. Pairitz 34

 Commitment process, J. Pairitz 68

SER OVERVIEW 70

 Overview, D. Merzke 70

 Scoping and screening results, D. Merzke 72

 License renewal inspections, P Lougheed 75

AGING MANAGEMENT REVIEW RESULTS and TIME-LIMITED
AGING ANALYSES, D. Merzke 84

SUBCOMMITTEE DISCUSSION 107

P-R-O-C-E-E-D-I-N-G-S

1.31 p.m.

CHAIRMAN BONACA: The meeting will now come to order.

This is a meeting of the Plant License Renewal Subcommittee. I am Mario Bonaca, Chairman of the Plant License Renewal Subcommittee.

The ACRS members in attendance are Jack Sieber, Bill Shack, Graham Wallis, Sam Armijo and Otto Maynard.

Cayetano Santos of the ACRS Staff is a Designated Federal Official for this meeting.

The purpose of the meeting is to discuss the license renewal application for the Monticello Nuclear Generating Plant. We will hear presentations from the NRC's Office of Nuclear Reactor Regulation and representatives of the Nuclear Management Company.

The Subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberation by the full Committee.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the *Federal*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Register. We have received no written comments or
2 requests for time to make oral statements from
3 members of the public regarding today's meeting.

4 A transcript of the meeting is being
5 kept and will be made available as stated in the
6 *Federal Register* notice. Therefore, we request that
7 participants in this meeting use the microphones
8 located throughout the meeting room when addressing
9 the Subcommittee. The participants should first
10 identify themselves and speak with sufficient
11 clarity and volume so that they may readily heard.

12 We will now proceed with the meeting.
13 And I call upon Mr. Jake Zimmerman to begin the
14 meeting.

15 MR. ZIMMERMAN: Thank you, Dr. Bonaca.

16 Good afternoon. My name is Jake
17 Zimmerman. I'm the Branch Chief in License Renewal
18 Branch B, in the Division of License Renewal.

19 With me today is Dr. Ken Chang, who is
20 the Branch Chief for License Renewal Branch C, whose
21 responsibility is the on-site audits of the aging
22 management programs and the aging management reviews
23 and also the time limit and aging analysis.

24 Behind me also is Dr. P.T. Kuo, our
25 Deputy Director for the Division of License Renewal,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 who you all are familiar with.

2 The Staff has conducted a very detailed
3 and thorough review of the Monticello Nuclear
4 Generating Plant license renewal application which
5 was submitted in March of 2005. Mr. Dan Merzke,
6 here to my right, is the Project Manager for this
7 review. He will lead the Staff's presentation this
8 afternoon on the draft safety evaluation report.

9 In addition we have Ms. Patricia
10 Lougheed who is our team leader for the Region III
11 inspections that were conducted at Monticello
12 Nuclear Generating Plant.

13 We also have several members of the NRR
14 technical staff here in the audience to provide
15 additional information and answer your questions.

16 The Staff felt that the Monticello
17 Nuclear Generating Plant application was of very
18 good quality. This resulted in the issuance of only
19 a 113 formal requests for additional information. I
20 know the ACRS has been interested in the number of
21 questions that have come out of these reviews in the
22 past. We believe part of that reduction is as a
23 result of the Generic Aging Lessons Learned Report.
24 This application was submitted using the draft GALL
25 Report that was issued back in January of 2005,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 however it was reconciled with the September 2005
2 version of the GALL Report. In fact, it resulted in
3 a 95 percent consistency between their application
4 and the revised GALL. So I think it was a good
5 application. The GALL certainly helped with the
6 review providing a roadmap.

7 In addition, the Staff at Monticello
8 provided excellent support for our on-site audits,
9 the inspections that were conducted and also the
10 headquarters reviews through the conference calls
11 and numerous meetings that we had.

12 Because there are no open items, the
13 Staff has requested that we accelerate the schedule
14 to complete this review in 20 months versus our
15 standard 22 months. That's been the practice over
16 the last several license renewal applications, and
17 we're working with ACRS Staff to set up the next
18 meeting.

19 And with that, I'd like to turn it over
20 to Pat Burke, who is the Manager of this project to
21 begin the applicant's presentation.

22 MR. BURKE: Thank you, Jake.

23 And thank you members of the ACRS
24 Subcommittee for allowing Monticello to present this
25 presentation in support of the Staff in this meeting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 today.

2 What I'd like to do is start off by
3 giving a brief introduction of the team and the
4 members that we have here today to help answer any
5 questions you may have.

6 Now we have on my left here a Mr. John
7 Grubb, who our Director of Engineer.

8 We have Ms. Sherry Bernhoft, who is the
9 Director of Fleet Project Management in the
10 audience.

11 Again, I am Patrick Burke, the Manager
12 of Projects.

13 Joel Pairitz is our License Renewal
14 Project Manager.

15 Ray Dennis is our civil lead.

16 Ron Spiegel is our electrical lead.

17 Jim Rootes is our programs lead.

18 Michael Aleksey we have as our TLAA
19 support.

20 Dave Potter is our engineering
21 supervisor of inspections and materials.

22 And Steve Hammer is a principal engineer
23 on the project.

24 We also have with us today our sister
25 plant, Palisades from the Nuclear Management Company

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 observing and gaining any lessons learned during
2 this presentation today.

3 What we'd like to talk about today is
4 the agenda. We will start with having John Grubb go
5 over a brief description of the Monticello Nuclear
6 Generating Plant.

7 And I'll talk a little bit about the
8 operating history and some highlights. I'll talk a
9 little bit about the project application and
10 background. I'll discuss the methodology. And as
11 Jake mentioned, we'll talk a little bit about the
12 application of the GALL to Monticello's application.

13 At that point I'll turn it over to Joe,
14 our Project Manager to go over a couple of industry
15 topics such as drywell shell corrosion shroud
16 cracking, steam dryer. And then we'll conclude with
17 a short discussion on commitment process.

18 At this point I'd like to turn it over
19 to Mr. John Grubb.

20 MR. GRUBB: All right. Thank you, Pat.
21 And again, thanks to the Committee.

22 A brief description of the Monticello
23 plant. The plant is located, it's on the banks of
24 the Mississippi River. It's roughly 30 miles
25 northwest of Minneapolis. It's approximately 2100

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 acres of land that's owned by Xcel Energy.

2 The plant is a single unit GE BWR 3. We
3 do have a Mark I containment.

4 MEMBER WALLIS: One question about this.

5 MR. GRUBB: Yes, sir.

6 MEMBER WALLIS: How far do the suburbs
7 of Minneapolis extend the direction of the plant?

8 MR. GRUBB: The closest suburb actual
9 Minneapolis suburb to the plant is the Maple Grove
10 suburb, and it's about 18 to 20 miles.

11 MEMBER WALLIS: Okay. Thank you.

12 MR. GRUBB: Our current license thermal
13 power is 17075 megawatts thermal, approximately 600
14 megawatts electric.

15 The plant is owned by Northern States
16 Power Company, which is a subsidiary of Xcel Energy.

17 The plant is operated by the Nuclear
18 Management Company.

19 And we have an on-site staff of
20 approximately 420.

21 Just a quick aerial view of the station.
22 The Mississippi River, which is ultimate heat sink.
23 Intake structure here. Turbine building. Reactor
24 building. Cooling towers and discharge canal here.
25 Return to the river up in the upper left. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 subyard is here. It's a pretty small, relatively
2 compact site.

3 Next.

4 What you'll see in this slide is that
5 Monticello has historically been and continues to be
6 a very reliable plant. Our current unit capability
7 factor is rated at 93 percent. Our INPO performance
8 index is at 100 percent. We are greater than 1500
9 days since our last scram from power. Our current
10 operating cycle, we've been online for greater than
11 400 days. We currently have no equipment issues that
12 are threatening unit availability.

13 MEMBER SHACK: What's your fuel like?

14 MR. GRUBB: We are on a two year fuel
15 cycle.

16 The performance indicators are all
17 green. And we have no findings that have been
18 greater than green.

19 MEMBER SIEBER: I have a question about
20 the inspection findings.

21 MR. GRUBB: Yes, sir.

22 MEMBER SIEBER: I looked through all of
23 your inspection reports for the last couple of
24 years, and including the summary of the findings.
25 And they were all green or less. And I noticed a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lot of areas didn't have any findings at all, which
2 is actually a good thing.

3 On the other hand, if I review all those
4 findings which resulted in on-sited violations, I
5 think that you might be able to pick out a trend.
6 And I was wondering if you have done that and see a
7 trend or a problem area in your findings?

8 MR. GRUBB: Well, I wouldn't say I see a
9 problem area. What Monticello has been going
10 through over the last several years is we focused on
11 the programs area specifically and we've done a lot
12 of reconstitution. And a lot of time focusing,
13 doing assessments in the programs area. So we have
14 a number of things that have come up in the
15 programs; Appendix R, fire protection, EQ, some of
16 those areas that we have focused on. But we've
17 been doing that because we recognize that maybe we
18 hadn't been at the top of the industry with respect
19 to how we treated programs historically.

20 MEMBER SIEBER: Another thing that I
21 noticed was several operator errors that occurred
22 during surveillance testing. Does your staff have a
23 pretty good size turnover at this time? It's an
24 older plant and older plants often have a staff that
25 grew up with the plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GRUBB: Yes. There has not been a
2 lot of turnover in the operations area specifically.
3 We have been trying to bring groups of new license
4 candidates and new operator candidates over the last
5 several years. We hired ten last year.

6 As far as the human performance, we do
7 recognize that. There is two initiatives at the
8 site level that we're going after to try to address
9 that.

10 What the station is is we have six focus
11 areas. And the way we treat those is if we do
12 nothing else as a station, those six areas are going
13 to get a lot of attention. Two of those, one is
14 operations leadership which is making sure the Ops
15 department is leading the station and the operators
16 are taking responsibilities. The second one is
17 procedure use and adherence. So we have recognized
18 that trend and we are focusing on those two areas.

19 MEMBER SIEBER: And how would you
20 describe compared to other plants the material
21 condition of Monticello?

22 MR. GRUBB: I guess I don't have a good
23 picture of the rest of the plants. Our material
24 condition is very good. We're in pretty good shape.
25 The plant has historically been maintained very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well. What you'll see at Monticello and the people
2 that come to Monticello, the craft and the mechanics
3 and so forth that maintain the equipment take a
4 tremendous amount of ownership. And as a result of
5 that, our equipment performance and our equipment is
6 in very good condition.

7 MEMBER SIEBER: I would caution that
8 even though Minnesota is a great place, you might
9 not want to isolate yourself from your brethren in
10 the industry and get out and see what the best
11 plants look like and make yours just like it.

12 MR. GRUBB: We agree.

13 MEMBER SIEBER: Okay. Thanks.

14 MR. GRUBB: All right. Pat, back to
15 you.

16 MR. BURKE: All right. I'd like to
17 start my discussion with a little bit on the
18 operating history and highlights, some background,
19 Monticello's construction. The permit was issued in
20 1967. We obtained our operating license in
21 September of 1970. That means that 40 years later
22 in September of 2010, our 40 year license would
23 expire. And as Jake mentioned earlier, we did
24 submit our license renewal application in March 16th
25 of 2005.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 These next couple of slides I'll talk a
2 little bit about the operating history, and this
3 will go to the point of material condition which we
4 just talked about.

5 In 1984 we replaced all the resurg
6 piping with a low carbon stainless steel resistant
7 to intergranular stress corrosion cracking. The
8 small bar piping was a 304L material. The large bar
9 piping was a 316 NG material. During that project
10 we replaced risers, supply headers, suction piping
11 and safe-ends.

12 We made some additional improvements by
13 reducing the number of welds and doing some
14 induction heating, stress improvement and
15 electropolishing was applied to the new pipe.

16 In 1986 we replaced spray safe-ends with
17 intergranular stress corrosion cracking resistant
18 material also.

19 In 1989 we implemented the hydrogen
20 water chemistry. We were one of the early plants in
21 implementing that. We implement the moderate
22 hydrogen water chemistry for protection of the
23 vessel internals.

24 MEMBER SHACK: And you're still doing
25 that rather than noble metal?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: That's correct. We are
2 still with moderate hydrogen water chemistry. We
3 have been evaluating noble metals. We've been kind
4 of a slow deliberate approach to reviewing that.
5 We've had very, very good fuel reliability. So
6 we're kind of going slowly into noble metals.

7 MEMBER ARMIJO: Have you been adding any
8 zinc for dose retrieval?

9 MR. BURKE: Yes, we have. We inject
10 depleted zinc.

11 MEMBER SHACK: This is probably getting
12 ahead because you're going to tell us about core
13 strength, but what's the condition of your core
14 shroud jus as a sample internal that's seen a lot of
15 cracking in other plants?

16 MR. BURKE: I think I'll defer that Mr.
17 Dave Potter.

18 MR. POTTER: I am Dave Potter from the
19 Monticello plant.

20 The condition of our shroud is actually
21 better than most in the industry. I wouldn't say
22 it's the best. Our most cracked weld is the H3 weld
23 which had 27 percent indication of our last
24 inspection. But we had three-quarters of that weld
25 basically covered in our last inspection. So in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relative terms our shroud is very good.

2 MR. BURKE: And we will be giving more
3 information in a minute also.

4 In 1997 we did replace the emergency
5 core cooling system suction strainers. And we
6 increased the surface area of those strainers for
7 debris loading.

8 In 1998 we did initiate a power uprate.
9 We increased our power level from 1670 megawatters
10 thermal up to 1775 megawatts thermal, which was a
11 6.3 percent increase.

12 As part of the license renewal effort,
13 we did implement six SAMAs, which did significantly
14 reduce our overall plant risk.

15 MEMBER SHACK: Now those are the six
16 SAMAs that were identified in your environmental
17 impact statement as having a favorable cost risk?

18 MR. BURKE: Yes, sir. That is correct.

19 MEMBER SHACK: That's all six, including
20 the manual RCIC which reduced your CDF but upped
21 your risk?

22 MR. BURKE: That is correct.

23 MEMBER SHACK: Okay. Well, if one of my
24 colleagues was here, he'd ask you about that. But
25 we'll let that one pass.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: He's not here.

2 I would like to know, however, what is
3 the CDF for this plant?

4 MR. BURKE: The core damage frequency
5 before the six SAMAs was 4.37 ten to the minus
6 fifth. And the after implementation --

7 CHAIRMAN BONACA: Internal events or
8 total?

9 MR. BURKE: Total events.

10 CHAIRMAN BONACA: Internal events?

11 MR. BURKE: Internal, that's right.

12 And after the implementation of this was
13 changed to 5.99 times ten to the minus six per year.

14 MEMBER SHACK: That was a question I was
15 going to have for the Staff. You know, reading
16 through here this was the first environmental impact
17 where I came to the SAMAs and they actually, you
18 know, they had a bunch of favorable ones. And the
19 fire truck one was a real bargain. You know, you
20 haul the fire truck and hook it up.

21 What is the criteria for when -- why did
22 we ask these people to do these SAMA analysis? Is
23 there some criterion that they would meet that they
24 would have to do them or is it just something they
25 look at? You know, they obviously choose to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implement a number of the SAMAs. And I just
2 wondered in general what do we do with the SAMA
3 analysis after they do it?

4 You can come up with that later or
5 answer now?

6 MR. KUO: Yes. P.T. Kuo, License
7 Renewal.

8 We generally perform the SAMA analysis
9 and if we see there is a cost benefit area that the
10 applicant can improve, then we make the
11 recommendations. And we send this recommendations
12 to them that these are the cost beneficial actions
13 that they have to take.

14 And then later on --

15 MEMBER SHACK: So they don't have to
16 take them, though?

17 MR. KUO: They don't have to take them.

18 MEMBER SHACK: They could take them?

19 MR. KUO: But based on our SAMA analysis
20 we identify, if we identified any actions that we
21 believe is beneficial, we'll let them know.

22 MEMBER SIEBER: Before you move forward,
23 I'd like to go back to your 6.3 percent power
24 uprate. Do you have additional margin in your plant
25 where you could perform another uprate in power?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: We've done some studies,
2 some evaluation on that. There would be significant
3 cost. If we decided to do another power uprate, it
4 would be a significant cost to replace the
5 equipment.

6 MEMBER SIEBER: Like the turbine?

7 MR. BURKE: Like the turbine, generator
8 rewinds, transformers, feed pumps.

9 I think the answer to your question is
10 there is probably not a lot of margin above and
11 beyond for another power uprate. We have margin
12 where we're at.

13 MEMBER SIEBER: Okay. Thanks.

14 MR. BURKE: Now looking out into the
15 future, we have a number of future lifecycle
16 management projects that are in progress and being
17 implemented, such as replacement of feedwater
18 heaters, recirc pump motors and rotating pump
19 assemblies. We've done the 11 pump last outage and
20 we plan to do the 12 pump this outage the service
21 water pump replacements and transformers and
22 generator rewinds.

23 The next couple of slides I would like
24 to talk a little bit about the project. This slide
25 here what I'd like to talk about is how we selected

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the people for the project and how we made sure we
2 had the right people for the project.

3 Now, we initiated the project through an
4 interview process for site employees. We selected a
5 core team. They're NMC employees that were from the
6 site. Four of them had SROs or SRO certifications
7 and all of them were very experienced and
8 multidisciplined.

9 We supplemented that core team with
10 license renewal experienced contractors. Again, the
11 majority of those contractors were on-site
12 performing that work. We did retain the majority of
13 that team during the audits and inspections. So we
14 had the same people that prepared the application
15 supporting the audits and inspections.

16 We contracted with General Electric to
17 perform the reactor pressure vessel and internal
18 time-limited aging analysis and aging management
19 reviews.

20 And we also did engage the plant and the
21 site staff in review of aging management review
22 documents and aging management program documents.

23 MEMBER SHACK: The one thing that struck
24 me as extraordinary, though, in the TLAA for the
25 core shroud, the first estimate of the shroud

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence peak was 3 times 10 to the 20, and then it
2 got changed to 3.8 times 10 to the 21. Now that's a
3 factor of 14 and it was a change in methodology.
4 I'm a little surprised to see that kind of a change.
5 Is there some explanation for what went on there?

6 MR. BURKE: Yes. I'd like to defer that
7 to Michael Aleksey.

8 MR. ALEKSEY: My name is Michael
9 Aleksey.

10 I'd like you to rephrase that question,
11 please? I didn't hear the first part of it.

12 MEMBER SHACK: In the initial license
13 renewal application it says the peak shroud fluence
14 was 3 times 10 to the 20 neutrons per square
15 centimeter greater than 10 leV.

16 MR. ALEKSEY: Yes.

17 MEMBER SHACK: Then it got changed to
18 3.8 times 10 to the 21. I mean it's a factor of 14.

19 MR. ALEKSEY: Well, the original
20 analysis was based on Reg. Guide 1.99 and the
21 original capsule that was pulled in 1984
22 thereabouts, we went to the Reg. Guide 1.190
23 evaluation and used the typical factors to bump that
24 up by 30 percent at certain areas and stuff like
25 that, and came up with the results that we got.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I don't think that that's unusual in
2 terms of --

3 MEMBER SHACK: It's not unusual? A
4 factor of 14? I mean, you know from a case 3 times
5 10 to the minus 20 you're hardly seeing any
6 influence of irradiation on stainless steel to 3
7 times 10 to the 21; it's, you know, a big time
8 change. It's embrittlement, it's high crack growth
9 rates without your hydrogen water chemistry.

10 I mean, normally I hear the Staff
11 beating up people over 10 percent changes in fluence
12 and a factor of 14 just seems very large.

13 Barry is going to enlighten me.

14 MR. ELLIOTT: Barry Elliott, NRC.

15 I'd just like to talk to them for a
16 second.

17 I believe in their application, and I'm
18 making some assumptions, the original applications
19 likes the fluence is calculated for either 1775
20 megawatts or 1680 or something like that. When they
21 did the recalculation for these, it looks like they
22 used 1830 megawatts or 1880 megawatts for cycle 23
23 through the end of the license renewal period. So
24 that would account for some of the large increase.
25 In other words --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: But a factor of 14?

2 MR. ELLIOTT: I'm just saying that they
3 went from 1660 or something like that all the way up
4 to 1880 megawatt thermal. So that increases it quite
5 a bit.

6 And then they used a new GE methodology,
7 which they hadn't used before.

8 So all this stuff added in, I mean this
9 is what you did. So, I mean, I'm just reading the
10 application. You tell me is that what you did?

11 MR. ALEKSEY: This is Mike Aleksey.

12 Yes, we did. Originally it was based on
13 1670 and the Reg. Guide 1.190 evaluation it was
14 based on 1775 up through cycle 22 and then we
15 increased that to 1880 for cycle 23 on, which did
16 provide a significant conservatism. And the reason
17 we did that is because we had performed other
18 analyses at that level before and we thought it was
19 a prudent thing to do.

20 MEMBER SHACK: Okay. Well, I mean
21 since you can live with 3 times 10 to the 21, you
22 know and that sounds like the typical value I have
23 for end-of-life for a core shroud. You know, when I
24 saw the 3 times 10 to the 20 in the original
25 application, I wondered how much water you had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 between your core and your shroud, and it seemed
2 extremely low. The 3 times 10 to the 21 is about
3 where I expected it to be. I still don't understand
4 why it's so different, but obviously you can live
5 with it. And, as I say, it's a value that I find
6 plausible.

7 CHAIRMAN BONACA: Okay. Next slide,
8 please.

9 This slide talks a little about how we
10 were engaged in the industry during the development
11 of license renewal application. We attended many of
12 the working groups. We did participate in the GALL
13 draft revision 1 review and comments through NEI.

14 And we participated in our sister NMC
15 plants during their audits and inspections to gain
16 lessons learned.

17 We supported numerous license renewal
18 peer reviews throughout the industry. We also
19 hosted our own peer review where we did have seven
20 external peers on that team.

21 And then we did review many industry
22 RAIs and in detail we reviewed the Nine Mile, Point
23 Beach and Dresden/Quad's RAIs.

24 These next couple of slides we'll talk a
25 little bit about the methodology. Most of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bullets that I'll talk about now is where we added
2 additional detail into the application that you
3 might not always see. For example, we identified
4 system functions and tied those to the different
5 criterion for the different scoping to help better
6 describe why the system wasn't scoped.

7 We paid a lot of attention to our
8 boundary drawings and included boundary flags and
9 multicolored boundary drawings.

10 We used plant documentation to identify
11 our scoping components. Use DBDs and did extensive
12 plant walkdowns.

13 We created a number of technical reports
14 including those for criterion 2, nonsafety effecting
15 safety and also for the regulated events.

16 And then we did use the spaces approach
17 for our criterion 2, and that was incorporated into
18 the application.

19 MEMBER MAYNARD: I did have a question
20 here. Taking about your scoping, your boundary
21 drawings and everything. And yet in the inspection
22 report I noticed that the inspectors found a number
23 of items or systems where the boundary needed to be
24 changed or something needed to brought into scope,
25 or whatever. I'd like to get your perspective on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. Because it seemed like there's a number -- I
2 don't know if the inspectors were really picky or
3 whether you guys had missed these or what.

4 CHAIRMAN BONACA: No. We didn't have
5 some. There were some areas in the drawings, but I
6 think overall we felt that our drawings were pretty
7 accurate as boundary drawings typically go in the
8 industry.

9 MR. PAIRITZ: I am Joe Pairitz, the
10 Project Manager.

11 Some of the cases, too, occurred where a
12 color suddenly stopped and there wasn't an
13 explanation for why that was. And basically it was
14 that it went through a wall so it was no longer in
15 scope for criterion 2. And we had quite a few
16 instances where we had to go walk that down with NRC
17 inspectors to look at that. And we're doing it over
18 again, I would draw the wall in the drawing and make
19 it easier. But that was the cause for a good number
20 of those questions.

21 MEMBER SIEBER: You had other situations
22 where the line that started off on 1 PNID as a
23 colored line in scope, the adjoining PNID didn't
24 have a colored line in scope. So it ended at the
25 boundary of the drawing as opposed to some physical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 boundary.

2 MR. PAIRITZ: This is Joe Pairitz again.

3 That's correct. There were several
4 instances where the continuation went to the next
5 drawing, it didn't color it properly, and we did
6 correct those.

7 MEMBER SIEBER: Well, I read the same
8 inspection reports. And it just seemed like there
9 was a lot of them, relatively speaking.

10 My question to you would be now that the
11 inspection's over with, which is vertical slices and
12 not comprehensive, how confident are you that you
13 have captured all that should be in scope and
14 identified that on your plant drawings?

15 MR. PAIRITZ: Joe Pairitz again.

16 We did capture those instances in our
17 corrective action program. And part of that was
18 looking at other drawings to see the extent of
19 condition basically. And we're confident right now
20 that we have corrected those problems.

21 MEMBER SIEBER: When you did that, did
22 you find additional problems that wasn't found by
23 NRC inspectors?

24 MR. PAIRITZ: Off the top of my head
25 right now, I don't know for sure. There might have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been a couple, but basically no. And we spent a lot
2 of times on the drawings so we we're pretty
3 confident that they were right to begin with. They
4 did find a few instances, and in our works to
5 correct that I think we might have found a couple
6 more. But it wasn't a significant number.

7 And these things were in scope. It was
8 just the drawing didn't get colored properly.

9 MEMBER SIEBER: Yes. I gathered that
10 from the write-up.

11 CHAIRMAN BONACA: Well, some items were
12 also brought into scope, so there was some of both.

13 MR. PAIRITZ: Right.

14 CHAIRMAN BONACA: Since we're talking
15 inspections, I had a question about the corrosion
16 that the inspectors found on the conductor
17 termination logs of the fire diesel pump. And I'm
18 sure you have a surveillance program for that pump.
19 And so it was disturbing to read it because in
20 license renewal you are going to have a program
21 dealing with this fire pump which is an extension of
22 your existing program. And when I have to wait for
23 an inspector to find it, it troubles me and I
24 wondered about your view on that issue.

25 CHAIRMAN BONACA: Could I defer that to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Ron? He was involved with that inspection activity.

2 MR. SIEPEL: Right. My name is Ron
3 Siepel. I'm the electrical lead.

4 And if I understand the question right
5 is you had a question on the corrosion of the wire
6 that was in the diesel generator panel, is that the
7 question?

8 CHAIRMAN BONACA: Fire diesel -- fire
9 pump.

10 MR. SIEPEL: Okay. The diesel fire pump
11 panel, that panel had been identified on a previous
12 CAP or condition action request that was in the
13 process of replacement and it just hadn't been
14 replaced to date. And if it hasn't been replaced
15 now, it'll be replaced shortly. But that had been
16 previously identified out there under our program,
17 and it was in the process of being replaced.

18 CHAIRMAN BONACA: It wasn't identified
19 before? Wasn't clear from the inspections?

20 MEMBER SHACK: I was just curious. The
21 Staff SER sort of credits your computerized history
22 and maintenance planning system with helping in the
23 scoping, and yet it's not credited at all in your
24 license renewal application. You actually use this
25 thing or is it just sort of sitting around.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: This is Pat.

2 The CHAMPS database was used as a
3 starting point for the scoping process. That was
4 downloaded into a licensed renewal database called
5 ALEX.

6 The CHAMPS database is used more for
7 work management, so you have many of the active
8 components in there. And that was a starting point.
9 By taking that and using that as a starting point
10 and then adding all of the passive components,
11 therefore you would up with a complete ALEX database
12 for scoping and screening to take you through the
13 process methodically on a databased driven platform.

14 The next slide I'd like to talk a little
15 bit about the ageing management review. A couple of
16 other details that we added that I think help tell a
17 better story in the application was adding mechanism
18 for the aging effects.

19 MEMBER SIEBER: Let me ask one quick
20 question before we leave scoping. Is your
21 condensate storage tank in scope? I know piping and
22 anchors and bolts and housings are. But the tank
23 doesn't seem to be. Do you know?

24 CHAIRMAN BONACA: I don't know off the
25 top of my head.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: This is Joe Pairitz.

2 The piping leading up to the tank is in
3 scope. The tanks themselves, I guess I'll have Ray
4 check on that, but I think the tanks themselves are
5 not in scope.

6 CHAIRMAN BONACA: Individual --

7 MEMBER SIEBER: Yes, that's the way to
8 be. And I was wondering, you know, if all the other
9 stuff is in scope, why isn't the tank is in scope?
10 And if the tank would fail, can you still accomplish
11 what you're supposed to accomplish?

12 MR. BURKE: Yes. I'll answer one of the
13 questions, the CSTs being in scope or not. We do
14 not credit the condensate storage tank for any
15 design basis accident so they are not considered
16 safety related.

17 The piping going up to the tanks, I
18 believe and correct me if I'm wrong, Joe, is in
19 there from a nonsafety effecting safety standpoint.
20 Because they do lead in --

21 MEMBER SIEBER: Criterion 1?

22 MR. BURKE: Yes, that's correct.
23 Criterion 2. So that's why we terminated at the
24 tank.

25 And I guess Ray agrees with that. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I will have to think
2 about it? Thank you.

3 CHAIRMAN BONACA: Sure.

4 And also for the aging management
5 reviews we did numerous walkdowns to identify
6 materials and environments.

7 As for the aging management programs, we
8 wound up with 36 aging management programs. And we
9 did include the ten elements from GALL in the
10 application describing each program.

11 And lastly, I'd like to talk about the
12 application of GALL, and this is consistent with
13 what Jake started with, is we did have GALL
14 reconciliation to the Rev 0. That showed us to be
15 75 percent consistent with GALL. After we submitted
16 it we performed a precedents review, which brought
17 us up to 95 percent consistent with GALL. And we
18 believe that that high consistency with GALL
19 increased the efficiency of the audit and inspection
20 process.

21 At this point I'd like to turn it over
22 to Joe to go over the industry topics.

23 MR. PAIRITZ: Thank you, Pat.

24 Again, I'm Joe Pairitz. I'm the license
25 renewal Project Manager and also the mechanical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lead.

2 I'm going to talk about three industry
3 topics, the first being drywell shell corrosion,
4 second being the shroud cracking and thirdly the
5 steam dryer.

6 Starting with the drywell shell
7 corrosion, I'll give a little fresher on the Mark I
8 primary containment. This is a cut away view of the
9 reactor building. You have the reactor here in the
10 center, the drywell is the inverted light bulb
11 shaped liner right here. We have the vent pipes
12 going down to the suppression chamber, otherwise
13 known as the Torus.

14 We will concentrating on the refueling
15 bellows located at the top here. The air gap region
16 between the drywell shell and the surrounding
17 concrete and also the sand pocket region here
18 towards the bottom.

19 While the reactor cavity is flooded, and
20 that would be this area here. This is the spent fuel
21 pool over here. While the reactor cavity is flooded
22 for refueling activities, Monticello has multiple
23 design features for vent leakage from entering or
24 accumulating in the air gap region and in the sand
25 pocket regions. There are three separate drain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paths that exist to channel leakage away from these
2 areas in question.

3 We have a seal barrier over the sand
4 pocket region and we also have a flow switch that
5 would alert operators to any leakage from the
6 bellows.

7 MEMBER ARMIJO: This is Sam Armijo.

8 I have a quick question: Is this unique
9 for this particular BWR 3? Are these features added
10 that other --

11 MR. PAIRITZ: Some of the BWR 3s have
12 them and some don't. I think it might be related to
13 who the AE was on the project. I'm not sure of that.

14 MEMBER ARMIJO: Okay.

15 MR. PAIRITZ: We'll move into the
16 refueling bellows area, otherwise known to some
17 people are a refueling seal.

18 We have the reactor pressure vessel
19 shell over here on this side. The first set of
20 bellows we have are the reactor vessel to drywell
21 bellows. We move over, we have the drywell shell
22 right here. We have the second set of bellows that
23 are between the drywell shell and the reactor
24 building concrete. These bellows are in scope for
25 license renewal. If these bellows were to leak, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first barrier we have to protect the air gap, which
2 is down here, would be this trough or channel that's
3 down here that's supposed to catch any leakage that
4 would come from that bellows.

5 And then you have an 8 inch pipe here
6 that eventually reduces to a 4 inch pipe and goes to
7 rad waste. That line also has a flow switch on it.
8 Instead of 3 gallons per minute, that gives an alarm
9 in the control room. So if they've got a leak here
10 that's 3 gallons per minute or greater, it would
11 alarm in the control room.

12 These bellows and center spool plate
13 have been inspected in the past with no significant
14 degradation noted at that time. That was in the
15 late '80s.

16 I think we'll go on to the next slide.

17 Continuing into the air gap region here,
18 we have a 4 inch drain pipe here. There's actually
19 4 of these, 4 four inch drain pipes.

20 MEMBER MAYNARD: I'm sorry.

21 MR. PAIRITZ: Yes.

22 MEMBER MAYNARD: Go back. You say a
23 setpoint at 3 gallons per minute. Now wouldn't
24 typically you'd expect to see none?

25 MR. PAIRITZ: We expect to see none,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correct.

2 MEMBER MAYNARD: Okay. I'm not familiar
3 with it, but 3 gallons a minute --

4 MEMBER SHACK: That's a lot of water.

5 MEMBER MAYNARD: You know, 2 gallons a
6 minute wouldn't set the alarm off and that's seems
7 to me like it'd be quite a bit of water.

8 MR. PAIRITZ: Well, it is set at three.
9 I can't address the design basis for the three right
10 now. I think basically it was there to address
11 gross failure of the bellows. But if we had any
12 leakage, I can show you were that would be detected.

13 MEMBER MAYNARD: Okay. So any leakage
14 would be detected?

15 MR. PAIRITZ: Yes. And I'll think we'll
16 get to that when we talk about this picture.

17 MEMBER MAYNARD: Okay. All right.

18 MR. PAIRITZ: Here we have the air gap
19 which extends up towards the bellows. We have 4 four
20 inch drain pipes that drain this air gap region if
21 water were to get in that region. We have 18 gauge
22 galvanized sheet metal cover the sand pocket region
23 that's sealed to the drywell shell and sealed to the
24 surrounding concrete. So any water that might
25 accumulate on this sheet metal cover should be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drained away by the 4 four inch drain lines.

2 Now these drain lines come into the
3 Torus room, some people might know it as reactor
4 building basement. They're open. They come down to
5 floor level. They're open. You're going to have
6 water on the floor if there's any leakage in this
7 air gap region because they empty. They don't go to
8 rad waste, they go right on the floor into the
9 reactor building.

10 MEMBER WALLIS: You are concerned about
11 corrosion. And what you need for corrosion is
12 oxygen, presumably. That's from the air gap.

13 MR. PAIRITZ: Correct.

14 MEMBER WALLIS: And you need some
15 moisture. But you don't need a flow of water. And
16 the drains take away a flow of water, but a
17 sufficient humidity in there with very small amount
18 of liquid on the surface could lead to corrosion.

19 I'm not quite sure why drain prevents
20 corrosion. You've got to really control the
21 humidity, don't you?

22 MR. PAIRITZ: Well, when the linear was
23 originally manufactured it was painted with a
24 primer. So it does have some protection on it from
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The humidity you get in there, I mean
2 the drain pipe was obvious to remove any liquid
3 water. If you had high humidity in there, I can't
4 say what the drain would do in that case, although I
5 don't think there's a motive force to -- you know,
6 this one we're running, operating, the drywell shell
7 is fairly warm. So any water should evaporate from
8 there and, hopefully, would come out the drains. I
9 mean, not as liquid water but as a vapor.

10 MEMBER WALLIS: What happens to the air
11 gap? Do you ventilate it in some way? It just sits
12 there, sits there?

13 MR. PAIRITZ: It sits there.

14 MEMBER WALLIS: Silent air. So if there
15 were oxygen in there, it would get used up if it
16 were corroding?

17 MR. PAIRITZ: If there were oxygen in
18 there --

19 MEMBER WALLIS: It would get used up
20 pretty --

21 MEMBER SHACK: Very little.

22 MEMBER WALLIS: Yes.

23 MR. PAIRITZ: Yes. These drain pipes
24 point straight down to the floor, too. You know, I
25 don't think you get a lot of air movement into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 air gap. Maybe during heat up and cool down, but not
2 during normal operation.

3 MEMBER WALLIS: Yes, but doesn't
4 moisture slowly come out of concrete and things like
5 that over a long period of time?

6 MR. PAIRITZ: Ray, can you answer the
7 concrete question?

8 MR. DENNIS: Yes, this is Ray Dennis.
9 I'm the civil structural lead.

10 The air gap, it's not an airtight
11 environment. There's many, many penetrations to the
12 air gap or piping penetrations that go into the
13 reactor vessel and drywell. So it's a free flow of
14 oxygen and it's continuously being replenished --

15 MEMBER WALLIS: There is an oxygen
16 supply, right?

17 MR. DENNIS: Right.

18 MEMBER WALLIS: And you're carrying away
19 the water vapor --

20 MR. DENNIS: If the water vapor is heavy
21 enough to condense and then be carried away by the
22 drains. But the environment in the air gap is
23 basically the same environment you'd find in the
24 reactor building at all times.

25 MEMBER WALLIS: I guess my -- my concern

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is with enough water to cause corrosion, which
2 doesn't necessarily drain out but just stays there.
3 That's probably the worst condition for making
4 corrosion, isn't it?

5 MR. PAIRITZ: I think Ray makes a good
6 point, though, when he mentions that we have
7 penetrations going through this air gap that would
8 help, not necessarily ventilate it, but prevent more
9 humidity than is already in the air from building
10 up.

11 MEMBER WALLIS: Have some control over
12 it.

13 MR. PAIRITZ: And again, I would point
14 out that drywell shell is going to be a lot warmer
15 than the ambient air.

16 MEMBER WALLIS: That helps you. That
17 helps.

18 MEMBER SIEBER: On the other hand I
19 don't hear any kind of a argument that says we're
20 certain enough that there isn't corrosion because of
21 these factors that would tell me that I don't need
22 to go and make a thickness measurement of the linear
23 plate. So it seems to me that that's one of the
24 things you ought to be doing.

25 MR. PAIRITZ: Well, we did do that in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 response to Generic Letter 87-05. We took over 50--

2 MEMBER SIEBER: Right.

3 MR. PAIRITZ: -- readings there and we
4 could not detect any degradation from the original
5 material specifications, and that was after 17 years
6 of operations.

7 MEMBER SIEBER: That was in '87?

8 MR. PAIRITZ: That's correct. '86 and
9 '87.

10 MEMBER SIEBER: Well, it's still an
11 issue because some plants have found problems.

12 MR. PAIRITZ: That's right.

13 MEMBER SIEBER: And it's probably
14 generic to this style of containment and this age
15 group. And I understand a generic letter is in the
16 process to ask you to look at it.

17 MR. PAIRITZ: Well, ISG. I don't know
18 anything about a generic letter.

19 MEMBER SIEBER: ISG. Yes, okay.

20 MR. PAIRITZ: The other, though, as
21 plants that have experienced this, some of them have
22 not had this design. I know that one design in
23 particular doesn't have the cover on the sand pocket
24 region, doesn't have the four inch drain pipe. They
25 just have the sand pocket drains here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes.

2 MR. PAIRITZ: There are some
3 differences.

4 CHAIRMAN BONACA: What are you trying to
5 do? I know you're trying to perform visual
6 inspections problem.

7 MR. PAIRITZ: Okay.

8 CHAIRMAN BONACA: Are you going to
9 perform any UT, I mean volumetric inspections?

10 MR. PAIRITZ: Not at this time. I will
11 tell you that these drains, both the air gap drains
12 and the sand pocket drains are inspected before we
13 flood up refueling and after the bellows are well
14 submerged looking for leakage from any of those
15 lines. And that's what we do right now. And that
16 is proposed action in the ISG also.

17 MEMBER MAYNARD: What has your
18 experience been? Have you found leakage at times or
19 have you never found any signs of leakage? What's
20 your history?

21 MR. PAIRITZ: We've never had any
22 leakage. Never had the three gallon per minute flow
23 switch go off. We've never seen any leakage from
24 the four inch drain pipe for the air gap region.
25 We've never seen any leakage from the 4 2 inch drain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lines in the sand pocket. However, in February of
2 1987 as part of the plant life extension program and
3 part of work that was going on for Generic Letter
4 87-05 they did find 3½ ounces water in one of the
5 four drain lines in the sand pocket. Now this drain
6 line comes out of the concrete. It has a 90 degree
7 elbow and then a one foot stand pipe pointing up
8 vertically. They noticed a little crusty material
9 on top of the sand. They investigated that, found
10 out that that was calcium carbonate. They removed
11 the sand from the stand pipe and at the bottom of
12 the stand pipe they found 3½ ounces of water.

13 They had that water analyzed by two
14 different labs. It was not radioactive. It did not
15 contain any materials that would be indicative of it
16 coming from the reactor cavity. And it was
17 considered to be water that had come from inside the
18 Torus room.

19 These stand pipes are open to the
20 atmosphere. If you were doing some work on top of
21 the Torus and accidentally sprayed some water or
22 sprayed a hose, you could theoretically put some
23 water in there. And 3 ounces, 3½ ounces isn't very
24 much.

25 And I also think the calcification at

1 the top of the surface there would indicate that the
2 water came in through the top, calcified the sand
3 and then sat in the bottom there.

4 So we don't believe that we've ever had
5 any leakage from the air gap or for the sand pocket
6 region.

7 MEMBER ARMIJO: Have you ever done
8 anything to confirm that that sand pocket region is
9 dry, or can you?

10 MR. PAIRITZ: Well, the other three
11 drain lines, they took the sand out of those stand
12 pipes. There was no water there.

13 The top of the stand pipe is at the same
14 elevation as the bottom of this drain right here.
15 So even if the stand pipe were full of water, the
16 level in the sand pocket would still be down here.
17 The stand pipe would have to be overflowing for
18 there to be any water building up into this area.

19 We did remove part of the concrete floor
20 inside the drywell and do UTs on this area. And,
21 again, we compared that to our original material
22 specifications and we can't detect any thinning
23 there.

24 CHAIRMAN BONACA: You did that, what, 19
25 years ago?

1 MR. PAIRITZ: 1986 and 1987.

2 CHAIRMAN BONACA: Now on your slide
3 number 16 you're saying that drywell shell is
4 managed by the primary containment is ISI, which
5 again advised to specifically address the ISG.

6 MR. PAIRITZ: Correct.

7 CHAIRMAN BONACA: How --

8 MR. PAIRITZ: The ISG recommends doing a
9 surveillance on your drain piping to verify that
10 you're not having any leakage. It talks about a
11 cover n the sand pocket, which we have. And using
12 the IWE program to verify no significant corrosion.
13 Of course, that's from the inside the drywell.

14 CHAIRMAN BONACA: It doesn't tell you
15 anything about what happens on the outside of the
16 wall. So you're left with a question about the past
17 -- projected future?

18 MR. PAIRITZ: Right. We have no reason
19 to believe that there is any water in those areas.

20 CHAIRMAN BONACA: The steel liner is
21 your containment boundary, right?

22 MR. PAIRITZ: That's correct.

23 Anyway, just to finish this slide, we do
24 have the 18 gauge galvanized sheet metal cover over
25 the sand pocket region. As I mentioned there are 4

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two inch drain lines that would drain any water from
2 the sand pocket region.

3 We talked about the stand pipes filled
4 with sand. I think that's all I want to cover on
5 this slide.

6 Now with regards to the proposed ISG
7 2006 01, we've talked about the UTs that we did in
8 response to Generic Letter 87-05. Again, we
9 compared those to our original materials
10 specifications and we can't detect any wall thinning
11 or degradation there.

12 Again, the air gap and sand pocket drain
13 outlets are visually inspected, as prescribed by the
14 ISG. The top of the sand pocket area is sealed with
15 the galvanized steel sheet metal. The drywell shell
16 is managed by the primary containment in-service
17 inspection program, the IWE program and we will
18 revise it to specifically call out those procedures
19 that already exist that inspect the drains.

20 MEMBER ARMIJO: Were those 1987 UT
21 inspection points, are they still accessible? Were
22 any provisions made to have them still accessible or
23 were they concreted over?

24 MR. PAIRITZ: Well, they took readings
25 up in the air gap region 2. Those are marked on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inside of the drywell.

2 MEMBER ARMIJO: I'm talking about sand
3 pocket.

4 MR. PAIRITZ: Jim, do you have any idea?
5 I mean, I know where we excavated. I don't know if
6 the grid is still there that they used. Ray Dennis,
7 please?

8 MR. DENNIS: Yes. This is Ray Dennis
9 again.

10 Rather than fill the holes completely in
11 with concrete, they filled them in with a sand type
12 material and then put basically a concrete plug over
13 them.

14 MEMBER ARMIJO: So they would be --

15 MR. DENNIS: They'd be relatively easy
16 to inspect again. It would just be a matter of
17 removing a few inches of concrete rather than
18 several inches.

19 MEMBER ARMIJO: Yes. That's great.

20 Because --

21 MR. PAIRITZ: But whether or not they
22 have the grid the work that they used to ensure that
23 you're looking at the exact same place I think is
24 more the question.

25 MR. DENNIS: Yes. These spots are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 readily identified in our program where they are.
2 Plus, they're relatively easy to pick out given
3 their surrounding area.

4 MEMBER ARMIJO: So it would be an ideal
5 measurement. You've got a 1987 measurement,
6 possibly a later measurement at pretty much the same
7 location without tearing up the whole plant to get
8 at it? It's probably more doable than other people.

9 MR. PAIRITZ: I can't say. I mean, it
10 could be done.

11 MEMBER ARMIJO: I don't want to put
12 words in your mouth.

13 CHAIRMAN BONACA: No. I would like to
14 hear at some point from the Staff, you know, what's
15 the logic for accepting. Here, more than anything
16 else I'm thinking about precedent. You know, we had
17 some decisions and recommendations for TVA, Browns
18 Ferry. And it doesn't seem to be a consistent
19 approach that we're taking on this issue.

20 MR. ASHAR: Dr. Bonaca, I am Hans Ashar
21 with Dresden with Division of Engineering, NRR.

22 While reviewing this particular
23 application before this, I had reviewed close to
24 about a dozen other Mark I containments. Every time
25 I look for the telltale signs as to what could have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 caused partial area of corrosion. We looked at the
2 Dresden/Quad for example. We saw telltale signs.
3 They have to have something done there.

4 We saw Browns Ferry, we felt that that
5 there has to be something other.

6 And all the questions that we asked to
7 the applicant in this case, we found almost negative
8 -- negative to the extent that there were no water
9 in the top of the plane near the -- in the upper
10 area of the earlier -- can you show me the earlier
11 sketch?

12 MR. PAIRITZ: Sure. Hold on. Yes.

13 MR. ASHAR: Upper area, there is a plane
14 from the drywell. They did not see any, that's what
15 they told us. Then we went to down, because the
16 water can go into the sand pocket area. And we saw
17 no way that water can seep into that area in the
18 large quantities that could corrode that particular
19 area.

20 So there are a number of telltale signs
21 that we look for. We ask questions on each one of
22 them and we found out that, hey, this particular
23 plant does not have this type of problem. And it
24 does not -- it's not effective in telling us
25 anything about it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I have written down a very thorough
2 evaluation on this particular area because I knew
3 that ACRS, as well as other individuals, will have
4 some questions on this particular area.

5 CHAIRMAN BONACA: Well, I think my main
6 question is we need to have a constant understanding
7 of the issue.

8 MR. ASHAR: Agreed.

9 CHAIRMAN BONACA: And consistent
10 approach.

11 MR. ASHAR: I Agree.

12 CHAIRMAN BONACA: I mean, we can't
13 possibly have a tentative, you know, approach to the
14 -- when you're telling me that you don't have
15 significant amount of water or a large quantity of
16 water, it doesn't tell me anything.

17 MR. ASHAR: There is no water problem.

18 CHAIRMAN BONACA: I mean, the point that
19 Dr. Wallis was making, all you need is humidity
20 there for corrosion, you know it's well taken.

21 So I'm struggling with the ISG and the
22 way it is being interpreted by the plant that way.
23 Because all you have is statements by the licensee
24 for the same kind of configurations. One licensee is
25 more insistent than other than defending that he has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 no water there, so therefore -- you know, he's
2 argumenting about something that cannot be seen.

3 And on the other hand that's a primary
4 containment function.

5 MR. ASHAR: I fully agree. I recognize
6 what you are saying. I'm not contradicting what you
7 are telling me. But what I'm trying to say is this:
8 That the question of relatedness, I understand there
9 is a form by which everybody is to follow. And when
10 we -- They went up to ISG. We said you are going to
11 talk about various things, okay, like the drain
12 pipes being cleared, there is a control on drain
13 pipes. They are going to examine the drain pipes.
14 There is a seal. Some of the plants do not have
15 that seal that they here, okay. That makes
16 difference as to the wetness in the sand pocket
17 area.

18 It has to be quite a bit wet in order to
19 have corrosion initiated and become something like
20 some of the other plants had. And this particular
21 plant does not have that type of telltale signs.

22 It was very difficult to put them
23 through some kind of a UT inspections if we don't
24 find any reason to believe that we have problems
25 with this plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Okay. Thank you.

2 MR. PAIRITZ: Well, that concludes the
3 drywell shell corrosion. If there aren't any more
4 questions right now, I'll move on to the shroud.

5 Concerning the shroud, I have a rollout
6 view here. The horizontal welds are labeled on the
7 right side, H1 through H12. We have the vertical
8 welds labeled throughout the center of the drawing.

9 To give you an idea of the are we're
10 talking about, here's a jet pump on the side.

11 The points I want to make here is our
12 inspection coverages have increased from about 50
13 percent up to about 75 percent of the welds over the
14 past ten years due to improvements in technology.

15 As Mr. Potter was saying earlier, our H3
16 weld here has indications on 27 percent of the
17 inspected region, and we are able to inspect 71
18 percent of that weld.

19 MEMBER SHACK: Now is this VT1 enhanced
20 or is some sort of UT inspection?

21 MR. PAIRITZ: I'll let Mr. Potter answer
22 that.

23 MR. POTTER: This is Dave Potter from
24 Monticello.

25 The 73 percent converge on the H3 weld

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was from UT inspection.

2 MEMBER SHACK: That's a creeping wave
3 kind of thing?

4 MR. POTTER: There's three transducers
5 that were used in the package, but I don't recall if
6 there were a creeping wave, a shear wave and what
7 angles they were used. The processed was qualified
8 in accordance with the PIP processes for crack
9 identification.

10 MR. PAIRITZ: And moving on to the H1
11 weld, 16 percent of that weld showed indication and
12 we were able to look at 75 percent of that weld.

13 And then the other horizontal welds that
14 were looked at it was less than 10 percent
15 indication on varying degrees of inspection area.

16 The inspection results and evaluation to
17 allow inspection frequency to remain at the maximum
18 allowed ten year interval for circumferential welds,
19 for our horizontal welds.

20 We have looked at three vertical welds
21 per the BWRVIP. The inspection frequency for these
22 welds is established by inspection coverage.

23 MEMBER SHACK: Do you happen to know
24 whether these vertical welds, you know do they hit
25 high fluence regions or do they happen to hit low

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence regions? It's kind of a random event?

2 MR. PAIRITZ: Mr. Potter?

3 MR. POTTER: This is Dave Potter from
4 Monticello.

5 The regions, as shown on the diagram,
6 the V3, V4, V1 and V2 are relatively high fluence
7 areas.

8 MEMBER ARMIJO: Just a quick question.
9 Since you've instituted hydrogen water chemistry
10 have you noticed any change in any of the growth
11 rate or the initiation of cracking in the shrouds?

12 MR. PAIRITZ: I'll let Mr. Potter
13 address that. He's the expert here.

14 MR. POTTER: Since we've instituted
15 hydrogen water chemistry at Monticello, we have
16 three inspections to our credit. One that was
17 performed in 1994, another performed in '96 and this
18 most recent one in 2005. The crack indications that
19 we've identified in all three of those inspections
20 have not demonstrated substantial crack growth. So
21 our assumption has to be is that the cracking
22 occurred before hydrogen water chemistry was
23 instituted.

24 MEMBER ARMIJO: How about initiation?

25 MR. POTTER: The initiation that we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seen, I wouldn't call it substantial. A lot of it
2 has to do with UT uncertainty and our coverage that
3 we've gotten from previous inspections.

4 Our '94 inspection we did not have a lot
5 of coverage. And as we've spoken to, or as Joe
6 spoken to a moment ago, we increased our inspection
7 coverage from 1996 all the welds were approximately
8 50 percent to 2005 where they're 75. So we're
9 actually, the cracks that we were seeing were
10 basically in the areas that we hadn't inspected
11 before.

12 MEMBER ARMIJO: Okay. Thank you.

13 MR. PAIRITZ: Well, that covers crack
14 growth.

15 We feel that the moderate hydrogen water
16 chemistry has effectively contributed to mitigating
17 crack growth on our shroud, and we will continue to
18 manage the shroud per BWRVIP guidance.

19 CHAIRMAN BONACA: Well, you do have
20 additional cracking that you are monitoring that
21 way. Are they internals? For example, on the tack
22 welds on the jet pumps set screws and so forth.
23 Those cracks, I mean you just simply monitor the
24 size of the crack and whether or not they're
25 propagating further?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: I'll defer to Mr. Potter
2 again?

3 MR. POTTER: Yes. This is Dave Potter
4 again.

5 The cracking that we've identified on
6 the jet pump set screws we periodically
7 reinvestigate to make sure that they are not
8 behaving in an abnormal fashion. However, the safety
9 concern of the jet pump's tack screws is minimized,
10 basically, due to the crack geometry and what the
11 purpose of those tack welds are. And that's
12 basically to keep the set screws from rotating out.

13 CHAIRMAN BONACA: Okay. All right.
14 That's the function. I didn't know that. I didn't
15 understand.

16 I have another question, by the way.
17 It's more curiosity. When in the application you
18 talk about the belt line nozzle and the fact that
19 the weld material is not known insofar as CU and
20 nickel content. Could you tell me about it?
21 Because there is a technique you're using. You're
22 averaging CU and nickel on 9 sister plants. And then
23 you're adding one standard deviation, if I remember.
24 That, I really wasn't familiar with the technique.
25 And maybe --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: I'll Michael Aleksey,
2 answer that, our TLAA person.

3 MR. ALEKSEY: Was your question with
4 regard to the N2 nozzle?

5 CHAIRMAN BONACA: Yes. Yes, that's
6 right. The belt line nozzle.

7 MR. PAIRITZ: The one the unknown
8 chemistry.

9 MR. ALEKSEY: For the N2 nozzle the
10 nickel content was a result of industry information
11 that we had accumulated for those types of nozzles.
12 And we also used information from the RVID database
13 to establish the chemistries of that nozzle.

14 CHAIRMAN BONACA: Yes. The reason why I
15 was intrigued I thought that was a process that has
16 been reviewed and approved. I mean, it uses hits
17 from 9 sister plants or similar plants.

18 MR. ALEKSEY: Yes.

19 CHAIRMAN BONACA: Averages it and then
20 adds one standard deviation. So is it a process
21 that the NRC is familiar with and is it a approved
22 process?

23 MR. ELLIOTT: I don't know. Excuse me.
24 This Barry Elliott.

25 I can't hear you, so I can't hear what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're asking.

2 CHAIRMAN BONACA: It's the belt line
3 nozzle I'm talking about.

4 MR. ELLIOTT: Okay. Yes. What happened
5 is the belt line nozzles -- they aren't in the belt
6 lines. They're slightly above the belt line.

7 CHAIRMAN BONACA: Yes.

8 MR. ELLIOTT: But the fluence has gone
9 up because of license renewal. Also, because of the
10 way they're calculating the --

11 CHAIRMAN BONACA: That's right.

12 MR. ELLIOTT: -- fluence. They're doing
13 a very conservative thing with the fluence here.
14 And so now these nozzles are getting above the
15 criteria which we say you have to evaluate.

16 So they had to go out and evaluate the
17 nozzles. They have chemistry for the nozzles. What
18 they didn't have is underradiated properties for the
19 -- because the nozzles were built a long time ago
20 and they didn't have full C harpy curves, from what
21 I remember. So they went out and they got what's
22 equivalent to that. And went through their other
23 nozzles in the BWR fleet made the same way, and they
24 used that data. And then they establish a confidence
25 interval for that data. And they used the 95

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percent confidence interval lower bound for their
2 upper shelf energy unirradiated.

3 And we have accepted similar things to
4 that.

5 CHAIRMAN BONACA: So this is a process
6 you accept?

7 MR. ELLIOTT: Yes, we accept that.

8 CHAIRMAN BONACA: Although, I mean
9 you're not certain that the percent of Cu and
10 nickel are identical? Nine sister plants, I mean
11 they were similar plants.

12 MR. ELLIOTT: Right.

13 CHAIRMAN BONACA: But you don't have
14 specific information about this plant?

15 MR. ELLIOTT: No. We don't have specific
16 information about this plant. But we feel that we
17 looked at how they were made, the nozzles were
18 fabricated and they were fabricated equivalent ways
19 and the properties should be about the same.

20 CHAIRMAN BONACA: By the same vendors?

21 MR. ELLIOTT: I don't remember if we had
22 the same -- I'm not sure about the vendors.

23 MR. MEDOFF: This is Jim Medoff.

24 What Barry is saying is true. We've
25 evaluated the VIP processes for the vessel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 materials. And it's based on weld fluxes, how they
2 were laid down. So they grouped all those type --
3 like a shielded metal arc welds, they gathered the
4 data for all that type of welds and then they came
5 up with their statistical analysis.

6 CHAIRMAN BONACA: Well, I was expecting
7 that there will be a reference to some BWR always
8 group activity to --

9 MR. MEDOFF: There is, VIP 86.

10 CHAIRMAN BONACA: -- to provide this
11 kind of -- I mean without any pedigree to this
12 package of information, I'm only left on this
13 averaging that is stated in a little footnote in the
14 application. So since I am not the specialist in
15 metallurgy, but I know the importance of Cu in
16 nickel in the welds.

17 MR. ELLIOTT: We had to get an estimate
18 of the upper shelf energy for these forgings. So the
19 only thing we look at is the fleet, what the whole
20 fleet has for forgings. And that's what they did.
21 And then we used a 95 percent lower confidence bound
22 to establish its properties. And we've done that in
23 other cases where we don't have properties. We used
24 the entire BWR fleet and then established low bound
25 properties for welds that don't have properties.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And in this case we did it for the forgings.

2 CHAIRMAN BONACA: I return to my
3 metallurgical colleagues here and say how
4 comfortable are you with all this?

5 MEMBER ARMIJO: Well, you know, I
6 thought I heard that they knew the chemistry but
7 they didn't Charpy data. And they created the
8 Charpy data by a comparison with the rest of the
9 industry and then used a lower bound that was pretty
10 conservative.

11 CHAIRMAN BONACA: I can remember that 10
12 years ago, 15 years ago we were -- anyway --

13 MEMBER SHACK: Yes. I mean, you know you
14 just can't go back and recreate that data.

15 CHAIRMAN BONACA: Absolutely.

16 MEMBER SHACK: So you try to take a
17 conservative answer and --

18 CHAIRMAN BONACA: Is it conservative,
19 that's always the question. And that's what we're
20 looking for.

21 MEMBER SHACK: It is quite likely to be
22 conservative.

23 MEMBER ARMIJO: I think it's
24 conservative.

25 CHAIRMAN BONACA: Okay. That's --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: Are we ready to move on?

2 CHAIRMAN BONACA: Yes, let's move on.

3 MR. PAIRITZ: Okay. The last topic I
4 will talk about is the steam dryer. The steam dryer
5 is in scope for license renewal at Monticello. It's
6 a square hood dryer design. It looks like this.

7 In 1998 we inspected the dryer and we
8 noted indication in the area of the 324 degree
9 jacking bolt tack weld. Is down here in the blowup
10 on the bottom right. It was analyzed and determined
11 not to be structurally significant.

12 In 2001 we again reinspected this area
13 and found no additional indications and no change in
14 the indication at the 324 degree location.

15 In 2005 we did a comprehensive
16 inspection on the dryer. We specifically looked at
17 areas of dryer failures at other sites, and we did
18 not find any indications are those areas.

19 We did find some acceptable indications
20 on dryer shell behind three of the lifting lugs and
21 on the right side of the guide rod channel 215
22 degrees. Right here. And then we found behind the
23 lifting lugs on the shelves some indications in
24 three out of the four lifting lugs. Again, these
25 were analyzed and confirmed to be not structurally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant.

2 We will be inspecting the dryer in 2007
3 again to confirm continued acceptability. And we
4 plan on managing the dryer in accordance with the
5 BWRVIP.

6 Dryer questions?

7 MEMBER WALLIS: How does it compare with
8 other dryers? The various dryer designs, some of
9 which have more problems than others, how does --

10 MR. PAIRITZ: I'll have Mr. Potter
11 answer the question.

12 MR. POTTER: Could you clarify your
13 question for me? Are you talking in general the
14 dryer design or --

15 MEMBER WALLIS: There are about four or
16 five different versions of this GE dryer, Quad
17 Cities, Dresden, Vermont Yankee and so on. And some
18 of them had more problems than others. And I just
19 wondered how yours fitted into this sort of spectrum
20 of different shapes and histories?

21 MR. POTTER: Okay. This is Dave Potter
22 from Monticello.

23 There is in essence right now four types
24 of dryers that are used in the industry. You might
25 even consider five depending on how you cut it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's the square hood design, which is
2 Monticello's design, which is similar to Vermont
3 Yankee's, Quad Cities' Unit 1 and 2, and Dresden
4 Unit 2 and 3.

5 Then the slanted hood dryers which a
6 great deal of plants use.

7 And then the last would be the curved
8 hood dryers.

9 Finally, the very last design would be
10 the new dryers that have been installed in the Quad
11 Cities and Dresden plants. So Monticello's dryer is
12 similar to that. The original Quad Cities Unit 1 and
13 2 and Dresden Unit 2 and 3 and the Vermont Yankee
14 dryers which did experience the failures.

15 Does that answer your question, sir?

16 MEMBER WALLIS: And you haven't seen the
17 same kind of thing that they've seen?

18 MR. POTTER: No. The failures that
19 we're seeing at Quad Cities and Dresden were flow
20 induced type vibration failures that were seen
21 basically on the plate -- this plate region right
22 here as well as this plate cover view and this plate
23 region right here or this seam weld. Those areas
24 were inspected at Monticello in 2005 and we did not
25 identify any cracking.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I think there are
2 differences between the units. For example thermal
3 megawatt output.

4 MEMBER SHACK: Core power density are a
5 lot--

6 MEMBER SIEBER: Core power -- well steam
7 flow.

8 MEMBER SHACK: Right.

9 MEMBER SIEBER: The steam header
10 diameter. And so some dryers are more susceptible
11 than others because of different environment. This
12 apparently is a milder environment than plants that
13 have shown more damage.

14 Do you have any idea what the steam
15 velocity is at the outlet of the reactor nozzles?

16 MR. POTTER: This is Dave Potter again.
17 To be absolutely honest with you I have looked at
18 that number and compared our numbers to the
19 industry. But from memory I can't recite the
20 velocity and feet per second.

21 MEMBER SIEBER: Can you say whether it's
22 higher or lower?

23 MR. POTTER: I can say that it is
24 definitely lower than -- this is Dave Potter again.

25 I can say that the steam line velocity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is definitely lower than the Quad Cities Unit 1 and
2 2 and Dresden 2 and 3 at their extended power uprate
3 conditions. And Vermont Yankee, I know we are very
4 close, but I don't recall whose velocity is higher.

5 MEMBER SIEBER: It sort of all ties
6 together, at least in my mind.

7 MR. PAIRITZ: Any more dryer questions?
8 If not, the last topic I'll cover is on the
9 commitment process. Monticello's made 60
10 commitments to enhance aging management. The
11 commitments are described in the Monticello license
12 renewal updated safety analysis report supplement.

13 All Monticello commitments are entered
14 into the corrective action program. And this ensures
15 that there is a owner and a due date. The process
16 was looked at several times during the audits and
17 inspections.

18 Any questions on the commitment process?

19 MEMBER SIEBER: Well, the due date is
20 probably when your license expires, right?

21 MR. PAIRITZ: Well, most of them are --

22 MEMBER SIEBER: Or they all become due
23 at once?

24 MR. PAIRITZ: -- prior to the period of
25 extended operation. There are a few that are before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that.

2 MEMBER SIEBER: Yes. The question is do
3 you have a schedule as to when you're going to do
4 each of the items that you have in your commitment
5 tracking system?

6 MR. PAIRITZ: Yes. We have put together
7 a level 1 type schedule as to when those will be
8 accomplished and be part of our implementation
9 effort.

10 MEMBER SIEBER: Do you have the
11 resources to do the work?

12 MR. PAIRITZ: Yes. We got people
13 working on implementation right now. A couple of
14 contractors, some of the people that were on the
15 team. And that will continue.

16 Finally we're at the end. Are there any
17 other general questions that we can answer.

18 MEMBER SIEBER: You mean you would like
19 more questions.

20 MR. PAIRITZ: I'm here to answer them.

21 MEMBER MAYNARD: A comment. I do
22 appreciate you including your backup slides in the
23 package. I do appreciate that.

24 CHAIRMAN BONACA: Any additional
25 questions for the applicant? None. Thank you for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. It was a pleasure.

2 MR. PAIRITZ: Thank you.

3 CHAIRMAN BONACA: And we'll ask the
4 Staff now to present the SER.

5 MR. ZIMMERMAN: Dan Merzke the Project
6 Manager for the Monticello review and Patricia
7 Lougheed will lead the Staff's presentation.

8 MR. MERZKE: All right. Good afternoon,
9 gentlemen. My name is Dan Merzke. I'm the Project
10 Manager for the Staff review of the Monticello
11 license renewal application.

12 Joining me today is Patricia Lougheed
13 from Region III. She's our inspection team leader.
14 Also in the audience is Peter Wen, who is our audit
15 team leader. And supporting all of us are the
16 technical reviewers in the audience to answer any
17 questions that I can't answer for you.

18 The introduction will be start off with
19 an overview. We'll give you the plant and the
20 application followed by a discussion of the results
21 of the scoping and screening results.

22 I'll turn the mike over to Patricia who
23 will discuss the results of the license renewal
24 inspections.

25 And then I'll take it back over and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 finish with the Section III results of the aging
2 management review and the time-limited aging
3 analyses.

4 The application was submitted to us by
5 letter dated March 16, 2005. The Monticello plant
6 is General Electric BWR 3 design with a Mark I steel
7 containment, as already discussed. 17075 megawatt
8 thermal rated with a 600 megawatt electric power,
9 and that includes a 6.3 percent power uprate
10 approved in 1998.

11 Current operating license expires
12 September 8 of 2010.

13 And the plant, as already discussed, is
14 located approximately 30 miles northwest of
15 Minneapolis.

16 The draft SER was issued in April 26,
17 2006 with no open unconformity items. It also
18 included three license conditions. They're the
19 standard three license conditions for all the
20 approved plants so far.

21 We already discussed, Jake mentioned
22 that there were 113 form RAIs issued, which is
23 significantly lower than standard review.

24 And I think Jake touched on the fact
25 that we considered it a pretty good quality

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. The applicant went back and did a
2 thorough review of historical RAIs from previous
3 applications and tried to address those issues up
4 front.

5 In addition, we had 260 audit questions
6 between the scoping screening methodology and the
7 GALL audits.

8 And approximately, and as discussed
9 earlier, about 95 percent consistency with the draft
10 GALL Report revision 1, which was issued in January
11 of 2005. When the final GALL was issued in
12 September 2005 we did a scrub of that to make sure
13 that everything was covered.

14 During the review we did find some minor
15 components which were brought into scope. And I'll
16 discuss those during the scoping and screening
17 section.

18 Continuing on with the overview, the
19 audits were conducted during June and July of 2005.
20 Regional inspections were conducted in January and
21 February of this year.

22 Section 2.1 covers the scoping and
23 screening methodology. During the scoping and
24 screening methodology audit the audit team reviewed
25 the current licensing basis for flood control

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measures and determined that storage steel plate and
2 floor hatches designed to be installed for flood
3 control were not included within the scope of
4 license renewal. The applicant initially did not
5 include components storage in a warehouse within the
6 scope of license renewal. After further evaluation
7 and an extended condition, the applicant brought
8 these components into the scope of license renewal.

9 In Section 2.2 the plant-level scoping,
10 the Staff determined that there were omissions of
11 systems or structures within the scope of license
12 renewal.

13 For Section 2.3, the mechanical systems,
14 the Staff reviewed 36 mechanical systems, which was
15 a 100 review.

16 During the scoping and screening review
17 the Staff was unable to determine the scoping
18 boundary for 17 areas in the boundary drawings. The
19 Staff requested that the regional inspection team
20 visually inspect these areas to ensure the scoping
21 boundaries were in accordance with 10 CFR 54.4(a).
22 The inspections resulted in a length of steam piping
23 with a steam trap in the emergency diesel generator
24 room being brought into scope. And I'll mention,
25 that one was brought into scope because basically it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was below the floor deck plating in the emergency
2 diesel generator room. And the applicant considered
3 the floor as the boundary. However, it was not a
4 robust boundary because you could see through the
5 deck plating down into the area underneath. Any
6 steam coming out of there was going to impact or
7 potentially impact the operating temperature of the
8 EDG room. So the applicant agreed to bring that
9 steam piping and steam trap within the scope of
10 license renewal.

11 In addition during another walkdown, one
12 of the floor drains in the sodium hydrochloride
13 building which penetrates the floor into the intake
14 structure was also identified as being needed to be
15 brought into scope.

16 Section 2.4 covered the containment
17 structures and supports. Staff found no omissions
18 of structures or supports within the scope of
19 license renewal during the review.

20 For Section 2.5 the review of scoping
21 for the electrical system identified a motor control
22 center which was found to be outside the scope of
23 license renewal. It supplied power to the tank
24 heater for a standby liquid control tank. Since
25 standby liquid control system mitigates an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anticipated transient without scram or ATWS event,
2 the Staff determined it should be brought into the
3 scope of license renewal in accordance with 10 CFR
4 54.4(a)(3). The applicant determined that the motor
5 control centers are active components so they were
6 screened in accordance with 10 CFR 54.12(a)(1).

7 During the regional inspection the
8 inspectors determined that 480 volt load center
9 breakers should be scoped in. The applicant
10 determined these are active components also, so they
11 were screened out in accordance with 10 CFR
12 54.21(a)(1).

13 To conclude the scoping and screening
14 summary, it was the staff's determination that the
15 applicant's scoping methodology meets the
16 requirements of 10 CFR 54.4 and the scoping and
17 screening results as amended included all systems,
18 structures and components within the scope of
19 license renewal and subject to an aging management
20 review.

21 I'd like to turn it over now to Patricia
22 Lougheed from Region II who will discuss the license
23 renewal inspections.

24 MS. LOUGHEED: Hello. I'm Patricia
25 Lougheed. I was a lead inspector for the license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 renewal inspection conducted at Monticello.

2 My slide is on page 6 -- well, the one
3 that's shown there. Basically gives you some of the
4 logistics information about our inspection.

5 One thing that I would like to note is
6 that on this inspection I did have a person, a
7 metallurgist who really looked into a lot of the
8 core internals of the BWRVIP program to make sure
9 that it was being implemented in accordance with
10 what was proposed for license renewal. And to make
11 sure because there was not an official commitment
12 right now that NRC regulates or this program. So it
13 was ensuring that it was going to be brought forward
14 into license renewal properly.

15 Going on to my next slide, Dan touched
16 briefly upon the scoping and screening area. We did
17 look at all the issues that were brought forward
18 from the audit inspection. It was interesting,
19 besides the two cases where there were items that
20 were brought into scope, there were also a number of
21 areas most particularly what the licensee called the
22 985 pump room where there were components that were
23 identified as being in scope that really did not
24 need to be in scope. And there were quite a few
25 discussions during our inspection to clarify whether

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those items really should have been an in scope or
2 not. So there were some removals of things from the
3 scope as well as some additions.

4 CHAIRMAN BONACA: For understanding
5 better the logistic. You already had in hand the
6 audit report?

7 MS. LOUGHEED: We had the audit report.

8 CHAIRMAN BONACA: So that really was a
9 big help already --

10 MS. LOUGHEED: Right.

11 CHAIRMAN BONACA: -- in determining what
12 is consistent or exceptions and enhancements.

13 MS. LOUGHEED: Right.

14 CHAIRMAN BONACA: And you could start
15 from that?

16 MS. LOUGHEED: Right. And there's
17 always what we do in the region and the inspections
18 is that we look at the boundaries. Not the things
19 that are definitely in scope, the safety systems or
20 things like that. We look at those where they have
21 nonsafety safety interfaces, where there's nonsafety
22 systems that are going to be in the vicinity of
23 safety systems. We looked at what the actual
24 barriers were to make sure that there actually was
25 separation. Because it was not very obvious on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 license renewal drawings.

2 CHAIRMAN BONACA: I had a question, and
3 that doesn't go to this application. It's more
4 general.

5 You know, when you do PRA you find that
6 you have a lot of safety related components and
7 others important as you thought they were. And you
8 also find that the few, or a minor population of
9 components which are nonsafety related are
10 critically important for certain sequences. That's
11 really coming from the insides of the PRA. But
12 there is no -- I mean, license renewal does not
13 apply to these components.

14 MS. LOUGHEED: That is true.

15 CHAIRMAN BONACA: Do you find that the
16 licensees however are aware of the importance of
17 those components and take care of them or --

18 MS. LOUGHEED: My impression, and I
19 can't say that this is necessarily that we looked at
20 it on Monticello specifically. But licensees where
21 they have components that their PRAs have shown them
22 to be risk significant, they tend to pay more
23 attention to them because of that.

24 CHAIRMAN BONACA: Yes.

25 MS. LOUGHEED: Simply a lot of times

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because it becomes a matter of economics more. You
2 keep those pieces of equipment operating well and
3 your risk, and therefore your chance of a shutdown
4 go down.

5 So even though they're not considered
6 important to safety, they are treated with more
7 significance than things that are not risk
8 significant at all.

9 CHAIRMAN BONACA: Good.

10 MS. LOUGHEED: And I'll also the little
11 caveat that I think that a lot of the reason that
12 some of the safety systems don't show up as being
13 risk significant is because of the defense-in-depth
14 concept. You know, when you putt redundancy upon
15 redundancy well from a PRA aspect --

16 CHAIRMAN BONACA: Right.

17 MS. LOUGHEED: -- that does drive down
18 the significance.

19 CHAIRMAN BONACA: Right. Yes.

20 MS. LOUGHEED: Basically our conclusion,
21 and I probably should say we did do a lot of
22 walkdowns including into some fairly high radiation
23 areas. Our metallurgist also spent a number of
24 hours reviewing videotapes of the vessel internal
25 inspections and various welding inspections, areas

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that obviously he would not have access to with the
2 plant at power. So we did look at quite a bit from a
3 physical aspect, not just relying on the paperwork
4 and things like that.

5 Overall, we found that with a few minor
6 exceptions the systems were appropriately scoped.
7 We felt that we concentrated on the ones that were
8 most suspect rather than the ones where we knew 100
9 percent was going to be thrown into scope.

10 The applicant did submit some
11 clarification because they were coming up to doing
12 their annual submittal for the license application
13 while it was under review. A lot of the things that
14 we had identified were brought forward into that and
15 were submitted in that way.

16 Going on, we also looked at aging
17 management. My slide says that we reviewed all 33
18 aging management programs, where I notice that the
19 applicant said that there were 36 programs. I'm
20 still scratching my head which three we missed. We
21 really spent a lot of time on this one partly
22 because of the team that I had and the abilities of
23 that team to go in and look at a number of systems.

24 We found that the aging management
25 programs were implemented as described. That the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enhancement and exceptions that were being proposed
2 were acceptable.

3 We did identify some minor
4 inconsistencies, and those were either captured in a
5 revision to the application or in the corrective
6 action program. However.

7 CHAIRMAN BONACA: We talked about the
8 containment liner?

9 MS. LOUGHEED: Right.

10 CHAIRMAN BONACA: What's your opinion?
11 I mean, you went there and looked at it.

12 MS. LOUGHEED: Monticello is not one of
13 the plants that I would worry in Region III about
14 containment liner problems. All right. There are a
15 couple of plants that I have concerns about their
16 containment liners, but Monticello is not one of
17 them.

18 CHAIRMAN BONACA: Okay. Thank you.

19 MS. LOUGHEED: Basically that's -- I
20 know you've read through the inspection report in
21 some detail. We didn't find anything in there
22 either scoping, screening or aging management which
23 we felt would cause any sort of a hinderance to the
24 license being renewed. Overall, we found Monticello
25 to be in very good condition.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: But I must say that
2 I'm very impressed by the inspection report and by
3 the information from the audit. And I think they're
4 quite insightful.

5 MEMBER SIEBER: I concur with Dr.
6 Bonaca's opinion. A very good report.

7 MEMBER MAYNARD: Yes, I agree. It looked
8 like you did a very thorough job.

9 I've got one question. One of the things
10 in the inspection report that came out, I don't
11 think it necessarily associated with the scoping
12 itself, but on the failure to dismiss and relief
13 request. Was that something that your inspection
14 team found or is that something that just occurred
15 while you guys were there?

16 MS. LOUGHEED: No. It was something our
17 inspection team found. I very definitely had a
18 very, very, very team. Especially in the
19 metallurgical area. And we used him to full
20 advantage reviewing a lot of areas that we would not
21 have been able to look at otherwise.

22 MEMBER MAYNARD: Good. Good.

23 MS. LOUGHEED: Going on, you want me to
24 do the current performance? Okay.

25 Monticello is one of our good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performance in Region III. They are in column 1,
2 which was licensee response problem column. We
3 don't have any crosscutting issues opened. We have
4 no major issues at Monticello at all right now. So
5 we are following the revised oversight process with
6 minimum baseline inspections. And we will continue
7 to do that.

8 You can see the screens coming up. We
9 are green in every area on performance indicators.
10 And if you move on to the inspection findings, w
11 really have a lot of areas that we're doing
12 inspections where we don't have findings, which is
13 where the grey comes in. It doesn't mean we're not
14 inspecting there, it means that we haven't found
15 anything. And the areas where we have found things,
16 they have all been green or a very low safety
17 significance.

18 CHAIRMAN BONACA: Very good. Thank you.

19 MR. MERZKE: Just for Patricia's
20 benefit, the 33 aging management programs were the
21 official aging management programs listed in the
22 application. The two timed-limited aging analysis
23 support programs were also considered to be aging
24 management program. So that was 35.

25 Number 36 was a commitment made by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applicant late to implement an E6 program for
2 electrical cable connections.

3 CHAIRMAN BONACA: I'm sorry. Which one
4 is the --

5 MR. MERZKE: It was GALL E6 program.
6 I'll address it in a little bit and we'll have a
7 little discussion, but --

8 CHAIRMAN BONACA: First of all, I want
9 to thank you for the --

10 MS. LOUGHEED: Yes. We did very close
11 to 100 percent on this one.

12 CHAIRMAN BONACA: Great.

13 MS. LOUGHEED: We found they were able
14 to support it and we were able to get it done within
15 the time constraints.

16 CHAIRMAN BONACA: Thanks again.

17 Additional questions for the inspection?
18 If not, we're going to take a break and get back
19 here at 25 after 3:00.

20 (Whereupon, at 3:07 p.m. off the record
21 until 3:30 p.m.)

22 CHAIRMAN BONACA: We are back into
23 session. And we are going to be reviewing now the
24 aging management review results.

25 MR. MERZKE: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'll move on to the discussion of the
2 Staff's review of the aging management program and
3 reviews now.

4 The Staff reviewed at the time 35 aging
5 management programs based on the application. There
6 were 36 overall. The 36 was a late commitment by the
7 applicant to implement the GALL E6 program, which
8 would be consistent with GALL. And I'll discuss
9 that a little bit more in the electrical section.

10 So overall there were 36 aging
11 management programs, 29 of which were existing
12 programs and 7 which will be new programs to be
13 implemented prior to the period of extended
14 operations.

15 Of those, 9 of them were consistent with
16 the GALL Report and 25 were consistent with the GALL
17 Report with exceptions and/or enhancements. There
18 were two plant specific aging management programs;
19 they were a bust duct inspection and system
20 condition monitoring programs.

21 I'm going to start this discussion with
22 I picked a few of the aging management programs out
23 which involves considerable amount of Staff review.
24 And I thought I'd go over the results of those.

25 The first one would be the ASME Section

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 XI In Service Inspection subsections IWB, IWC and
2 IWD program. It's an existing program which is
3 consistent with the GALL Report with exceptions.

4 The LRA stated that relief requests in
5 code cases were not considered exceptions to the
6 GALL Report. The audit team did not agree and
7 requested the applicant evaluate all code cases and
8 relief requests for aging management concerns.

9 The Staff position is that relief
10 requests are not acceptable for aging management
11 because they expire after ten years.

12 The applicant subsequently removed
13 reference requests from the application except for
14 one relief request which has been approved 21 months
15 into the period of extended operations.

16 There were three code cases associated
17 with this aging management program are identified to
18 be exceptions to the GALL Report. They're endorsed
19 by NRC in the Reg. Guide 1.147. They were N-307-2
20 which concerned ultrasonic testing for Class 1
21 bolting with center holes; N-526, which concerned
22 successive examinations when a flaw is detected,
23 and; N-613-N which concerned examine volume of weld
24 and nozzles.

25 The Staff found these acceptable because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're endorsed by the NRC in Reg. Guide 1.147.

2 The bolting integrity AMP was found to
3 be consistent with the Gall report with
4 enhancements. The program will incorporate guidance
5 from EPRI technical reports which include *Bolted*
6 *Joint Maintenance and Application Guide* and the *Good*
7 *Bolting Practices Handbook*

8 . Staff determine the guidelines
9 reflect industry practice and meet the
10 recommendations of the GALL Report.

11 The buried piping and tanks inspection,
12 an aging management program which is consistent with
13 the GALL Report with enhancements. These
14 enhancements are all detailed in the commitment
15 section of the SER.

16 The applicant has committed to perform
17 inspections every ten years. They will credit
18 inspections of opportunity when excavating.

19 The applicant also committed to
20 performing an internal inspection of the diesel fuel
21 oil storage tank every ten years in addition to the
22 external inspection.

23 Other enhancements include a review of
24 operating experience to determine the susceptible
25 locations and to perform further evaluation on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extended condition if pipe wall thickness shows a
2 susceptibility to corrosion.

3 CHAIRMAN BONACA: So let me understand
4 now for buried pipes they're going to do a
5 inspections, but if they do not have any inspection
6 in ten years, they'll do one?

7 MR. MERZKE: That is correct.

8 CHAIRMAN BONACA: Okay.

9 MR. MERZKE: Yes, sir.

10 CHAIRMAN BONACA: And that's consistent
11 with GALL, yes.

12 MR. MERZKE: Ultrasonic testing and
13 visual inspections completed in 1999 and 2003 showed
14 no degradation or aging effects.

15 BWR vessels internals program. It's
16 consistent with the GALL Report with exception and
17 enhancement. The exception was that the applicant
18 used the updated water chemistry guidelines of
19 BWRVIP-130, as the GALL recommended BWRVIP-29. The
20 Staff found this acceptable as it's an updated
21 version of the same guidelines, and that was issued
22 in 2004.

23 Enhancement to this program is to use
24 the BWRVIP guidelines for inspection, evaluation and
25 repair to the maximum extent possible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The applicant made a number of
2 commitments based on questions from the audit and
3 inspection teams. They include additional top guide
4 inspections beyond those required by BWRVIP-26 and
5 steam dryer per BWRVIP-139.

6 Regional inspectors identified a couple
7 of issues which resulted in commitments to inspect
8 in core monitoring dry tubes per General Electric
9 Service Information Letter 409 and spray core piping
10 welds in accordance with BWRVIP-18.

11 In addition, core plate hold down bolts
12 will be inspected in accordance with BWRVIP-25 which
13 requires either UT or enhanced visual inspection or
14 another inspection technique which would be reviewed
15 and approved by the NRC.

16 In lieu of inspections, the applicant
17 has committed to installing wedges to replace
18 lateral load resistance prior to the period of
19 extended operations if they're unable to complete
20 those inspections.

21 CHAIRMAN BONACA: For core spray piping
22 welds, if I remember, the issue was that they did
23 not identify the flow through the welds, through the
24 cracks that you may have.

25 MR. MERZKE: The issue was that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were not doing the inspection on the welds because
2 the welds were -- they have mechanical clamps
3 surrounding them which replace the structural
4 integrity of the welds. The inspection team looked
5 at it a different way. If the crack developed in the
6 weld, it would be a diversion path for core spray.
7 And in case of an accident, that core spray would be
8 diverted outside the shroud and unavailable and it
9 might impact P-clad temperature. So the applicant
10 decided that it would be prudent to bring those --
11 inspect in accordance with BWRVIP-18.

12 CHAIRMAN BONACA: Good.

13 MR. MERZKE: The flow accelerated
14 corrosion program. This is an existing program
15 which is consistent with the GALL Report. The
16 application originally stated that the trigger point
17 for conducting an engineering evaluation for
18 nonsafety related piping would be 60 percent nominal
19 wall thickness. Staff could find no technical basis
20 for this number, so the applicant committed to using
21 87.5 percent nominal wall thickness as a trigger
22 point for all piping susceptible to flow accelerated
23 corrosion. The applicant uses 87.5 percent nominal
24 wall thickness as a trigger point for evaluation for
25 safety related piping also.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 For inaccessible medium voltage cables
2 not subject to 10 CFR 50.49 environmental
3 qualification requirements. This is a new program
4 which will be consistent with GALL and implemented
5 prior to the period of extended operation.

6 The application originally indicated
7 that medium voltage cables that are not subject to
8 prolonged exposure to significant moisture due to
9 inspecting for water collection and cable manholes
10 and conduits do not require testing. The Staff
11 position was that testing should be in addition to
12 inspection for water collection. The applicant
13 committed to conduct the testing as well as to
14 inspect initially at least once every two years, and
15 that two years comes from their operating
16 experience.

17 CHAIRMAN BONACA: Now from reading the
18 application most of these cables are just simply
19 buried in the ground. I mean, so --

20 MR. MERZKE: they do have some conduit,
21 too, sir.

22 CHAIRMAN BONACA: Some of them?

23 MR. MERZKE: Yes.

24 CHAIRMAN BONACA: A few. So, I mean,
25 the first portion of this program only addresses

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those few. So there's nothing you can do about
2 that?

3 MR. MERZKE: Well, the applicant has not
4 detected any water in any manholes during the
5 inspection process. So they've not detected any
6 moisture.

7 This program is supposed to be
8 consistent with the GALL Report which will cover all
9 medium --

10 CHAIRMAN BONACA: Oh, I agree with that.

11 MR. MERZKE: Okay. Reflecting on the
12 fact, and I was wondering because tomorrow we're
13 going to have presentation on this issue for current
14 licensing value. And after feeling comfortable with
15 the fact that this program is going to inspect for
16 water in manholes I was startled by the reality that
17 most of these cables are really in the ground,
18 they're not in conduits. And so that portion of the
19 program doesn't do much for us.

20 MR. MERZKE: Right. I guess that's where
21 the testing comes in.

22 CHAIRMAN BONACA: Yes.

23 MR. MERZKE: The reactor head closure
24 studs programs. It's an existing program which is
25 consistent with the GALL Report. The application

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 did not identify any exceptions to GALL here. The
2 audit team review determined that the use of code
3 case N-307-2 was an exception to GALL. This code
4 case alters the portion of the stub which examined.

5 The Staff found the exception acceptable
6 because the examination will identify the relevant
7 aging effects cracking and corrosion as the high
8 stressed portion of the stud continues to be
9 examined.

10 Inspectors also identified installed
11 studs which exceeds 175 kilo pounds per square inch
12 tinsel strength, which is what's recommend in Reg.
13 Guide 1.65 to minimize the likelihood of stress
14 corrosion cracking.

15 The applicant considers all these
16 students susceptible to cracking and is implementing
17 the preventive measures of Reg. Guide 1.65. The
18 applicant continues to conduct ultrasonic testing
19 and surface examinations on a ten year interval. And
20 to date, no parent degradation has been identified.

21 For the aging management review results
22 there's 100 percent review done; 36 plant systems,
23 18 structure in four commodity groups. I just
24 highlighted a few areas here.

25 Section 3.3 in the auxiliary systems

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there was a significant discussion on elastomers.
2 The application originally identified AMRs for
3 elastomers subject to elevated temperatures,
4 ultraviolet or ionizing radiation. The applicant
5 claimed no aging effect for elastomers in a plant
6 indoor air environment. It was the Staff's position
7 that elastomers subject to an ozone environment
8 experienced degradation that needs to be managed.
9 The applicant amended their application to manage
10 aging of elastomers in an air environment using the
11 system condition monitoring program and the one time
12 inspection programs.

13 The cable spreading room Halon system
14 will be inspected and tested every 18 months. Life
15 to six months is recommended by the GALL Report.
16 The GALL is based on the NFPA recommendations, which
17 takes into consideration system failures across all
18 industry, not just do to aging effects. Plant
19 specific operating experience has demonstrated that
20 an 18 month inspection interval will detect aging
21 effects prior to loss of intended function. Staff
22 accepted this exception because the 18 month
23 surveillance interval is part of the NRC approved
24 fire protection program and thus forms of an element
25 of the plant's current licensing basis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Section 3.5 aging management for the
2 drywell shell, the Staff found the applicant's
3 program for managing aging effects to the drywell
4 shell acceptable and consistent with the proposed
5 staff license renewal ISG which was issued for
6 comment earlier this month.

7 The applicant follows the code
8 requirements specified by ASME Section XI,
9 subsection IWE. UT performed in the sand pocket
10 region in 1986 and 1987 detected no degradation.
11 The applicant instituted a leakage monitoring
12 program which detects for water leakage past the
13 refueling seal bellows which is in the scope of
14 license renewal. It also detects leakage in the
15 drywell air gap drains and the sand pocket drains.
16 Drains are verified open and no leakage detected
17 every refueling outage. In addition, there's an 19
18 gauge galvanized sheet metal cover sealed to the
19 vessel and surrounding concrete which covers the
20 sand pocket region. Drywell air gap drains drain
21 any water on top of the cover, as you saw in the
22 applicant's diagram.

23 MEMBER MAYNARD: When did this
24 monitoring program start?

25 MR. MERZKE: I believe it was a result

1 of the response to Generic Letter 87-05.

2 MEMBER MAYNARD: So it's been in place
3 since 1987? Is that correct?

4 MR. MERZKE: That's correct.

5 The Staff found this program acceptable
6 to managing aging of the drywell.

7 CHAIRMAN BONACA: You had a comment,
8 Sam, it was important all the --

9 MEMBER ARMIJO: Yes. I had a question
10 when the UT examine was done in 1987 there's four
11 drain lines, sand drain lines. And was a UT done in
12 between those where there might be a low point there
13 that wasn't drained in the sand pocket region or was
14 it done at the location where the drain lines are?

15 MR. MERZKE: I don't have an answer to
16 that. I think the applicant may.

17 MEMBER ARMIJO: Do you have an idea?
18 Could we find out sometime, on call or something?

19 MR. MERZKE: Okay. Any other questions?

20 CHAIRMAN BONACA: You have those
21 requests regarding the configuration of the drain
22 pipe and the fact that --

23 MR. MERZKE: Well, look, I start --

24 CHAIRMAN BONACA: -- the design to
25 accumulate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: Yes. The stand pipe
2 design, it's kind of strange to me why it even
3 exists. Why isn't it just cut off and if there's
4 anything in there, it drains out onto the floor.
5 You know, it's not the scope of the ACRS to do a
6 design, but it seems strange to me that that stand
7 pipe is an asset. I think it's necessary. I don't
8 know why you guys --

9 MR. MERZKE: You'll have to talk about
10 it.

11 MEMBER ARMIJO: You must like it for
12 some reason or somebody likes it.

13 MR. PAIRITZ: This is Joe Pairitz the
14 Project Manager for Monticello.

15 The stand pipe, I believe, was
16 originally designed that way because the drain is
17 full of sand and part of the stand pipe is full of
18 sand. I think it was meant to keep the sand from
19 migrating out and going all over the floor. You'd
20 constantly be sweeping up sand.

21 So I looked at it and said they must
22 have done that to keep the sand in, but that's my
23 personal opinion.

24 MEMBER ARMIJO: Thank you.

25 I don't think it would pore out. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think it'd just jam up in there. As long as the
2 water gets out.

3 MR. MERZKE: All right. Continue on for
4 aging management of in scope inaccessible concrete,
5 the applicant stated and the Staff verified that the
6 below grade environment is not aggressive. Periodic
7 testing of the ground water will be performed as
8 part of the structure's monitoring program.

9 Section 3.6 covered electrical and I&C
10 components. There were four commodity groups
11 reviewed; electrical penetrations, fuse holders,
12 nine EQ cables and connections and off-site power
13 and station blackout recovery paths.

14 The Staff noted that industry operating
15 experience shows loosening of metallic parts of the
16 cable connections. Requested that the applicant
17 demonstrate how this effect will be managed. In
18 response, the applicant committed to implement a new
19 aging management program consistent with the GALL
20 AMP E6 electrical cable connections not subject to
21 10 CFR 50.49 EQ requirements prior to entering the
22 period of extended operations.

23 This application was originally reviewed
24 under the original GALL, GALL Rev. 0. The E6
25 program was not part of that GALL. The applicant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has committed to basically implementing one of the
2 programs implemented in the latest GALL revision.

3 I'd like to move on and discuss the
4 timed-limited again analyses. The first table here
5 summarizes the upper shelf energy for the limiting
6 belt line components. The acceptance criteria for
7 upper shelf energy is greater than 50 foot pounds.
8 The applicant has demonstrated and the Staff has
9 verified that the upper shelf energy for the
10 limiting belt line components at Monticello will
11 exceed 50 foot pounds at the end of the period of
12 extended operations.

13 The next table summarizes the mean nil
14 ductility reference temperature for the limiting
15 circumferential and axial welds. The values for
16 both are calculated to be within acceptable limits
17 through the period of extended operation pursuant to
18 10 CFR 54.21(a)(1)(ii).

19 CHAIRMAN BONACA: A question I have,
20 okay, this is more learning on my part, but I found
21 for this plant a lot of equivalent margin analysis
22 and, you know, which we haven't seen often before.
23 Maybe it is because of BWR versus PWR, but typically
24 we have a screening process by which you say you
25 meet the screening criteria and you don't have to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any further analysis.

2 MR. ELLIOTT: Right.

3 CHAIRMAN BONACA: And here I saw a lot
4 of equivalent margin analysis. If it's a separate
5 issue, you might want to address both. In page 422
6 of the application when it speaks of reactor
7 pressure vessels circumferential weld properties and
8 then it presents a conditional failure probability
9 at 64 EFPY of 1.78 as an acceptance criteria. And I
10 haven't seen that.

11 MR. ELLIOTT: I can't hear you. But let
12 me just summarize.

13 We went through the licensee what they
14 had to do for the upper shelf energy. And it turns
15 out they have four plates in the -- I think it's
16 four plates in the belt line. And one of the plates
17 is in their surveillance program, so they actually
18 have Charpy data for that plate.

19 CHAIRMAN BONACA: Okay.

20 MR. ELLIOTT: The problem is the other
21 three plates they don't have enough Charpy data to
22 know what the upper shelf energy is. And this is
23 not something that's specific to them. There's a
24 lot of GE plants that have the same problem.

25 When these plants were originally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensed there was no requirement to do upper shelf
2 energy testing. You just had to test in the
3 transition region and you had to have a lower enough
4 transition temperature so that you had adequate
5 toughness. So they didn't do the testing on the
6 upper shelf energy. And this is typical of a lot of
7 GE plants.

8 So what GE did was they have a topical
9 report on this issue in which they say that if you
10 don't have specific values of upper shelf energy,
11 they have developed a methodology, equivalent margin
12 analysis methodology that if you have a certain
13 amount of irradiation embrittlement, you're with
14 their bounds of their analysis. So that's what they
15 were first attempting to do; to show that for these
16 plates they were within the bounds of GE and generic
17 analysis.

18 CHAIRMAN BONACA: Yes. Okay. So that's
19 likely that for GE plants we're going to see more of
20 this?

21 MR. ELLIOTT: Yes. For GE plants this
22 is very typical.

23 CHAIRMAN BONACA: But it is not really a
24 marginality of this vessel. It's more like it's
25 typical of the approach we're going to see for GE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plants, for boilers?

2 MR. ELLIOTT: Right.

3 CHAIRMAN BONACA: Well the other issue
4 is that cable on page 422 where they're speaking of,
5 sort of the, configuration of weld -- essentially
6 the calculation reference, NRC calculation where a
7 condition of failure probability as 64 EFPY is used
8 as a criteria.

9 MR. ELLIOTT: Yes.

10 CHAIRMAN BONACA: And that's 1.78 and
11 ten to the minus five. And I really surprised by
12 seeing this kind of criteria used.

13 MR. ELLIOTT: Are we talking about the
14 circumferential welds?

15 MR. MERZKE: Yes. It's the BWRVIP-05.

16 MR. ELLIOTT: Okay. We reviewed the
17 circumferential welds under the BWRVIP-05 program.

18 CHAIRMAN BONACA: Okay.

19 MR. ELLIOTT: And the purpose of that
20 review at the time was to eliminate the inspection
21 of the circumferential welds. And GE put out their
22 report, and we reviewed it. And we did our own
23 analyses to convince ourselves that what they were
24 saying was true. So we put out in our safety
25 evaluation of that topical report our own analyses.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes.

2 MR. ELLIOTT: And we took their
3 fluences.

4 CHAIRMAN BONACA: Yes.A

5 MR. ELLIOTT: And we extended it,
6 originals were 40 years. And we extended it to 64
7 effective full power years just to show how it would
8 impact the analyses. And we determined that even at
9 65 effective full power years they would still be
10 the criteria that we had established to eliminate
11 the inspection of the circumferential welds.

12 CHAIRMAN BONACA: That's the inspection
13 effect. Okay. Yes, that was on page 422 of the
14 application. Bill, you were looking at it.

15 All right. That was to eliminate the
16 inspection. Okay. All right. I think that you've
17 gotten what I needed.

18 MEMBER SHACK: I mean, they eliminate
19 the inspection mostly because they can't do it?

20 MR. ELLIOTT: No, no. They can't do a
21 100 percent.

22 MEMBER SHACK: They can't do a 100
23 percent, yes.

24 MR. ELLIOTT: But the reason we have
25 eliminated it isn't because of that. We find that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the axial welds are much more susceptible. If
2 something was going to happen, they're under a much
3 higher stress than the circumferential welds. And
4 so that the axial welds would be a precursor to what
5 would happen for the circumferential welds. So as
6 long as we inspect the axial welds, we're
7 comfortable that you don't need to inspect the
8 circumferential welds.

9 CHAIRMAN BONACA: Okay. Thank you.

10 MR. MERZKE: On to Section 4.3 the
11 application covering metal fatigue. The applicant
12 satisfactorily demonstrated that the cumulative
13 usage factor, CUF, for all components subject to
14 fatigue will not exceed 1.0 through the period of
15 extended operations. Components evaluated are
16 monitored by the applicant's fatigue monitoring
17 program, which the staff found acceptable.

18 Section 4.4 covers irradiation-assisted
19 stress corrosion cracking or IASCC. Components made
20 from austenitic stainless steel exposed to a neutron
21 fluence in excess of 5 times 10 to the 20th neutron
22 per centimeter squared considered it susceptible to
23 IASCC. These components include the top guide,
24 shroud and in core instrumentation, dry tubes and
25 guide tubes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 IASCC is managed by Monticello by the
2 ASME Section 11 ISI sub sections IWB, IWC and IWD
3 program, vessel internals implant chemistry
4 programs.

5 In 1999 the applicant implemented the
6 hydrogen water chemistry program to reduce the
7 oxygenated environment also reducing the
8 susceptibility to IASCC.

9 In addition to the examinations required
10 by the ISI program, the applicant committed to
11 conduct additional top guide inspections of the high
12 fluence locations using the enhanced visual
13 inspection technique.

14 Section 4.7 covers the environmental
15 qualification of electrical equipment. The Staff
16 reviewed the applicant's TLAA on environmental
17 qualification program and concluded that the
18 evaluation was acceptable in accordance with 10 CFR
19 54.21(c)(0)(ii).

20 Section 4.8 covered the stress
21 relaxation of rim hold-down bolts. The applicant
22 provided an analysis on the stress relaxation of the
23 core plate hold-down bolts, which the Staff
24 reviewed. The Staff found the initial evaluation
25 unacceptable because it relied on friction, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was not included in the generic analysis accepted in
2 BWRVIP-25. The Staff requested the applicant
3 provide an analysis which did not include friction.
4 Subsequent analysis was provided by General
5 Electric. It was comparative analysis between the
6 BWRVIP-25 loads and the Monticello specific loads.
7 The analysis determined that the bolt stresses at
8 Monticello were either bounded by the BWRVIP-25
9 analysis or within ASME allowables. The Staff found
10 the analysis acceptable pursuant to 10 CFR
11 54.21(C)(1)(ii).

12 To summarize the TLAAs, pursuant to 10
13 CFR 54.3 the Staff found the TLAA list adequate and
14 pursuant to 10 CFR 54.21(c)(1) the Staff found that
15 the analyses provided would be the remain valid for
16 the period of extended operations. They were
17 projected to the end of the period of extended
18 operations or that the effects of aging will be
19 adequately managed for the period of extended
20 operations.

21 And pursuant to 10 CFR 54.21(c)(2) there
22 are no plant specific exceptions.

23 In conclusion, the Staff has concluded
24 that there is reasonable assurance that the
25 activities authorized by the renewed license will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 continue to be conducted in accordance with the
2 current licensing basis. And that any changes made
3 to the MNGP current licensing basis in order to
4 comply with 10 CFR 54.29(e) or (a) are in accord
5 with the Act and the Commission's regulations.

6 Does anybody have any further questions?

7 CHAIRMAN BONACA: Any questions? No
8 questions. We thank you for that presentation. It
9 was very informative.

10 At this stage what I would like to do is
11 to, first of all, ask the audience if you have any
12 questions for the presenters. There are none.

13 What I would like to do is to go around
14 the table and get insights on two things. One, do
15 we need to have a interim letter. And a second
16 question that I have is views regarding the
17 application and the safety evaluation reports by
18 individual members. You know, what are the most
19 notable issues. I believe I'm scheduled for a brief
20 update to the full Committee tomorrow or the day
21 after. So I would like to know from you what input
22 I should provide.

23 So again, two questions: (1) Should we
24 have an interim letter, and; (2) what feedback
25 should we give to the full Committee on this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. And also some views that you may have
2 on the application and the safety evaluation report.

3 So I'll start with you, Jack?

4 MEMBER SIEBER: Okay. The answer to
5 your first question is I don't see a need for an
6 interim letter.

7 My view of the application and the SER
8 and the audit and inspection report is that all
9 three documents were generally well done and
10 complete. I think the application was
11 comprehensive, even though the Staff did determine
12 in the area of scoping there were a few minor
13 corrections that needed to be made.

14 I think particularly impressive was the
15 inspection and audit report headed up by Region III.
16 Again, they have done an excellent job and it
17 results in including the licensee's effort to review
18 RAIs sent to other LER license renewal candidates.
19 Their requests for additional information and
20 include the answers in their application; I think
21 that saves a lot of effort for both the licensee and
22 the Staff. And I commend the licensee for doing
23 that.

24 And the result was an unusually low
25 number of RAIs. And I think the process more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 efficient. I think it reduces burden on all parties
2 involved. And I think shows the maturing of the
3 license renewal process.

4 The inspection and audit report, again,
5 was very thorough and well written. And basically
6 left no stone unturned. It was very clear to me what
7 steps the inspectors took to make their
8 determinations.

9 And so I think overall I would say that
10 it was a job well done.

11 In addition to looking at the
12 application, the inspection and audit report and the
13 SER, I also looked at other inspection reports
14 related to that plant on the NRC's website along
15 with their reactor oversight process, performance
16 indicators. And I was familiar years ago with the
17 performance of both of those northern states power
18 plants, Monticello and Perry Island. And it appears
19 based on what I could read and what I reviewed, that
20 they continue to perform well, and to me that's an
21 important factor.

22 So overall I was generally impressed
23 with the quality of both the licensee and the
24 Staff's reports. And I think the job was well done.

25 CHAIRMAN BONACA: Good. Thank you, Jack.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Appreciate it.

2 Bill?

3 MEMBER SHACK: I don't see any need for
4 an interim letter.

5 I'm still curious about this factor of
6 14 in the fluence. I mean, that just strikes me as
7 an extraordinary change in value that I can't
8 conceive of. And if somebody could email an
9 explanation of where it comes from --

10 MR. ZIMMERMAN: We'll do that. We'll get
11 that to you.

12 CHAIRMAN BONACA: Okay. Sam?

13 MEMBER ARMIJO: Yes. I don't want to
14 comment on the need for an interim letter. I don't
15 know enough about the process yet to talk about
16 that.

17 I think I agree with Jack's assessment
18 overall. I think a very nice job done by the Staff
19 and by the applicant.

20 I still have a nagging concern about the
21 drywell in that I'm not sure that the UT inspection
22 that was done was done in the worst location or the
23 most severe location. So I'd appreciate if either
24 the Staff or Niagara-Mohawk could tell where these
25 inspections were done before we put that issue to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bed. If it was done in the worst case location, I
2 think they've got plenty of margin in this plant.
3 BWR 3s have always been our really nice little
4 plants, low powered power density plants. And I
5 think the plant's been very well maintained. And I
6 think the plan to keep it that way is good.

7 So other than the issue n the --

8 CHAIRMAN BONACA: Well, let me just
9 point out that the issue on the interim letter. If
10 this was, for example, to be a significant issue for
11 which we have expectations, that would be a
12 motivation for writing an interim letter.

13 MEMBER ARMIJO: That's what I wanted to
14 ask. You know, maybe we just don't have the
15 information. But if it turned out, for example I
16 just have this concern that there could be a low
17 point where water's accumulated and stayed there for
18 a long time, and that wasn't the location where the
19 UT exam was done, it was done somewhere else. So
20 that's really my remaining concern.

21 MR. ZIMMERMAN: We'll look into that,
22 and we'll get that back to you through Tany. And
23 we'll talk to the licensee about that.

24 CHAIRMAN BONACA: Otto?

25 MEMBER MAYNARD: And you said Niagara-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mohawk, I don't think Niagara-Mohawk is going to get
2 you anywhere on --

3 MEMBER ARMIJO: Oh, no, no. Monticello.
4 I'm sorry. I said Niagara-Mohawk, I'm sorry. It's
5 still a BWR, I think.

6 MEMBER MAYNARD: Yes.

7 I see no need for an interim letter. I
8 agree with the previous comments on the overall
9 quality, scope and depth of the reports.
10 Especially complimentary of the inspection report
11 there.

12 And I believe that other Sam's specific
13 question on the location of these inspections, I
14 think that most of the issues that we may have
15 lingering a little bit on the shell is really more
16 of a generic question and issue that we need to come
17 to grips with than it is a Monticello specific as to
18 exactly what's required. It appears to me as though
19 they're doing exactly what the interim staff
20 guidance is requiring and have done that. So I think
21 it's more of a generic than a plant specific force.

22 CHAIRMAN BONACA: Okay. Thank you.

23 Yes, I share some of the views of the
24 rest of the Committee.

25 First of all, I was impressed by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 clarity of the application, and most of all the
2 inspection reports. I mean they were quite informed,
3 they provided a lot of information.

4 Regarding the liner, containment liner,
5 you know the presentation from the inspector leader
6 here gave some confidence. Because, I mean, they
7 probed the issue, they went back and looked at it.

8 I still believe, however, that it is
9 somewhat concern to me and I tend to agree with you,
10 Otto, that it is a generic issue right now. You
11 know we don't have a very clear basis for saying
12 Browns Ferry should inspect and Monticello should
13 not or doesn't need to. I mean I don't understand
14 yet what makes the big distinction there, okay. And
15 I think we have to clarify this issue.

16 In addition to that, I'm kind of
17 concerned about license renewal and all this
18 inaccessible components. I mean, the issue is not
19 only the liner. The issue is the cables we are going
20 to discuss tomorrow on this Generic Letter. The
21 issue is piping, which is buried under. And you
22 know these components are not going to operate
23 forever. You're going to have some incidents of
24 degradation tied to aging and I'm not sure that the
25 programs we have in place are going to address the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues in a complete fashion.

2 I know going back to the containment
3 liner, I mean I am puzzled by the guidance that we
4 have licensees by which we impose a requirement for
5 an inspection on one and we do not on some other. It
6 is all left to the judgment of the reviewer. I
7 think it's an important issue that we have to look
8 at.

9 If that was my plant and I have been 19
10 years without looking at it, I would commit to do an
11 inspection. Now does it meet however the
12 requirement of the rule? It sounds like it does.
13 So, you know, my sense is is maybe we don't interim
14 letter. The only purpose of an interim letter would
15 be for us to say to recommend that they have an
16 inspection done. And, you know, my sense is that
17 let's leave it as a generic issue.

18 And I think it will be interesting to
19 gain an understanding of this issue as we go forward
20 so that we have a better understanding of when we're
21 going to ask for an inspection and when we're not.

22 MR. ZIMMERMAN: In fact, tomorrow at
23 3:15 we're scheduled to come over here and brief you
24 on the ISG, so that will prompt further dialogue on
25 the issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes. Okay. Good.
2 And that brings it to the table anyway.

3 So outside of these comments, I mean I
4 think that again it sounds like this is a good
5 plant, has a good operating history. It seems to be
6 ready for moving on to --

7 MEMBER SHACK: Well, I'm impressed when
8 they found a number of SAMAs that would improve
9 their safety, they went out and implemented them.

10 CHAIRMAN BONACA: Yes.

11 My concluding statement, I agree with
12 the other comments of the members. Very low number
13 of RAIs, by the way. It is a real improvement in
14 the process. And I think we're getting to a maturity
15 of the license renewal process.

16 Okay. So you've got our comments.
17 We're not going to have an interim letter, at least
18 we're not going to recommend one to the full
19 Committee.

20 And I'm going to turn around and see if
21 there are any further questions or comments
22 regarding these applications from the public. If
23 are no further comments, this meeting is adjourned.

24 (Whereupon, at 4:10 p.m. the meeting was
25 adjourned.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

Official Transcript of Proceedings
NUCLEAR REGULATORY
COMMISSION

Title: Advisory Committee on Reactor Safeguards
 Plant License Renewal Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, May 30, 2006

Work Order No.: NRC-1057

Pages 1-114

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

PLANT LICENSE RENEWAL SUBCOMMITTEE

MEETING

+ + + + +

ROCKVILLE, MARYLAND

TUESDAY

MAY 30, 2006

The Subcommittee met in Room 2TB3 at Two
White Flint North, 14555 Rockville Pike, Rockville,
Maryland, at 1:30 p.m., Mario V. Bonaca,
Subcommittee Chair, presiding.

MEMBERS PRESENT:

MARIO V. BONACA Chairman

J. SAM ARMIJO

WILLIAM J. SHACK

JOHN D. SIEBER

GRAHAM B. WALLIS

OTTO MAYNARD

1 NRC STAFF PRESENT:

2 CAYETANO SANTOS Designated Federal Official

3 JAKE ZIMMERMAN

4 DAN MERZKE

5 PATRICIA LOUGHEED

6 DAVE POTTER

7 MICHAEL ALEKSEY

8 PETER WEN

9 BARRY ELLIOTT

10 HANSRAJ ASHAR

11 JAMES MEDOFF

12 DR. KEN CHANG

13 DR. K.T. KUO

14 MONTICELLO REPRESENTATIVES PRESENT:

15 PATRICK BURKE

16 JOHN GRUBB

17 JOEL PAIRITZ

18 SHERRY BERNHOFT

19 JIM ROOTES

20 RON SIEPEL

21 STEVE HAMMER

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18

A-G-E-N-D-A

OPENING REMARKS 4

STAFF INTRODUCTION, Mr. Zimmerman 5

MONTICELLO LICENSE RENEWAL APPLICATION, P. Burke 8

 Description, J. Grubb 10

 Operating history, background, scoping,
 P Burke 15

 Application of GALL, P. Burke 34

 Industry topics, J. Pairitz 34

 Commitment process, J. Pairitz 68

SER OVERVIEW 70

 Overview, D. Merzke 70

 Scoping and screening results, D. Merzke 72

 License renewal inspections, P Lougheed 75

AGING MANAGEMENT REVIEW RESULTS and TIME-LIMITED
AGING ANALYSES, D. Merzke 84

SUBCOMMITTEE DISCUSSION 107

P-R-O-C-E-E-D-I-N-G-S

1.31 p.m.

CHAIRMAN BONACA: The meeting will now come to order.

This is a meeting of the Plant License Renewal Subcommittee. I am Mario Bonaca, Chairman of the Plant License Renewal Subcommittee.

The ACRS members in attendance are Jack Sieber, Bill Shack, Graham Wallis, Sam Armijo and Otto Maynard.

Cayetano Santos of the ACRS Staff is a Designated Federal Official for this meeting.

The purpose of the meeting is to discuss the license renewal application for the Monticello Nuclear Generating Plant. We will hear presentations from the NRC's Office of Nuclear Reactor Regulation and representatives of the Nuclear Management Company.

The Subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberation by the full Committee.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the *Federal*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Register. We have received no written comments or
2 requests for time to make oral statements from
3 members of the public regarding today's meeting.

4 A transcript of the meeting is being
5 kept and will be made available as stated in the
6 *Federal Register* notice. Therefore, we request that
7 participants in this meeting use the microphones
8 located throughout the meeting room when addressing
9 the Subcommittee. The participants should first
10 identify themselves and speak with sufficient
11 clarity and volume so that they may readily heard.

12 We will now proceed with the meeting.
13 And I call upon Mr. Jake Zimmerman to begin the
14 meeting.

15 MR. ZIMMERMAN: Thank you, Dr. Bonaca.

16 Good afternoon. My name is Jake
17 Zimmerman. I'm the Branch Chief in License Renewal
18 Branch B, in the Division of License Renewal.

19 With me today is Dr. Ken Chang, who is
20 the Branch Chief for License Renewal Branch C, whose
21 responsibility is the on-site audits of the aging
22 management programs and the aging management reviews
23 and also the time limit and aging analysis.

24 Behind me also is Dr. P.T. Kuo, our
25 Deputy Director for the Division of License Renewal,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 who you all are familiar with.

2 The Staff has conducted a very detailed
3 and thorough review of the Monticello Nuclear
4 Generating Plant license renewal application which
5 was submitted in March of 2005. Mr. Dan Merzke,
6 here to my right, is the Project Manager for this
7 review. He will lead the Staff's presentation this
8 afternoon on the draft safety evaluation report.

9 In addition we have Ms. Patricia
10 Lougheed who is our team leader for the Region III
11 inspections that were conducted at Monticello
12 Nuclear Generating Plant.

13 We also have several members of the NRR
14 technical staff here in the audience to provide
15 additional information and answer your questions.

16 The Staff felt that the Monticello
17 Nuclear Generating Plant application was of very
18 good quality. This resulted in the issuance of only
19 a 113 formal requests for additional information. I
20 know the ACRS has been interested in the number of
21 questions that have come out of these reviews in the
22 past. We believe part of that reduction is as a
23 result of the Generic Aging Lessons Learned Report.
24 This application was submitted using the draft GALL
25 Report that was issued back in January of 2005,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 however it was reconciled with the September 2005
2 version of the GALL Report. In fact, it resulted in
3 a 95 percent consistency between their application
4 and the revised GALL. So I think it was a good
5 application. The GALL certainly helped with the
6 review providing a roadmap.

7 In addition, the Staff at Monticello
8 provided excellent support for our on-site audits,
9 the inspections that were conducted and also the
10 headquarters reviews through the conference calls
11 and numerous meetings that we had.

12 Because there are no open items, the
13 Staff has requested that we accelerate the schedule
14 to complete this review in 20 months versus our
15 standard 22 months. That's been the practice over
16 the last several license renewal applications, and
17 we're working with ACRS Staff to set up the next
18 meeting.

19 And with that, I'd like to turn it over
20 to Pat Burke, who is the Manager of this project to
21 begin the applicant's presentation.

22 MR. BURKE: Thank you, Jake.

23 And thank you members of the ACRS
24 Subcommittee for allowing Monticello to present this
25 presentation in support of the Staff in this meeting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 today.

2 What I'd like to do is start off by
3 giving a brief introduction of the team and the
4 members that we have here today to help answer any
5 questions you may have.

6 Now we have on my left here a Mr. John
7 Grubb, who our Director of Engineer.

8 We have Ms. Sherry Bernhoft, who is the
9 Director of Fleet Project Management in the
10 audience.

11 Again, I am Patrick Burke, the Manager
12 of Projects.

13 Joel Pairitz is our License Renewal
14 Project Manager.

15 Ray Dennis is our civil lead.

16 Ron Spiepel is our electrical lead.

17 Jim Rootes is our programs lead.

18 Michael Aleksey we have as our TLAA
19 support.

20 Dave Potter is our engineering
21 supervisor of inspections and materials.

22 And Steve Hammer is a principal engineer
23 on the project.

24 We also have with us today our sister
25 plant, Palisades from the Nuclear Management Company

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 observing and gaining any lessons learned during
2 this presentation today.

3 What we'd like to talk about today is
4 the agenda. We will start with having John Grubb go
5 over a brief description of the Monticello Nuclear
6 Generating Plant.

7 And I'll talk a little bit about the
8 operating history and some highlights. I'll talk a
9 little bit about the project application and
10 background. I'll discuss the methodology. And as
11 Jake mentioned, we'll talk a little bit about the
12 application of the GALL to Monticello's application.

13 At that point I'll turn it over to Joe,
14 our Project Manager to go over a couple of industry
15 topics such as drywell shell corrosion shroud
16 cracking, steam dryer. And then we'll conclude with
17 a short discussion on commitment process.

18 At this point I'd like to turn it over
19 to Mr. John Grubb.

20 MR. GRUBB: All right. Thank you, Pat.
21 And again, thanks to the Committee.

22 A brief description of the Monticello
23 plant. The plant is located, it's on the banks of
24 the Mississippi River. It's roughly 30 miles
25 northwest of Minneapolis. It's approximately 2100

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 acres of land that's owned by Xcel Energy.

2 The plant is a single unit GE BWR 3. We
3 do have a Mark I containment.

4 MEMBER WALLIS: One question about this.

5 MR. GRUBB: Yes, sir.

6 MEMBER WALLIS: How far do the suburbs
7 of Minneapolis extend the direction of the plant?

8 MR. GRUBB: The closest suburb actual
9 Minneapolis suburb to the plant is the Maple Grove
10 suburb, and it's about 18 to 20 miles.

11 MEMBER WALLIS: Okay. Thank you.

12 MR. GRUBB: Our current license thermal
13 power is 17075 megawatts thermal, approximately 600
14 megawatts electric.

15 The plant is owned by Northern States
16 Power Company, which is a subsidiary of Xcel Energy.

17 The plant is operated by the Nuclear
18 Management Company.

19 And we have an on-site staff of
20 approximately 420.

21 Just a quick aerial view of the station.
22 The Mississippi River, which is ultimate heat sink.
23 Intake structure here. Turbine building. Reactor
24 building. Cooling towers and discharge canal here.
25 Return to the river up in the upper left. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 subyard is here. It's a pretty small, relatively
2 compact site.

3 Next.

4 What you'll see in this slide is that
5 Monticello has historically been and continues to be
6 a very reliable plant. Our current unit capability
7 factor is rated at 93 percent. Our INPO performance
8 index is at 100 percent. We are greater than 1500
9 days since our last scram from power. Our current
10 operating cycle, we've been online for greater than
11 400 days. We currently have no equipment issues that
12 are threatening unit availability.

13 MEMBER SHACK: What's your fuel like?

14 MR. GRUBB: We are on a two year fuel
15 cycle.

16 The performance indicators are all
17 green. And we have no findings that have been
18 greater than green.

19 MEMBER SIEBER: I have a question about
20 the inspection findings.

21 MR. GRUBB: Yes, sir.

22 MEMBER SIEBER: I looked through all of
23 your inspection reports for the last couple of
24 years, and including the summary of the findings.
25 And they were all green or less. And I noticed a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lot of areas didn't have any findings at all, which
2 is actually a good thing.

3 On the other hand, if I review all those
4 findings which resulted in on-sited violations, I
5 think that you might be able to pick out a trend.
6 And I was wondering if you have done that and see a
7 trend or a problem area in your findings?

8 MR. GRUBB: Well, I wouldn't say I see a
9 problem area. What Monticello has been going
10 through over the last several years is we focused on
11 the programs area specifically and we've done a lot
12 of reconstitution. And a lot of time focusing,
13 doing assessments in the programs area. So we have
14 a number of things that have come up in the
15 programs; Appendix R, fire protection, EQ, some of
16 those areas that we have focused on. But we've
17 been doing that because we recognize that maybe we
18 hadn't been at the top of the industry with respect
19 to how we treated programs historically.

20 MEMBER SIEBER: Another thing that I
21 noticed was several operator errors that occurred
22 during surveillance testing. Does your staff have a
23 pretty good size turnover at this time? It's an
24 older plant and older plants often have a staff that
25 grew up with the plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GRUBB: Yes. There has not been a
2 lot of turnover in the operations area specifically.
3 We have been trying to bring groups of new license
4 candidates and new operator candidates over the last
5 several years. We hired ten last year.

6 As far as the human performance, we do
7 recognize that. There is two initiatives at the
8 site level that we're going after to try to address
9 that.

10 What the station is is we have six focus
11 areas. And the way we treat those is if we do
12 nothing else as a station, those six areas are going
13 to get a lot of attention. Two of those, one is
14 operations leadership which is making sure the Ops
15 department is leading the station and the operators
16 are taking responsibilities. The second one is
17 procedure use and adherence. So we have recognized
18 that trend and we are focusing on those two areas.

19 MEMBER SIEBER: And how would you
20 describe compared to other plants the material
21 condition of Monticello?

22 MR. GRUBB: I guess I don't have a good
23 picture of the rest of the plants. Our material
24 condition is very good. We're in pretty good shape.
25 The plant has historically been maintained very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well. What you'll see at Monticello and the people
2 that come to Monticello, the craft and the mechanics
3 and so forth that maintain the equipment take a
4 tremendous amount of ownership. And as a result of
5 that, our equipment performance and our equipment is
6 in very good condition.

7 MEMBER SIEBER: I would caution that
8 even though Minnesota is a great place, you might
9 not want to isolate yourself from your brethren in
10 the industry and get out and see what the best
11 plants look like and make yours just like it.

12 MR. GRUBB: We agree.

13 MEMBER SIEBER: Okay. Thanks.

14 MR. GRUBB: All right. Pat, back to
15 you.

16 MR. BURKE: All right. I'd like to
17 start my discussion with a little bit on the
18 operating history and highlights, some background,
19 Monticello's construction. The permit was issued in
20 1967. We obtained our operating license in
21 September of 1970. That means that 40 years later
22 in September of 2010, our 40 year license would
23 expire. And as Jake mentioned earlier, we did
24 submit our license renewal application in March 16th
25 of 2005.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 These next couple of slides I'll talk a
2 little bit about the operating history, and this
3 will go to the point of material condition which we
4 just talked about.

5 In 1984 we replaced all the resurg
6 piping with a low carbon stainless steel resistant
7 to intergranular stress corrosion cracking. The
8 small bar piping was a 304L material. The large bar
9 piping was a 316 NG material. During that project
10 we replaced risers, supply headers, suction piping
11 and safe-ends.

12 We made some additional improvements by
13 reducing the number of welds and doing some
14 induction heating, stress improvement and
15 electropolishing was applied to the new pipe.

16 In 1986 we replaced spray safe-ends with
17 intergranular stress corrosion cracking resistant
18 material also.

19 In 1989 we implemented the hydrogen
20 water chemistry. We were one of the early plants in
21 implementing that. We implement the moderate
22 hydrogen water chemistry for protection of the
23 vessel internals.

24 MEMBER SHACK: And you're still doing
25 that rather than noble metal?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: That's correct. We are
2 still with moderate hydrogen water chemistry. We
3 have been evaluating noble metals. We've been kind
4 of a slow deliberate approach to reviewing that.
5 We've had very, very good fuel reliability. So
6 we're kind of going slowly into noble metals.

7 MEMBER ARMIJO: Have you been adding any
8 zinc for dose retrieval?

9 MR. BURKE: Yes, we have. We inject
10 depleted zinc.

11 MEMBER SHACK: This is probably getting
12 ahead because you're going to tell us about core
13 strength, but what's the condition of your core
14 shroud jus as a sample internal that's seen a lot of
15 cracking in other plants?

16 MR. BURKE: I think I'll defer that Mr.
17 Dave Potter.

18 MR. POTTER: I am Dave Potter from the
19 Monticello plant.

20 The condition of our shroud is actually
21 better than most in the industry. I wouldn't say
22 it's the best. Our most cracked weld is the H3 weld
23 which had 27 percent indication of our last
24 inspection. But we had three-quarters of that weld
25 basically covered in our last inspection. So in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relative terms our shroud is very good.

2 MR. BURKE: And we will be giving more
3 information in a minute also.

4 In 1997 we did replace the emergency
5 core cooling system suction strainers. And we
6 increased the surface area of those strainers for
7 debris loading.

8 In 1998 we did initiate a power uprate.
9 We increased our power level from 1670 megawatters
10 thermal up to 1775 megawatts thermal, which was a
11 6.3 percent increase.

12 As part of the license renewal effort,
13 we did implement six SAMAs, which did significantly
14 reduce our overall plant risk.

15 MEMBER SHACK: Now those are the six
16 SAMAs that were identified in your environmental
17 impact statement as having a favorable cost risk?

18 MR. BURKE: Yes, sir. That is correct.

19 MEMBER SHACK: That's all six, including
20 the manual RCIC which reduced your CDF but upped
21 your risk?

22 MR. BURKE: That is correct.

23 MEMBER SHACK: Okay. Well, if one of my
24 colleagues was here, he'd ask you about that. But
25 we'll let that one pass.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: He's not here.

2 I would like to know, however, what is
3 the CDF for this plant?

4 MR. BURKE: The core damage frequency
5 before the six SAMAs was 4.37 ten to the minus
6 fifth. And the after implementation --

7 CHAIRMAN BONACA: Internal events or
8 total?

9 MR. BURKE: Total events.

10 CHAIRMAN BONACA: Internal events?

11 MR. BURKE: Internal, that's right.

12 And after the implementation of this was
13 changed to 5.99 times ten to the minus six per year.

14 MEMBER SHACK: That was a question I was
15 going to have for the Staff. You know, reading
16 through here this was the first environmental impact
17 where I came to the SAMAs and they actually, you
18 know, they had a bunch of favorable ones. And the
19 fire truck one was a real bargain. You know, you
20 haul the fire truck and hook it up.

21 What is the criteria for when -- why did
22 we ask these people to do these SAMA analysis? Is
23 there some criterion that they would meet that they
24 would have to do them or is it just something they
25 look at? You know, they obviously choose to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implement a number of the SAMAs. And I just
2 wondered in general what do we do with the SAMA
3 analysis after they do it?

4 You can come up with that later or
5 answer now?

6 MR. KUO: Yes. P.T. Kuo, License
7 Renewal.

8 We generally perform the SAMA analysis
9 and if we see there is a cost benefit area that the
10 applicant can improve, then we make the
11 recommendations. And we send this recommendations
12 to them that these are the cost beneficial actions
13 that they have to take.

14 And then later on --

15 MEMBER SHACK: So they don't have to
16 take them, though?

17 MR. KUO: They don't have to take them.

18 MEMBER SHACK: They could take them?

19 MR. KUO: But based on our SAMA analysis
20 we identify, if we identified any actions that we
21 believe is beneficial, we'll let them know.

22 MEMBER SIEBER: Before you move forward,
23 I'd like to go back to your 6.3 percent power
24 uprate. Do you have additional margin in your plant
25 where you could perform another uprate in power?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: We've done some studies,
2 some evaluation on that. There would be significant
3 cost. If we decided to do another power uprate, it
4 would be a significant cost to replace the
5 equipment.

6 MEMBER SIEBER: Like the turbine?

7 MR. BURKE: Like the turbine, generator
8 rewinds, transformers, feed pumps.

9 I think the answer to your question is
10 there is probably not a lot of margin above and
11 beyond for another power uprate. We have margin
12 where we're at.

13 MEMBER SIEBER: Okay. Thanks.

14 MR. BURKE: Now looking out into the
15 future, we have a number of future lifecycle
16 management projects that are in progress and being
17 implemented, such as replacement of feedwater
18 heaters, recirc pump motors and rotating pump
19 assemblies. We've done the 11 pump last outage and
20 we plan to do the 12 pump this outage the service
21 water pump replacements and transformers and
22 generator rewinds.

23 The next couple of slides I would like
24 to talk a little bit about the project. This slide
25 here what I'd like to talk about is how we selected

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the people for the project and how we made sure we
2 had the right people for the project.

3 Now, we initiated the project through an
4 interview process for site employees. We selected a
5 core team. They're NMC employees that were from the
6 site. Four of them had SROs or SRO certifications
7 and all of them were very experienced and
8 multidisciplined.

9 We supplemented that core team with
10 license renewal experienced contractors. Again, the
11 majority of those contractors were on-site
12 performing that work. We did retain the majority of
13 that team during the audits and inspections. So we
14 had the same people that prepared the application
15 supporting the audits and inspections.

16 We contracted with General Electric to
17 perform the reactor pressure vessel and internal
18 time-limited aging analysis and aging management
19 reviews.

20 And we also did engage the plant and the
21 site staff in review of aging management review
22 documents and aging management program documents.

23 MEMBER SHACK: The one thing that struck
24 me as extraordinary, though, in the TLAA for the
25 core shroud, the first estimate of the shroud

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence peak was 3 times 10 to the 20, and then it
2 got changed to 3.8 times 10 to the 21. Now that's a
3 factor of 14 and it was a change in methodology.
4 I'm a little surprised to see that kind of a change.
5 Is there some explanation for what went on there?

6 MR. BURKE: Yes. I'd like to defer that
7 to Michael Aleksey.

8 MR. ALEKSEY: My name is Michael
9 Aleksey.

10 I'd like you to rephrase that question,
11 please? I didn't hear the first part of it.

12 MEMBER SHACK: In the initial license
13 renewal application it says the peak shroud fluence
14 was 3 times 10 to the 20 neutrons per square
15 centimeter greater than 10 leV.

16 MR. ALEKSEY: Yes.

17 MEMBER SHACK: Then it got changed to
18 3.8 times 10 to the 21. I mean it's a factor of 14.

19 MR. ALEKSEY: Well, the original
20 analysis was based on Reg. Guide 1.99 and the
21 original capsule that was pulled in 1984
22 thereabouts, we went to the Reg. Guide 1.190
23 evaluation and used the typical factors to bump that
24 up by 30 percent at certain areas and stuff like
25 that, and came up with the results that we got.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I don't think that that's unusual in
2 terms of --

3 MEMBER SHACK: It's not unusual? A
4 factor of 14? I mean, you know from a case 3 times
5 10 to the minus 20 you're hardly seeing any
6 influence of irradiation on stainless steel to 3
7 times 10 to the 21; it's, you know, a big time
8 change. It's embrittlement, it's high crack growth
9 rates without your hydrogen water chemistry.

10 I mean, normally I hear the Staff
11 beating up people over 10 percent changes in fluence
12 and a factor of 14 just seems very large.

13 Barry is going to enlighten me.

14 MR. ELLIOTT: Barry Elliott, NRC.

15 I'd just like to talk to them for a
16 second.

17 I believe in their application, and I'm
18 making some assumptions, the original applications
19 likes the fluence is calculated for either 1775
20 megawatts or 1680 or something like that. When they
21 did the recalculation for these, it looks like they
22 used 1830 megawatts or 1880 megawatts for cycle 23
23 through the end of the license renewal period. So
24 that would account for some of the large increase.
25 In other words --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: But a factor of 14?

2 MR. ELLIOTT: I'm just saying that they
3 went from 1660 or something like that all the way up
4 to 1880 megawatt thermal. So that increases it quite
5 a bit.

6 And then they used a new GE methodology,
7 which they hadn't used before.

8 So all this stuff added in, I mean this
9 is what you did. So, I mean, I'm just reading the
10 application. You tell me is that what you did?

11 MR. ALEKSEY: This is Mike Aleksey.

12 Yes, we did. Originally it was based on
13 1670 and the Reg. Guide 1.190 evaluation it was
14 based on 1775 up through cycle 22 and then we
15 increased that to 1880 for cycle 23 on, which did
16 provide a significant conservatism. And the reason
17 we did that is because we had performed other
18 analyses at that level before and we thought it was
19 a prudent thing to do.

20 MEMBER SHACK: Okay. Well, I mean
21 since you can live with 3 times 10 to the 21, you
22 know and that sounds like the typical value I have
23 for end-of-life for a core shroud. You know, when I
24 saw the 3 times 10 to the 20 in the original
25 application, I wondered how much water you had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 between your core and your shroud, and it seemed
2 extremely low. The 3 times 10 to the 21 is about
3 where I expected it to be. I still don't understand
4 why it's so different, but obviously you can live
5 with it. And, as I say, it's a value that I find
6 plausible.

7 CHAIRMAN BONACA: Okay. Next slide,
8 please.

9 This slide talks a little about how we
10 were engaged in the industry during the development
11 of license renewal application. We attended many of
12 the working groups. We did participate in the GALL
13 draft revision 1 review and comments through NEI.

14 And we participated in our sister NMC
15 plants during their audits and inspections to gain
16 lessons learned.

17 We supported numerous license renewal
18 peer reviews throughout the industry. We also
19 hosted our own peer review where we did have seven
20 external peers on that team.

21 And then we did review many industry
22 RAIs and in detail we reviewed the Nine Mile, Point
23 Beach and Dresden/Quad's RAIs.

24 These next couple of slides we'll talk a
25 little bit about the methodology. Most of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bullets that I'll talk about now is where we added
2 additional detail into the application that you
3 might not always see. For example, we identified
4 system functions and tied those to the different
5 criterion for the different scoping to help better
6 describe why the system wasn't scoped.

7 We paid a lot of attention to our
8 boundary drawings and included boundary flags and
9 multicolored boundary drawings.

10 We used plant documentation to identify
11 our scoping components. Use DBDs and did extensive
12 plant walkdowns.

13 We created a number of technical reports
14 including those for criterion 2, nonsafety effecting
15 safety and also for the regulated events.

16 And then we did use the spaces approach
17 for our criterion 2, and that was incorporated into
18 the application.

19 MEMBER MAYNARD: I did have a question
20 here. Taking about your scoping, your boundary
21 drawings and everything. And yet in the inspection
22 report I noticed that the inspectors found a number
23 of items or systems where the boundary needed to be
24 changed or something needed to brought into scope,
25 or whatever. I'd like to get your perspective on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. Because it seemed like there's a number -- I
2 don't know if the inspectors were really picky or
3 whether you guys had missed these or what.

4 CHAIRMAN BONACA: No. We didn't have
5 some. There were some areas in the drawings, but I
6 think overall we felt that our drawings were pretty
7 accurate as boundary drawings typically go in the
8 industry.

9 MR. PAIRITZ: I am Joe Pairitz, the
10 Project Manager.

11 Some of the cases, too, occurred where a
12 color suddenly stopped and there wasn't an
13 explanation for why that was. And basically it was
14 that it went through a wall so it was no longer in
15 scope for criterion 2. And we had quite a few
16 instances where we had to go walk that down with NRC
17 inspectors to look at that. And we're doing it over
18 again, I would draw the wall in the drawing and make
19 it easier. But that was the cause for a good number
20 of those questions.

21 MEMBER SIEBER: You had other situations
22 where the line that started off on 1 PNID as a
23 colored line in scope, the adjoining PNID didn't
24 have a colored line in scope. So it ended at the
25 boundary of the drawing as opposed to some physical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 boundary.

2 MR. PAIRITZ: This is Joe Pairitz again.

3 That's correct. There were several
4 instances where the continuation went to the next
5 drawing, it didn't color it properly, and we did
6 correct those.

7 MEMBER SIEBER: Well, I read the same
8 inspection reports. And it just seemed like there
9 was a lot of them, relatively speaking.

10 My question to you would be now that the
11 inspection's over with, which is vertical slices and
12 not comprehensive, how confident are you that you
13 have captured all that should be in scope and
14 identified that on your plant drawings?

15 MR. PAIRITZ: Joe Pairitz again.

16 We did capture those instances in our
17 corrective action program. And part of that was
18 looking at other drawings to see the extent of
19 condition basically. And we're confident right now
20 that we have corrected those problems.

21 MEMBER SIEBER: When you did that, did
22 you find additional problems that wasn't found by
23 NRC inspectors?

24 MR. PAIRITZ: Off the top of my head
25 right now, I don't know for sure. There might have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been a couple, but basically no. And we spent a lot
2 of times on the drawings so we we're pretty
3 confident that they were right to begin with. They
4 did find a few instances, and in our works to
5 correct that I think we might have found a couple
6 more. But it wasn't a significant number.

7 And these things were in scope. It was
8 just the drawing didn't get colored properly.

9 MEMBER SIEBER: Yes. I gathered that
10 from the write-up.

11 CHAIRMAN BONACA: Well, some items were
12 also brought into scope, so there was some of both.

13 MR. PAIRITZ: Right.

14 CHAIRMAN BONACA: Since we're talking
15 inspections, I had a question about the corrosion
16 that the inspectors found on the conductor
17 termination logs of the fire diesel pump. And I'm
18 sure you have a surveillance program for that pump.
19 And so it was disturbing to read it because in
20 license renewal you are going to have a program
21 dealing with this fire pump which is an extension of
22 your existing program. And when I have to wait for
23 an inspector to find it, it troubles me and I
24 wondered about your view on that issue.

25 CHAIRMAN BONACA: Could I defer that to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Ron? He was involved with that inspection activity.

2 MR. SIEPEL: Right. My name is Ron
3 Siepel. I'm the electrical lead.

4 And if I understand the question right
5 is you had a question on the corrosion of the wire
6 that was in the diesel generator panel, is that the
7 question?

8 CHAIRMAN BONACA: Fire diesel -- fire
9 pump.

10 MR. SIEPEL: Okay. The diesel fire pump
11 panel, that panel had been identified on a previous
12 CAP or condition action request that was in the
13 process of replacement and it just hadn't been
14 replaced to date. And if it hasn't been replaced
15 now, it'll be replaced shortly. But that had been
16 previously identified out there under our program,
17 and it was in the process of being replaced.

18 CHAIRMAN BONACA: It wasn't identified
19 before? Wasn't clear from the inspections?

20 MEMBER SHACK: I was just curious. The
21 Staff SER sort of credits your computerized history
22 and maintenance planning system with helping in the
23 scoping, and yet it's not credited at all in your
24 license renewal application. You actually use this
25 thing or is it just sort of sitting around.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: This is Pat.

2 The CHAMPS database was used as a
3 starting point for the scoping process. That was
4 downloaded into a licensed renewal database called
5 ALEX.

6 The CHAMPS database is used more for
7 work management, so you have many of the active
8 components in there. And that was a starting point.
9 By taking that and using that as a starting point
10 and then adding all of the passive components,
11 therefore you would up with a complete ALEX database
12 for scoping and screening to take you through the
13 process methodically on a databased driven platform.

14 The next slide I'd like to talk a little
15 bit about the ageing management review. A couple of
16 other details that we added that I think help tell a
17 better story in the application was adding mechanism
18 for the aging effects.

19 MEMBER SIEBER: Let me ask one quick
20 question before we leave scoping. Is your
21 condensate storage tank in scope? I know piping and
22 anchors and bolts and housings are. But the tank
23 doesn't seem to be. Do you know?

24 CHAIRMAN BONACA: I don't know off the
25 top of my head.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: This is Joe Pairitz.

2 The piping leading up to the tank is in
3 scope. The tanks themselves, I guess I'll have Ray
4 check on that, but I think the tanks themselves are
5 not in scope.

6 CHAIRMAN BONACA: Individual --

7 MEMBER SIEBER: Yes, that's the way to
8 be. And I was wondering, you know, if all the other
9 stuff is in scope, why isn't the tank is in scope?
10 And if the tank would fail, can you still accomplish
11 what you're supposed to accomplish?

12 MR. BURKE: Yes. I'll answer one of the
13 questions, the CSTs being in scope or not. We do
14 not credit the condensate storage tank for any
15 design basis accident so they are not considered
16 safety related.

17 The piping going up to the tanks, I
18 believe and correct me if I'm wrong, Joe, is in
19 there from a nonsafety effecting safety standpoint.
20 Because they do lead in --

21 MEMBER SIEBER: Criterion 1?

22 MR. BURKE: Yes, that's correct.
23 Criterion 2. So that's why we terminated at the
24 tank.

25 And I guess Ray agrees with that. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I will have to think
2 about it? Thank you.

3 CHAIRMAN BONACA: Sure.

4 And also for the aging management
5 reviews we did numerous walkdowns to identify
6 materials and environments.

7 As for the aging management programs, we
8 wound up with 36 aging management programs. And we
9 did include the ten elements from GALL in the
10 application describing each program.

11 And lastly, I'd like to talk about the
12 application of GALL, and this is consistent with
13 what Jake started with, is we did have GALL
14 reconciliation to the Rev 0. That showed us to be
15 75 percent consistent with GALL. After we submitted
16 it we performed a precedents review, which brought
17 us up to 95 percent consistent with GALL. And we
18 believe that that high consistency with GALL
19 increased the efficiency of the audit and inspection
20 process.

21 At this point I'd like to turn it over
22 to Joe to go over the industry topics.

23 MR. PAIRITZ: Thank you, Pat.

24 Again, I'm Joe Pairitz. I'm the license
25 renewal Project Manager and also the mechanical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lead.

2 I'm going to talk about three industry
3 topics, the first being drywell shell corrosion,
4 second being the shroud cracking and thirdly the
5 steam dryer.

6 Starting with the drywell shell
7 corrosion, I'll give a little fresher on the Mark I
8 primary containment. This is a cut away view of the
9 reactor building. You have the reactor here in the
10 center, the drywell is the inverted light bulb
11 shaped liner right here. We have the vent pipes
12 going down to the suppression chamber, otherwise
13 known as the Torus.

14 We will concentrating on the refueling
15 bellows located at the top here. The air gap region
16 between the drywell shell and the surrounding
17 concrete and also the sand pocket region here
18 towards the bottom.

19 While the reactor cavity is flooded, and
20 that would be this area here. This is the spent fuel
21 pool over here. While the reactor cavity is flooded
22 for refueling activities, Monticello has multiple
23 design features for vent leakage from entering or
24 accumulating in the air gap region and in the sand
25 pocket regions. There are three separate drain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paths that exist to channel leakage away from these
2 areas in question.

3 We have a seal barrier over the sand
4 pocket region and we also have a flow switch that
5 would alert operators to any leakage from the
6 bellows.

7 MEMBER ARMIJO: This is Sam Armijo.

8 I have a quick question: Is this unique
9 for this particular BWR 3? Are these features added
10 that other --

11 MR. PAIRITZ: Some of the BWR 3s have
12 them and some don't. I think it might be related to
13 who the AE was on the project. I'm not sure of that.

14 MEMBER ARMIJO: Okay.

15 MR. PAIRITZ: We'll move into the
16 refueling bellows area, otherwise known to some
17 people are a refueling seal.

18 We have the reactor pressure vessel
19 shell over here on this side. The first set of
20 bellows we have are the reactor vessel to drywell
21 bellows. We move over, we have the drywell shell
22 right here. We have the second set of bellows that
23 are between the drywell shell and the reactor
24 building concrete. These bellows are in scope for
25 license renewal. If these bellows were to leak, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first barrier we have to protect the air gap, which
2 is down here, would be this trough or channel that's
3 down here that's supposed to catch any leakage that
4 would come from that bellows.

5 And then you have an 8 inch pipe here
6 that eventually reduces to a 4 inch pipe and goes to
7 rad waste. That line also has a flow switch on it.
8 Instead of 3 gallons per minute, that gives an alarm
9 in the control room. So if they've got a leak here
10 that's 3 gallons per minute or greater, it would
11 alarm in the control room.

12 These bellows and center spool plate
13 have been inspected in the past with no significant
14 degradation noted at that time. That was in the
15 late '80s.

16 I think we'll go on to the next slide.

17 Continuing into the air gap region here,
18 we have a 4 inch drain pipe here. There's actually
19 4 of these, 4 four inch drain pipes.

20 MEMBER MAYNARD: I'm sorry.

21 MR. PAIRITZ: Yes.

22 MEMBER MAYNARD: Go back. You say a
23 setpoint at 3 gallons per minute. Now wouldn't
24 typically you'd expect to see none?

25 MR. PAIRITZ: We expect to see none,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correct.

2 MEMBER MAYNARD: Okay. I'm not familiar
3 with it, but 3 gallons a minute --

4 MEMBER SHACK: That's a lot of water.

5 MEMBER MAYNARD: You know, 2 gallons a
6 minute wouldn't set the alarm off and that's seems
7 to me like it'd be quite a bit of water.

8 MR. PAIRITZ: Well, it is set at three.
9 I can't address the design basis for the three right
10 now. I think basically it was there to address
11 gross failure of the bellows. But if we had any
12 leakage, I can show you were that would be detected.

13 MEMBER MAYNARD: Okay. So any leakage
14 would be detected?

15 MR. PAIRITZ: Yes. And I'll think we'll
16 get to that when we talk about this picture.

17 MEMBER MAYNARD: Okay. All right.

18 MR. PAIRITZ: Here we have the air gap
19 which extends up towards the bellows. We have 4 four
20 inch drain pipes that drain this air gap region if
21 water were to get in that region. We have 18 gauge
22 galvanized sheet metal cover the sand pocket region
23 that's sealed to the drywell shell and sealed to the
24 surrounding concrete. So any water that might
25 accumulate on this sheet metal cover should be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drained away by the 4 four inch drain lines.

2 Now these drain lines come into the
3 Torus room, some people might know it as reactor
4 building basement. They're open. They come down to
5 floor level. They're open. You're going to have
6 water on the floor if there's any leakage in this
7 air gap region because they empty. They don't go to
8 rad waste, they go right on the floor into the
9 reactor building.

10 MEMBER WALLIS: You are concerned about
11 corrosion. And what you need for corrosion is
12 oxygen, presumably. That's from the air gap.

13 MR. PAIRITZ: Correct.

14 MEMBER WALLIS: And you need some
15 moisture. But you don't need a flow of water. And
16 the drains take away a flow of water, but a
17 sufficient humidity in there with very small amount
18 of liquid on the surface could lead to corrosion.

19 I'm not quite sure why drain prevents
20 corrosion. You've got to really control the
21 humidity, don't you?

22 MR. PAIRITZ: Well, when the linear was
23 originally manufactured it was painted with a
24 primer. So it does have some protection on it from
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The humidity you get in there, I mean
2 the drain pipe was obvious to remove any liquid
3 water. If you had high humidity in there, I can't
4 say what the drain would do in that case, although I
5 don't think there's a motive force to -- you know,
6 this one we're running, operating, the drywell shell
7 is fairly warm. So any water should evaporate from
8 there and, hopefully, would come out the drains. I
9 mean, not as liquid water but as a vapor.

10 MEMBER WALLIS: What happens to the air
11 gap? Do you ventilate it in some way? It just sits
12 there, sits there?

13 MR. PAIRITZ: It sits there.

14 MEMBER WALLIS: Silent air. So if there
15 were oxygen in there, it would get used up if it
16 were corroding?

17 MR. PAIRITZ: If there were oxygen in
18 there --

19 MEMBER WALLIS: It would get used up
20 pretty --

21 MEMBER SHACK: Very little.

22 MEMBER WALLIS: Yes.

23 MR. PAIRITZ: Yes. These drain pipes
24 point straight down to the floor, too. You know, I
25 don't think you get a lot of air movement into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 air gap. Maybe during heat up and cool down, but not
2 during normal operation.

3 MEMBER WALLIS: Yes, but doesn't
4 moisture slowly come out of concrete and things like
5 that over a long period of time?

6 MR. PAIRITZ: Ray, can you answer the
7 concrete question?

8 MR. DENNIS: Yes, this is Ray Dennis.
9 I'm the civil structural lead.

10 The air gap, it's not an airtight
11 environment. There's many, many penetrations to the
12 air gap or piping penetrations that go into the
13 reactor vessel and drywell. So it's a free flow of
14 oxygen and it's continuously being replenished --

15 MEMBER WALLIS: There is an oxygen
16 supply, right?

17 MR. DENNIS: Right.

18 MEMBER WALLIS: And you're carrying away
19 the water vapor --

20 MR. DENNIS: If the water vapor is heavy
21 enough to condense and then be carried away by the
22 drains. But the environment in the air gap is
23 basically the same environment you'd find in the
24 reactor building at all times.

25 MEMBER WALLIS: I guess my -- my concern

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is with enough water to cause corrosion, which
2 doesn't necessarily drain out but just stays there.
3 That's probably the worst condition for making
4 corrosion, isn't it?

5 MR. PAIRITZ: I think Ray makes a good
6 point, though, when he mentions that we have
7 penetrations going through this air gap that would
8 help, not necessarily ventilate it, but prevent more
9 humidity than is already in the air from building
10 up.

11 MEMBER WALLIS: Have some control over
12 it.

13 MR. PAIRITZ: And again, I would point
14 out that drywell shell is going to be a lot warmer
15 than the ambient air.

16 MEMBER WALLIS: That helps you. That
17 helps.

18 MEMBER SIEBER: On the other hand I
19 don't hear any kind of a argument that says we're
20 certain enough that there isn't corrosion because of
21 these factors that would tell me that I don't need
22 to go and make a thickness measurement of the linear
23 plate. So it seems to me that that's one of the
24 things you ought to be doing.

25 MR. PAIRITZ: Well, we did do that in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 response to Generic Letter 87-05. We took over 50--

2 MEMBER SIEBER: Right.

3 MR. PAIRITZ: -- readings there and we
4 could not detect any degradation from the original
5 material specifications, and that was after 17 years
6 of operations.

7 MEMBER SIEBER: That was in '87?

8 MR. PAIRITZ: That's correct. '86 and
9 '87.

10 MEMBER SIEBER: Well, it's still an
11 issue because some plants have found problems.

12 MR. PAIRITZ: That's right.

13 MEMBER SIEBER: And it's probably
14 generic to this style of containment and this age
15 group. And I understand a generic letter is in the
16 process to ask you to look at it.

17 MR. PAIRITZ: Well, ISG. I don't know
18 anything about a generic letter.

19 MEMBER SIEBER: ISG. Yes, okay.

20 MR. PAIRITZ: The other, though, as
21 plants that have experienced this, some of them have
22 not had this design. I know that one design in
23 particular doesn't have the cover on the sand pocket
24 region, doesn't have the four inch drain pipe. They
25 just have the sand pocket drains here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes.

2 MR. PAIRITZ: There are some
3 differences.

4 CHAIRMAN BONACA: What are you trying to
5 do? I know you're trying to perform visual
6 inspections problem.

7 MR. PAIRITZ: Okay.

8 CHAIRMAN BONACA: Are you going to
9 perform any UT, I mean volumetric inspections?

10 MR. PAIRITZ: Not at this time. I will
11 tell you that these drains, both the air gap drains
12 and the sand pocket drains are inspected before we
13 flood up refueling and after the bellows are well
14 submerged looking for leakage from any of those
15 lines. And that's what we do right now. And that
16 is proposed action in the ISG also.

17 MEMBER MAYNARD: What has your
18 experience been? Have you found leakage at times or
19 have you never found any signs of leakage? What's
20 your history?

21 MR. PAIRITZ: We've never had any
22 leakage. Never had the three gallon per minute flow
23 switch go off. We've never seen any leakage from
24 the four inch drain pipe for the air gap region.
25 We've never seen any leakage from the 4 2 inch drain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lines in the sand pocket. However, in February of
2 1987 as part of the plant life extension program and
3 part of work that was going on for Generic Letter
4 87-05 they did find 3½ ounces water in one of the
5 four drain lines in the sand pocket. Now this drain
6 line comes out of the concrete. It has a 90 degree
7 elbow and then a one foot stand pipe pointing up
8 vertically. They noticed a little crusty material
9 on top of the sand. They investigated that, found
10 out that that was calcium carbonate. They removed
11 the sand from the stand pipe and at the bottom of
12 the stand pipe they found 3½ ounces of water.

13 They had that water analyzed by two
14 different labs. It was not radioactive. It did not
15 contain any materials that would be indicative of it
16 coming from the reactor cavity. And it was
17 considered to be water that had come from inside the
18 Torus room.

19 These stand pipes are open to the
20 atmosphere. If you were doing some work on top of
21 the Torus and accidentally sprayed some water or
22 sprayed a hose, you could theoretically put some
23 water in there. And 3 ounces, 3½ ounces isn't very
24 much.

25 And I also think the calcification at

1 the top of the surface there would indicate that the
2 water came in through the top, calcified the sand
3 and then sat in the bottom there.

4 So we don't believe that we've ever had
5 any leakage from the air gap or for the sand pocket
6 region.

7 MEMBER ARMIJO: Have you ever done
8 anything to confirm that that sand pocket region is
9 dry, or can you?

10 MR. PAIRITZ: Well, the other three
11 drain lines, they took the sand out of those stand
12 pipes. There was no water there.

13 The top of the stand pipe is at the same
14 elevation as the bottom of this drain right here.
15 So even if the stand pipe were full of water, the
16 level in the sand pocket would still be down here.
17 The stand pipe would have to be overflowing for
18 there to be any water building up into this area.

19 We did remove part of the concrete floor
20 inside the drywell and do UTs on this area. And,
21 again, we compared that to our original material
22 specifications and we can't detect any thinning
23 there.

24 CHAIRMAN BONACA: You did that, what, 19
25 years ago?

1 MR. PAIRITZ: 1986 and 1987.

2 CHAIRMAN BONACA: Now on your slide
3 number 16 you're saying that drywell shell is
4 managed by the primary containment is ISI, which
5 again advised to specifically address the ISG.

6 MR. PAIRITZ: Correct.

7 CHAIRMAN BONACA: How --

8 MR. PAIRITZ: The ISG recommends doing a
9 surveillance on your drain piping to verify that
10 you're not having any leakage. It talks about a
11 cover n the sand pocket, which we have. And using
12 the IWE program to verify no significant corrosion.
13 Of course, that's from the inside the drywell.

14 CHAIRMAN BONACA: It doesn't tell you
15 anything about what happens on the outside of the
16 wall. So you're left with a question about the past
17 -- projected future?

18 MR. PAIRITZ: Right. We have no reason
19 to believe that there is any water in those areas.

20 CHAIRMAN BONACA: The steel liner is
21 your containment boundary, right?

22 MR. PAIRITZ: That's correct.

23 Anyway, just to finish this slide, we do
24 have the 18 gauge galvanized sheet metal cover over
25 the sand pocket region. As I mentioned there are 4

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two inch drain lines that would drain any water from
2 the sand pocket region.

3 We talked about the stand pipes filled
4 with sand. I think that's all I want to cover on
5 this slide.

6 Now with regards to the proposed ISG
7 2006 01, we've talked about the UTs that we did in
8 response to Generic Letter 87-05. Again, we
9 compared those to our original materials
10 specifications and we can't detect any wall thinning
11 or degradation there.

12 Again, the air gap and sand pocket drain
13 outlets are visually inspected, as prescribed by the
14 ISG. The top of the sand pocket area is sealed with
15 the galvanized steel sheet metal. The drywell shell
16 is managed by the primary containment in-service
17 inspection program, the IWE program and we will
18 revise it to specifically call out those procedures
19 that already exist that inspect the drains.

20 MEMBER ARMIJO: Were those 1987 UT
21 inspection points, are they still accessible? Were
22 any provisions made to have them still accessible or
23 were they concreted over?

24 MR. PAIRITZ: Well, they took readings
25 up in the air gap region 2. Those are marked on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inside of the drywell.

2 MEMBER ARMIJO: I'm talking about sand
3 pocket.

4 MR. PAIRITZ: Jim, do you have any idea?
5 I mean, I know where we excavated. I don't know if
6 the grid is still there that they used. Ray Dennis,
7 please?

8 MR. DENNIS: Yes. This is Ray Dennis
9 again.

10 Rather than fill the holes completely in
11 with concrete, they filled them in with a sand type
12 material and then put basically a concrete plug over
13 them.

14 MEMBER ARMIJO: So they would be --

15 MR. DENNIS: They'd be relatively easy
16 to inspect again. It would just be a matter of
17 removing a few inches of concrete rather than
18 several inches.

19 MEMBER ARMIJO: Yes. That's great.

20 Because --

21 MR. PAIRITZ: But whether or not they
22 have the grid the work that they used to ensure that
23 you're looking at the exact same place I think is
24 more the question.

25 MR. DENNIS: Yes. These spots are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 readily identified in our program where they are.
2 Plus, they're relatively easy to pick out given
3 their surrounding area.

4 MEMBER ARMIJO: So it would be an ideal
5 measurement. You've got a 1987 measurement,
6 possibly a later measurement at pretty much the same
7 location without tearing up the whole plant to get
8 at it? It's probably more doable than other people.

9 MR. PAIRITZ: I can't say. I mean, it
10 could be done.

11 MEMBER ARMIJO: I don't want to put
12 words in your mouth.

13 CHAIRMAN BONACA: No. I would like to
14 hear at some point from the Staff, you know, what's
15 the logic for accepting. Here, more than anything
16 else I'm thinking about precedent. You know, we had
17 some decisions and recommendations for TVA, Browns
18 Ferry. And it doesn't seem to be a consistent
19 approach that we're taking on this issue.

20 MR. ASHAR: Dr. Bonaca, I am Hans Ashar
21 with Dresden with Division of Engineering, NRR.

22 While reviewing this particular
23 application before this, I had reviewed close to
24 about a dozen other Mark I containments. Every time
25 I look for the telltale signs as to what could have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 caused partial area of corrosion. We looked at the
2 Dresden/Quad for example. We saw telltale signs.
3 They have to have something done there.

4 We saw Browns Ferry, we felt that that
5 there has to be something other.

6 And all the questions that we asked to
7 the applicant in this case, we found almost negative
8 -- negative to the extent that there were no water
9 in the top of the plane near the -- in the upper
10 area of the earlier -- can you show me the earlier
11 sketch?

12 MR. PAIRITZ: Sure. Hold on. Yes.

13 MR. ASHAR: Upper area, there is a plane
14 from the drywell. They did not see any, that's what
15 they told us. Then we went to down, because the
16 water can go into the sand pocket area. And we saw
17 no way that water can seep into that area in the
18 large quantities that could corrode that particular
19 area.

20 So there are a number of telltale signs
21 that we look for. We ask questions on each one of
22 them and we found out that, hey, this particular
23 plant does not have this type of problem. And it
24 does not -- it's not effective in telling us
25 anything about it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I have written down a very thorough
2 evaluation on this particular area because I knew
3 that ACRS, as well as other individuals, will have
4 some questions on this particular area.

5 CHAIRMAN BONACA: Well, I think my main
6 question is we need to have a constant understanding
7 of the issue.

8 MR. ASHAR: Agreed.

9 CHAIRMAN BONACA: And consistent
10 approach.

11 MR. ASHAR: I Agree.

12 CHAIRMAN BONACA: I mean, we can't
13 possibly have a tentative, you know, approach to the
14 -- when you're telling me that you don't have
15 significant amount of water or a large quantity of
16 water, it doesn't tell me anything.

17 MR. ASHAR: There is no water problem.

18 CHAIRMAN BONACA: I mean, the point that
19 Dr. Wallis was making, all you need is humidity
20 there for corrosion, you know it's well taken.

21 So I'm struggling with the ISG and the
22 way it is being interpreted by the plant that way.
23 Because all you have is statements by the licensee
24 for the same kind of configurations. One licensee is
25 more insistent than other than defending that he has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 no water there, so therefore -- you know, he's
2 argumenting about something that cannot be seen.

3 And on the other hand that's a primary
4 containment function.

5 MR. ASHAR: I fully agree. I recognize
6 what you are saying. I'm not contradicting what you
7 are telling me. But what I'm trying to say is this:
8 That the question of relatedness, I understand there
9 is a form by which everybody is to follow. And when
10 we -- They went up to ISG. We said you are going to
11 talk about various things, okay, like the drain
12 pipes being cleared, there is a control on drain
13 pipes. They are going to examine the drain pipes.
14 There is a seal. Some of the plants do not have
15 that seal that they here, okay. That makes
16 difference as to the wetness in the sand pocket
17 area.

18 It has to be quite a bit wet in order to
19 have corrosion initiated and become something like
20 some of the other plants had. And this particular
21 plant does not have that type of telltale signs.

22 It was very difficult to put them
23 through some kind of a UT inspections if we don't
24 find any reason to believe that we have problems
25 with this plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Okay. Thank you.

2 MR. PAIRITZ: Well, that concludes the
3 drywell shell corrosion. If there aren't any more
4 questions right now, I'll move on to the shroud.

5 Concerning the shroud, I have a rollout
6 view here. The horizontal welds are labeled on the
7 right side, H1 through H12. We have the vertical
8 welds labeled throughout the center of the drawing.

9 To give you an idea of the are we're
10 talking about, here's a jet pump on the side.

11 The points I want to make here is our
12 inspection coverages have increased from about 50
13 percent up to about 75 percent of the welds over the
14 past ten years due to improvements in technology.

15 As Mr. Potter was saying earlier, our H3
16 weld here has indications on 27 percent of the
17 inspected region, and we are able to inspect 71
18 percent of that weld.

19 MEMBER SHACK: Now is this VT1 enhanced
20 or is some sort of UT inspection?

21 MR. PAIRITZ: I'll let Mr. Potter answer
22 that.

23 MR. POTTER: This is Dave Potter from
24 Monticello.

25 The 73 percent converge on the H3 weld

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was from UT inspection.

2 MEMBER SHACK: That's a creeping wave
3 kind of thing?

4 MR. POTTER: There's three transducers
5 that were used in the package, but I don't recall if
6 there were a creeping wave, a shear wave and what
7 angles they were used. The processed was qualified
8 in accordance with the PIP processes for crack
9 identification.

10 MR. PAIRITZ: And moving on to the H1
11 weld, 16 percent of that weld showed indication and
12 we were able to look at 75 percent of that weld.

13 And then the other horizontal welds that
14 were looked at it was less than 10 percent
15 indication on varying degrees of inspection area.

16 The inspection results and evaluation to
17 allow inspection frequency to remain at the maximum
18 allowed ten year interval for circumferential welds,
19 for our horizontal welds.

20 We have looked at three vertical welds
21 per the BWRVIP. The inspection frequency for these
22 welds is established by inspection coverage.

23 MEMBER SHACK: Do you happen to know
24 whether these vertical welds, you know do they hit
25 high fluence regions or do they happen to hit low

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence regions? It's kind of a random event?

2 MR. PAIRITZ: Mr. Potter?

3 MR. POTTER: This is Dave Potter from
4 Monticello.

5 The regions, as shown on the diagram,
6 the V3, V4, V1 and V2 are relatively high fluence
7 areas.

8 MEMBER ARMIJO: Just a quick question.
9 Since you've instituted hydrogen water chemistry
10 have you noticed any change in any of the growth
11 rate or the initiation of cracking in the shrouds?

12 MR. PAIRITZ: I'll let Mr. Potter
13 address that. He's the expert here.

14 MR. POTTER: Since we've instituted
15 hydrogen water chemistry at Monticello, we have
16 three inspections to our credit. One that was
17 performed in 1994, another performed in '96 and this
18 most recent one in 2005. The crack indications that
19 we've identified in all three of those inspections
20 have not demonstrated substantial crack growth. So
21 our assumption has to be is that the cracking
22 occurred before hydrogen water chemistry was
23 instituted.

24 MEMBER ARMIJO: How about initiation?

25 MR. POTTER: The initiation that we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seen, I wouldn't call it substantial. A lot of it
2 has to do with UT uncertainty and our coverage that
3 we've gotten from previous inspections.

4 Our '94 inspection we did not have a lot
5 of coverage. And as we've spoken to, or as Joe
6 spoken to a moment ago, we increased our inspection
7 coverage from 1996 all the welds were approximately
8 50 percent to 2005 where they're 75. So we're
9 actually, the cracks that we were seeing were
10 basically in the areas that we hadn't inspected
11 before.

12 MEMBER ARMIJO: Okay. Thank you.

13 MR. PAIRITZ: Well, that covers crack
14 growth.

15 We feel that the moderate hydrogen water
16 chemistry has effectively contributed to mitigating
17 crack growth on our shroud, and we will continue to
18 manage the shroud per BWRVIP guidance.

19 CHAIRMAN BONACA: Well, you do have
20 additional cracking that you are monitoring that
21 way. Are they internals? For example, on the tack
22 welds on the jet pumps set screws and so forth.
23 Those cracks, I mean you just simply monitor the
24 size of the crack and whether or not they're
25 propagating further?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: I'll defer to Mr. Potter
2 again?

3 MR. POTTER: Yes. This is Dave Potter
4 again.

5 The cracking that we've identified on
6 the jet pump set screws we periodically
7 reinvestigate to make sure that they are not
8 behaving in an abnormal fashion. However, the safety
9 concern of the jet pump's tack screws is minimized,
10 basically, due to the crack geometry and what the
11 purpose of those tack welds are. And that's
12 basically to keep the set screws from rotating out.

13 CHAIRMAN BONACA: Okay. All right.
14 That's the function. I didn't know that. I didn't
15 understand.

16 I have another question, by the way.
17 It's more curiosity. When in the application you
18 talk about the belt line nozzle and the fact that
19 the weld material is not known insofar as CU and
20 nickel content. Could you tell me about it?
21 Because there is a technique you're using. You're
22 averaging CU and nickel on 9 sister plants. And then
23 you're adding one standard deviation, if I remember.
24 That, I really wasn't familiar with the technique.
25 And maybe --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: I'll Michael Aleksey,
2 answer that, our TLAA person.

3 MR. ALEKSEY: Was your question with
4 regard to the N2 nozzle?

5 CHAIRMAN BONACA: Yes. Yes, that's
6 right. The belt line nozzle.

7 MR. PAIRITZ: The one the unknown
8 chemistry.

9 MR. ALEKSEY: For the N2 nozzle the
10 nickel content was a result of industry information
11 that we had accumulated for those types of nozzles.
12 And we also used information from the RVID database
13 to establish the chemistries of that nozzle.

14 CHAIRMAN BONACA: Yes. The reason why I
15 was intrigued I thought that was a process that has
16 been reviewed and approved. I mean, it uses hits
17 from 9 sister plants or similar plants.

18 MR. ALEKSEY: Yes.

19 CHAIRMAN BONACA: Averages it and then
20 adds one standard deviation. So is it a process
21 that the NRC is familiar with and is it a approved
22 process?

23 MR. ELLIOTT: I don't know. Excuse me.
24 This Barry Elliott.

25 I can't hear you, so I can't hear what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're asking.

2 CHAIRMAN BONACA: It's the belt line
3 nozzle I'm talking about.

4 MR. ELLIOTT: Okay. Yes. What happened
5 is the belt line nozzles -- they aren't in the belt
6 lines. They're slightly above the belt line.

7 CHAIRMAN BONACA: Yes.

8 MR. ELLIOTT: But the fluence has gone
9 up because of license renewal. Also, because of the
10 way they're calculating the --

11 CHAIRMAN BONACA: That's right.

12 MR. ELLIOTT: -- fluence. They're doing
13 a very conservative thing with the fluence here.
14 And so now these nozzles are getting above the
15 criteria which we say you have to evaluate.

16 So they had to go out and evaluate the
17 nozzles. They have chemistry for the nozzles. What
18 they didn't have is underradiated properties for the
19 -- because the nozzles were built a long time ago
20 and they didn't have full C harpy curves, from what
21 I remember. So they went out and they got what's
22 equivalent to that. And went through their other
23 nozzles in the BWR fleet made the same way, and they
24 used that data. And then they establish a confidence
25 interval for that data. And they used the 95

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percent confidence interval lower bound for their
2 upper shelf energy unirradiated.

3 And we have accepted similar things to
4 that.

5 CHAIRMAN BONACA: So this is a process
6 you accept?

7 MR. ELLIOTT: Yes, we accept that.

8 CHAIRMAN BONACA: Although, I mean
9 you're not certain that the percent of Cu and
10 nickel are identical? Nine sister plants, I mean
11 they were similar plants.

12 MR. ELLIOTT: Right.

13 CHAIRMAN BONACA: But you don't have
14 specific information about this plant?

15 MR. ELLIOTT: No. We don't have specific
16 information about this plant. But we feel that we
17 looked at how they were made, the nozzles were
18 fabricated and they were fabricated equivalent ways
19 and the properties should be about the same.

20 CHAIRMAN BONACA: By the same vendors?

21 MR. ELLIOTT: I don't remember if we had
22 the same -- I'm not sure about the vendors.

23 MR. MEDOFF: This is Jim Medoff.

24 What Barry is saying is true. We've
25 evaluated the VIP processes for the vessel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 materials. And it's based on weld fluxes, how they
2 were laid down. So they grouped all those type --
3 like a shielded metal arc welds, they gathered the
4 data for all that type of welds and then they came
5 up with their statistical analysis.

6 CHAIRMAN BONACA: Well, I was expecting
7 that there will be a reference to some BWR always
8 group activity to --

9 MR. MEDOFF: There is, VIP 86.

10 CHAIRMAN BONACA: -- to provide this
11 kind of -- I mean without any pedigree to this
12 package of information, I'm only left on this
13 averaging that is stated in a little footnote in the
14 application. So since I am not the specialist in
15 metallurgy, but I know the importance of Cu in
16 nickel in the welds.

17 MR. ELLIOTT: We had to get an estimate
18 of the upper shelf energy for these forgings. So the
19 only thing we look at is the fleet, what the whole
20 fleet has for forgings. And that's what they did.
21 And then we used a 95 percent lower confidence bound
22 to establish its properties. And we've done that in
23 other cases where we don't have properties. We used
24 the entire BWR fleet and then established low bound
25 properties for welds that don't have properties.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And in this case we did it for the forgings.

2 CHAIRMAN BONACA: I return to my
3 metallurgical colleagues here and say how
4 comfortable are you with all this?

5 MEMBER ARMIJO: Well, you know, I
6 thought I heard that they knew the chemistry but
7 they didn't Charpy data. And they created the
8 Charpy data by a comparison with the rest of the
9 industry and then used a lower bound that was pretty
10 conservative.

11 CHAIRMAN BONACA: I can remember that 10
12 years ago, 15 years ago we were -- anyway --

13 MEMBER SHACK: Yes. I mean, you know you
14 just can't go back and recreate that data.

15 CHAIRMAN BONACA: Absolutely.

16 MEMBER SHACK: So you try to take a
17 conservative answer and --

18 CHAIRMAN BONACA: Is it conservative,
19 that's always the question. And that's what we're
20 looking for.

21 MEMBER SHACK: It is quite likely to be
22 conservative.

23 MEMBER ARMIJO: I think it's
24 conservative.

25 CHAIRMAN BONACA: Okay. That's --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: Are we ready to move on?

2 CHAIRMAN BONACA: Yes, let's move on.

3 MR. PAIRITZ: Okay. The last topic I
4 will talk about is the steam dryer. The steam dryer
5 is in scope for license renewal at Monticello. It's
6 a square hood dryer design. It looks like this.

7 In 1998 we inspected the dryer and we
8 noted indication in the area of the 324 degree
9 jacking bolt tack weld. Is down here in the blowup
10 on the bottom right. It was analyzed and determined
11 not to be structurally significant.

12 In 2001 we again reinspected this area
13 and found no additional indications and no change in
14 the indication at the 324 degree location.

15 In 2005 we did a comprehensive
16 inspection on the dryer. We specifically looked at
17 areas of dryer failures at other sites, and we did
18 not find any indications are those areas.

19 We did find some acceptable indications
20 on dryer shell behind three of the lifting lugs and
21 on the right side of the guide rod channel 215
22 degrees. Right here. And then we found behind the
23 lifting lugs on the shelves some indications in
24 three out of the four lifting lugs. Again, these
25 were analyzed and confirmed to be not structurally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant.

2 We will be inspecting the dryer in 2007
3 again to confirm continued acceptability. And we
4 plan on managing the dryer in accordance with the
5 BWRVIP.

6 Dryer questions?

7 MEMBER WALLIS: How does it compare with
8 other dryers? The various dryer designs, some of
9 which have more problems than others, how does --

10 MR. PAIRITZ: I'll have Mr. Potter
11 answer the question.

12 MR. POTTER: Could you clarify your
13 question for me? Are you talking in general the
14 dryer design or --

15 MEMBER WALLIS: There are about four or
16 five different versions of this GE dryer, Quad
17 Cities, Dresden, Vermont Yankee and so on. And some
18 of them had more problems than others. And I just
19 wondered how yours fitted into this sort of spectrum
20 of different shapes and histories?

21 MR. POTTER: Okay. This is Dave Potter
22 from Monticello.

23 There is in essence right now four types
24 of dryers that are used in the industry. You might
25 even consider five depending on how you cut it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's the square hood design, which is
2 Monticello's design, which is similar to Vermont
3 Yankee's, Quad Cities' Unit 1 and 2, and Dresden
4 Unit 2 and 3.

5 Then the slanted hood dryers which a
6 great deal of plants use.

7 And then the last would be the curved
8 hood dryers.

9 Finally, the very last design would be
10 the new dryers that have been installed in the Quad
11 Cities and Dresden plants. So Monticello's dryer is
12 similar to that. The original Quad Cities Unit 1 and
13 2 and Dresden Unit 2 and 3 and the Vermont Yankee
14 dryers which did experience the failures.

15 Does that answer your question, sir?

16 MEMBER WALLIS: And you haven't seen the
17 same kind of thing that they've seen?

18 MR. POTTER: No. The failures that
19 we're seeing at Quad Cities and Dresden were flow
20 induced type vibration failures that were seen
21 basically on the plate -- this plate region right
22 here as well as this plate cover view and this plate
23 region right here or this seam weld. Those areas
24 were inspected at Monticello in 2005 and we did not
25 identify any cracking.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I think there are
2 differences between the units. For example thermal
3 megawatt output.

4 MEMBER SHACK: Core power density are a
5 lot--

6 MEMBER SIEBER: Core power -- well steam
7 flow.

8 MEMBER SHACK: Right.

9 MEMBER SIEBER: The steam header
10 diameter. And so some dryers are more susceptible
11 than others because of different environment. This
12 apparently is a milder environment than plants that
13 have shown more damage.

14 Do you have any idea what the steam
15 velocity is at the outlet of the reactor nozzles?

16 MR. POTTER: This is Dave Potter again.
17 To be absolutely honest with you I have looked at
18 that number and compared our numbers to the
19 industry. But from memory I can't recite the
20 velocity and feet per second.

21 MEMBER SIEBER: Can you say whether it's
22 higher or lower?

23 MR. POTTER: I can say that it is
24 definitely lower than -- this is Dave Potter again.

25 I can say that the steam line velocity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is definitely lower than the Quad Cities Unit 1 and
2 2 and Dresden 2 and 3 at their extended power uprate
3 conditions. And Vermont Yankee, I know we are very
4 close, but I don't recall whose velocity is higher.

5 MEMBER SIEBER: It sort of all ties
6 together, at least in my mind.

7 MR. PAIRITZ: Any more dryer questions?
8 If not, the last topic I'll cover is on the
9 commitment process. Monticello's made 60
10 commitments to enhance aging management. The
11 commitments are described in the Monticello license
12 renewal updated safety analysis report supplement.

13 All Monticello commitments are entered
14 into the corrective action program. And this ensures
15 that there is a owner and a due date. The process
16 was looked at several times during the audits and
17 inspections.

18 Any questions on the commitment process?

19 MEMBER SIEBER: Well, the due date is
20 probably when your license expires, right?

21 MR. PAIRITZ: Well, most of them are --

22 MEMBER SIEBER: Or they all become due
23 at once?

24 MR. PAIRITZ: -- prior to the period of
25 extended operation. There are a few that are before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that.

2 MEMBER SIEBER: Yes. The question is do
3 you have a schedule as to when you're going to do
4 each of the items that you have in your commitment
5 tracking system?

6 MR. PAIRITZ: Yes. We have put together
7 a level 1 type schedule as to when those will be
8 accomplished and be part of our implementation
9 effort.

10 MEMBER SIEBER: Do you have the
11 resources to do the work?

12 MR. PAIRITZ: Yes. We got people
13 working on implementation right now. A couple of
14 contractors, some of the people that were on the
15 team. And that will continue.

16 Finally we're at the end. Are there any
17 other general questions that we can answer.

18 MEMBER SIEBER: You mean you would like
19 more questions.

20 MR. PAIRITZ: I'm here to answer them.

21 MEMBER MAYNARD: A comment. I do
22 appreciate you including your backup slides in the
23 package. I do appreciate that.

24 CHAIRMAN BONACA: Any additional
25 questions for the applicant? None. Thank you for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. It was a pleasure.

2 MR. PAIRITZ: Thank you.

3 CHAIRMAN BONACA: And we'll ask the
4 Staff now to present the SER.

5 MR. ZIMMERMAN: Dan Merzke the Project
6 Manager for the Monticello review and Patricia
7 Lougheed will lead the Staff's presentation.

8 MR. MERZKE: All right. Good afternoon,
9 gentlemen. My name is Dan Merzke. I'm the Project
10 Manager for the Staff review of the Monticello
11 license renewal application.

12 Joining me today is Patricia Lougheed
13 from Region III. She's our inspection team leader.
14 Also in the audience is Peter Wen, who is our audit
15 team leader. And supporting all of us are the
16 technical reviewers in the audience to answer any
17 questions that I can't answer for you.

18 The introduction will be start off with
19 an overview. We'll give you the plant and the
20 application followed by a discussion of the results
21 of the scoping and screening results.

22 I'll turn the mike over to Patricia who
23 will discuss the results of the license renewal
24 inspections.

25 And then I'll take it back over and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 finish with the Section III results of the aging
2 management review and the time-limited aging
3 analyses.

4 The application was submitted to us by
5 letter dated March 16, 2005. The Monticello plant
6 is General Electric BWR 3 design with a Mark I steel
7 containment, as already discussed. 17075 megawatt
8 thermal rated with a 600 megawatt electric power,
9 and that includes a 6.3 percent power uprate
10 approved in 1998.

11 Current operating license expires
12 September 8 of 2010.

13 And the plant, as already discussed, is
14 located approximately 30 miles northwest of
15 Minneapolis.

16 The draft SER was issued in April 26,
17 2006 with no open unconformity items. It also
18 included three license conditions. They're the
19 standard three license conditions for all the
20 approved plants so far.

21 We already discussed, Jake mentioned
22 that there were 113 form RAIs issued, which is
23 significantly lower than standard review.

24 And I think Jake touched on the fact
25 that we considered it a pretty good quality

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. The applicant went back and did a
2 thorough review of historical RAIs from previous
3 applications and tried to address those issues up
4 front.

5 In addition, we had 260 audit questions
6 between the scoping screening methodology and the
7 GALL audits.

8 And approximately, and as discussed
9 earlier, about 95 percent consistency with the draft
10 GALL Report revision 1, which was issued in January
11 of 2005. When the final GALL was issued in
12 September 2005 we did a scrub of that to make sure
13 that everything was covered.

14 During the review we did find some minor
15 components which were brought into scope. And I'll
16 discuss those during the scoping and screening
17 section.

18 Continuing on with the overview, the
19 audits were conducted during June and July of 2005.
20 Regional inspections were conducted in January and
21 February of this year.

22 Section 2.1 covers the scoping and
23 screening methodology. During the scoping and
24 screening methodology audit the audit team reviewed
25 the current licensing basis for flood control

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measures and determined that storage steel plate and
2 floor hatches designed to be installed for flood
3 control were not included within the scope of
4 license renewal. The applicant initially did not
5 include components storage in a warehouse within the
6 scope of license renewal. After further evaluation
7 and an extended condition, the applicant brought
8 these components into the scope of license renewal.

9 In Section 2.2 the plant-level scoping,
10 the Staff determined that there were omissions of
11 systems or structures within the scope of license
12 renewal.

13 For Section 2.3, the mechanical systems,
14 the Staff reviewed 36 mechanical systems, which was
15 a 100 review.

16 During the scoping and screening review
17 the Staff was unable to determine the scoping
18 boundary for 17 areas in the boundary drawings. The
19 Staff requested that the regional inspection team
20 visually inspect these areas to ensure the scoping
21 boundaries were in accordance with 10 CFR 54.4(a).
22 The inspections resulted in a length of steam piping
23 with a steam trap in the emergency diesel generator
24 room being brought into scope. And I'll mention,
25 that one was brought into scope because basically it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was below the floor deck plating in the emergency
2 diesel generator room. And the applicant considered
3 the floor as the boundary. However, it was not a
4 robust boundary because you could see through the
5 deck plating down into the area underneath. Any
6 steam coming out of there was going to impact or
7 potentially impact the operating temperature of the
8 EDG room. So the applicant agreed to bring that
9 steam piping and steam trap within the scope of
10 license renewal.

11 In addition during another walkdown, one
12 of the floor drains in the sodium hydrochloride
13 building which penetrates the floor into the intake
14 structure was also identified as being needed to be
15 brought into scope.

16 Section 2.4 covered the containment
17 structures and supports. Staff found no omissions
18 of structures or supports within the scope of
19 license renewal during the review.

20 For Section 2.5 the review of scoping
21 for the electrical system identified a motor control
22 center which was found to be outside the scope of
23 license renewal. It supplied power to the tank
24 heater for a standby liquid control tank. Since
25 standby liquid control system mitigates an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anticipated transient without scram or ATWS event,
2 the Staff determined it should be brought into the
3 scope of license renewal in accordance with 10 CFR
4 54.4(a)(3). The applicant determined that the motor
5 control centers are active components so they were
6 screened in accordance with 10 CFR 54.12(a)(1).

7 During the regional inspection the
8 inspectors determined that 480 volt load center
9 breakers should be scoped in. The applicant
10 determined these are active components also, so they
11 were screened out in accordance with 10 CFR
12 54.21(a)(1).

13 To conclude the scoping and screening
14 summary, it was the staff's determination that the
15 applicant's scoping methodology meets the
16 requirements of 10 CFR 54.4 and the scoping and
17 screening results as amended included all systems,
18 structures and components within the scope of
19 license renewal and subject to an aging management
20 review.

21 I'd like to turn it over now to Patricia
22 Lougheed from Region II who will discuss the license
23 renewal inspections.

24 MS. LOUGHEED: Hello. I'm Patricia
25 Lougheed. I was a lead inspector for the license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 renewal inspection conducted at Monticello.

2 My slide is on page 6 -- well, the one
3 that's shown there. Basically gives you some of the
4 logistics information about our inspection.

5 One thing that I would like to note is
6 that on this inspection I did have a person, a
7 metallurgist who really looked into a lot of the
8 core internals of the BWRVIP program to make sure
9 that it was being implemented in accordance with
10 what was proposed for license renewal. And to make
11 sure because there was not an official commitment
12 right now that NRC regulates or this program. So it
13 was ensuring that it was going to be brought forward
14 into license renewal properly.

15 Going on to my next slide, Dan touched
16 briefly upon the scoping and screening area. We did
17 look at all the issues that were brought forward
18 from the audit inspection. It was interesting,
19 besides the two cases where there were items that
20 were brought into scope, there were also a number of
21 areas most particularly what the licensee called the
22 985 pump room where there were components that were
23 identified as being in scope that really did not
24 need to be in scope. And there were quite a few
25 discussions during our inspection to clarify whether

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those items really should have been an in scope or
2 not. So there were some removals of things from the
3 scope as well as some additions.

4 CHAIRMAN BONACA: For understanding
5 better the logistic. You already had in hand the
6 audit report?

7 MS. LOUGHEED: We had the audit report.

8 CHAIRMAN BONACA: So that really was a
9 big help already --

10 MS. LOUGHEED: Right.

11 CHAIRMAN BONACA: -- in determining what
12 is consistent or exceptions and enhancements.

13 MS. LOUGHEED: Right.

14 CHAIRMAN BONACA: And you could start
15 from that?

16 MS. LOUGHEED: Right. And there's
17 always what we do in the region and the inspections
18 is that we look at the boundaries. Not the things
19 that are definitely in scope, the safety systems or
20 things like that. We look at those where they have
21 nonsafety safety interfaces, where there's nonsafety
22 systems that are going to be in the vicinity of
23 safety systems. We looked at what the actual
24 barriers were to make sure that there actually was
25 separation. Because it was not very obvious on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 license renewal drawings.

2 CHAIRMAN BONACA: I had a question, and
3 that doesn't go to this application. It's more
4 general.

5 You know, when you do PRA you find that
6 you have a lot of safety related components and
7 others important as you thought they were. And you
8 also find that the few, or a minor population of
9 components which are nonsafety related are
10 critically important for certain sequences. That's
11 really coming from the insides of the PRA. But
12 there is no -- I mean, license renewal does not
13 apply to these components.

14 MS. LOUGHEED: That is true.

15 CHAIRMAN BONACA: Do you find that the
16 licensees however are aware of the importance of
17 those components and take care of them or --

18 MS. LOUGHEED: My impression, and I
19 can't say that this is necessarily that we looked at
20 it on Monticello specifically. But licensees where
21 they have components that their PRAs have shown them
22 to be risk significant, they tend to pay more
23 attention to them because of that.

24 CHAIRMAN BONACA: Yes.

25 MS. LOUGHEED: Simply a lot of times

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because it becomes a matter of economics more. You
2 keep those pieces of equipment operating well and
3 your risk, and therefore your chance of a shutdown
4 go down.

5 So even though they're not considered
6 important to safety, they are treated with more
7 significance than things that are not risk
8 significant at all.

9 CHAIRMAN BONACA: Good.

10 MS. LOUGHEED: And I'll also the little
11 caveat that I think that a lot of the reason that
12 some of the safety systems don't show up as being
13 risk significant is because of the defense-in-depth
14 concept. You know, when you putt redundancy upon
15 redundancy well from a PRA aspect --

16 CHAIRMAN BONACA: Right.

17 MS. LOUGHEED: -- that does drive down
18 the significance.

19 CHAIRMAN BONACA: Right. Yes.

20 MS. LOUGHEED: Basically our conclusion,
21 and I probably should say we did do a lot of
22 walkdowns including into some fairly high radiation
23 areas. Our metallurgist also spent a number of
24 hours reviewing videotapes of the vessel internal
25 inspections and various welding inspections, areas

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that obviously he would not have access to with the
2 plant at power. So we did look at quite a bit from a
3 physical aspect, not just relying on the paperwork
4 and things like that.

5 Overall, we found that with a few minor
6 exceptions the systems were appropriately scoped.
7 We felt that we concentrated on the ones that were
8 most suspect rather than the ones where we knew 100
9 percent was going to be thrown into scope.

10 The applicant did submit some
11 clarification because they were coming up to doing
12 their annual submittal for the license application
13 while it was under review. A lot of the things that
14 we had identified were brought forward into that and
15 were submitted in that way.

16 Going on, we also looked at aging
17 management. My slide says that we reviewed all 33
18 aging management programs, where I notice that the
19 applicant said that there were 36 programs. I'm
20 still scratching my head which three we missed. We
21 really spent a lot of time on this one partly
22 because of the team that I had and the abilities of
23 that team to go in and look at a number of systems.

24 We found that the aging management
25 programs were implemented as described. That the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enhancement and exceptions that were being proposed
2 were acceptable.

3 We did identify some minor
4 inconsistencies, and those were either captured in a
5 revision to the application or in the corrective
6 action program. However.

7 CHAIRMAN BONACA: We talked about the
8 containment liner?

9 MS. LOUGHEED: Right.

10 CHAIRMAN BONACA: What's your opinion?
11 I mean, you went there and looked at it.

12 MS. LOUGHEED: Monticello is not one of
13 the plants that I would worry in Region III about
14 containment liner problems. All right. There are a
15 couple of plants that I have concerns about their
16 containment liners, but Monticello is not one of
17 them.

18 CHAIRMAN BONACA: Okay. Thank you.

19 MS. LOUGHEED: Basically that's -- I
20 know you've read through the inspection report in
21 some detail. We didn't find anything in there
22 either scoping, screening or aging management which
23 we felt would cause any sort of a hinderance to the
24 license being renewed. Overall, we found Monticello
25 to be in very good condition.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: But I must say that
2 I'm very impressed by the inspection report and by
3 the information from the audit. And I think they're
4 quite insightful.

5 MEMBER SIEBER: I concur with Dr.
6 Bonaca's opinion. A very good report.

7 MEMBER MAYNARD: Yes, I agree. It looked
8 like you did a very thorough job.

9 I've got one question. One of the things
10 in the inspection report that came out, I don't
11 think it necessarily associated with the scoping
12 itself, but on the failure to dismiss and relief
13 request. Was that something that your inspection
14 team found or is that something that just occurred
15 while you guys were there?

16 MS. LOUGHEED: No. It was something our
17 inspection team found. I very definitely had a
18 very, very, very team. Especially in the
19 metallurgical area. And we used him to full
20 advantage reviewing a lot of areas that we would not
21 have been able to look at otherwise.

22 MEMBER MAYNARD: Good. Good.

23 MS. LOUGHEED: Going on, you want me to
24 do the current performance? Okay.

25 Monticello is one of our good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performance in Region III. They are in column 1,
2 which was licensee response problem column. We
3 don't have any crosscutting issues opened. We have
4 no major issues at Monticello at all right now. So
5 we are following the revised oversight process with
6 minimum baseline inspections. And we will continue
7 to do that.

8 You can see the screens coming up. We
9 are green in every area on performance indicators.
10 And if you move on to the inspection findings, w
11 really have a lot of areas that we're doing
12 inspections where we don't have findings, which is
13 where the grey comes in. It doesn't mean we're not
14 inspecting there, it means that we haven't found
15 anything. And the areas where we have found things,
16 they have all been green or a very low safety
17 significance.

18 CHAIRMAN BONACA: Very good. Thank you.

19 MR. MERZKE: Just for Patricia's
20 benefit, the 33 aging management programs were the
21 official aging management programs listed in the
22 application. The two timed-limited aging analysis
23 support programs were also considered to be aging
24 management program. So that was 35.

25 Number 36 was a commitment made by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applicant late to implement an E6 program for
2 electrical cable connections.

3 CHAIRMAN BONACA: I'm sorry. Which one
4 is the --

5 MR. MERZKE: It was GALL E6 program.
6 I'll address it in a little bit and we'll have a
7 little discussion, but --

8 CHAIRMAN BONACA: First of all, I want
9 to thank you for the --

10 MS. LOUGHEED: Yes. We did very close
11 to 100 percent on this one.

12 CHAIRMAN BONACA: Great.

13 MS. LOUGHEED: We found they were able
14 to support it and we were able to get it done within
15 the time constraints.

16 CHAIRMAN BONACA: Thanks again.

17 Additional questions for the inspection?
18 If not, we're going to take a break and get back
19 here at 25 after 3:00.

20 (Whereupon, at 3:07 p.m. off the record
21 until 3:30 p.m.)

22 CHAIRMAN BONACA: We are back into
23 session. And we are going to be reviewing now the
24 aging management review results.

25 MR. MERZKE: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'll move on to the discussion of the
2 Staff's review of the aging management program and
3 reviews now.

4 The Staff reviewed at the time 35 aging
5 management programs based on the application. There
6 were 36 overall. The 36 was a late commitment by the
7 applicant to implement the GALL E6 program, which
8 would be consistent with GALL. And I'll discuss
9 that a little bit more in the electrical section.

10 So overall there were 36 aging
11 management programs, 29 of which were existing
12 programs and 7 which will be new programs to be
13 implemented prior to the period of extended
14 operations.

15 Of those, 9 of them were consistent with
16 the GALL Report and 25 were consistent with the GALL
17 Report with exceptions and/or enhancements. There
18 were two plant specific aging management programs;
19 they were a bust duct inspection and system
20 condition monitoring programs.

21 I'm going to start this discussion with
22 I picked a few of the aging management programs out
23 which involves considerable amount of Staff review.
24 And I thought I'd go over the results of those.

25 The first one would be the ASME Section

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 XI In Service Inspection subsections IWB, IWC and
2 IWD program. It's an existing program which is
3 consistent with the GALL Report with exceptions.

4 The LRA stated that relief requests in
5 code cases were not considered exceptions to the
6 GALL Report. The audit team did not agree and
7 requested the applicant evaluate all code cases and
8 relief requests for aging management concerns.

9 The Staff position is that relief
10 requests are not acceptable for aging management
11 because they expire after ten years.

12 The applicant subsequently removed
13 reference requests from the application except for
14 one relief request which has been approved 21 months
15 into the period of extended operations.

16 There were three code cases associated
17 with this aging management program are identified to
18 be exceptions to the GALL Report. They're endorsed
19 by NRC in the Reg. Guide 1.147. They were N-307-2
20 which concerned ultrasonic testing for Class 1
21 bolting with center holes; N-526, which concerned
22 successive examinations when a flaw is detected,
23 and; N-613-N which concerned examine volume of weld
24 and nozzles.

25 The Staff found these acceptable because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're endorsed by the NRC in Reg. Guide 1.147.

2 The bolting integrity AMP was found to
3 be consistent with the Gall report with
4 enhancements. The program will incorporate guidance
5 from EPRI technical reports which include *Bolted*
6 *Joint Maintenance and Application Guide* and the *Good*
7 *Bolting Practices Handbook*

8 . Staff determine the guidelines
9 reflect industry practice and meet the
10 recommendations of the GALL Report.

11 The buried piping and tanks inspection,
12 an aging management program which is consistent with
13 the GALL Report with enhancements. These
14 enhancements are all detailed in the commitment
15 section of the SER.

16 The applicant has committed to perform
17 inspections every ten years. They will credit
18 inspections of opportunity when excavating.

19 The applicant also committed to
20 performing an internal inspection of the diesel fuel
21 oil storage tank every ten years in addition to the
22 external inspection.

23 Other enhancements include a review of
24 operating experience to determine the susceptible
25 locations and to perform further evaluation on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extended condition if pipe wall thickness shows a
2 susceptibility to corrosion.

3 CHAIRMAN BONACA: So let me understand
4 now for buried pipes they're going to do a
5 inspections, but if they do not have any inspection
6 in ten years, they'll do one?

7 MR. MERZKE: That is correct.

8 CHAIRMAN BONACA: Okay.

9 MR. MERZKE: Yes, sir.

10 CHAIRMAN BONACA: And that's consistent
11 with GALL, yes.

12 MR. MERZKE: Ultrasonic testing and
13 visual inspections completed in 1999 and 2003 showed
14 no degradation or aging effects.

15 BWR vessels internals program. It's
16 consistent with the GALL Report with exception and
17 enhancement. The exception was that the applicant
18 used the updated water chemistry guidelines of
19 BWRVIP-130, as the GALL recommended BWRVIP-29. The
20 Staff found this acceptable as it's an updated
21 version of the same guidelines, and that was issued
22 in 2004.

23 Enhancement to this program is to use
24 the BWRVIP guidelines for inspection, evaluation and
25 repair to the maximum extent possible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The applicant made a number of
2 commitments based on questions from the audit and
3 inspection teams. They include additional top guide
4 inspections beyond those required by BWRVIP-26 and
5 steam dryer per BWRVIP-139.

6 Regional inspectors identified a couple
7 of issues which resulted in commitments to inspect
8 in core monitoring dry tubes per General Electric
9 Service Information Letter 409 and spray core piping
10 welds in accordance with BWRVIP-18.

11 In addition, core plate hold down bolts
12 will be inspected in accordance with BWRVIP-25 which
13 requires either UT or enhanced visual inspection or
14 another inspection technique which would be reviewed
15 and approved by the NRC.

16 In lieu of inspections, the applicant
17 has committed to installing wedges to replace
18 lateral load resistance prior to the period of
19 extended operations if they're unable to complete
20 those inspections.

21 CHAIRMAN BONACA: For core spray piping
22 welds, if I remember, the issue was that they did
23 not identify the flow through the welds, through the
24 cracks that you may have.

25 MR. MERZKE: The issue was that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were not doing the inspection on the welds because
2 the welds were -- they have mechanical clamps
3 surrounding them which replace the structural
4 integrity of the welds. The inspection team looked
5 at it a different way. If the crack developed in the
6 weld, it would be a diversion path for core spray.
7 And in case of an accident, that core spray would be
8 diverted outside the shroud and unavailable and it
9 might impact P-clad temperature. So the applicant
10 decided that it would be prudent to bring those --
11 inspect in accordance with BWRVIP-18.

12 CHAIRMAN BONACA: Good.

13 MR. MERZKE: The flow accelerated
14 corrosion program. This is an existing program
15 which is consistent with the GALL Report. The
16 application originally stated that the trigger point
17 for conducting an engineering evaluation for
18 nonsafety related piping would be 60 percent nominal
19 wall thickness. Staff could find no technical basis
20 for this number, so the applicant committed to using
21 87.5 percent nominal wall thickness as a trigger
22 point for all piping susceptible to flow accelerated
23 corrosion. The applicant uses 87.5 percent nominal
24 wall thickness as a trigger point for evaluation for
25 safety related piping also.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 For inaccessible medium voltage cables
2 not subject to 10 CFR 50.49 environmental
3 qualification requirements. This is a new program
4 which will be consistent with GALL and implemented
5 prior to the period of extended operation.

6 The application originally indicated
7 that medium voltage cables that are not subject to
8 prolonged exposure to significant moisture due to
9 inspecting for water collection and cable manholes
10 and conduits do not require testing. The Staff
11 position was that testing should be in addition to
12 inspection for water collection. The applicant
13 committed to conduct the testing as well as to
14 inspect initially at least once every two years, and
15 that two years comes from their operating
16 experience.

17 CHAIRMAN BONACA: Now from reading the
18 application most of these cables are just simply
19 buried in the ground. I mean, so --

20 MR. MERZKE: they do have some conduit,
21 too, sir.

22 CHAIRMAN BONACA: Some of them?

23 MR. MERZKE: Yes.

24 CHAIRMAN BONACA: A few. So, I mean,
25 the first portion of this program only addresses

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those few. So there's nothing you can do about
2 that?

3 MR. MERZKE: Well, the applicant has not
4 detected any water in any manholes during the
5 inspection process. So they've not detected any
6 moisture.

7 This program is supposed to be
8 consistent with the GALL Report which will cover all
9 medium --

10 CHAIRMAN BONACA: Oh, I agree with that.

11 MR. MERZKE: Okay. Reflecting on the
12 fact, and I was wondering because tomorrow we're
13 going to have presentation on this issue for current
14 licensing value. And after feeling comfortable with
15 the fact that this program is going to inspect for
16 water in manholes I was startled by the reality that
17 most of these cables are really in the ground,
18 they're not in conduits. And so that portion of the
19 program doesn't do much for us.

20 MR. MERZKE: Right. I guess that's where
21 the testing comes in.

22 CHAIRMAN BONACA: Yes.

23 MR. MERZKE: The reactor head closure
24 studs programs. It's an existing program which is
25 consistent with the GALL Report. The application

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 did not identify any exceptions to GALL here. The
2 audit team review determined that the use of code
3 case N-307-2 was an exception to GALL. This code
4 case alters the portion of the stub which examined.

5 The Staff found the exception acceptable
6 because the examination will identify the relevant
7 aging effects cracking and corrosion as the high
8 stressed portion of the stud continues to be
9 examined.

10 Inspectors also identified installed
11 studs which exceeds 175 kilo pounds per square inch
12 tinsel strength, which is what's recommend in Reg.
13 Guide 1.65 to minimize the likelihood of stress
14 corrosion cracking.

15 The applicant considers all these
16 students susceptible to cracking and is implementing
17 the preventive measures of Reg. Guide 1.65. The
18 applicant continues to conduct ultrasonic testing
19 and surface examinations on a ten year interval. And
20 to date, no parent degradation has been identified.

21 For the aging management review results
22 there's 100 percent review done; 36 plant systems,
23 18 structure in four commodity groups. I just
24 highlighted a few areas here.

25 Section 3.3 in the auxiliary systems

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there was a significant discussion on elastomers.
2 The application originally identified AMRs for
3 elastomers subject to elevated temperatures,
4 ultraviolet or ionizing radiation. The applicant
5 claimed no aging effect for elastomers in a plant
6 indoor air environment. It was the Staff's position
7 that elastomers subject to an ozone environment
8 experienced degradation that needs to be managed.
9 The applicant amended their application to manage
10 aging of elastomers in an air environment using the
11 system condition monitoring program and the one time
12 inspection programs.

13 The cable spreading room Halon system
14 will be inspected and tested every 18 months. Life
15 to six months is recommended by the GALL Report.
16 The GALL is based on the NFPA recommendations, which
17 takes into consideration system failures across all
18 industry, not just do to aging effects. Plant
19 specific operating experience has demonstrated that
20 an 18 month inspection interval will detect aging
21 effects prior to loss of intended function. Staff
22 accepted this exception because the 18 month
23 surveillance interval is part of the NRC approved
24 fire protection program and thus forms of an element
25 of the plant's current licensing basis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Section 3.5 aging management for the
2 drywell shell, the Staff found the applicant's
3 program for managing aging effects to the drywell
4 shell acceptable and consistent with the proposed
5 staff license renewal ISG which was issued for
6 comment earlier this month.

7 The applicant follows the code
8 requirements specified by ASME Section XI,
9 subsection IWE. UT performed in the sand pocket
10 region in 1986 and 1987 detected no degradation.
11 The applicant instituted a leakage monitoring
12 program which detects for water leakage past the
13 refueling seal bellows which is in the scope of
14 license renewal. It also detects leakage in the
15 drywell air gap drains and the sand pocket drains.
16 Drains are verified open and no leakage detected
17 every refueling outage. In addition, there's an 19
18 gauge galvanized sheet metal cover sealed to the
19 vessel and surrounding concrete which covers the
20 sand pocket region. Drywell air gap drains drain
21 any water on top of the cover, as you saw in the
22 applicant's diagram.

23 MEMBER MAYNARD: When did this
24 monitoring program start?

25 MR. MERZKE: I believe it was a result

1 of the response to Generic Letter 87-05.

2 MEMBER MAYNARD: So it's been in place
3 since 1987? Is that correct?

4 MR. MERZKE: That's correct.

5 The Staff found this program acceptable
6 to managing aging of the drywell.

7 CHAIRMAN BONACA: You had a comment,
8 Sam, it was important all the --

9 MEMBER ARMIJO: Yes. I had a question
10 when the UT examine was done in 1987 there's four
11 drain lines, sand drain lines. And was a UT done in
12 between those where there might be a low point there
13 that wasn't drained in the sand pocket region or was
14 it done at the location where the drain lines are?

15 MR. MERZKE: I don't have an answer to
16 that. I think the applicant may.

17 MEMBER ARMIJO: Do you have an idea?
18 Could we find out sometime, on call or something?

19 MR. MERZKE: Okay. Any other questions?

20 CHAIRMAN BONACA: You have those
21 requests regarding the configuration of the drain
22 pipe and the fact that --

23 MR. MERZKE: Well, look, I start --

24 CHAIRMAN BONACA: -- the design to
25 accumulate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: Yes. The stand pipe
2 design, it's kind of strange to me why it even
3 exists. Why isn't it just cut off and if there's
4 anything in there, it drains out onto the floor.
5 You know, it's not the scope of the ACRS to do a
6 design, but it seems strange to me that that stand
7 pipe is an asset. I think it's necessary. I don't
8 know why you guys --

9 MR. MERZKE: You'll have to talk about
10 it.

11 MEMBER ARMIJO: You must like it for
12 some reason or somebody likes it.

13 MR. PAIRITZ: This is Joe Pairitz the
14 Project Manager for Monticello.

15 The stand pipe, I believe, was
16 originally designed that way because the drain is
17 full of sand and part of the stand pipe is full of
18 sand. I think it was meant to keep the sand from
19 migrating out and going all over the floor. You'd
20 constantly be sweeping up sand.

21 So I looked at it and said they must
22 have done that to keep the sand in, but that's my
23 personal opinion.

24 MEMBER ARMIJO: Thank you.

25 I don't think it would pore out. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think it'd just jam up in there. As long as the
2 water gets out.

3 MR. MERZKE: All right. Continue on for
4 aging management of in scope inaccessible concrete,
5 the applicant stated and the Staff verified that the
6 below grade environment is not aggressive. Periodic
7 testing of the ground water will be performed as
8 part of the structure's monitoring program.

9 Section 3.6 covered electrical and I&C
10 components. There were four commodity groups
11 reviewed; electrical penetrations, fuse holders,
12 nine EQ cables and connections and off-site power
13 and station blackout recovery paths.

14 The Staff noted that industry operating
15 experience shows loosening of metallic parts of the
16 cable connections. Requested that the applicant
17 demonstrate how this effect will be managed. In
18 response, the applicant committed to implement a new
19 aging management program consistent with the GALL
20 AMP E6 electrical cable connections not subject to
21 10 CFR 50.49 EQ requirements prior to entering the
22 period of extended operations.

23 This application was originally reviewed
24 under the original GALL, GALL Rev. 0. The E6
25 program was not part of that GALL. The applicant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has committed to basically implementing one of the
2 programs implemented in the latest GALL revision.

3 I'd like to move on and discuss the
4 timed-limited again analyses. The first table here
5 summarizes the upper shelf energy for the limiting
6 belt line components. The acceptance criteria for
7 upper shelf energy is greater than 50 foot pounds.
8 The applicant has demonstrated and the Staff has
9 verified that the upper shelf energy for the
10 limiting belt line components at Monticello will
11 exceed 50 foot pounds at the end of the period of
12 extended operations.

13 The next table summarizes the mean nil
14 ductility reference temperature for the limiting
15 circumferential and axial welds. The values for
16 both are calculated to be within acceptable limits
17 through the period of extended operation pursuant to
18 10 CFR 54.21(a)(1)(ii).

19 CHAIRMAN BONACA: A question I have,
20 okay, this is more learning on my part, but I found
21 for this plant a lot of equivalent margin analysis
22 and, you know, which we haven't seen often before.
23 Maybe it is because of BWR versus PWR, but typically
24 we have a screening process by which you say you
25 meet the screening criteria and you don't have to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any further analysis.

2 MR. ELLIOTT: Right.

3 CHAIRMAN BONACA: And here I saw a lot
4 of equivalent margin analysis. If it's a separate
5 issue, you might want to address both. In page 422
6 of the application when it speaks of reactor
7 pressure vessels circumferential weld properties and
8 then it presents a conditional failure probability
9 at 64 EFPY of 1.78 as an acceptance criteria. And I
10 haven't seen that.

11 MR. ELLIOTT: I can't hear you. But let
12 me just summarize.

13 We went through the licensee what they
14 had to do for the upper shelf energy. And it turns
15 out they have four plates in the -- I think it's
16 four plates in the belt line. And one of the plates
17 is in their surveillance program, so they actually
18 have Charpy data for that plate.

19 CHAIRMAN BONACA: Okay.

20 MR. ELLIOTT: The problem is the other
21 three plates they don't have enough Charpy data to
22 know what the upper shelf energy is. And this is
23 not something that's specific to them. There's a
24 lot of GE plants that have the same problem.

25 When these plants were originally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensed there was no requirement to do upper shelf
2 energy testing. You just had to test in the
3 transition region and you had to have a lower enough
4 transition temperature so that you had adequate
5 toughness. So they didn't do the testing on the
6 upper shelf energy. And this is typical of a lot of
7 GE plants.

8 So what GE did was they have a topical
9 report on this issue in which they say that if you
10 don't have specific values of upper shelf energy,
11 they have developed a methodology, equivalent margin
12 analysis methodology that if you have a certain
13 amount of irradiation embrittlement, you're with
14 their bounds of their analysis. So that's what they
15 were first attempting to do; to show that for these
16 plates they were within the bounds of GE and generic
17 analysis.

18 CHAIRMAN BONACA: Yes. Okay. So that's
19 likely that for GE plants we're going to see more of
20 this?

21 MR. ELLIOTT: Yes. For GE plants this
22 is very typical.

23 CHAIRMAN BONACA: But it is not really a
24 marginality of this vessel. It's more like it's
25 typical of the approach we're going to see for GE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plants, for boilers?

2 MR. ELLIOTT: Right.

3 CHAIRMAN BONACA: Well the other issue
4 is that cable on page 422 where they're speaking of,
5 sort of the, configuration of weld -- essentially
6 the calculation reference, NRC calculation where a
7 condition of failure probability as 64 EFPY is used
8 as a criteria.

9 MR. ELLIOTT: Yes.

10 CHAIRMAN BONACA: And that's 1.78 and
11 ten to the minus five. And I really surprised by
12 seeing this kind of criteria used.

13 MR. ELLIOTT: Are we talking about the
14 circumferential welds?

15 MR. MERZKE: Yes. It's the BWRVIP-05.

16 MR. ELLIOTT: Okay. We reviewed the
17 circumferential welds under the BWRVIP-05 program.

18 CHAIRMAN BONACA: Okay.

19 MR. ELLIOTT: And the purpose of that
20 review at the time was to eliminate the inspection
21 of the circumferential welds. And GE put out their
22 report, and we reviewed it. And we did our own
23 analyses to convince ourselves that what they were
24 saying was true. So we put out in our safety
25 evaluation of that topical report our own analyses.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes.

2 MR. ELLIOTT: And we took their
3 fluences.

4 CHAIRMAN BONACA: Yes.A

5 MR. ELLIOTT: And we extended it,
6 originals were 40 years. And we extended it to 64
7 effective full power years just to show how it would
8 impact the analyses. And we determined that even at
9 65 effective full power years they would still be
10 the criteria that we had established to eliminate
11 the inspection of the circumferential welds.

12 CHAIRMAN BONACA: That's the inspection
13 effect. Okay. Yes, that was on page 422 of the
14 application. Bill, you were looking at it.

15 All right. That was to eliminate the
16 inspection. Okay. All right. I think that you've
17 gotten what I needed.

18 MEMBER SHACK: I mean, they eliminate
19 the inspection mostly because they can't do it?

20 MR. ELLIOTT: No, no. They can't do a
21 100 percent.

22 MEMBER SHACK: They can't do a 100
23 percent, yes.

24 MR. ELLIOTT: But the reason we have
25 eliminated it isn't because of that. We find that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the axial welds are much more susceptible. If
2 something was going to happen, they're under a much
3 higher stress than the circumferential welds. And
4 so that the axial welds would be a precursor to what
5 would happen for the circumferential welds. So as
6 long as we inspect the axial welds, we're
7 comfortable that you don't need to inspect the
8 circumferential welds.

9 CHAIRMAN BONACA: Okay. Thank you.

10 MR. MERZKE: On to Section 4.3 the
11 application covering metal fatigue. The applicant
12 satisfactorily demonstrated that the cumulative
13 usage factor, CUF, for all components subject to
14 fatigue will not exceed 1.0 through the period of
15 extended operations. Components evaluated are
16 monitored by the applicant's fatigue monitoring
17 program, which the staff found acceptable.

18 Section 4.4 covers irradiation-assisted
19 stress corrosion cracking or IASCC. Components made
20 from austenitic stainless steel exposed to a neutron
21 fluence in excess of 5 times 10 to the 20th neutron
22 per centimeter squared considered it susceptible to
23 IASCC. These components include the top guide,
24 shroud and in core instrumentation, dry tubes and
25 guide tubes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 IASCC is managed by Monticello by the
2 ASME Section 11 ISI sub sections IWB, IWC and IWD
3 program, vessel internals implant chemistry
4 programs.

5 In 1999 the applicant implemented the
6 hydrogen water chemistry program to reduce the
7 oxygenated environment also reducing the
8 susceptibility to IASCC.

9 In addition to the examinations required
10 by the ISI program, the applicant committed to
11 conduct additional top guide inspections of the high
12 fluence locations using the enhanced visual
13 inspection technique.

14 Section 4.7 covers the environmental
15 qualification of electrical equipment. The Staff
16 reviewed the applicant's TLAA on environmental
17 qualification program and concluded that the
18 evaluation was acceptable in accordance with 10 CFR
19 54.21(c)(0)(ii).

20 Section 4.8 covered the stress
21 relaxation of rim hold-down bolts. The applicant
22 provided an analysis on the stress relaxation of the
23 core plate hold-down bolts, which the Staff
24 reviewed. The Staff found the initial evaluation
25 unacceptable because it relied on friction, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was not included in the generic analysis accepted in
2 BWRVIP-25. The Staff requested the applicant
3 provide an analysis which did not include friction.
4 Subsequent analysis was provided by General
5 Electric. It was comparative analysis between the
6 BWRVIP-25 loads and the Monticello specific loads.
7 The analysis determined that the bolt stresses at
8 Monticello were either bounded by the BWRVIP-25
9 analysis or within ASME allowables. The Staff found
10 the analysis acceptable pursuant to 10 CFR
11 54.21(C)(1)(ii).

12 To summarize the TLAAs, pursuant to 10
13 CFR 54.3 the Staff found the TLAA list adequate and
14 pursuant to 10 CFR 54.21(c)(1) the Staff found that
15 the analyses provided would be the remain valid for
16 the period of extended operations. They were
17 projected to the end of the period of extended
18 operations or that the effects of aging will be
19 adequately managed for the period of extended
20 operations.

21 And pursuant to 10 CFR 54.21(c)(2) there
22 are no plant specific exceptions.

23 In conclusion, the Staff has concluded
24 that there is reasonable assurance that the
25 activities authorized by the renewed license will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 continue to be conducted in accordance with the
2 current licensing basis. And that any changes made
3 to the MNGP current licensing basis in order to
4 comply with 10 CFR 54.29(e) or (a) are in accord
5 with the Act and the Commission's regulations.

6 Does anybody have any further questions?

7 CHAIRMAN BONACA: Any questions? No
8 questions. We thank you for that presentation. It
9 was very informative.

10 At this stage what I would like to do is
11 to, first of all, ask the audience if you have any
12 questions for the presenters. There are none.

13 What I would like to do is to go around
14 the table and get insights on two things. One, do
15 we need to have a interim letter. And a second
16 question that I have is views regarding the
17 application and the safety evaluation reports by
18 individual members. You know, what are the most
19 notable issues. I believe I'm scheduled for a brief
20 update to the full Committee tomorrow or the day
21 after. So I would like to know from you what input
22 I should provide.

23 So again, two questions: (1) Should we
24 have an interim letter, and; (2) what feedback
25 should we give to the full Committee on this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. And also some views that you may have
2 on the application and the safety evaluation report.

3 So I'll start with you, Jack?

4 MEMBER SIEBER: Okay. The answer to
5 your first question is I don't see a need for an
6 interim letter.

7 My view of the application and the SER
8 and the audit and inspection report is that all
9 three documents were generally well done and
10 complete. I think the application was
11 comprehensive, even though the Staff did determine
12 in the area of scoping there were a few minor
13 corrections that needed to be made.

14 I think particularly impressive was the
15 inspection and audit report headed up by Region III.
16 Again, they have done an excellent job and it
17 results in including the licensee's effort to review
18 RAIs sent to other LER license renewal candidates.
19 Their requests for additional information and
20 include the answers in their application; I think
21 that saves a lot of effort for both the licensee and
22 the Staff. And I commend the licensee for doing
23 that.

24 And the result was an unusually low
25 number of RAIs. And I think the process more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 efficient. I think it reduces burden on all parties
2 involved. And I think shows the maturing of the
3 license renewal process.

4 The inspection and audit report, again,
5 was very thorough and well written. And basically
6 left no stone unturned. It was very clear to me what
7 steps the inspectors took to make their
8 determinations.

9 And so I think overall I would say that
10 it was a job well done.

11 In addition to looking at the
12 application, the inspection and audit report and the
13 SER, I also looked at other inspection reports
14 related to that plant on the NRC's website along
15 with their reactor oversight process, performance
16 indicators. And I was familiar years ago with the
17 performance of both of those northern states power
18 plants, Monticello and Perry Island. And it appears
19 based on what I could read and what I reviewed, that
20 they continue to perform well, and to me that's an
21 important factor.

22 So overall I was generally impressed
23 with the quality of both the licensee and the
24 Staff's reports. And I think the job was well done.

25 CHAIRMAN BONACA: Good. Thank you, Jack.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Appreciate it.

2 Bill?

3 MEMBER SHACK: I don't see any need for
4 an interim letter.

5 I'm still curious about this factor of
6 14 in the fluence. I mean, that just strikes me as
7 an extraordinary change in value that I can't
8 conceive of. And if somebody could email an
9 explanation of where it comes from --

10 MR. ZIMMERMAN: We'll do that. We'll get
11 that to you.

12 CHAIRMAN BONACA: Okay. Sam?

13 MEMBER ARMIJO: Yes. I don't want to
14 comment on the need for an interim letter. I don't
15 know enough about the process yet to talk about
16 that.

17 I think I agree with Jack's assessment
18 overall. I think a very nice job done by the Staff
19 and by the applicant.

20 I still have a nagging concern about the
21 drywell in that I'm not sure that the UT inspection
22 that was done was done in the worst location or the
23 most severe location. So I'd appreciate if either
24 the Staff or Niagara-Mohawk could tell where these
25 inspections were done before we put that issue to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bed. If it was done in the worst case location, I
2 think they've got plenty of margin in this plant.
3 BWR 3s have always been our really nice little
4 plants, low powered power density plants. And I
5 think the plant's been very well maintained. And I
6 think the plan to keep it that way is good.

7 So other than the issue n the --

8 CHAIRMAN BONACA: Well, let me just
9 point out that the issue on the interim letter. If
10 this was, for example, to be a significant issue for
11 which we have expectations, that would be a
12 motivation for writing an interim letter.

13 MEMBER ARMIJO: That's what I wanted to
14 ask. You know, maybe we just don't have the
15 information. But if it turned out, for example I
16 just have this concern that there could be a low
17 point where water's accumulated and stayed there for
18 a long time, and that wasn't the location where the
19 UT exam was done, it was done somewhere else. So
20 that's really my remaining concern.

21 MR. ZIMMERMAN: We'll look into that,
22 and we'll get that back to you through Tany. And
23 we'll talk to the licensee about that.

24 CHAIRMAN BONACA: Otto?

25 MEMBER MAYNARD: And you said Niagara-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mohawk, I don't think Niagara-Mohawk is going to get
2 you anywhere on --

3 MEMBER ARMIJO: Oh, no, no. Monticello.
4 I'm sorry. I said Niagara-Mohawk, I'm sorry. It's
5 still a BWR, I think.

6 MEMBER MAYNARD: Yes.

7 I see no need for an interim letter. I
8 agree with the previous comments on the overall
9 quality, scope and depth of the reports.
10 Especially complimentary of the inspection report
11 there.

12 And I believe that other Sam's specific
13 question on the location of these inspections, I
14 think that most of the issues that we may have
15 lingering a little bit on the shell is really more
16 of a generic question and issue that we need to come
17 to grips with than it is a Monticello specific as to
18 exactly what's required. It appears to me as though
19 they're doing exactly what the interim staff
20 guidance is requiring and have done that. So I think
21 it's more of a generic than a plant specific force.

22 CHAIRMAN BONACA: Okay. Thank you.

23 Yes, I share some of the views of the
24 rest of the Committee.

25 First of all, I was impressed by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 clarity of the application, and most of all the
2 inspection reports. I mean they were quite informed,
3 they provided a lot of information.

4 Regarding the liner, containment liner,
5 you know the presentation from the inspector leader
6 here gave some confidence. Because, I mean, they
7 probed the issue, they went back and looked at it.

8 I still believe, however, that it is
9 somewhat concern to me and I tend to agree with you,
10 Otto, that it is a generic issue right now. You
11 know we don't have a very clear basis for saying
12 Browns Ferry should inspect and Monticello should
13 not or doesn't need to. I mean I don't understand
14 yet what makes the big distinction there, okay. And
15 I think we have to clarify this issue.

16 In addition to that, I'm kind of
17 concerned about license renewal and all this
18 inaccessible components. I mean, the issue is not
19 only the liner. The issue is the cables we are going
20 to discuss tomorrow on this Generic Letter. The
21 issue is piping, which is buried under. And you
22 know these components are not going to operate
23 forever. You're going to have some incidents of
24 degradation tied to aging and I'm not sure that the
25 programs we have in place are going to address the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues in a complete fashion.

2 I know going back to the containment
3 liner, I mean I am puzzled by the guidance that we
4 have licensees by which we impose a requirement for
5 an inspection on one and we do not on some other. It
6 is all left to the judgment of the reviewer. I
7 think it's an important issue that we have to look
8 at.

9 If that was my plant and I have been 19
10 years without looking at it, I would commit to do an
11 inspection. Now does it meet however the
12 requirement of the rule? It sounds like it does.
13 So, you know, my sense is is maybe we don't interim
14 letter. The only purpose of an interim letter would
15 be for us to say to recommend that they have an
16 inspection done. And, you know, my sense is that
17 let's leave it as a generic issue.

18 And I think it will be interesting to
19 gain an understanding of this issue as we go forward
20 so that we have a better understanding of when we're
21 going to ask for an inspection and when we're not.

22 MR. ZIMMERMAN: In fact, tomorrow at
23 3:15 we're scheduled to come over here and brief you
24 on the ISG, so that will prompt further dialogue on
25 the issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes. Okay. Good.
2 And that brings it to the table anyway.

3 So outside of these comments, I mean I
4 think that again it sounds like this is a good
5 plant, has a good operating history. It seems to be
6 ready for moving on to --

7 MEMBER SHACK: Well, I'm impressed when
8 they found a number of SAMAs that would improve
9 their safety, they went out and implemented them.

10 CHAIRMAN BONACA: Yes.

11 My concluding statement, I agree with
12 the other comments of the members. Very low number
13 of RAIs, by the way. It is a real improvement in
14 the process. And I think we're getting to a maturity
15 of the license renewal process.

16 Okay. So you've got our comments.
17 We're not going to have an interim letter, at least
18 we're not going to recommend one to the full
19 Committee.

20 And I'm going to turn around and see if
21 there are any further questions or comments
22 regarding these applications from the public. If
23 are no further comments, this meeting is adjourned.

24 (Whereupon, at 4:10 p.m. the meeting was
25 adjourned.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

Official Transcript of Proceedings
NUCLEAR REGULATORY
COMMISSION

Title: Advisory Committee on Reactor Safeguards
Plant License Renewal Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, May 30, 2006

Work Order No.: NRC-1057

Pages 1-114

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

PLANT LICENSE RENEWAL SUBCOMMITTEE

MEETING

+ + + + +

ROCKVILLE, MARYLAND

TUESDAY

MAY 30, 2006

The Subcommittee met in Room 2TB3 at Two White Flint North, 14555 Rockville Pike, Rockville, Maryland, at 1:30 p.m., Mario V. Bonaca, Subcommittee Chair, presiding.

MEMBERS PRESENT:

MARIO V. BONACA Chairman

J. SAM ARMIJO

WILLIAM J. SHACK

JOHN D. SIEBER

GRAHAM B. WALLIS

OTTO MAYNARD

1 NRC STAFF PRESENT:

2 CAYETANO SANTOS Designated Federal Official

3 JAKE ZIMMERMAN

4 DAN MERZKE

5 PATRICIA LOUGHEED

6 DAVE POTTER

7 MICHAEL ALEKSEY

8 PETER WEN

9 BARRY ELLIOTT

10 HANSRAJ ASHAR

11 JAMES MEDOFF

12 DR. KEN CHANG

13 DR. K.T. KUO

14 MONTICELLO REPRESENTATIVES PRESENT:

15 PATRICK BURKE

16 JOHN GRUBB

17 JOEL PAIRITZ

18 SHERRY BERNHOFT

19 JIM ROOTES

20 RON SIEPEL

21 STEVE HAMMER

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18

A-G-E-N-D-A

OPENING REMARKS 4

STAFF INTRODUCTION, Mr. Zimmerman 5

MONTICELLO LICENSE RENEWAL APPLICATION, P. Burke 8

 Description, J. Grubb 10

 Operating history, background, scoping,
 P Burke 15

 Application of GALL, P. Burke 34

 Industry topics, J. Pairitz 34

 Commitment process, J. Pairitz 68

SER OVERVIEW 70

 Overview, D. Merzke 70

 Scoping and screening results, D. Merzke 72

 License renewal inspections, P Lougheed 75

AGING MANAGEMENT REVIEW RESULTS and TIME-LIMITED
AGING ANALYSES, D. Merzke 84

SUBCOMMITTEE DISCUSSION 107

P-R-O-C-E-E-D-I-N-G-S

1.31 p.m.

CHAIRMAN BONACA: The meeting will now come to order.

This is a meeting of the Plant License Renewal Subcommittee. I am Mario Bonaca, Chairman of the Plant License Renewal Subcommittee.

The ACRS members in attendance are Jack Sieber, Bill Shack, Graham Wallis, Sam Armijo and Otto Maynard.

Cayetano Santos of the ACRS Staff is a Designated Federal Official for this meeting.

The purpose of the meeting is to discuss the license renewal application for the Monticello Nuclear Generating Plant. We will hear presentations from the NRC's Office of Nuclear Reactor Regulation and representatives of the Nuclear Management Company.

The Subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberation by the full Committee.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the *Federal*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Register. We have received no written comments or
2 requests for time to make oral statements from
3 members of the public regarding today's meeting.

4 A transcript of the meeting is being
5 kept and will be made available as stated in the
6 *Federal Register* notice. Therefore, we request that
7 participants in this meeting use the microphones
8 located throughout the meeting room when addressing
9 the Subcommittee. The participants should first
10 identify themselves and speak with sufficient
11 clarity and volume so that they may readily heard.

12 We will now proceed with the meeting.
13 And I call upon Mr. Jake Zimmerman to begin the
14 meeting.

15 MR. ZIMMERMAN: Thank you, Dr. Bonaca.

16 Good afternoon. My name is Jake
17 Zimmerman. I'm the Branch Chief in License Renewal
18 Branch B, in the Division of License Renewal.

19 With me today is Dr. Ken Chang, who is
20 the Branch Chief for License Renewal Branch C, whose
21 responsibility is the on-site audits of the aging
22 management programs and the aging management reviews
23 and also the time limit and aging analysis.

24 Behind me also is Dr. P.T. Kuo, our
25 Deputy Director for the Division of License Renewal,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 who you all are familiar with.

2 The Staff has conducted a very detailed
3 and thorough review of the Monticello Nuclear
4 Generating Plant license renewal application which
5 was submitted in March of 2005. Mr. Dan Merzke,
6 here to my right, is the Project Manager for this
7 review. He will lead the Staff's presentation this
8 afternoon on the draft safety evaluation report.

9 In addition we have Ms. Patricia
10 Lougheed who is our team leader for the Region III
11 inspections that were conducted at Monticello
12 Nuclear Generating Plant.

13 We also have several members of the NRR
14 technical staff here in the audience to provide
15 additional information and answer your questions.

16 The Staff felt that the Monticello
17 Nuclear Generating Plant application was of very
18 good quality. This resulted in the issuance of only
19 a 113 formal requests for additional information. I
20 know the ACRS has been interested in the number of
21 questions that have come out of these reviews in the
22 past. We believe part of that reduction is as a
23 result of the Generic Aging Lessons Learned Report.
24 This application was submitted using the draft GALL
25 Report that was issued back in January of 2005,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 however it was reconciled with the September 2005
2 version of the GALL Report. In fact, it resulted in
3 a 95 percent consistency between their application
4 and the revised GALL. So I think it was a good
5 application. The GALL certainly helped with the
6 review providing a roadmap.

7 In addition, the Staff at Monticello
8 provided excellent support for our on-site audits,
9 the inspections that were conducted and also the
10 headquarters reviews through the conference calls
11 and numerous meetings that we had.

12 Because there are no open items, the
13 Staff has requested that we accelerate the schedule
14 to complete this review in 20 months versus our
15 standard 22 months. That's been the practice over
16 the last several license renewal applications, and
17 we're working with ACRS Staff to set up the next
18 meeting.

19 And with that, I'd like to turn it over
20 to Pat Burke, who is the Manager of this project to
21 begin the applicant's presentation.

22 MR. BURKE: Thank you, Jake.

23 And thank you members of the ACRS
24 Subcommittee for allowing Monticello to present this
25 presentation in support of the Staff in this meeting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 today.

2 What I'd like to do is start off by
3 giving a brief introduction of the team and the
4 members that we have here today to help answer any
5 questions you may have.

6 Now we have on my left here a Mr. John
7 Grubb, who our Director of Engineer.

8 We have Ms. Sherry Bernhoft, who is the
9 Director of Fleet Project Management in the
10 audience.

11 Again, I am Patrick Burke, the Manager
12 of Projects.

13 Joel Pairitz is our License Renewal
14 Project Manager.

15 Ray Dennis is our civil lead.

16 Ron Spiepel is our electrical lead.

17 Jim Rootes is our programs lead.

18 Michael Aleksey we have as our TLAA
19 support.

20 Dave Potter is our engineering
21 supervisor of inspections and materials.

22 And Steve Hammer is a principal engineer
23 on the project.

24 We also have with us today our sister
25 plant, Palisades from the Nuclear Management Company

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 observing and gaining any lessons learned during
2 this presentation today.

3 What we'd like to talk about today is
4 the agenda. We will start with having John Grubb go
5 over a brief description of the Monticello Nuclear
6 Generating Plant.

7 And I'll talk a little bit about the
8 operating history and some highlights. I'll talk a
9 little bit about the project application and
10 background. I'll discuss the methodology. And as
11 Jake mentioned, we'll talk a little bit about the
12 application of the GALL to Monticello's application.

13 At that point I'll turn it over to Joe,
14 our Project Manager to go over a couple of industry
15 topics such as drywell shell corrosion shroud
16 cracking, steam dryer. And then we'll conclude with
17 a short discussion on commitment process.

18 At this point I'd like to turn it over
19 to Mr. John Grubb.

20 MR. GRUBB: All right. Thank you, Pat.
21 And again, thanks to the Committee.

22 A brief description of the Monticello
23 plant. The plant is located, it's on the banks of
24 the Mississippi River. It's roughly 30 miles
25 northwest of Minneapolis. It's approximately 2100

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 acres of land that's owned by Xcel Energy.

2 The plant is a single unit GE BWR 3. We
3 do have a Mark I containment.

4 MEMBER WALLIS: One question about this.

5 MR. GRUBB: Yes, sir.

6 MEMBER WALLIS: How far do the suburbs
7 of Minneapolis extend the direction of the plant?

8 MR. GRUBB: The closest suburb actual
9 Minneapolis suburb to the plant is the Maple Grove
10 suburb, and it's about 18 to 20 miles.

11 MEMBER WALLIS: Okay. Thank you.

12 MR. GRUBB: Our current license thermal
13 power is 17075 megawatts thermal, approximately 600
14 megawatts electric.

15 The plant is owned by Northern States
16 Power Company, which is a subsidiary of Xcel Energy.

17 The plant is operated by the Nuclear
18 Management Company.

19 And we have an on-site staff of
20 approximately 420.

21 Just a quick aerial view of the station.
22 The Mississippi River, which is ultimate heat sink.
23 Intake structure here. Turbine building. Reactor
24 building. Cooling towers and discharge canal here.
25 Return to the river up in the upper left. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 subyard is here. It's a pretty small, relatively
2 compact site.

3 Next.

4 What you'll see in this slide is that
5 Monticello has historically been and continues to be
6 a very reliable plant. Our current unit capability
7 factor is rated at 93 percent. Our INPO performance
8 index is at 100 percent. We are greater than 1500
9 days since our last scram from power. Our current
10 operating cycle, we've been online for greater than
11 400 days. We currently have no equipment issues that
12 are threatening unit availability.

13 MEMBER SHACK: What's your fuel like?

14 MR. GRUBB: We are on a two year fuel
15 cycle.

16 The performance indicators are all
17 green. And we have no findings that have been
18 greater than green.

19 MEMBER SIEBER: I have a question about
20 the inspection findings.

21 MR. GRUBB: Yes, sir.

22 MEMBER SIEBER: I looked through all of
23 your inspection reports for the last couple of
24 years, and including the summary of the findings.
25 And they were all green or less. And I noticed a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lot of areas didn't have any findings at all, which
2 is actually a good thing.

3 On the other hand, if I review all those
4 findings which resulted in on-sited violations, I
5 think that you might be able to pick out a trend.
6 And I was wondering if you have done that and see a
7 trend or a problem area in your findings?

8 MR. GRUBB: Well, I wouldn't say I see a
9 problem area. What Monticello has been going
10 through over the last several years is we focused on
11 the programs area specifically and we've done a lot
12 of reconstitution. And a lot of time focusing,
13 doing assessments in the programs area. So we have
14 a number of things that have come up in the
15 programs; Appendix R, fire protection, EQ, some of
16 those areas that we have focused on. But we've
17 been doing that because we recognize that maybe we
18 hadn't been at the top of the industry with respect
19 to how we treated programs historically.

20 MEMBER SIEBER: Another thing that I
21 noticed was several operator errors that occurred
22 during surveillance testing. Does your staff have a
23 pretty good size turnover at this time? It's an
24 older plant and older plants often have a staff that
25 grew up with the plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GRUBB: Yes. There has not been a
2 lot of turnover in the operations area specifically.
3 We have been trying to bring groups of new license
4 candidates and new operator candidates over the last
5 several years. We hired ten last year.

6 As far as the human performance, we do
7 recognize that. There is two initiatives at the
8 site level that we're going after to try to address
9 that.

10 What the station is is we have six focus
11 areas. And the way we treat those is if we do
12 nothing else as a station, those six areas are going
13 to get a lot of attention. Two of those, one is
14 operations leadership which is making sure the Ops
15 department is leading the station and the operators
16 are taking responsibilities. The second one is
17 procedure use and adherence. So we have recognized
18 that trend and we are focusing on those two areas.

19 MEMBER SIEBER: And how would you
20 describe compared to other plants the material
21 condition of Monticello?

22 MR. GRUBB: I guess I don't have a good
23 picture of the rest of the plants. Our material
24 condition is very good. We're in pretty good shape.
25 The plant has historically been maintained very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well. What you'll see at Monticello and the people
2 that come to Monticello, the craft and the mechanics
3 and so forth that maintain the equipment take a
4 tremendous amount of ownership. And as a result of
5 that, our equipment performance and our equipment is
6 in very good condition.

7 MEMBER SIEBER: I would caution that
8 even though Minnesota is a great place, you might
9 not want to isolate yourself from your brethren in
10 the industry and get out and see what the best
11 plants look like and make yours just like it.

12 MR. GRUBB: We agree.

13 MEMBER SIEBER: Okay. Thanks.

14 MR. GRUBB: All right. Pat, back to
15 you.

16 MR. BURKE: All right. I'd like to
17 start my discussion with a little bit on the
18 operating history and highlights, some background,
19 Monticello's construction. The permit was issued in
20 1967. We obtained our operating license in
21 September of 1970. That means that 40 years later
22 in September of 2010, our 40 year license would
23 expire. And as Jake mentioned earlier, we did
24 submit our license renewal application in March 16th
25 of 2005.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 These next couple of slides I'll talk a
2 little bit about the operating history, and this
3 will go to the point of material condition which we
4 just talked about.

5 In 1984 we replaced all the resurg
6 piping with a low carbon stainless steel resistant
7 to intergranular stress corrosion cracking. The
8 small bar piping was a 304L material. The large bar
9 piping was a 316 NG material. During that project
10 we replaced risers, supply headers, suction piping
11 and safe-ends.

12 We made some additional improvements by
13 reducing the number of welds and doing some
14 induction heating, stress improvement and
15 electropolishing was applied to the new pipe.

16 In 1986 we replaced spray safe-ends with
17 intergranular stress corrosion cracking resistant
18 material also.

19 In 1989 we implemented the hydrogen
20 water chemistry. We were one of the early plants in
21 implementing that. We implement the moderate
22 hydrogen water chemistry for protection of the
23 vessel internals.

24 MEMBER SHACK: And you're still doing
25 that rather than noble metal?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: That's correct. We are
2 still with moderate hydrogen water chemistry. We
3 have been evaluating noble metals. We've been kind
4 of a slow deliberate approach to reviewing that.
5 We've had very, very good fuel reliability. So
6 we're kind of going slowly into noble metals.

7 MEMBER ARMIJO: Have you been adding any
8 zinc for dose retrieval?

9 MR. BURKE: Yes, we have. We inject
10 depleted zinc.

11 MEMBER SHACK: This is probably getting
12 ahead because you're going to tell us about core
13 strength, but what's the condition of your core
14 shroud jus as a sample internal that's seen a lot of
15 cracking in other plants?

16 MR. BURKE: I think I'll defer that Mr.
17 Dave Potter.

18 MR. POTTER: I am Dave Potter from the
19 Monticello plant.

20 The condition of our shroud is actually
21 better than most in the industry. I wouldn't say
22 it's the best. Our most cracked weld is the H3 weld
23 which had 27 percent indication of our last
24 inspection. But we had three-quarters of that weld
25 basically covered in our last inspection. So in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relative terms our shroud is very good.

2 MR. BURKE: And we will be giving more
3 information in a minute also.

4 In 1997 we did replace the emergency
5 core cooling system suction strainers. And we
6 increased the surface area of those strainers for
7 debris loading.

8 In 1998 we did initiate a power uprate.
9 We increased our power level from 1670 megawatters
10 thermal up to 1775 megawatts thermal, which was a
11 6.3 percent increase.

12 As part of the license renewal effort,
13 we did implement six SAMAs, which did significantly
14 reduce our overall plant risk.

15 MEMBER SHACK: Now those are the six
16 SAMAs that were identified in your environmental
17 impact statement as having a favorable cost risk?

18 MR. BURKE: Yes, sir. That is correct.

19 MEMBER SHACK: That's all six, including
20 the manual RCIC which reduced your CDF but upped
21 your risk?

22 MR. BURKE: That is correct.

23 MEMBER SHACK: Okay. Well, if one of my
24 colleagues was here, he'd ask you about that. But
25 we'll let that one pass.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: He's not here.

2 I would like to know, however, what is
3 the CDF for this plant?

4 MR. BURKE: The core damage frequency
5 before the six SAMAs was 4.37 ten to the minus
6 fifth. And the after implementation --

7 CHAIRMAN BONACA: Internal events or
8 total?

9 MR. BURKE: Total events.

10 CHAIRMAN BONACA: Internal events?

11 MR. BURKE: Internal, that's right.

12 And after the implementation of this was
13 changed to 5.99 times ten to the minus six per year.

14 MEMBER SHACK: That was a question I was
15 going to have for the Staff. You know, reading
16 through here this was the first environmental impact
17 where I came to the SAMAs and they actually, you
18 know, they had a bunch of favorable ones. And the
19 fire truck one was a real bargain. You know, you
20 haul the fire truck and hook it up.

21 What is the criteria for when -- why did
22 we ask these people to do these SAMA analysis? Is
23 there some criterion that they would meet that they
24 would have to do them or is it just something they
25 look at? You know, they obviously choose to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implement a number of the SAMAs. And I just
2 wondered in general what do we do with the SAMA
3 analysis after they do it?

4 You can come up with that later or
5 answer now?

6 MR. KUO: Yes. P.T. Kuo, License
7 Renewal.

8 We generally perform the SAMA analysis
9 and if we see there is a cost benefit area that the
10 applicant can improve, then we make the
11 recommendations. And we send this recommendations
12 to them that these are the cost beneficial actions
13 that they have to take.

14 And then later on --

15 MEMBER SHACK: So they don't have to
16 take them, though?

17 MR. KUO: They don't have to take them.

18 MEMBER SHACK: They could take them?

19 MR. KUO: But based on our SAMA analysis
20 we identify, if we identified any actions that we
21 believe is beneficial, we'll let them know.

22 MEMBER SIEBER: Before you move forward,
23 I'd like to go back to your 6.3 percent power
24 uprate. Do you have additional margin in your plant
25 where you could perform another uprate in power?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: We've done some studies,
2 some evaluation on that. There would be significant
3 cost. If we decided to do another power uprate, it
4 would be a significant cost to replace the
5 equipment.

6 MEMBER SIEBER: Like the turbine?

7 MR. BURKE: Like the turbine, generator
8 rewinds, transformers, feed pumps.

9 I think the answer to your question is
10 there is probably not a lot of margin above and
11 beyond for another power uprate. We have margin
12 where we're at.

13 MEMBER SIEBER: Okay. Thanks.

14 MR. BURKE: Now looking out into the
15 future, we have a number of future lifecycle
16 management projects that are in progress and being
17 implemented, such as replacement of feedwater
18 heaters, recirc pump motors and rotating pump
19 assemblies. We've done the 11 pump last outage and
20 we plan to do the 12 pump this outage the service
21 water pump replacements and transformers and
22 generator rewinds.

23 The next couple of slides I would like
24 to talk a little bit about the project. This slide
25 here what I'd like to talk about is how we selected

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the people for the project and how we made sure we
2 had the right people for the project.

3 Now, we initiated the project through an
4 interview process for site employees. We selected a
5 core team. They're NMC employees that were from the
6 site. Four of them had SROs or SRO certifications
7 and all of them were very experienced and
8 multidisciplined.

9 We supplemented that core team with
10 license renewal experienced contractors. Again, the
11 majority of those contractors were on-site
12 performing that work. We did retain the majority of
13 that team during the audits and inspections. So we
14 had the same people that prepared the application
15 supporting the audits and inspections.

16 We contracted with General Electric to
17 perform the reactor pressure vessel and internal
18 time-limited aging analysis and aging management
19 reviews.

20 And we also did engage the plant and the
21 site staff in review of aging management review
22 documents and aging management program documents.

23 MEMBER SHACK: The one thing that struck
24 me as extraordinary, though, in the TLAA for the
25 core shroud, the first estimate of the shroud

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence peak was 3 times 10 to the 20, and then it
2 got changed to 3.8 times 10 to the 21. Now that's a
3 factor of 14 and it was a change in methodology.
4 I'm a little surprised to see that kind of a change.
5 Is there some explanation for what went on there?

6 MR. BURKE: Yes. I'd like to defer that
7 to Michael Aleksey.

8 MR. ALEKSEY: My name is Michael
9 Aleksey.

10 I'd like you to rephrase that question,
11 please? I didn't hear the first part of it.

12 MEMBER SHACK: In the initial license
13 renewal application it says the peak shroud fluence
14 was 3 times 10 to the 20 neutrons per square
15 centimeter greater than 10 leV.

16 MR. ALEKSEY: Yes.

17 MEMBER SHACK: Then it got changed to
18 3.8 times 10 to the 21. I mean it's a factor of 14.

19 MR. ALEKSEY: Well, the original
20 analysis was based on Reg. Guide 1.99 and the
21 original capsule that was pulled in 1984
22 thereabouts, we went to the Reg. Guide 1.190
23 evaluation and used the typical factors to bump that
24 up by 30 percent at certain areas and stuff like
25 that, and came up with the results that we got.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I don't think that that's unusual in
2 terms of --

3 MEMBER SHACK: It's not unusual? A
4 factor of 14? I mean, you know from a case 3 times
5 10 to the minus 20 you're hardly seeing any
6 influence of irradiation on stainless steel to 3
7 times 10 to the 21; it's, you know, a big time
8 change. It's embrittlement, it's high crack growth
9 rates without your hydrogen water chemistry.

10 I mean, normally I hear the Staff
11 beating up people over 10 percent changes in fluence
12 and a factor of 14 just seems very large.

13 Barry is going to enlighten me.

14 MR. ELLIOTT: Barry Elliott, NRC.

15 I'd just like to talk to them for a
16 second.

17 I believe in their application, and I'm
18 making some assumptions, the original applications
19 likes the fluence is calculated for either 1775
20 megawatts or 1680 or something like that. When they
21 did the recalculation for these, it looks like they
22 used 1830 megawatts or 1880 megawatts for cycle 23
23 through the end of the license renewal period. So
24 that would account for some of the large increase.
25 In other words --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: But a factor of 14?

2 MR. ELLIOTT: I'm just saying that they
3 went from 1660 or something like that all the way up
4 to 1880 megawatt thermal. So that increases it quite
5 a bit.

6 And then they used a new GE methodology,
7 which they hadn't used before.

8 So all this stuff added in, I mean this
9 is what you did. So, I mean, I'm just reading the
10 application. You tell me is that what you did?

11 MR. ALEKSEY: This is Mike Aleksey.

12 Yes, we did. Originally it was based on
13 1670 and the Reg. Guide 1.190 evaluation it was
14 based on 1775 up through cycle 22 and then we
15 increased that to 1880 for cycle 23 on, which did
16 provide a significant conservatism. And the reason
17 we did that is because we had performed other
18 analyses at that level before and we thought it was
19 a prudent thing to do.

20 MEMBER SHACK: Okay. Well, I mean
21 since you can live with 3 times 10 to the 21, you
22 know and that sounds like the typical value I have
23 for end-of-life for a core shroud. You know, when I
24 saw the 3 times 10 to the 20 in the original
25 application, I wondered how much water you had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 between your core and your shroud, and it seemed
2 extremely low. The 3 times 10 to the 21 is about
3 where I expected it to be. I still don't understand
4 why it's so different, but obviously you can live
5 with it. And, as I say, it's a value that I find
6 plausible.

7 CHAIRMAN BONACA: Okay. Next slide,
8 please.

9 This slide talks a little about how we
10 were engaged in the industry during the development
11 of license renewal application. We attended many of
12 the working groups. We did participate in the GALL
13 draft revision 1 review and comments through NEI.

14 And we participated in our sister NMC
15 plants during their audits and inspections to gain
16 lessons learned.

17 We supported numerous license renewal
18 peer reviews throughout the industry. We also
19 hosted our own peer review where we did have seven
20 external peers on that team.

21 And then we did review many industry
22 RAIs and in detail we reviewed the Nine Mile, Point
23 Beach and Dresden/Quad's RAIs.

24 These next couple of slides we'll talk a
25 little bit about the methodology. Most of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bullets that I'll talk about now is where we added
2 additional detail into the application that you
3 might not always see. For example, we identified
4 system functions and tied those to the different
5 criterion for the different scoping to help better
6 describe why the system wasn't scoped.

7 We paid a lot of attention to our
8 boundary drawings and included boundary flags and
9 multicolored boundary drawings.

10 We used plant documentation to identify
11 our scoping components. Use DBDs and did extensive
12 plant walkdowns.

13 We created a number of technical reports
14 including those for criterion 2, nonsafety effecting
15 safety and also for the regulated events.

16 And then we did use the spaces approach
17 for our criterion 2, and that was incorporated into
18 the application.

19 MEMBER MAYNARD: I did have a question
20 here. Taking about your scoping, your boundary
21 drawings and everything. And yet in the inspection
22 report I noticed that the inspectors found a number
23 of items or systems where the boundary needed to be
24 changed or something needed to brought into scope,
25 or whatever. I'd like to get your perspective on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. Because it seemed like there's a number -- I
2 don't know if the inspectors were really picky or
3 whether you guys had missed these or what.

4 CHAIRMAN BONACA: No. We didn't have
5 some. There were some areas in the drawings, but I
6 think overall we felt that our drawings were pretty
7 accurate as boundary drawings typically go in the
8 industry.

9 MR. PAIRITZ: I am Joe Pairitz, the
10 Project Manager.

11 Some of the cases, too, occurred where a
12 color suddenly stopped and there wasn't an
13 explanation for why that was. And basically it was
14 that it went through a wall so it was no longer in
15 scope for criterion 2. And we had quite a few
16 instances where we had to go walk that down with NRC
17 inspectors to look at that. And we're doing it over
18 again, I would draw the wall in the drawing and make
19 it easier. But that was the cause for a good number
20 of those questions.

21 MEMBER SIEBER: You had other situations
22 where the line that started off on 1 PNID as a
23 colored line in scope, the adjoining PNID didn't
24 have a colored line in scope. So it ended at the
25 boundary of the drawing as opposed to some physical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 boundary.

2 MR. PAIRITZ: This is Joe Pairitz again.

3 That's correct. There were several
4 instances where the continuation went to the next
5 drawing, it didn't color it properly, and we did
6 correct those.

7 MEMBER SIEBER: Well, I read the same
8 inspection reports. And it just seemed like there
9 was a lot of them, relatively speaking.

10 My question to you would be now that the
11 inspection's over with, which is vertical slices and
12 not comprehensive, how confident are you that you
13 have captured all that should be in scope and
14 identified that on your plant drawings?

15 MR. PAIRITZ: Joe Pairitz again.

16 We did capture those instances in our
17 corrective action program. And part of that was
18 looking at other drawings to see the extent of
19 condition basically. And we're confident right now
20 that we have corrected those problems.

21 MEMBER SIEBER: When you did that, did
22 you find additional problems that wasn't found by
23 NRC inspectors?

24 MR. PAIRITZ: Off the top of my head
25 right now, I don't know for sure. There might have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been a couple, but basically no. And we spent a lot
2 of times on the drawings so we we're pretty
3 confident that they were right to begin with. They
4 did find a few instances, and in our works to
5 correct that I think we might have found a couple
6 more. But it wasn't a significant number.

7 And these things were in scope. It was
8 just the drawing didn't get colored properly.

9 MEMBER SIEBER: Yes. I gathered that
10 from the write-up.

11 CHAIRMAN BONACA: Well, some items were
12 also brought into scope, so there was some of both.

13 MR. PAIRITZ: Right.

14 CHAIRMAN BONACA: Since we're talking
15 inspections, I had a question about the corrosion
16 that the inspectors found on the conductor
17 termination logs of the fire diesel pump. And I'm
18 sure you have a surveillance program for that pump.
19 And so it was disturbing to read it because in
20 license renewal you are going to have a program
21 dealing with this fire pump which is an extension of
22 your existing program. And when I have to wait for
23 an inspector to find it, it troubles me and I
24 wondered about your view on that issue.

25 CHAIRMAN BONACA: Could I defer that to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Ron? He was involved with that inspection activity.

2 MR. SIEPEL: Right. My name is Ron
3 Siepel. I'm the electrical lead.

4 And if I understand the question right
5 is you had a question on the corrosion of the wire
6 that was in the diesel generator panel, is that the
7 question?

8 CHAIRMAN BONACA: Fire diesel -- fire
9 pump.

10 MR. SIEPEL: Okay. The diesel fire pump
11 panel, that panel had been identified on a previous
12 CAP or condition action request that was in the
13 process of replacement and it just hadn't been
14 replaced to date. And if it hasn't been replaced
15 now, it'll be replaced shortly. But that had been
16 previously identified out there under our program,
17 and it was in the process of being replaced.

18 CHAIRMAN BONACA: It wasn't identified
19 before? Wasn't clear from the inspections?

20 MEMBER SHACK: I was just curious. The
21 Staff SER sort of credits your computerized history
22 and maintenance planning system with helping in the
23 scoping, and yet it's not credited at all in your
24 license renewal application. You actually use this
25 thing or is it just sort of sitting around.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: This is Pat.

2 The CHAMPS database was used as a
3 starting point for the scoping process. That was
4 downloaded into a licensed renewal database called
5 ALEX.

6 The CHAMPS database is used more for
7 work management, so you have many of the active
8 components in there. And that was a starting point.
9 By taking that and using that as a starting point
10 and then adding all of the passive components,
11 therefore you would up with a complete ALEX database
12 for scoping and screening to take you through the
13 process methodically on a databased driven platform.

14 The next slide I'd like to talk a little
15 bit about the ageing management review. A couple of
16 other details that we added that I think help tell a
17 better story in the application was adding mechanism
18 for the aging effects.

19 MEMBER SIEBER: Let me ask one quick
20 question before we leave scoping. Is your
21 condensate storage tank in scope? I know piping and
22 anchors and bolts and housings are. But the tank
23 doesn't seem to be. Do you know?

24 CHAIRMAN BONACA: I don't know off the
25 top of my head.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: This is Joe Pairitz.

2 The piping leading up to the tank is in
3 scope. The tanks themselves, I guess I'll have Ray
4 check on that, but I think the tanks themselves are
5 not in scope.

6 CHAIRMAN BONACA: Individual --

7 MEMBER SIEBER: Yes, that's the way to
8 be. And I was wondering, you know, if all the other
9 stuff is in scope, why isn't the tank is in scope?
10 And if the tank would fail, can you still accomplish
11 what you're supposed to accomplish?

12 MR. BURKE: Yes. I'll answer one of the
13 questions, the CSTs being in scope or not. We do
14 not credit the condensate storage tank for any
15 design basis accident so they are not considered
16 safety related.

17 The piping going up to the tanks, I
18 believe and correct me if I'm wrong, Joe, is in
19 there from a nonsafety effecting safety standpoint.
20 Because they do lead in --

21 MEMBER SIEBER: Criterion 1?

22 MR. BURKE: Yes, that's correct.
23 Criterion 2. So that's why we terminated at the
24 tank.

25 And I guess Ray agrees with that. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I will have to think
2 about it? Thank you.

3 CHAIRMAN BONACA: Sure.

4 And also for the aging management
5 reviews we did numerous walkdowns to identify
6 materials and environments.

7 As for the aging management programs, we
8 wound up with 36 aging management programs. And we
9 did include the ten elements from GALL in the
10 application describing each program.

11 And lastly, I'd like to talk about the
12 application of GALL, and this is consistent with
13 what Jake started with, is we did have GALL
14 reconciliation to the Rev 0. That showed us to be
15 75 percent consistent with GALL. After we submitted
16 it we performed a precedents review, which brought
17 us up to 95 percent consistent with GALL. And we
18 believe that that high consistency with GALL
19 increased the efficiency of the audit and inspection
20 process.

21 At this point I'd like to turn it over
22 to Joe to go over the industry topics.

23 MR. PAIRITZ: Thank you, Pat.

24 Again, I'm Joe Pairitz. I'm the license
25 renewal Project Manager and also the mechanical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lead.

2 I'm going to talk about three industry
3 topics, the first being drywell shell corrosion,
4 second being the shroud cracking and thirdly the
5 steam dryer.

6 Starting with the drywell shell
7 corrosion, I'll give a little fresher on the Mark I
8 primary containment. This is a cut away view of the
9 reactor building. You have the reactor here in the
10 center, the drywell is the inverted light bulb
11 shaped liner right here. We have the vent pipes
12 going down to the suppression chamber, otherwise
13 known as the Torus.

14 We will concentrating on the refueling
15 bellows located at the top here. The air gap region
16 between the drywell shell and the surrounding
17 concrete and also the sand pocket region here
18 towards the bottom.

19 While the reactor cavity is flooded, and
20 that would be this area here. This is the spent fuel
21 pool over here. While the reactor cavity is flooded
22 for refueling activities, Monticello has multiple
23 design features for vent leakage from entering or
24 accumulating in the air gap region and in the sand
25 pocket regions. There are three separate drain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paths that exist to channel leakage away from these
2 areas in question.

3 We have a seal barrier over the sand
4 pocket region and we also have a flow switch that
5 would alert operators to any leakage from the
6 bellows.

7 MEMBER ARMIJO: This is Sam Armijo.

8 I have a quick question: Is this unique
9 for this particular BWR 3? Are these features added
10 that other --

11 MR. PAIRITZ: Some of the BWR 3s have
12 them and some don't. I think it might be related to
13 who the AE was on the project. I'm not sure of that.

14 MEMBER ARMIJO: Okay.

15 MR. PAIRITZ: We'll move into the
16 refueling bellows area, otherwise known to some
17 people are a refueling seal.

18 We have the reactor pressure vessel
19 shell over here on this side. The first set of
20 bellows we have are the reactor vessel to drywell
21 bellows. We move over, we have the drywell shell
22 right here. We have the second set of bellows that
23 are between the drywell shell and the reactor
24 building concrete. These bellows are in scope for
25 license renewal. If these bellows were to leak, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first barrier we have to protect the air gap, which
2 is down here, would be this trough or channel that's
3 down here that's supposed to catch any leakage that
4 would come from that bellows.

5 And then you have an 8 inch pipe here
6 that eventually reduces to a 4 inch pipe and goes to
7 rad waste. That line also has a flow switch on it.
8 Instead of 3 gallons per minute, that gives an alarm
9 in the control room. So if they've got a leak here
10 that's 3 gallons per minute or greater, it would
11 alarm in the control room.

12 These bellows and center spool plate
13 have been inspected in the past with no significant
14 degradation noted at that time. That was in the
15 late '80s.

16 I think we'll go on to the next slide.

17 Continuing into the air gap region here,
18 we have a 4 inch drain pipe here. There's actually
19 4 of these, 4 four inch drain pipes.

20 MEMBER MAYNARD: I'm sorry.

21 MR. PAIRITZ: Yes.

22 MEMBER MAYNARD: Go back. You say a
23 setpoint at 3 gallons per minute. Now wouldn't
24 typically you'd expect to see none?

25 MR. PAIRITZ: We expect to see none,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correct.

2 MEMBER MAYNARD: Okay. I'm not familiar
3 with it, but 3 gallons a minute --

4 MEMBER SHACK: That's a lot of water.

5 MEMBER MAYNARD: You know, 2 gallons a
6 minute wouldn't set the alarm off and that's seems
7 to me like it'd be quite a bit of water.

8 MR. PAIRITZ: Well, it is set at three.
9 I can't address the design basis for the three right
10 now. I think basically it was there to address
11 gross failure of the bellows. But if we had any
12 leakage, I can show you were that would be detected.

13 MEMBER MAYNARD: Okay. So any leakage
14 would be detected?

15 MR. PAIRITZ: Yes. And I'll think we'll
16 get to that when we talk about this picture.

17 MEMBER MAYNARD: Okay. All right.

18 MR. PAIRITZ: Here we have the air gap
19 which extends up towards the bellows. We have 4 four
20 inch drain pipes that drain this air gap region if
21 water were to get in that region. We have 18 gauge
22 galvanized sheet metal cover the sand pocket region
23 that's sealed to the drywell shell and sealed to the
24 surrounding concrete. So any water that might
25 accumulate on this sheet metal cover should be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drained away by the 4 four inch drain lines.

2 Now these drain lines come into the
3 Torus room, some people might know it as reactor
4 building basement. They're open. They come down to
5 floor level. They're open. You're going to have
6 water on the floor if there's any leakage in this
7 air gap region because they empty. They don't go to
8 rad waste, they go right on the floor into the
9 reactor building.

10 MEMBER WALLIS: You are concerned about
11 corrosion. And what you need for corrosion is
12 oxygen, presumably. That's from the air gap.

13 MR. PAIRITZ: Correct.

14 MEMBER WALLIS: And you need some
15 moisture. But you don't need a flow of water. And
16 the drains take away a flow of water, but a
17 sufficient humidity in there with very small amount
18 of liquid on the surface could lead to corrosion.

19 I'm not quite sure why drain prevents
20 corrosion. You've got to really control the
21 humidity, don't you?

22 MR. PAIRITZ: Well, when the linear was
23 originally manufactured it was painted with a
24 primer. So it does have some protection on it from
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The humidity you get in there, I mean
2 the drain pipe was obvious to remove any liquid
3 water. If you had high humidity in there, I can't
4 say what the drain would do in that case, although I
5 don't think there's a motive force to -- you know,
6 this one we're running, operating, the drywell shell
7 is fairly warm. So any water should evaporate from
8 there and, hopefully, would come out the drains. I
9 mean, not as liquid water but as a vapor.

10 MEMBER WALLIS: What happens to the air
11 gap? Do you ventilate it in some way? It just sits
12 there, sits there?

13 MR. PAIRITZ: It sits there.

14 MEMBER WALLIS: Silent air. So if there
15 were oxygen in there, it would get used up if it
16 were corroding?

17 MR. PAIRITZ: If there were oxygen in
18 there --

19 MEMBER WALLIS: It would get used up
20 pretty --

21 MEMBER SHACK: Very little.

22 MEMBER WALLIS: Yes.

23 MR. PAIRITZ: Yes. These drain pipes
24 point straight down to the floor, too. You know, I
25 don't think you get a lot of air movement into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 air gap. Maybe during heat up and cool down, but not
2 during normal operation.

3 MEMBER WALLIS: Yes, but doesn't
4 moisture slowly come out of concrete and things like
5 that over a long period of time?

6 MR. PAIRITZ: Ray, can you answer the
7 concrete question?

8 MR. DENNIS: Yes, this is Ray Dennis.
9 I'm the civil structural lead.

10 The air gap, it's not an airtight
11 environment. There's many, many penetrations to the
12 air gap or piping penetrations that go into the
13 reactor vessel and drywell. So it's a free flow of
14 oxygen and it's continuously being replenished --

15 MEMBER WALLIS: There is an oxygen
16 supply, right?

17 MR. DENNIS: Right.

18 MEMBER WALLIS: And you're carrying away
19 the water vapor --

20 MR. DENNIS: If the water vapor is heavy
21 enough to condense and then be carried away by the
22 drains. But the environment in the air gap is
23 basically the same environment you'd find in the
24 reactor building at all times.

25 MEMBER WALLIS: I guess my -- my concern

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is with enough water to cause corrosion, which
2 doesn't necessarily drain out but just stays there.
3 That's probably the worst condition for making
4 corrosion, isn't it?

5 MR. PAIRITZ: I think Ray makes a good
6 point, though, when he mentions that we have
7 penetrations going through this air gap that would
8 help, not necessarily ventilate it, but prevent more
9 humidity than is already in the air from building
10 up.

11 MEMBER WALLIS: Have some control over
12 it.

13 MR. PAIRITZ: And again, I would point
14 out that drywell shell is going to be a lot warmer
15 than the ambient air.

16 MEMBER WALLIS: That helps you. That
17 helps.

18 MEMBER SIEBER: On the other hand I
19 don't hear any kind of a argument that says we're
20 certain enough that there isn't corrosion because of
21 these factors that would tell me that I don't need
22 to go and make a thickness measurement of the linear
23 plate. So it seems to me that that's one of the
24 things you ought to be doing.

25 MR. PAIRITZ: Well, we did do that in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 response to Generic Letter 87-05. We took over 50--

2 MEMBER SIEBER: Right.

3 MR. PAIRITZ: -- readings there and we
4 could not detect any degradation from the original
5 material specifications, and that was after 17 years
6 of operations.

7 MEMBER SIEBER: That was in '87?

8 MR. PAIRITZ: That's correct. '86 and
9 '87.

10 MEMBER SIEBER: Well, it's still an
11 issue because some plants have found problems.

12 MR. PAIRITZ: That's right.

13 MEMBER SIEBER: And it's probably
14 generic to this style of containment and this age
15 group. And I understand a generic letter is in the
16 process to ask you to look at it.

17 MR. PAIRITZ: Well, ISG. I don't know
18 anything about a generic letter.

19 MEMBER SIEBER: ISG. Yes, okay.

20 MR. PAIRITZ: The other, though, as
21 plants that have experienced this, some of them have
22 not had this design. I know that one design in
23 particular doesn't have the cover on the sand pocket
24 region, doesn't have the four inch drain pipe. They
25 just have the sand pocket drains here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes.

2 MR. PAIRITZ: There are some
3 differences.

4 CHAIRMAN BONACA: What are you trying to
5 do? I know you're trying to perform visual
6 inspections problem.

7 MR. PAIRITZ: Okay.

8 CHAIRMAN BONACA: Are you going to
9 perform any UT, I mean volumetric inspections?

10 MR. PAIRITZ: Not at this time. I will
11 tell you that these drains, both the air gap drains
12 and the sand pocket drains are inspected before we
13 flood up refueling and after the bellows are well
14 submerged looking for leakage from any of those
15 lines. And that's what we do right now. And that
16 is proposed action in the ISG also.

17 MEMBER MAYNARD: What has your
18 experience been? Have you found leakage at times or
19 have you never found any signs of leakage? What's
20 your history?

21 MR. PAIRITZ: We've never had any
22 leakage. Never had the three gallon per minute flow
23 switch go off. We've never seen any leakage from
24 the four inch drain pipe for the air gap region.
25 We've never seen any leakage from the 4 2 inch drain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lines in the sand pocket. However, in February of
2 1987 as part of the plant life extension program and
3 part of work that was going on for Generic Letter
4 87-05 they did find 3½ ounces water in one of the
5 four drain lines in the sand pocket. Now this drain
6 line comes out of the concrete. It has a 90 degree
7 elbow and then a one foot stand pipe pointing up
8 vertically. They noticed a little crusty material
9 on top of the sand. They investigated that, found
10 out that that was calcium carbonate. They removed
11 the sand from the stand pipe and at the bottom of
12 the stand pipe they found 3½ ounces of water.

13 They had that water analyzed by two
14 different labs. It was not radioactive. It did not
15 contain any materials that would be indicative of it
16 coming from the reactor cavity. And it was
17 considered to be water that had come from inside the
18 Torus room.

19 These stand pipes are open to the
20 atmosphere. If you were doing some work on top of
21 the Torus and accidentally sprayed some water or
22 sprayed a hose, you could theoretically put some
23 water in there. And 3 ounces, 3½ ounces isn't very
24 much.

25 And I also think the calcification at

1 the top of the surface there would indicate that the
2 water came in through the top, calcified the sand
3 and then sat in the bottom there.

4 So we don't believe that we've ever had
5 any leakage from the air gap or for the sand pocket
6 region.

7 MEMBER ARMIJO: Have you ever done
8 anything to confirm that that sand pocket region is
9 dry, or can you?

10 MR. PAIRITZ: Well, the other three
11 drain lines, they took the sand out of those stand
12 pipes. There was no water there.

13 The top of the stand pipe is at the same
14 elevation as the bottom of this drain right here.
15 So even if the stand pipe were full of water, the
16 level in the sand pocket would still be down here.
17 The stand pipe would have to be overflowing for
18 there to be any water building up into this area.

19 We did remove part of the concrete floor
20 inside the drywell and do UTs on this area. And,
21 again, we compared that to our original material
22 specifications and we can't detect any thinning
23 there.

24 CHAIRMAN BONACA: You did that, what, 19
25 years ago?

1 MR. PAIRITZ: 1986 and 1987.

2 CHAIRMAN BONACA: Now on your slide
3 number 16 you're saying that drywell shell is
4 managed by the primary containment is ISI, which
5 again advised to specifically address the ISG.

6 MR. PAIRITZ: Correct.

7 CHAIRMAN BONACA: How --

8 MR. PAIRITZ: The ISG recommends doing a
9 surveillance on your drain piping to verify that
10 you're not having any leakage. It talks about a
11 cover n the sand pocket, which we have. And using
12 the IWE program to verify no significant corrosion.
13 Of course, that's from the inside the drywell.

14 CHAIRMAN BONACA: It doesn't tell you
15 anything about what happens on the outside of the
16 wall. So you're left with a question about the past
17 -- projected future?

18 MR. PAIRITZ: Right. We have no reason
19 to believe that there is any water in those areas.

20 CHAIRMAN BONACA: The steel liner is
21 your containment boundary, right?

22 MR. PAIRITZ: That's correct.

23 Anyway, just to finish this slide, we do
24 have the 18 gauge galvanized sheet metal cover over
25 the sand pocket region. As I mentioned there are 4

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two inch drain lines that would drain any water from
2 the sand pocket region.

3 We talked about the stand pipes filled
4 with sand. I think that's all I want to cover on
5 this slide.

6 Now with regards to the proposed ISG
7 2006 01, we've talked about the UTs that we did in
8 response to Generic Letter 87-05. Again, we
9 compared those to our original materials
10 specifications and we can't detect any wall thinning
11 or degradation there.

12 Again, the air gap and sand pocket drain
13 outlets are visually inspected, as prescribed by the
14 ISG. The top of the sand pocket area is sealed with
15 the galvanized steel sheet metal. The drywell shell
16 is managed by the primary containment in-service
17 inspection program, the IWE program and we will
18 revise it to specifically call out those procedures
19 that already exist that inspect the drains.

20 MEMBER ARMIJO: Were those 1987 UT
21 inspection points, are they still accessible? Were
22 any provisions made to have them still accessible or
23 were they concreted over?

24 MR. PAIRITZ: Well, they took readings
25 up in the air gap region 2. Those are marked on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inside of the drywell.

2 MEMBER ARMIJO: I'm talking about sand
3 pocket.

4 MR. PAIRITZ: Jim, do you have any idea?
5 I mean, I know where we excavated. I don't know if
6 the grid is still there that they used. Ray Dennis,
7 please?

8 MR. DENNIS: Yes. This is Ray Dennis
9 again.

10 Rather than fill the holes completely in
11 with concrete, they filled them in with a sand type
12 material and then put basically a concrete plug over
13 them.

14 MEMBER ARMIJO: So they would be --

15 MR. DENNIS: They'd be relatively easy
16 to inspect again. It would just be a matter of
17 removing a few inches of concrete rather than
18 several inches.

19 MEMBER ARMIJO: Yes. That's great.

20 Because --

21 MR. PAIRITZ: But whether or not they
22 have the grid the work that they used to ensure that
23 you're looking at the exact same place I think is
24 more the question.

25 MR. DENNIS: Yes. These spots are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 readily identified in our program where they are.
2 Plus, they're relatively easy to pick out given
3 their surrounding area.

4 MEMBER ARMIJO: So it would be an ideal
5 measurement. You've got a 1987 measurement,
6 possibly a later measurement at pretty much the same
7 location without tearing up the whole plant to get
8 at it? It's probably more doable than other people.

9 MR. PAIRITZ: I can't say. I mean, it
10 could be done.

11 MEMBER ARMIJO: I don't want to put
12 words in your mouth.

13 CHAIRMAN BONACA: No. I would like to
14 hear at some point from the Staff, you know, what's
15 the logic for accepting. Here, more than anything
16 else I'm thinking about precedent. You know, we had
17 some decisions and recommendations for TVA, Browns
18 Ferry. And it doesn't seem to be a consistent
19 approach that we're taking on this issue.

20 MR. ASHAR: Dr. Bonaca, I am Hans Ashar
21 with Dresden with Division of Engineering, NRR.

22 While reviewing this particular
23 application before this, I had reviewed close to
24 about a dozen other Mark I containments. Every time
25 I look for the telltale signs as to what could have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 caused partial area of corrosion. We looked at the
2 Dresden/Quad for example. We saw telltale signs.
3 They have to have something done there.

4 We saw Browns Ferry, we felt that that
5 there has to be something other.

6 And all the questions that we asked to
7 the applicant in this case, we found almost negative
8 -- negative to the extent that there were no water
9 in the top of the plane near the -- in the upper
10 area of the earlier -- can you show me the earlier
11 sketch?

12 MR. PAIRITZ: Sure. Hold on. Yes.

13 MR. ASHAR: Upper area, there is a plane
14 from the drywell. They did not see any, that's what
15 they told us. Then we went to down, because the
16 water can go into the sand pocket area. And we saw
17 no way that water can seep into that area in the
18 large quantities that could corrode that particular
19 area.

20 So there are a number of telltale signs
21 that we look for. We ask questions on each one of
22 them and we found out that, hey, this particular
23 plant does not have this type of problem. And it
24 does not -- it's not effective in telling us
25 anything about it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I have written down a very thorough
2 evaluation on this particular area because I knew
3 that ACRS, as well as other individuals, will have
4 some questions on this particular area.

5 CHAIRMAN BONACA: Well, I think my main
6 question is we need to have a constant understanding
7 of the issue.

8 MR. ASHAR: Agreed.

9 CHAIRMAN BONACA: And consistent
10 approach.

11 MR. ASHAR: I Agree.

12 CHAIRMAN BONACA: I mean, we can't
13 possibly have a tentative, you know, approach to the
14 -- when you're telling me that you don't have
15 significant amount of water or a large quantity of
16 water, it doesn't tell me anything.

17 MR. ASHAR: There is no water problem.

18 CHAIRMAN BONACA: I mean, the point that
19 Dr. Wallis was making, all you need is humidity
20 there for corrosion, you know it's well taken.

21 So I'm struggling with the ISG and the
22 way it is being interpreted by the plant that way.
23 Because all you have is statements by the licensee
24 for the same kind of configurations. One licensee is
25 more insistent than other than defending that he has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 no water there, so therefore -- you know, he's
2 argumenting about something that cannot be seen.

3 And on the other hand that's a primary
4 containment function.

5 MR. ASHAR: I fully agree. I recognize
6 what you are saying. I'm not contradicting what you
7 are telling me. But what I'm trying to say is this:
8 That the question of relatedness, I understand there
9 is a form by which everybody is to follow. And when
10 we -- They went up to ISG. We said you are going to
11 talk about various things, okay, like the drain
12 pipes being cleared, there is a control on drain
13 pipes. They are going to examine the drain pipes.
14 There is a seal. Some of the plants do not have
15 that seal that they here, okay. That makes
16 difference as to the wetness in the sand pocket
17 area.

18 It has to be quite a bit wet in order to
19 have corrosion initiated and become something like
20 some of the other plants had. And this particular
21 plant does not have that type of telltale signs.

22 It was very difficult to put them
23 through some kind of a UT inspections if we don't
24 find any reason to believe that we have problems
25 with this plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Okay. Thank you.

2 MR. PAIRITZ: Well, that concludes the
3 drywell shell corrosion. If there aren't any more
4 questions right now, I'll move on to the shroud.

5 Concerning the shroud, I have a rollout
6 view here. The horizontal welds are labeled on the
7 right side, H1 through H12. We have the vertical
8 welds labeled throughout the center of the drawing.

9 To give you an idea of the are we're
10 talking about, here's a jet pump on the side.

11 The points I want to make here is our
12 inspection coverages have increased from about 50
13 percent up to about 75 percent of the welds over the
14 past ten years due to improvements in technology.

15 As Mr. Potter was saying earlier, our H3
16 weld here has indications on 27 percent of the
17 inspected region, and we are able to inspect 71
18 percent of that weld.

19 MEMBER SHACK: Now is this VT1 enhanced
20 or is some sort of UT inspection?

21 MR. PAIRITZ: I'll let Mr. Potter answer
22 that.

23 MR. POTTER: This is Dave Potter from
24 Monticello.

25 The 73 percent converge on the H3 weld

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was from UT inspection.

2 MEMBER SHACK: That's a creeping wave
3 kind of thing?

4 MR. POTTER: There's three transducers
5 that were used in the package, but I don't recall if
6 there were a creeping wave, a shear wave and what
7 angles they were used. The processed was qualified
8 in accordance with the PIP processes for crack
9 identification.

10 MR. PAIRITZ: And moving on to the H1
11 weld, 16 percent of that weld showed indication and
12 we were able to look at 75 percent of that weld.

13 And then the other horizontal welds that
14 were looked at it was less than 10 percent
15 indication on varying degrees of inspection area.

16 The inspection results and evaluation to
17 allow inspection frequency to remain at the maximum
18 allowed ten year interval for circumferential welds,
19 for our horizontal welds.

20 We have looked at three vertical welds
21 per the BWRVIP. The inspection frequency for these
22 welds is established by inspection coverage.

23 MEMBER SHACK: Do you happen to know
24 whether these vertical welds, you know do they hit
25 high fluence regions or do they happen to hit low

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence regions? It's kind of a random event?

2 MR. PAIRITZ: Mr. Potter?

3 MR. POTTER: This is Dave Potter from
4 Monticello.

5 The regions, as shown on the diagram,
6 the V3, V4, V1 and V2 are relatively high fluence
7 areas.

8 MEMBER ARMIJO: Just a quick question.
9 Since you've instituted hydrogen water chemistry
10 have you noticed any change in any of the growth
11 rate or the initiation of cracking in the shrouds?

12 MR. PAIRITZ: I'll let Mr. Potter
13 address that. He's the expert here.

14 MR. POTTER: Since we've instituted
15 hydrogen water chemistry at Monticello, we have
16 three inspections to our credit. One that was
17 performed in 1994, another performed in '96 and this
18 most recent one in 2005. The crack indications that
19 we've identified in all three of those inspections
20 have not demonstrated substantial crack growth. So
21 our assumption has to be is that the cracking
22 occurred before hydrogen water chemistry was
23 instituted.

24 MEMBER ARMIJO: How about initiation?

25 MR. POTTER: The initiation that we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seen, I wouldn't call it substantial. A lot of it
2 has to do with UT uncertainty and our coverage that
3 we've gotten from previous inspections.

4 Our '94 inspection we did not have a lot
5 of coverage. And as we've spoken to, or as Joe
6 spoken to a moment ago, we increased our inspection
7 coverage from 1996 all the welds were approximately
8 50 percent to 2005 where they're 75. So we're
9 actually, the cracks that we were seeing were
10 basically in the areas that we hadn't inspected
11 before.

12 MEMBER ARMIJO: Okay. Thank you.

13 MR. PAIRITZ: Well, that covers crack
14 growth.

15 We feel that the moderate hydrogen water
16 chemistry has effectively contributed to mitigating
17 crack growth on our shroud, and we will continue to
18 manage the shroud per BWRVIP guidance.

19 CHAIRMAN BONACA: Well, you do have
20 additional cracking that you are monitoring that
21 way. Are they internals? For example, on the tack
22 welds on the jet pumps set screws and so forth.
23 Those cracks, I mean you just simply monitor the
24 size of the crack and whether or not they're
25 propagating further?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: I'll defer to Mr. Potter
2 again?

3 MR. POTTER: Yes. This is Dave Potter
4 again.

5 The cracking that we've identified on
6 the jet pump set screws we periodically
7 reinvestigate to make sure that they are not
8 behaving in an abnormal fashion. However, the safety
9 concern of the jet pump's tack screws is minimized,
10 basically, due to the crack geometry and what the
11 purpose of those tack welds are. And that's
12 basically to keep the set screws from rotating out.

13 CHAIRMAN BONACA: Okay. All right.
14 That's the function. I didn't know that. I didn't
15 understand.

16 I have another question, by the way.
17 It's more curiosity. When in the application you
18 talk about the belt line nozzle and the fact that
19 the weld material is not known insofar as CU and
20 nickel content. Could you tell me about it?
21 Because there is a technique you're using. You're
22 averaging CU and nickel on 9 sister plants. And then
23 you're adding one standard deviation, if I remember.
24 That, I really wasn't familiar with the technique.
25 And maybe --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: I'll Michael Aleksey,
2 answer that, our TLAA person.

3 MR. ALEKSEY: Was your question with
4 regard to the N2 nozzle?

5 CHAIRMAN BONACA: Yes. Yes, that's
6 right. The belt line nozzle.

7 MR. PAIRITZ: The one the unknown
8 chemistry.

9 MR. ALEKSEY: For the N2 nozzle the
10 nickel content was a result of industry information
11 that we had accumulated for those types of nozzles.
12 And we also used information from the RVID database
13 to establish the chemistries of that nozzle.

14 CHAIRMAN BONACA: Yes. The reason why I
15 was intrigued I thought that was a process that has
16 been reviewed and approved. I mean, it uses hits
17 from 9 sister plants or similar plants.

18 MR. ALEKSEY: Yes.

19 CHAIRMAN BONACA: Averages it and then
20 adds one standard deviation. So is it a process
21 that the NRC is familiar with and is it a approved
22 process?

23 MR. ELLIOTT: I don't know. Excuse me.
24 This Barry Elliott.

25 I can't hear you, so I can't hear what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're asking.

2 CHAIRMAN BONACA: It's the belt line
3 nozzle I'm talking about.

4 MR. ELLIOTT: Okay. Yes. What happened
5 is the belt line nozzles -- they aren't in the belt
6 lines. They're slightly above the belt line.

7 CHAIRMAN BONACA: Yes.

8 MR. ELLIOTT: But the fluence has gone
9 up because of license renewal. Also, because of the
10 way they're calculating the --

11 CHAIRMAN BONACA: That's right.

12 MR. ELLIOTT: -- fluence. They're doing
13 a very conservative thing with the fluence here.
14 And so now these nozzles are getting above the
15 criteria which we say you have to evaluate.

16 So they had to go out and evaluate the
17 nozzles. They have chemistry for the nozzles. What
18 they didn't have is underradiated properties for the
19 -- because the nozzles were built a long time ago
20 and they didn't have full C harpy curves, from what
21 I remember. So they went out and they got what's
22 equivalent to that. And went through their other
23 nozzles in the BWR fleet made the same way, and they
24 used that data. And then they establish a confidence
25 interval for that data. And they used the 95

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percent confidence interval lower bound for their
2 upper shelf energy unirradiated.

3 And we have accepted similar things to
4 that.

5 CHAIRMAN BONACA: So this is a process
6 you accept?

7 MR. ELLIOTT: Yes, we accept that.

8 CHAIRMAN BONACA: Although, I mean
9 you're not certain that the percent of Cu and
10 nickel are identical? Nine sister plants, I mean
11 they were similar plants.

12 MR. ELLIOTT: Right.

13 CHAIRMAN BONACA: But you don't have
14 specific information about this plant?

15 MR. ELLIOTT: No. We don't have specific
16 information about this plant. But we feel that we
17 looked at how they were made, the nozzles were
18 fabricated and they were fabricated equivalent ways
19 and the properties should be about the same.

20 CHAIRMAN BONACA: By the same vendors?

21 MR. ELLIOTT: I don't remember if we had
22 the same -- I'm not sure about the vendors.

23 MR. MEDOFF: This is Jim Medoff.

24 What Barry is saying is true. We've
25 evaluated the VIP processes for the vessel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 materials. And it's based on weld fluxes, how they
2 were laid down. So they grouped all those type --
3 like a shielded metal arc welds, they gathered the
4 data for all that type of welds and then they came
5 up with their statistical analysis.

6 CHAIRMAN BONACA: Well, I was expecting
7 that there will be a reference to some BWR always
8 group activity to --

9 MR. MEDOFF: There is, VIP 86.

10 CHAIRMAN BONACA: -- to provide this
11 kind of -- I mean without any pedigree to this
12 package of information, I'm only left on this
13 averaging that is stated in a little footnote in the
14 application. So since I am not the specialist in
15 metallurgy, but I know the importance of Cu in
16 nickel in the welds.

17 MR. ELLIOTT: We had to get an estimate
18 of the upper shelf energy for these forgings. So the
19 only thing we look at is the fleet, what the whole
20 fleet has for forgings. And that's what they did.
21 And then we used a 95 percent lower confidence bound
22 to establish its properties. And we've done that in
23 other cases where we don't have properties. We used
24 the entire BWR fleet and then established low bound
25 properties for welds that don't have properties.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And in this case we did it for the forgings.

2 CHAIRMAN BONACA: I return to my
3 metallurgical colleagues here and say how
4 comfortable are you with all this?

5 MEMBER ARMIJO: Well, you know, I
6 thought I heard that they knew the chemistry but
7 they didn't Charpy data. And they created the
8 Charpy data by a comparison with the rest of the
9 industry and then used a lower bound that was pretty
10 conservative.

11 CHAIRMAN BONACA: I can remember that 10
12 years ago, 15 years ago we were -- anyway --

13 MEMBER SHACK: Yes. I mean, you know you
14 just can't go back and recreate that data.

15 CHAIRMAN BONACA: Absolutely.

16 MEMBER SHACK: So you try to take a
17 conservative answer and --

18 CHAIRMAN BONACA: Is it conservative,
19 that's always the question. And that's what we're
20 looking for.

21 MEMBER SHACK: It is quite likely to be
22 conservative.

23 MEMBER ARMIJO: I think it's
24 conservative.

25 CHAIRMAN BONACA: Okay. That's --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: Are we ready to move on?

2 CHAIRMAN BONACA: Yes, let's move on.

3 MR. PAIRITZ: Okay. The last topic I
4 will talk about is the steam dryer. The steam dryer
5 is in scope for license renewal at Monticello. It's
6 a square hood dryer design. It looks like this.

7 In 1998 we inspected the dryer and we
8 noted indication in the area of the 324 degree
9 jacking bolt tack weld. Is down here in the blowup
10 on the bottom right. It was analyzed and determined
11 not to be structurally significant.

12 In 2001 we again reinspected this area
13 and found no additional indications and no change in
14 the indication at the 324 degree location.

15 In 2005 we did a comprehensive
16 inspection on the dryer. We specifically looked at
17 areas of dryer failures at other sites, and we did
18 not find any indications are those areas.

19 We did find some acceptable indications
20 on dryer shell behind three of the lifting lugs and
21 on the right side of the guide rod channel 215
22 degrees. Right here. And then we found behind the
23 lifting lugs on the shelves some indications in
24 three out of the four lifting lugs. Again, these
25 were analyzed and confirmed to be not structurally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant.

2 We will be inspecting the dryer in 2007
3 again to confirm continued acceptability. And we
4 plan on managing the dryer in accordance with the
5 BWRVIP.

6 Dryer questions?

7 MEMBER WALLIS: How does it compare with
8 other dryers? The various dryer designs, some of
9 which have more problems than others, how does --

10 MR. PAIRITZ: I'll have Mr. Potter
11 answer the question.

12 MR. POTTER: Could you clarify your
13 question for me? Are you talking in general the
14 dryer design or --

15 MEMBER WALLIS: There are about four or
16 five different versions of this GE dryer, Quad
17 Cities, Dresden, Vermont Yankee and so on. And some
18 of them had more problems than others. And I just
19 wondered how yours fitted into this sort of spectrum
20 of different shapes and histories?

21 MR. POTTER: Okay. This is Dave Potter
22 from Monticello.

23 There is in essence right now four types
24 of dryers that are used in the industry. You might
25 even consider five depending on how you cut it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's the square hood design, which is
2 Monticello's design, which is similar to Vermont
3 Yankee's, Quad Cities' Unit 1 and 2, and Dresden
4 Unit 2 and 3.

5 Then the slanted hood dryers which a
6 great deal of plants use.

7 And then the last would be the curved
8 hood dryers.

9 Finally, the very last design would be
10 the new dryers that have been installed in the Quad
11 Cities and Dresden plants. So Monticello's dryer is
12 similar to that. The original Quad Cities Unit 1 and
13 2 and Dresden Unit 2 and 3 and the Vermont Yankee
14 dryers which did experience the failures.

15 Does that answer your question, sir?

16 MEMBER WALLIS: And you haven't seen the
17 same kind of thing that they've seen?

18 MR. POTTER: No. The failures that
19 we're seeing at Quad Cities and Dresden were flow
20 induced type vibration failures that were seen
21 basically on the plate -- this plate region right
22 here as well as this plate cover view and this plate
23 region right here or this seam weld. Those areas
24 were inspected at Monticello in 2005 and we did not
25 identify any cracking.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I think there are
2 differences between the units. For example thermal
3 megawatt output.

4 MEMBER SHACK: Core power density are a
5 lot--

6 MEMBER SIEBER: Core power -- well steam
7 flow.

8 MEMBER SHACK: Right.

9 MEMBER SIEBER: The steam header
10 diameter. And so some dryers are more susceptible
11 than others because of different environment. This
12 apparently is a milder environment than plants that
13 have shown more damage.

14 Do you have any idea what the steam
15 velocity is at the outlet of the reactor nozzles?

16 MR. POTTER: This is Dave Potter again.
17 To be absolutely honest with you I have looked at
18 that number and compared our numbers to the
19 industry. But from memory I can't recite the
20 velocity and feet per second.

21 MEMBER SIEBER: Can you say whether it's
22 higher or lower?

23 MR. POTTER: I can say that it is
24 definitely lower than -- this is Dave Potter again.

25 I can say that the steam line velocity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is definitely lower than the Quad Cities Unit 1 and
2 2 and Dresden 2 and 3 at their extended power uprate
3 conditions. And Vermont Yankee, I know we are very
4 close, but I don't recall whose velocity is higher.

5 MEMBER SIEBER: It sort of all ties
6 together, at least in my mind.

7 MR. PAIRITZ: Any more dryer questions?
8 If not, the last topic I'll cover is on the
9 commitment process. Monticello's made 60
10 commitments to enhance aging management. The
11 commitments are described in the Monticello license
12 renewal updated safety analysis report supplement.

13 All Monticello commitments are entered
14 into the corrective action program. And this ensures
15 that there is a owner and a due date. The process
16 was looked at several times during the audits and
17 inspections.

18 Any questions on the commitment process?

19 MEMBER SIEBER: Well, the due date is
20 probably when your license expires, right?

21 MR. PAIRITZ: Well, most of them are --

22 MEMBER SIEBER: Or they all become due
23 at once?

24 MR. PAIRITZ: -- prior to the period of
25 extended operation. There are a few that are before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that.

2 MEMBER SIEBER: Yes. The question is do
3 you have a schedule as to when you're going to do
4 each of the items that you have in your commitment
5 tracking system?

6 MR. PAIRITZ: Yes. We have put together
7 a level 1 type schedule as to when those will be
8 accomplished and be part of our implementation
9 effort.

10 MEMBER SIEBER: Do you have the
11 resources to do the work?

12 MR. PAIRITZ: Yes. We got people
13 working on implementation right now. A couple of
14 contractors, some of the people that were on the
15 team. And that will continue.

16 Finally we're at the end. Are there any
17 other general questions that we can answer.

18 MEMBER SIEBER: You mean you would like
19 more questions.

20 MR. PAIRITZ: I'm here to answer them.

21 MEMBER MAYNARD: A comment. I do
22 appreciate you including your backup slides in the
23 package. I do appreciate that.

24 CHAIRMAN BONACA: Any additional
25 questions for the applicant? None. Thank you for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. It was a pleasure.

2 MR. PAIRITZ: Thank you.

3 CHAIRMAN BONACA: And we'll ask the
4 Staff now to present the SER.

5 MR. ZIMMERMAN: Dan Merzke the Project
6 Manager for the Monticello review and Patricia
7 Lougheed will lead the Staff's presentation.

8 MR. MERZKE: All right. Good afternoon,
9 gentlemen. My name is Dan Merzke. I'm the Project
10 Manager for the Staff review of the Monticello
11 license renewal application.

12 Joining me today is Patricia Lougheed
13 from Region III. She's our inspection team leader.
14 Also in the audience is Peter Wen, who is our audit
15 team leader. And supporting all of us are the
16 technical reviewers in the audience to answer any
17 questions that I can't answer for you.

18 The introduction will be start off with
19 an overview. We'll give you the plant and the
20 application followed by a discussion of the results
21 of the scoping and screening results.

22 I'll turn the mike over to Patricia who
23 will discuss the results of the license renewal
24 inspections.

25 And then I'll take it back over and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 finish with the Section III results of the aging
2 management review and the time-limited aging
3 analyses.

4 The application was submitted to us by
5 letter dated March 16, 2005. The Monticello plant
6 is General Electric BWR 3 design with a Mark I steel
7 containment, as already discussed. 17075 megawatt
8 thermal rated with a 600 megawatt electric power,
9 and that includes a 6.3 percent power uprate
10 approved in 1998.

11 Current operating license expires
12 September 8 of 2010.

13 And the plant, as already discussed, is
14 located approximately 30 miles northwest of
15 Minneapolis.

16 The draft SER was issued in April 26,
17 2006 with no open unconformity items. It also
18 included three license conditions. They're the
19 standard three license conditions for all the
20 approved plants so far.

21 We already discussed, Jake mentioned
22 that there were 113 form RAIs issued, which is
23 significantly lower than standard review.

24 And I think Jake touched on the fact
25 that we considered it a pretty good quality

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. The applicant went back and did a
2 thorough review of historical RAIs from previous
3 applications and tried to address those issues up
4 front.

5 In addition, we had 260 audit questions
6 between the scoping screening methodology and the
7 GALL audits.

8 And approximately, and as discussed
9 earlier, about 95 percent consistency with the draft
10 GALL Report revision 1, which was issued in January
11 of 2005. When the final GALL was issued in
12 September 2005 we did a scrub of that to make sure
13 that everything was covered.

14 During the review we did find some minor
15 components which were brought into scope. And I'll
16 discuss those during the scoping and screening
17 section.

18 Continuing on with the overview, the
19 audits were conducted during June and July of 2005.
20 Regional inspections were conducted in January and
21 February of this year.

22 Section 2.1 covers the scoping and
23 screening methodology. During the scoping and
24 screening methodology audit the audit team reviewed
25 the current licensing basis for flood control

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measures and determined that storage steel plate and
2 floor hatches designed to be installed for flood
3 control were not included within the scope of
4 license renewal. The applicant initially did not
5 include components storage in a warehouse within the
6 scope of license renewal. After further evaluation
7 and an extended condition, the applicant brought
8 these components into the scope of license renewal.

9 In Section 2.2 the plant-level scoping,
10 the Staff determined that there were omissions of
11 systems or structures within the scope of license
12 renewal.

13 For Section 2.3, the mechanical systems,
14 the Staff reviewed 36 mechanical systems, which was
15 a 100 review.

16 During the scoping and screening review
17 the Staff was unable to determine the scoping
18 boundary for 17 areas in the boundary drawings. The
19 Staff requested that the regional inspection team
20 visually inspect these areas to ensure the scoping
21 boundaries were in accordance with 10 CFR 54.4(a).
22 The inspections resulted in a length of steam piping
23 with a steam trap in the emergency diesel generator
24 room being brought into scope. And I'll mention,
25 that one was brought into scope because basically it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was below the floor deck plating in the emergency
2 diesel generator room. And the applicant considered
3 the floor as the boundary. However, it was not a
4 robust boundary because you could see through the
5 deck plating down into the area underneath. Any
6 steam coming out of there was going to impact or
7 potentially impact the operating temperature of the
8 EDG room. So the applicant agreed to bring that
9 steam piping and steam trap within the scope of
10 license renewal.

11 In addition during another walkdown, one
12 of the floor drains in the sodium hydrochloride
13 building which penetrates the floor into the intake
14 structure was also identified as being needed to be
15 brought into scope.

16 Section 2.4 covered the containment
17 structures and supports. Staff found no omissions
18 of structures or supports within the scope of
19 license renewal during the review.

20 For Section 2.5 the review of scoping
21 for the electrical system identified a motor control
22 center which was found to be outside the scope of
23 license renewal. It supplied power to the tank
24 heater for a standby liquid control tank. Since
25 standby liquid control system mitigates an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anticipated transient without scram or ATWS event,
2 the Staff determined it should be brought into the
3 scope of license renewal in accordance with 10 CFR
4 54.4(a)(3). The applicant determined that the motor
5 control centers are active components so they were
6 screened in accordance with 10 CFR 54.12(a)(1).

7 During the regional inspection the
8 inspectors determined that 480 volt load center
9 breakers should be scoped in. The applicant
10 determined these are active components also, so they
11 were screened out in accordance with 10 CFR
12 54.21(a)(1).

13 To conclude the scoping and screening
14 summary, it was the staff's determination that the
15 applicant's scoping methodology meets the
16 requirements of 10 CFR 54.4 and the scoping and
17 screening results as amended included all systems,
18 structures and components within the scope of
19 license renewal and subject to an aging management
20 review.

21 I'd like to turn it over now to Patricia
22 Lougheed from Region II who will discuss the license
23 renewal inspections.

24 MS. LOUGHEED: Hello. I'm Patricia
25 Lougheed. I was a lead inspector for the license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 renewal inspection conducted at Monticello.

2 My slide is on page 6 -- well, the one
3 that's shown there. Basically gives you some of the
4 logistics information about our inspection.

5 One thing that I would like to note is
6 that on this inspection I did have a person, a
7 metallurgist who really looked into a lot of the
8 core internals of the BWRVIP program to make sure
9 that it was being implemented in accordance with
10 what was proposed for license renewal. And to make
11 sure because there was not an official commitment
12 right now that NRC regulates or this program. So it
13 was ensuring that it was going to be brought forward
14 into license renewal properly.

15 Going on to my next slide, Dan touched
16 briefly upon the scoping and screening area. We did
17 look at all the issues that were brought forward
18 from the audit inspection. It was interesting,
19 besides the two cases where there were items that
20 were brought into scope, there were also a number of
21 areas most particularly what the licensee called the
22 985 pump room where there were components that were
23 identified as being in scope that really did not
24 need to be in scope. And there were quite a few
25 discussions during our inspection to clarify whether

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those items really should have been an in scope or
2 not. So there were some removals of things from the
3 scope as well as some additions.

4 CHAIRMAN BONACA: For understanding
5 better the logistic. You already had in hand the
6 audit report?

7 MS. LOUGHEED: We had the audit report.

8 CHAIRMAN BONACA: So that really was a
9 big help already --

10 MS. LOUGHEED: Right.

11 CHAIRMAN BONACA: -- in determining what
12 is consistent or exceptions and enhancements.

13 MS. LOUGHEED: Right.

14 CHAIRMAN BONACA: And you could start
15 from that?

16 MS. LOUGHEED: Right. And there's
17 always what we do in the region and the inspections
18 is that we look at the boundaries. Not the things
19 that are definitely in scope, the safety systems or
20 things like that. We look at those where they have
21 nonsafety safety interfaces, where there's nonsafety
22 systems that are going to be in the vicinity of
23 safety systems. We looked at what the actual
24 barriers were to make sure that there actually was
25 separation. Because it was not very obvious on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 license renewal drawings.

2 CHAIRMAN BONACA: I had a question, and
3 that doesn't go to this application. It's more
4 general.

5 You know, when you do PRA you find that
6 you have a lot of safety related components and
7 others important as you thought they were. And you
8 also find that the few, or a minor population of
9 components which are nonsafety related are
10 critically important for certain sequences. That's
11 really coming from the insides of the PRA. But
12 there is no -- I mean, license renewal does not
13 apply to these components.

14 MS. LOUGHEED: That is true.

15 CHAIRMAN BONACA: Do you find that the
16 licensees however are aware of the importance of
17 those components and take care of them or --

18 MS. LOUGHEED: My impression, and I
19 can't say that this is necessarily that we looked at
20 it on Monticello specifically. But licensees where
21 they have components that their PRAs have shown them
22 to be risk significant, they tend to pay more
23 attention to them because of that.

24 CHAIRMAN BONACA: Yes.

25 MS. LOUGHEED: Simply a lot of times

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because it becomes a matter of economics more. You
2 keep those pieces of equipment operating well and
3 your risk, and therefore your chance of a shutdown
4 go down.

5 So even though they're not considered
6 important to safety, they are treated with more
7 significance than things that are not risk
8 significant at all.

9 CHAIRMAN BONACA: Good.

10 MS. LOUGHEED: And I'll also the little
11 caveat that I think that a lot of the reason that
12 some of the safety systems don't show up as being
13 risk significant is because of the defense-in-depth
14 concept. You know, when you putt redundancy upon
15 redundancy well from a PRA aspect --

16 CHAIRMAN BONACA: Right.

17 MS. LOUGHEED: -- that does drive down
18 the significance.

19 CHAIRMAN BONACA: Right. Yes.

20 MS. LOUGHEED: Basically our conclusion,
21 and I probably should say we did do a lot of
22 walkdowns including into some fairly high radiation
23 areas. Our metallurgist also spent a number of
24 hours reviewing videotapes of the vessel internal
25 inspections and various welding inspections, areas

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that obviously he would not have access to with the
2 plant at power. So we did look at quite a bit from a
3 physical aspect, not just relying on the paperwork
4 and things like that.

5 Overall, we found that with a few minor
6 exceptions the systems were appropriately scoped.
7 We felt that we concentrated on the ones that were
8 most suspect rather than the ones where we knew 100
9 percent was going to be thrown into scope.

10 The applicant did submit some
11 clarification because they were coming up to doing
12 their annual submittal for the license application
13 while it was under review. A lot of the things that
14 we had identified were brought forward into that and
15 were submitted in that way.

16 Going on, we also looked at aging
17 management. My slide says that we reviewed all 33
18 aging management programs, where I notice that the
19 applicant said that there were 36 programs. I'm
20 still scratching my head which three we missed. We
21 really spent a lot of time on this one partly
22 because of the team that I had and the abilities of
23 that team to go in and look at a number of systems.

24 We found that the aging management
25 programs were implemented as described. That the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enhancement and exceptions that were being proposed
2 were acceptable.

3 We did identify some minor
4 inconsistencies, and those were either captured in a
5 revision to the application or in the corrective
6 action program. However.

7 CHAIRMAN BONACA: We talked about the
8 containment liner?

9 MS. LOUGHEED: Right.

10 CHAIRMAN BONACA: What's your opinion?
11 I mean, you went there and looked at it.

12 MS. LOUGHEED: Monticello is not one of
13 the plants that I would worry in Region III about
14 containment liner problems. All right. There are a
15 couple of plants that I have concerns about their
16 containment liners, but Monticello is not one of
17 them.

18 CHAIRMAN BONACA: Okay. Thank you.

19 MS. LOUGHEED: Basically that's -- I
20 know you've read through the inspection report in
21 some detail. We didn't find anything in there
22 either scoping, screening or aging management which
23 we felt would cause any sort of a hinderance to the
24 license being renewed. Overall, we found Monticello
25 to be in very good condition.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: But I must say that
2 I'm very impressed by the inspection report and by
3 the information from the audit. And I think they're
4 quite insightful.

5 MEMBER SIEBER: I concur with Dr.
6 Bonaca's opinion. A very good report.

7 MEMBER MAYNARD: Yes, I agree. It looked
8 like you did a very thorough job.

9 I've got one question. One of the things
10 in the inspection report that came out, I don't
11 think it necessarily associated with the scoping
12 itself, but on the failure to dismiss and relief
13 request. Was that something that your inspection
14 team found or is that something that just occurred
15 while you guys were there?

16 MS. LOUGHEED: No. It was something our
17 inspection team found. I very definitely had a
18 very, very, very team. Especially in the
19 metallurgical area. And we used him to full
20 advantage reviewing a lot of areas that we would not
21 have been able to look at otherwise.

22 MEMBER MAYNARD: Good. Good.

23 MS. LOUGHEED: Going on, you want me to
24 do the current performance? Okay.

25 Monticello is one of our good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performance in Region III. They are in column 1,
2 which was licensee response problem column. We
3 don't have any crosscutting issues opened. We have
4 no major issues at Monticello at all right now. So
5 we are following the revised oversight process with
6 minimum baseline inspections. And we will continue
7 to do that.

8 You can see the screens coming up. We
9 are green in every area on performance indicators.
10 And if you move on to the inspection findings, w
11 really have a lot of areas that we're doing
12 inspections where we don't have findings, which is
13 where the grey comes in. It doesn't mean we're not
14 inspecting there, it means that we haven't found
15 anything. And the areas where we have found things,
16 they have all been green or a very low safety
17 significance.

18 CHAIRMAN BONACA: Very good. Thank you.

19 MR. MERZKE: Just for Patricia's
20 benefit, the 33 aging management programs were the
21 official aging management programs listed in the
22 application. The two timed-limited aging analysis
23 support programs were also considered to be aging
24 management program. So that was 35.

25 Number 36 was a commitment made by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applicant late to implement an E6 program for
2 electrical cable connections.

3 CHAIRMAN BONACA: I'm sorry. Which one
4 is the --

5 MR. MERZKE: It was GALL E6 program.
6 I'll address it in a little bit and we'll have a
7 little discussion, but --

8 CHAIRMAN BONACA: First of all, I want
9 to thank you for the --

10 MS. LOUGHEED: Yes. We did very close
11 to 100 percent on this one.

12 CHAIRMAN BONACA: Great.

13 MS. LOUGHEED: We found they were able
14 to support it and we were able to get it done within
15 the time constraints.

16 CHAIRMAN BONACA: Thanks again.

17 Additional questions for the inspection?
18 If not, we're going to take a break and get back
19 here at 25 after 3:00.

20 (Whereupon, at 3:07 p.m. off the record
21 until 3:30 p.m.)

22 CHAIRMAN BONACA: We are back into
23 session. And we are going to be reviewing now the
24 aging management review results.

25 MR. MERZKE: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'll move on to the discussion of the
2 Staff's review of the aging management program and
3 reviews now.

4 The Staff reviewed at the time 35 aging
5 management programs based on the application. There
6 were 36 overall. The 36 was a late commitment by the
7 applicant to implement the GALL E6 program, which
8 would be consistent with GALL. And I'll discuss
9 that a little bit more in the electrical section.

10 So overall there were 36 aging
11 management programs, 29 of which were existing
12 programs and 7 which will be new programs to be
13 implemented prior to the period of extended
14 operations.

15 Of those, 9 of them were consistent with
16 the GALL Report and 25 were consistent with the GALL
17 Report with exceptions and/or enhancements. There
18 were two plant specific aging management programs;
19 they were a bust duct inspection and system
20 condition monitoring programs.

21 I'm going to start this discussion with
22 I picked a few of the aging management programs out
23 which involves considerable amount of Staff review.
24 And I thought I'd go over the results of those.

25 The first one would be the ASME Section

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 XI In Service Inspection subsections IWB, IWC and
2 IWD program. It's an existing program which is
3 consistent with the GALL Report with exceptions.

4 The LRA stated that relief requests in
5 code cases were not considered exceptions to the
6 GALL Report. The audit team did not agree and
7 requested the applicant evaluate all code cases and
8 relief requests for aging management concerns.

9 The Staff position is that relief
10 requests are not acceptable for aging management
11 because they expire after ten years.

12 The applicant subsequently removed
13 reference requests from the application except for
14 one relief request which has been approved 21 months
15 into the period of extended operations.

16 There were three code cases associated
17 with this aging management program are identified to
18 be exceptions to the GALL Report. They're endorsed
19 by NRC in the Reg. Guide 1.147. They were N-307-2
20 which concerned ultrasonic testing for Class 1
21 bolting with center holes; N-526, which concerned
22 successive examinations when a flaw is detected,
23 and; N-613-N which concerned examine volume of weld
24 and nozzles.

25 The Staff found these acceptable because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're endorsed by the NRC in Reg. Guide 1.147.

2 The bolting integrity AMP was found to
3 be consistent with the Gall report with
4 enhancements. The program will incorporate guidance
5 from EPRI technical reports which include *Bolted*
6 *Joint Maintenance and Application Guide* and the *Good*
7 *Bolting Practices Handbook*

8 . Staff determine the guidelines
9 reflect industry practice and meet the
10 recommendations of the GALL Report.

11 The buried piping and tanks inspection,
12 an aging management program which is consistent with
13 the GALL Report with enhancements. These
14 enhancements are all detailed in the commitment
15 section of the SER.

16 The applicant has committed to perform
17 inspections every ten years. They will credit
18 inspections of opportunity when excavating.

19 The applicant also committed to
20 performing an internal inspection of the diesel fuel
21 oil storage tank every ten years in addition to the
22 external inspection.

23 Other enhancements include a review of
24 operating experience to determine the susceptible
25 locations and to perform further evaluation on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extended condition if pipe wall thickness shows a
2 susceptibility to corrosion.

3 CHAIRMAN BONACA: So let me understand
4 now for buried pipes they're going to do a
5 inspections, but if they do not have any inspection
6 in ten years, they'll do one?

7 MR. MERZKE: That is correct.

8 CHAIRMAN BONACA: Okay.

9 MR. MERZKE: Yes, sir.

10 CHAIRMAN BONACA: And that's consistent
11 with GALL, yes.

12 MR. MERZKE: Ultrasonic testing and
13 visual inspections completed in 1999 and 2003 showed
14 no degradation or aging effects.

15 BWR vessels internals program. It's
16 consistent with the GALL Report with exception and
17 enhancement. The exception was that the applicant
18 used the updated water chemistry guidelines of
19 BWRVIP-130, as the GALL recommended BWRVIP-29. The
20 Staff found this acceptable as it's an updated
21 version of the same guidelines, and that was issued
22 in 2004.

23 Enhancement to this program is to use
24 the BWRVIP guidelines for inspection, evaluation and
25 repair to the maximum extent possible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The applicant made a number of
2 commitments based on questions from the audit and
3 inspection teams. They include additional top guide
4 inspections beyond those required by BWRVIP-26 and
5 steam dryer per BWRVIP-139.

6 Regional inspectors identified a couple
7 of issues which resulted in commitments to inspect
8 in core monitoring dry tubes per General Electric
9 Service Information Letter 409 and spray core piping
10 welds in accordance with BWRVIP-18.

11 In addition, core plate hold down bolts
12 will be inspected in accordance with BWRVIP-25 which
13 requires either UT or enhanced visual inspection or
14 another inspection technique which would be reviewed
15 and approved by the NRC.

16 In lieu of inspections, the applicant
17 has committed to installing wedges to replace
18 lateral load resistance prior to the period of
19 extended operations if they're unable to complete
20 those inspections.

21 CHAIRMAN BONACA: For core spray piping
22 welds, if I remember, the issue was that they did
23 not identify the flow through the welds, through the
24 cracks that you may have.

25 MR. MERZKE: The issue was that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were not doing the inspection on the welds because
2 the welds were -- they have mechanical clamps
3 surrounding them which replace the structural
4 integrity of the welds. The inspection team looked
5 at it a different way. If the crack developed in the
6 weld, it would be a diversion path for core spray.
7 And in case of an accident, that core spray would be
8 diverted outside the shroud and unavailable and it
9 might impact P-clad temperature. So the applicant
10 decided that it would be prudent to bring those --
11 inspect in accordance with BWRVIP-18.

12 CHAIRMAN BONACA: Good.

13 MR. MERZKE: The flow accelerated
14 corrosion program. This is an existing program
15 which is consistent with the GALL Report. The
16 application originally stated that the trigger point
17 for conducting an engineering evaluation for
18 nonsafety related piping would be 60 percent nominal
19 wall thickness. Staff could find no technical basis
20 for this number, so the applicant committed to using
21 87.5 percent nominal wall thickness as a trigger
22 point for all piping susceptible to flow accelerated
23 corrosion. The applicant uses 87.5 percent nominal
24 wall thickness as a trigger point for evaluation for
25 safety related piping also.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 For inaccessible medium voltage cables
2 not subject to 10 CFR 50.49 environmental
3 qualification requirements. This is a new program
4 which will be consistent with GALL and implemented
5 prior to the period of extended operation.

6 The application originally indicated
7 that medium voltage cables that are not subject to
8 prolonged exposure to significant moisture due to
9 inspecting for water collection and cable manholes
10 and conduits do not require testing. The Staff
11 position was that testing should be in addition to
12 inspection for water collection. The applicant
13 committed to conduct the testing as well as to
14 inspect initially at least once every two years, and
15 that two years comes from their operating
16 experience.

17 CHAIRMAN BONACA: Now from reading the
18 application most of these cables are just simply
19 buried in the ground. I mean, so --

20 MR. MERZKE: they do have some conduit,
21 too, sir.

22 CHAIRMAN BONACA: Some of them?

23 MR. MERZKE: Yes.

24 CHAIRMAN BONACA: A few. So, I mean,
25 the first portion of this program only addresses

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those few. So there's nothing you can do about
2 that?

3 MR. MERZKE: Well, the applicant has not
4 detected any water in any manholes during the
5 inspection process. So they've not detected any
6 moisture.

7 This program is supposed to be
8 consistent with the GALL Report which will cover all
9 medium --

10 CHAIRMAN BONACA: Oh, I agree with that.

11 MR. MERZKE: Okay. Reflecting on the
12 fact, and I was wondering because tomorrow we're
13 going to have presentation on this issue for current
14 licensing value. And after feeling comfortable with
15 the fact that this program is going to inspect for
16 water in manholes I was startled by the reality that
17 most of these cables are really in the ground,
18 they're not in conduits. And so that portion of the
19 program doesn't do much for us.

20 MR. MERZKE: Right. I guess that's where
21 the testing comes in.

22 CHAIRMAN BONACA: Yes.

23 MR. MERZKE: The reactor head closure
24 studs programs. It's an existing program which is
25 consistent with the GALL Report. The application

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 did not identify any exceptions to GALL here. The
2 audit team review determined that the use of code
3 case N-307-2 was an exception to GALL. This code
4 case alters the portion of the stub which examined.

5 The Staff found the exception acceptable
6 because the examination will identify the relevant
7 aging effects cracking and corrosion as the high
8 stressed portion of the stud continues to be
9 examined.

10 Inspectors also identified installed
11 studs which exceeds 175 kilo pounds per square inch
12 tinsel strength, which is what's recommend in Reg.
13 Guide 1.65 to minimize the likelihood of stress
14 corrosion cracking.

15 The applicant considers all these
16 students susceptible to cracking and is implementing
17 the preventive measures of Reg. Guide 1.65. The
18 applicant continues to conduct ultrasonic testing
19 and surface examinations on a ten year interval. And
20 to date, no parent degradation has been identified.

21 For the aging management review results
22 there's 100 percent review done; 36 plant systems,
23 18 structure in four commodity groups. I just
24 highlighted a few areas here.

25 Section 3.3 in the auxiliary systems

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there was a significant discussion on elastomers.
2 The application originally identified AMRs for
3 elastomers subject to elevated temperatures,
4 ultraviolet or ionizing radiation. The applicant
5 claimed no aging effect for elastomers in a plant
6 indoor air environment. It was the Staff's position
7 that elastomers subject to an ozone environment
8 experienced degradation that needs to be managed.
9 The applicant amended their application to manage
10 aging of elastomers in an air environment using the
11 system condition monitoring program and the one time
12 inspection programs.

13 The cable spreading room Halon system
14 will be inspected and tested every 18 months. Life
15 to six months is recommended by the GALL Report.
16 The GALL is based on the NFPA recommendations, which
17 takes into consideration system failures across all
18 industry, not just do to aging effects. Plant
19 specific operating experience has demonstrated that
20 an 18 month inspection interval will detect aging
21 effects prior to loss of intended function. Staff
22 accepted this exception because the 18 month
23 surveillance interval is part of the NRC approved
24 fire protection program and thus forms of an element
25 of the plant's current licensing basis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Section 3.5 aging management for the
2 drywell shell, the Staff found the applicant's
3 program for managing aging effects to the drywell
4 shell acceptable and consistent with the proposed
5 staff license renewal ISG which was issued for
6 comment earlier this month.

7 The applicant follows the code
8 requirements specified by ASME Section XI,
9 subsection IWE. UT performed in the sand pocket
10 region in 1986 and 1987 detected no degradation.
11 The applicant instituted a leakage monitoring
12 program which detects for water leakage past the
13 refueling seal bellows which is in the scope of
14 license renewal. It also detects leakage in the
15 drywell air gap drains and the sand pocket drains.
16 Drains are verified open and no leakage detected
17 every refueling outage. In addition, there's an 19
18 gauge galvanized sheet metal cover sealed to the
19 vessel and surrounding concrete which covers the
20 sand pocket region. Drywell air gap drains drain
21 any water on top of the cover, as you saw in the
22 applicant's diagram.

23 MEMBER MAYNARD: When did this
24 monitoring program start?

25 MR. MERZKE: I believe it was a result

1 of the response to Generic Letter 87-05.

2 MEMBER MAYNARD: So it's been in place
3 since 1987? Is that correct?

4 MR. MERZKE: That's correct.

5 The Staff found this program acceptable
6 to managing aging of the drywell.

7 CHAIRMAN BONACA: You had a comment,
8 Sam, it was important all the --

9 MEMBER ARMIJO: Yes. I had a question
10 when the UT examine was done in 1987 there's four
11 drain lines, sand drain lines. And was a UT done in
12 between those where there might be a low point there
13 that wasn't drained in the sand pocket region or was
14 it done at the location where the drain lines are?

15 MR. MERZKE: I don't have an answer to
16 that. I think the applicant may.

17 MEMBER ARMIJO: Do you have an idea?
18 Could we find out sometime, on call or something?

19 MR. MERZKE: Okay. Any other questions?

20 CHAIRMAN BONACA: You have those
21 requests regarding the configuration of the drain
22 pipe and the fact that --

23 MR. MERZKE: Well, look, I start --

24 CHAIRMAN BONACA: -- the design to
25 accumulate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: Yes. The stand pipe
2 design, it's kind of strange to me why it even
3 exists. Why isn't it just cut off and if there's
4 anything in there, it drains out onto the floor.
5 You know, it's not the scope of the ACRS to do a
6 design, but it seems strange to me that that stand
7 pipe is an asset. I think it's necessary. I don't
8 know why you guys --

9 MR. MERZKE: You'll have to talk about
10 it.

11 MEMBER ARMIJO: You must like it for
12 some reason or somebody likes it.

13 MR. PAIRITZ: This is Joe Pairitz the
14 Project Manager for Monticello.

15 The stand pipe, I believe, was
16 originally designed that way because the drain is
17 full of sand and part of the stand pipe is full of
18 sand. I think it was meant to keep the sand from
19 migrating out and going all over the floor. You'd
20 constantly be sweeping up sand.

21 So I looked at it and said they must
22 have done that to keep the sand in, but that's my
23 personal opinion.

24 MEMBER ARMIJO: Thank you.

25 I don't think it would pore out. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think it'd just jam up in there. As long as the
2 water gets out.

3 MR. MERZKE: All right. Continue on for
4 aging management of in scope inaccessible concrete,
5 the applicant stated and the Staff verified that the
6 below grade environment is not aggressive. Periodic
7 testing of the ground water will be performed as
8 part of the structure's monitoring program.

9 Section 3.6 covered electrical and I&C
10 components. There were four commodity groups
11 reviewed; electrical penetrations, fuse holders,
12 nine EQ cables and connections and off-site power
13 and station blackout recovery paths.

14 The Staff noted that industry operating
15 experience shows loosening of metallic parts of the
16 cable connections. Requested that the applicant
17 demonstrate how this effect will be managed. In
18 response, the applicant committed to implement a new
19 aging management program consistent with the GALL
20 AMP E6 electrical cable connections not subject to
21 10 CFR 50.49 EQ requirements prior to entering the
22 period of extended operations.

23 This application was originally reviewed
24 under the original GALL, GALL Rev. 0. The E6
25 program was not part of that GALL. The applicant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has committed to basically implementing one of the
2 programs implemented in the latest GALL revision.

3 I'd like to move on and discuss the
4 timed-limited again analyses. The first table here
5 summarizes the upper shelf energy for the limiting
6 belt line components. The acceptance criteria for
7 upper shelf energy is greater than 50 foot pounds.
8 The applicant has demonstrated and the Staff has
9 verified that the upper shelf energy for the
10 limiting belt line components at Monticello will
11 exceed 50 foot pounds at the end of the period of
12 extended operations.

13 The next table summarizes the mean nil
14 ductility reference temperature for the limiting
15 circumferential and axial welds. The values for
16 both are calculated to be within acceptable limits
17 through the period of extended operation pursuant to
18 10 CFR 54.21(a)(1)(ii).

19 CHAIRMAN BONACA: A question I have,
20 okay, this is more learning on my part, but I found
21 for this plant a lot of equivalent margin analysis
22 and, you know, which we haven't seen often before.
23 Maybe it is because of BWR versus PWR, but typically
24 we have a screening process by which you say you
25 meet the screening criteria and you don't have to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any further analysis.

2 MR. ELLIOTT: Right.

3 CHAIRMAN BONACA: And here I saw a lot
4 of equivalent margin analysis. If it's a separate
5 issue, you might want to address both. In page 422
6 of the application when it speaks of reactor
7 pressure vessels circumferential weld properties and
8 then it presents a conditional failure probability
9 at 64 EFPY of 1.78 as an acceptance criteria. And I
10 haven't seen that.

11 MR. ELLIOTT: I can't hear you. But let
12 me just summarize.

13 We went through the licensee what they
14 had to do for the upper shelf energy. And it turns
15 out they have four plates in the -- I think it's
16 four plates in the belt line. And one of the plates
17 is in their surveillance program, so they actually
18 have Charpy data for that plate.

19 CHAIRMAN BONACA: Okay.

20 MR. ELLIOTT: The problem is the other
21 three plates they don't have enough Charpy data to
22 know what the upper shelf energy is. And this is
23 not something that's specific to them. There's a
24 lot of GE plants that have the same problem.

25 When these plants were originally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensed there was no requirement to do upper shelf
2 energy testing. You just had to test in the
3 transition region and you had to have a lower enough
4 transition temperature so that you had adequate
5 toughness. So they didn't do the testing on the
6 upper shelf energy. And this is typical of a lot of
7 GE plants.

8 So what GE did was they have a topical
9 report on this issue in which they say that if you
10 don't have specific values of upper shelf energy,
11 they have developed a methodology, equivalent margin
12 analysis methodology that if you have a certain
13 amount of irradiation embrittlement, you're with
14 their bounds of their analysis. So that's what they
15 were first attempting to do; to show that for these
16 plates they were within the bounds of GE and generic
17 analysis.

18 CHAIRMAN BONACA: Yes. Okay. So that's
19 likely that for GE plants we're going to see more of
20 this?

21 MR. ELLIOTT: Yes. For GE plants this
22 is very typical.

23 CHAIRMAN BONACA: But it is not really a
24 marginality of this vessel. It's more like it's
25 typical of the approach we're going to see for GE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plants, for boilers?

2 MR. ELLIOTT: Right.

3 CHAIRMAN BONACA: Well the other issue
4 is that cable on page 422 where they're speaking of,
5 sort of the, configuration of weld -- essentially
6 the calculation reference, NRC calculation where a
7 condition of failure probability as 64 EFPY is used
8 as a criteria.

9 MR. ELLIOTT: Yes.

10 CHAIRMAN BONACA: And that's 1.78 and
11 ten to the minus five. And I really surprised by
12 seeing this kind of criteria used.

13 MR. ELLIOTT: Are we talking about the
14 circumferential welds?

15 MR. MERZKE: Yes. It's the BWRVIP-05.

16 MR. ELLIOTT: Okay. We reviewed the
17 circumferential welds under the BWRVIP-05 program.

18 CHAIRMAN BONACA: Okay.

19 MR. ELLIOTT: And the purpose of that
20 review at the time was to eliminate the inspection
21 of the circumferential welds. And GE put out their
22 report, and we reviewed it. And we did our own
23 analyses to convince ourselves that what they were
24 saying was true. So we put out in our safety
25 evaluation of that topical report our own analyses.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes.

2 MR. ELLIOTT: And we took their
3 fluences.

4 CHAIRMAN BONACA: Yes.A

5 MR. ELLIOTT: And we extended it,
6 originals were 40 years. And we extended it to 64
7 effective full power years just to show how it would
8 impact the analyses. And we determined that even at
9 65 effective full power years they would still be
10 the criteria that we had established to eliminate
11 the inspection of the circumferential welds.

12 CHAIRMAN BONACA: That's the inspection
13 effect. Okay. Yes, that was on page 422 of the
14 application. Bill, you were looking at it.

15 All right. That was to eliminate the
16 inspection. Okay. All right. I think that you've
17 gotten what I needed.

18 MEMBER SHACK: I mean, they eliminate
19 the inspection mostly because they can't do it?

20 MR. ELLIOTT: No, no. They can't do a
21 100 percent.

22 MEMBER SHACK: They can't do a 100
23 percent, yes.

24 MR. ELLIOTT: But the reason we have
25 eliminated it isn't because of that. We find that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the axial welds are much more susceptible. If
2 something was going to happen, they're under a much
3 higher stress than the circumferential welds. And
4 so that the axial welds would be a precursor to what
5 would happen for the circumferential welds. So as
6 long as we inspect the axial welds, we're
7 comfortable that you don't need to inspect the
8 circumferential welds.

9 CHAIRMAN BONACA: Okay. Thank you.

10 MR. MERZKE: On to Section 4.3 the
11 application covering metal fatigue. The applicant
12 satisfactorily demonstrated that the cumulative
13 usage factor, CUF, for all components subject to
14 fatigue will not exceed 1.0 through the period of
15 extended operations. Components evaluated are
16 monitored by the applicant's fatigue monitoring
17 program, which the staff found acceptable.

18 Section 4.4 covers irradiation-assisted
19 stress corrosion cracking or IASCC. Components made
20 from austenitic stainless steel exposed to a neutron
21 fluence in excess of 5 times 10 to the 20th neutron
22 per centimeter squared considered it susceptible to
23 IASCC. These components include the top guide,
24 shroud and in core instrumentation, dry tubes and
25 guide tubes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 IASCC is managed by Monticello by the
2 ASME Section 11 ISI sub sections IWB, IWC and IWD
3 program, vessel internals implant chemistry
4 programs.

5 In 1999 the applicant implemented the
6 hydrogen water chemistry program to reduce the
7 oxygenated environment also reducing the
8 susceptibility to IASCC.

9 In addition to the examinations required
10 by the ISI program, the applicant committed to
11 conduct additional top guide inspections of the high
12 fluence locations using the enhanced visual
13 inspection technique.

14 Section 4.7 covers the environmental
15 qualification of electrical equipment. The Staff
16 reviewed the applicant's TLAA on environmental
17 qualification program and concluded that the
18 evaluation was acceptable in accordance with 10 CFR
19 54.21(c)(0)(ii).

20 Section 4.8 covered the stress
21 relaxation of rim hold-down bolts. The applicant
22 provided an analysis on the stress relaxation of the
23 core plate hold-down bolts, which the Staff
24 reviewed. The Staff found the initial evaluation
25 unacceptable because it relied on friction, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was not included in the generic analysis accepted in
2 BWRVIP-25. The Staff requested the applicant
3 provide an analysis which did not include friction.
4 Subsequent analysis was provided by General
5 Electric. It was comparative analysis between the
6 BWRVIP-25 loads and the Monticello specific loads.
7 The analysis determined that the bolt stresses at
8 Monticello were either bounded by the BWRVIP-25
9 analysis or within ASME allowables. The Staff found
10 the analysis acceptable pursuant to 10 CFR
11 54.21(C)(1)(ii).

12 To summarize the TLAAs, pursuant to 10
13 CFR 54.3 the Staff found the TLAA list adequate and
14 pursuant to 10 CFR 54.21(c)(1) the Staff found that
15 the analyses provided would be the remain valid for
16 the period of extended operations. They were
17 projected to the end of the period of extended
18 operations or that the effects of aging will be
19 adequately managed for the period of extended
20 operations.

21 And pursuant to 10 CFR 54.21(c)(2) there
22 are no plant specific exceptions.

23 In conclusion, the Staff has concluded
24 that there is reasonable assurance that the
25 activities authorized by the renewed license will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 continue to be conducted in accordance with the
2 current licensing basis. And that any changes made
3 to the MNGP current licensing basis in order to
4 comply with 10 CFR 54.29(e) or (a) are in accord
5 with the Act and the Commission's regulations.

6 Does anybody have any further questions?

7 CHAIRMAN BONACA: Any questions? No
8 questions. We thank you for that presentation. It
9 was very informative.

10 At this stage what I would like to do is
11 to, first of all, ask the audience if you have any
12 questions for the presenters. There are none.

13 What I would like to do is to go around
14 the table and get insights on two things. One, do
15 we need to have a interim letter. And a second
16 question that I have is views regarding the
17 application and the safety evaluation reports by
18 individual members. You know, what are the most
19 notable issues. I believe I'm scheduled for a brief
20 update to the full Committee tomorrow or the day
21 after. So I would like to know from you what input
22 I should provide.

23 So again, two questions: (1) Should we
24 have an interim letter, and; (2) what feedback
25 should we give to the full Committee on this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. And also some views that you may have
2 on the application and the safety evaluation report.

3 So I'll start with you, Jack?

4 MEMBER SIEBER: Okay. The answer to
5 your first question is I don't see a need for an
6 interim letter.

7 My view of the application and the SER
8 and the audit and inspection report is that all
9 three documents were generally well done and
10 complete. I think the application was
11 comprehensive, even though the Staff did determine
12 in the area of scoping there were a few minor
13 corrections that needed to be made.

14 I think particularly impressive was the
15 inspection and audit report headed up by Region III.
16 Again, they have done an excellent job and it
17 results in including the licensee's effort to review
18 RAIs sent to other LER license renewal candidates.
19 Their requests for additional information and
20 include the answers in their application; I think
21 that saves a lot of effort for both the licensee and
22 the Staff. And I commend the licensee for doing
23 that.

24 And the result was an unusually low
25 number of RAIs. And I think the process more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 efficient. I think it reduces burden on all parties
2 involved. And I think shows the maturing of the
3 license renewal process.

4 The inspection and audit report, again,
5 was very thorough and well written. And basically
6 left no stone unturned. It was very clear to me what
7 steps the inspectors took to make their
8 determinations.

9 And so I think overall I would say that
10 it was a job well done.

11 In addition to looking at the
12 application, the inspection and audit report and the
13 SER, I also looked at other inspection reports
14 related to that plant on the NRC's website along
15 with their reactor oversight process, performance
16 indicators. And I was familiar years ago with the
17 performance of both of those northern states power
18 plants, Monticello and Perry Island. And it appears
19 based on what I could read and what I reviewed, that
20 they continue to perform well, and to me that's an
21 important factor.

22 So overall I was generally impressed
23 with the quality of both the licensee and the
24 Staff's reports. And I think the job was well done.

25 CHAIRMAN BONACA: Good. Thank you, Jack.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Appreciate it.

2 Bill?

3 MEMBER SHACK: I don't see any need for
4 an interim letter.

5 I'm still curious about this factor of
6 14 in the fluence. I mean, that just strikes me as
7 an extraordinary change in value that I can't
8 conceive of. And if somebody could email an
9 explanation of where it comes from --

10 MR. ZIMMERMAN: We'll do that. We'll get
11 that to you.

12 CHAIRMAN BONACA: Okay. Sam?

13 MEMBER ARMIJO: Yes. I don't want to
14 comment on the need for an interim letter. I don't
15 know enough about the process yet to talk about
16 that.

17 I think I agree with Jack's assessment
18 overall. I think a very nice job done by the Staff
19 and by the applicant.

20 I still have a nagging concern about the
21 drywell in that I'm not sure that the UT inspection
22 that was done was done in the worst location or the
23 most severe location. So I'd appreciate if either
24 the Staff or Niagara-Mohawk could tell where these
25 inspections were done before we put that issue to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bed. If it was done in the worst case location, I
2 think they've got plenty of margin in this plant.
3 BWR 3s have always been our really nice little
4 plants, low powered power density plants. And I
5 think the plant's been very well maintained. And I
6 think the plan to keep it that way is good.

7 So other than the issue n the --

8 CHAIRMAN BONACA: Well, let me just
9 point out that the issue on the interim letter. If
10 this was, for example, to be a significant issue for
11 which we have expectations, that would be a
12 motivation for writing an interim letter.

13 MEMBER ARMIJO: That's what I wanted to
14 ask. You know, maybe we just don't have the
15 information. But if it turned out, for example I
16 just have this concern that there could be a low
17 point where water's accumulated and stayed there for
18 a long time, and that wasn't the location where the
19 UT exam was done, it was done somewhere else. So
20 that's really my remaining concern.

21 MR. ZIMMERMAN: We'll look into that,
22 and we'll get that back to you through Tany. And
23 we'll talk to the licensee about that.

24 CHAIRMAN BONACA: Otto?

25 MEMBER MAYNARD: And you said Niagara-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mohawk, I don't think Niagara-Mohawk is going to get
2 you anywhere on --

3 MEMBER ARMIJO: Oh, no, no. Monticello.
4 I'm sorry. I said Niagara-Mohawk, I'm sorry. It's
5 still a BWR, I think.

6 MEMBER MAYNARD: Yes.

7 I see no need for an interim letter. I
8 agree with the previous comments on the overall
9 quality, scope and depth of the reports.
10 Especially complimentary of the inspection report
11 there.

12 And I believe that other Sam's specific
13 question on the location of these inspections, I
14 think that most of the issues that we may have
15 lingering a little bit on the shell is really more
16 of a generic question and issue that we need to come
17 to grips with than it is a Monticello specific as to
18 exactly what's required. It appears to me as though
19 they're doing exactly what the interim staff
20 guidance is requiring and have done that. So I think
21 it's more of a generic than a plant specific force.

22 CHAIRMAN BONACA: Okay. Thank you.

23 Yes, I share some of the views of the
24 rest of the Committee.

25 First of all, I was impressed by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 clarity of the application, and most of all the
2 inspection reports. I mean they were quite informed,
3 they provided a lot of information.

4 Regarding the liner, containment liner,
5 you know the presentation from the inspector leader
6 here gave some confidence. Because, I mean, they
7 probed the issue, they went back and looked at it.

8 I still believe, however, that it is
9 somewhat concern to me and I tend to agree with you,
10 Otto, that it is a generic issue right now. You
11 know we don't have a very clear basis for saying
12 Browns Ferry should inspect and Monticello should
13 not or doesn't need to. I mean I don't understand
14 yet what makes the big distinction there, okay. And
15 I think we have to clarify this issue.

16 In addition to that, I'm kind of
17 concerned about license renewal and all this
18 inaccessible components. I mean, the issue is not
19 only the liner. The issue is the cables we are going
20 to discuss tomorrow on this Generic Letter. The
21 issue is piping, which is buried under. And you
22 know these components are not going to operate
23 forever. You're going to have some incidents of
24 degradation tied to aging and I'm not sure that the
25 programs we have in place are going to address the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues in a complete fashion.

2 I know going back to the containment
3 liner, I mean I am puzzled by the guidance that we
4 have licensees by which we impose a requirement for
5 an inspection on one and we do not on some other. It
6 is all left to the judgment of the reviewer. I
7 think it's an important issue that we have to look
8 at.

9 If that was my plant and I have been 19
10 years without looking at it, I would commit to do an
11 inspection. Now does it meet however the
12 requirement of the rule? It sounds like it does.
13 So, you know, my sense is is maybe we don't interim
14 letter. The only purpose of an interim letter would
15 be for us to say to recommend that they have an
16 inspection done. And, you know, my sense is that
17 let's leave it as a generic issue.

18 And I think it will be interesting to
19 gain an understanding of this issue as we go forward
20 so that we have a better understanding of when we're
21 going to ask for an inspection and when we're not.

22 MR. ZIMMERMAN: In fact, tomorrow at
23 3:15 we're scheduled to come over here and brief you
24 on the ISG, so that will prompt further dialogue on
25 the issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes. Okay. Good.
2 And that brings it to the table anyway.

3 So outside of these comments, I mean I
4 think that again it sounds like this is a good
5 plant, has a good operating history. It seems to be
6 ready for moving on to --

7 MEMBER SHACK: Well, I'm impressed when
8 they found a number of SAMAs that would improve
9 their safety, they went out and implemented them.

10 CHAIRMAN BONACA: Yes.

11 My concluding statement, I agree with
12 the other comments of the members. Very low number
13 of RAIs, by the way. It is a real improvement in
14 the process. And I think we're getting to a maturity
15 of the license renewal process.

16 Okay. So you've got our comments.
17 We're not going to have an interim letter, at least
18 we're not going to recommend one to the full
19 Committee.

20 And I'm going to turn around and see if
21 there are any further questions or comments
22 regarding these applications from the public. If
23 are no further comments, this meeting is adjourned.

24 (Whereupon, at 4:10 p.m. the meeting was
25 adjourned.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

Official Transcript of Proceedings
NUCLEAR REGULATORY
COMMISSION

Title: Advisory Committee on Reactor Safeguards
Plant License Renewal Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, May 30, 2006

Work Order No.: NRC-1057

Pages 1-114

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

PLANT LICENSE RENEWAL SUBCOMMITTEE

MEETING

+ + + + +

ROCKVILLE, MARYLAND

TUESDAY

MAY 30, 2006

The Subcommittee met in Room 2TB3 at Two White Flint North, 14555 Rockville Pike, Rockville, Maryland, at 1:30 p.m., Mario V. Bonaca, Subcommittee Chair, presiding.

MEMBERS PRESENT:

MARIO V. BONACA Chairman

J. SAM ARMIJO

WILLIAM J. SHACK

JOHN D. SIEBER

GRAHAM B. WALLIS

OTTO MAYNARD

1 NRC STAFF PRESENT:

2 CAYETANO SANTOS Designated Federal Official

3 JAKE ZIMMERMAN

4 DAN MERZKE

5 PATRICIA LOUGHEED

6 DAVE POTTER

7 MICHAEL ALEKSEY

8 PETER WEN

9 BARRY ELLIOTT

10 HANSRAJ ASHAR

11 JAMES MEDOFF

12 DR. KEN CHANG

13 DR. K.T. KUO

14 MONTICELLO REPRESENTATIVES PRESENT:

15 PATRICK BURKE

16 JOHN GRUBB

17 JOEL PAIRITZ

18 SHERRY BERNHOFT

19 JIM ROOTES

20 RON SIEPEL

21 STEVE HAMMER

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18

A-G-E-N-D-A

OPENING REMARKS 4

STAFF INTRODUCTION, Mr. Zimmerman 5

MONTICELLO LICENSE RENEWAL APPLICATION, P. Burke 8

 Description, J. Grubb 10

 Operating history, background, scoping,
 P Burke 15

 Application of GALL, P. Burke 34

 Industry topics, J. Pairitz 34

 Commitment process, J. Pairitz 68

SER OVERVIEW 70

 Overview, D. Merzke 70

 Scoping and screening results, D. Merzke 72

 License renewal inspections, P Lougheed 75

AGING MANAGEMENT REVIEW RESULTS and TIME-LIMITED
AGING ANALYSES, D. Merzke 84

SUBCOMMITTEE DISCUSSION 107

P-R-O-C-E-E-D-I-N-G-S

1.31 p.m.

CHAIRMAN BONACA: The meeting will now come to order.

This is a meeting of the Plant License Renewal Subcommittee. I am Mario Bonaca, Chairman of the Plant License Renewal Subcommittee.

The ACRS members in attendance are Jack Sieber, Bill Shack, Graham Wallis, Sam Armijo and Otto Maynard.

Cayetano Santos of the ACRS Staff is a Designated Federal Official for this meeting.

The purpose of the meeting is to discuss the license renewal application for the Monticello Nuclear Generating Plant. We will hear presentations from the NRC's Office of Nuclear Reactor Regulation and representatives of the Nuclear Management Company.

The Subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberation by the full Committee.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the *Federal*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Register. We have received no written comments or
2 requests for time to make oral statements from
3 members of the public regarding today's meeting.

4 A transcript of the meeting is being
5 kept and will be made available as stated in the
6 *Federal Register* notice. Therefore, we request that
7 participants in this meeting use the microphones
8 located throughout the meeting room when addressing
9 the Subcommittee. The participants should first
10 identify themselves and speak with sufficient
11 clarity and volume so that they may readily heard.

12 We will now proceed with the meeting.
13 And I call upon Mr. Jake Zimmerman to begin the
14 meeting.

15 MR. ZIMMERMAN: Thank you, Dr. Bonaca.

16 Good afternoon. My name is Jake
17 Zimmerman. I'm the Branch Chief in License Renewal
18 Branch B, in the Division of License Renewal.

19 With me today is Dr. Ken Chang, who is
20 the Branch Chief for License Renewal Branch C, whose
21 responsibility is the on-site audits of the aging
22 management programs and the aging management reviews
23 and also the time limit and aging analysis.

24 Behind me also is Dr. P.T. Kuo, our
25 Deputy Director for the Division of License Renewal,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 who you all are familiar with.

2 The Staff has conducted a very detailed
3 and thorough review of the Monticello Nuclear
4 Generating Plant license renewal application which
5 was submitted in March of 2005. Mr. Dan Merzke,
6 here to my right, is the Project Manager for this
7 review. He will lead the Staff's presentation this
8 afternoon on the draft safety evaluation report.

9 In addition we have Ms. Patricia
10 Lougheed who is our team leader for the Region III
11 inspections that were conducted at Monticello
12 Nuclear Generating Plant.

13 We also have several members of the NRR
14 technical staff here in the audience to provide
15 additional information and answer your questions.

16 The Staff felt that the Monticello
17 Nuclear Generating Plant application was of very
18 good quality. This resulted in the issuance of only
19 a 113 formal requests for additional information. I
20 know the ACRS has been interested in the number of
21 questions that have come out of these reviews in the
22 past. We believe part of that reduction is as a
23 result of the Generic Aging Lessons Learned Report.
24 This application was submitted using the draft GALL
25 Report that was issued back in January of 2005,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 however it was reconciled with the September 2005
2 version of the GALL Report. In fact, it resulted in
3 a 95 percent consistency between their application
4 and the revised GALL. So I think it was a good
5 application. The GALL certainly helped with the
6 review providing a roadmap.

7 In addition, the Staff at Monticello
8 provided excellent support for our on-site audits,
9 the inspections that were conducted and also the
10 headquarters reviews through the conference calls
11 and numerous meetings that we had.

12 Because there are no open items, the
13 Staff has requested that we accelerate the schedule
14 to complete this review in 20 months versus our
15 standard 22 months. That's been the practice over
16 the last several license renewal applications, and
17 we're working with ACRS Staff to set up the next
18 meeting.

19 And with that, I'd like to turn it over
20 to Pat Burke, who is the Manager of this project to
21 begin the applicant's presentation.

22 MR. BURKE: Thank you, Jake.

23 And thank you members of the ACRS
24 Subcommittee for allowing Monticello to present this
25 presentation in support of the Staff in this meeting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 today.

2 What I'd like to do is start off by
3 giving a brief introduction of the team and the
4 members that we have here today to help answer any
5 questions you may have.

6 Now we have on my left here a Mr. John
7 Grubb, who our Director of Engineer.

8 We have Ms. Sherry Bernhoft, who is the
9 Director of Fleet Project Management in the
10 audience.

11 Again, I am Patrick Burke, the Manager
12 of Projects.

13 Joel Pairitz is our License Renewal
14 Project Manager.

15 Ray Dennis is our civil lead.

16 Ron Spiepel is our electrical lead.

17 Jim Rootes is our programs lead.

18 Michael Aleksey we have as our TLAA
19 support.

20 Dave Potter is our engineering
21 supervisor of inspections and materials.

22 And Steve Hammer is a principal engineer
23 on the project.

24 We also have with us today our sister
25 plant, Palisades from the Nuclear Management Company

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 observing and gaining any lessons learned during
2 this presentation today.

3 What we'd like to talk about today is
4 the agenda. We will start with having John Grubb go
5 over a brief description of the Monticello Nuclear
6 Generating Plant.

7 And I'll talk a little bit about the
8 operating history and some highlights. I'll talk a
9 little bit about the project application and
10 background. I'll discuss the methodology. And as
11 Jake mentioned, we'll talk a little bit about the
12 application of the GALL to Monticello's application.

13 At that point I'll turn it over to Joe,
14 our Project Manager to go over a couple of industry
15 topics such as drywell shell corrosion shroud
16 cracking, steam dryer. And then we'll conclude with
17 a short discussion on commitment process.

18 At this point I'd like to turn it over
19 to Mr. John Grubb.

20 MR. GRUBB: All right. Thank you, Pat.
21 And again, thanks to the Committee.

22 A brief description of the Monticello
23 plant. The plant is located, it's on the banks of
24 the Mississippi River. It's roughly 30 miles
25 northwest of Minneapolis. It's approximately 2100

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 acres of land that's owned by Xcel Energy.

2 The plant is a single unit GE BWR 3. We
3 do have a Mark I containment.

4 MEMBER WALLIS: One question about this.

5 MR. GRUBB: Yes, sir.

6 MEMBER WALLIS: How far do the suburbs
7 of Minneapolis extend the direction of the plant?

8 MR. GRUBB: The closest suburb actual
9 Minneapolis suburb to the plant is the Maple Grove
10 suburb, and it's about 18 to 20 miles.

11 MEMBER WALLIS: Okay. Thank you.

12 MR. GRUBB: Our current license thermal
13 power is 17075 megawatts thermal, approximately 600
14 megawatts electric.

15 The plant is owned by Northern States
16 Power Company, which is a subsidiary of Xcel Energy.

17 The plant is operated by the Nuclear
18 Management Company.

19 And we have an on-site staff of
20 approximately 420.

21 Just a quick aerial view of the station.
22 The Mississippi River, which is ultimate heat sink.
23 Intake structure here. Turbine building. Reactor
24 building. Cooling towers and discharge canal here.
25 Return to the river up in the upper left. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 subyard is here. It's a pretty small, relatively
2 compact site.

3 Next.

4 What you'll see in this slide is that
5 Monticello has historically been and continues to be
6 a very reliable plant. Our current unit capability
7 factor is rated at 93 percent. Our INPO performance
8 index is at 100 percent. We are greater than 1500
9 days since our last scram from power. Our current
10 operating cycle, we've been online for greater than
11 400 days. We currently have no equipment issues that
12 are threatening unit availability.

13 MEMBER SHACK: What's your fuel like?

14 MR. GRUBB: We are on a two year fuel
15 cycle.

16 The performance indicators are all
17 green. And we have no findings that have been
18 greater than green.

19 MEMBER SIEBER: I have a question about
20 the inspection findings.

21 MR. GRUBB: Yes, sir.

22 MEMBER SIEBER: I looked through all of
23 your inspection reports for the last couple of
24 years, and including the summary of the findings.
25 And they were all green or less. And I noticed a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lot of areas didn't have any findings at all, which
2 is actually a good thing.

3 On the other hand, if I review all those
4 findings which resulted in on-sited violations, I
5 think that you might be able to pick out a trend.
6 And I was wondering if you have done that and see a
7 trend or a problem area in your findings?

8 MR. GRUBB: Well, I wouldn't say I see a
9 problem area. What Monticello has been going
10 through over the last several years is we focused on
11 the programs area specifically and we've done a lot
12 of reconstitution. And a lot of time focusing,
13 doing assessments in the programs area. So we have
14 a number of things that have come up in the
15 programs; Appendix R, fire protection, EQ, some of
16 those areas that we have focused on. But we've
17 been doing that because we recognize that maybe we
18 hadn't been at the top of the industry with respect
19 to how we treated programs historically.

20 MEMBER SIEBER: Another thing that I
21 noticed was several operator errors that occurred
22 during surveillance testing. Does your staff have a
23 pretty good size turnover at this time? It's an
24 older plant and older plants often have a staff that
25 grew up with the plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GRUBB: Yes. There has not been a
2 lot of turnover in the operations area specifically.
3 We have been trying to bring groups of new license
4 candidates and new operator candidates over the last
5 several years. We hired ten last year.

6 As far as the human performance, we do
7 recognize that. There is two initiatives at the
8 site level that we're going after to try to address
9 that.

10 What the station is is we have six focus
11 areas. And the way we treat those is if we do
12 nothing else as a station, those six areas are going
13 to get a lot of attention. Two of those, one is
14 operations leadership which is making sure the Ops
15 department is leading the station and the operators
16 are taking responsibilities. The second one is
17 procedure use and adherence. So we have recognized
18 that trend and we are focusing on those two areas.

19 MEMBER SIEBER: And how would you
20 describe compared to other plants the material
21 condition of Monticello?

22 MR. GRUBB: I guess I don't have a good
23 picture of the rest of the plants. Our material
24 condition is very good. We're in pretty good shape.
25 The plant has historically been maintained very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well. What you'll see at Monticello and the people
2 that come to Monticello, the craft and the mechanics
3 and so forth that maintain the equipment take a
4 tremendous amount of ownership. And as a result of
5 that, our equipment performance and our equipment is
6 in very good condition.

7 MEMBER SIEBER: I would caution that
8 even though Minnesota is a great place, you might
9 not want to isolate yourself from your brethren in
10 the industry and get out and see what the best
11 plants look like and make yours just like it.

12 MR. GRUBB: We agree.

13 MEMBER SIEBER: Okay. Thanks.

14 MR. GRUBB: All right. Pat, back to
15 you.

16 MR. BURKE: All right. I'd like to
17 start my discussion with a little bit on the
18 operating history and highlights, some background,
19 Monticello's construction. The permit was issued in
20 1967. We obtained our operating license in
21 September of 1970. That means that 40 years later
22 in September of 2010, our 40 year license would
23 expire. And as Jake mentioned earlier, we did
24 submit our license renewal application in March 16th
25 of 2005.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 These next couple of slides I'll talk a
2 little bit about the operating history, and this
3 will go to the point of material condition which we
4 just talked about.

5 In 1984 we replaced all the resurg
6 piping with a low carbon stainless steel resistant
7 to intergranular stress corrosion cracking. The
8 small bar piping was a 304L material. The large bar
9 piping was a 316 NG material. During that project
10 we replaced risers, supply headers, suction piping
11 and safe-ends.

12 We made some additional improvements by
13 reducing the number of welds and doing some
14 induction heating, stress improvement and
15 electropolishing was applied to the new pipe.

16 In 1986 we replaced spray safe-ends with
17 intergranular stress corrosion cracking resistant
18 material also.

19 In 1989 we implemented the hydrogen
20 water chemistry. We were one of the early plants in
21 implementing that. We implement the moderate
22 hydrogen water chemistry for protection of the
23 vessel internals.

24 MEMBER SHACK: And you're still doing
25 that rather than noble metal?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: That's correct. We are
2 still with moderate hydrogen water chemistry. We
3 have been evaluating noble metals. We've been kind
4 of a slow deliberate approach to reviewing that.
5 We've had very, very good fuel reliability. So
6 we're kind of going slowly into noble metals.

7 MEMBER ARMIJO: Have you been adding any
8 zinc for dose retrieval?

9 MR. BURKE: Yes, we have. We inject
10 depleted zinc.

11 MEMBER SHACK: This is probably getting
12 ahead because you're going to tell us about core
13 strength, but what's the condition of your core
14 shroud jus as a sample internal that's seen a lot of
15 cracking in other plants?

16 MR. BURKE: I think I'll defer that Mr.
17 Dave Potter.

18 MR. POTTER: I am Dave Potter from the
19 Monticello plant.

20 The condition of our shroud is actually
21 better than most in the industry. I wouldn't say
22 it's the best. Our most cracked weld is the H3 weld
23 which had 27 percent indication of our last
24 inspection. But we had three-quarters of that weld
25 basically covered in our last inspection. So in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relative terms our shroud is very good.

2 MR. BURKE: And we will be giving more
3 information in a minute also.

4 In 1997 we did replace the emergency
5 core cooling system suction strainers. And we
6 increased the surface area of those strainers for
7 debris loading.

8 In 1998 we did initiate a power uprate.
9 We increased our power level from 1670 megawatters
10 thermal up to 1775 megawatts thermal, which was a
11 6.3 percent increase.

12 As part of the license renewal effort,
13 we did implement six SAMAs, which did significantly
14 reduce our overall plant risk.

15 MEMBER SHACK: Now those are the six
16 SAMAs that were identified in your environmental
17 impact statement as having a favorable cost risk?

18 MR. BURKE: Yes, sir. That is correct.

19 MEMBER SHACK: That's all six, including
20 the manual RCIC which reduced your CDF but upped
21 your risk?

22 MR. BURKE: That is correct.

23 MEMBER SHACK: Okay. Well, if one of my
24 colleagues was here, he'd ask you about that. But
25 we'll let that one pass.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: He's not here.

2 I would like to know, however, what is
3 the CDF for this plant?

4 MR. BURKE: The core damage frequency
5 before the six SAMAs was 4.37 ten to the minus
6 fifth. And the after implementation --

7 CHAIRMAN BONACA: Internal events or
8 total?

9 MR. BURKE: Total events.

10 CHAIRMAN BONACA: Internal events?

11 MR. BURKE: Internal, that's right.

12 And after the implementation of this was
13 changed to 5.99 times ten to the minus six per year.

14 MEMBER SHACK: That was a question I was
15 going to have for the Staff. You know, reading
16 through here this was the first environmental impact
17 where I came to the SAMAs and they actually, you
18 know, they had a bunch of favorable ones. And the
19 fire truck one was a real bargain. You know, you
20 haul the fire truck and hook it up.

21 What is the criteria for when -- why did
22 we ask these people to do these SAMA analysis? Is
23 there some criterion that they would meet that they
24 would have to do them or is it just something they
25 look at? You know, they obviously choose to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implement a number of the SAMAs. And I just
2 wondered in general what do we do with the SAMA
3 analysis after they do it?

4 You can come up with that later or
5 answer now?

6 MR. KUO: Yes. P.T. Kuo, License
7 Renewal.

8 We generally perform the SAMA analysis
9 and if we see there is a cost benefit area that the
10 applicant can improve, then we make the
11 recommendations. And we send this recommendations
12 to them that these are the cost beneficial actions
13 that they have to take.

14 And then later on --

15 MEMBER SHACK: So they don't have to
16 take them, though?

17 MR. KUO: They don't have to take them.

18 MEMBER SHACK: They could take them?

19 MR. KUO: But based on our SAMA analysis
20 we identify, if we identified any actions that we
21 believe is beneficial, we'll let them know.

22 MEMBER SIEBER: Before you move forward,
23 I'd like to go back to your 6.3 percent power
24 uprate. Do you have additional margin in your plant
25 where you could perform another uprate in power?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: We've done some studies,
2 some evaluation on that. There would be significant
3 cost. If we decided to do another power uprate, it
4 would be a significant cost to replace the
5 equipment.

6 MEMBER SIEBER: Like the turbine?

7 MR. BURKE: Like the turbine, generator
8 rewinds, transformers, feed pumps.

9 I think the answer to your question is
10 there is probably not a lot of margin above and
11 beyond for another power uprate. We have margin
12 where we're at.

13 MEMBER SIEBER: Okay. Thanks.

14 MR. BURKE: Now looking out into the
15 future, we have a number of future lifecycle
16 management projects that are in progress and being
17 implemented, such as replacement of feedwater
18 heaters, recirc pump motors and rotating pump
19 assemblies. We've done the 11 pump last outage and
20 we plan to do the 12 pump this outage the service
21 water pump replacements and transformers and
22 generator rewinds.

23 The next couple of slides I would like
24 to talk a little bit about the project. This slide
25 here what I'd like to talk about is how we selected

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the people for the project and how we made sure we
2 had the right people for the project.

3 Now, we initiated the project through an
4 interview process for site employees. We selected a
5 core team. They're NMC employees that were from the
6 site. Four of them had SROs or SRO certifications
7 and all of them were very experienced and
8 multidisciplined.

9 We supplemented that core team with
10 license renewal experienced contractors. Again, the
11 majority of those contractors were on-site
12 performing that work. We did retain the majority of
13 that team during the audits and inspections. So we
14 had the same people that prepared the application
15 supporting the audits and inspections.

16 We contracted with General Electric to
17 perform the reactor pressure vessel and internal
18 time-limited aging analysis and aging management
19 reviews.

20 And we also did engage the plant and the
21 site staff in review of aging management review
22 documents and aging management program documents.

23 MEMBER SHACK: The one thing that struck
24 me as extraordinary, though, in the TLAA for the
25 core shroud, the first estimate of the shroud

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence peak was 3 times 10 to the 20, and then it
2 got changed to 3.8 times 10 to the 21. Now that's a
3 factor of 14 and it was a change in methodology.
4 I'm a little surprised to see that kind of a change.
5 Is there some explanation for what went on there?

6 MR. BURKE: Yes. I'd like to defer that
7 to Michael Aleksey.

8 MR. ALEKSEY: My name is Michael
9 Aleksey.

10 I'd like you to rephrase that question,
11 please? I didn't hear the first part of it.

12 MEMBER SHACK: In the initial license
13 renewal application it says the peak shroud fluence
14 was 3 times 10 to the 20 neutrons per square
15 centimeter greater than 10 leV.

16 MR. ALEKSEY: Yes.

17 MEMBER SHACK: Then it got changed to
18 3.8 times 10 to the 21. I mean it's a factor of 14.

19 MR. ALEKSEY: Well, the original
20 analysis was based on Reg. Guide 1.99 and the
21 original capsule that was pulled in 1984
22 thereabouts, we went to the Reg. Guide 1.190
23 evaluation and used the typical factors to bump that
24 up by 30 percent at certain areas and stuff like
25 that, and came up with the results that we got.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I don't think that that's unusual in
2 terms of --

3 MEMBER SHACK: It's not unusual? A
4 factor of 14? I mean, you know from a case 3 times
5 10 to the minus 20 you're hardly seeing any
6 influence of irradiation on stainless steel to 3
7 times 10 to the 21; it's, you know, a big time
8 change. It's embrittlement, it's high crack growth
9 rates without your hydrogen water chemistry.

10 I mean, normally I hear the Staff
11 beating up people over 10 percent changes in fluence
12 and a factor of 14 just seems very large.

13 Barry is going to enlighten me.

14 MR. ELLIOTT: Barry Elliott, NRC.

15 I'd just like to talk to them for a
16 second.

17 I believe in their application, and I'm
18 making some assumptions, the original applications
19 likes the fluence is calculated for either 1775
20 megawatts or 1680 or something like that. When they
21 did the recalculation for these, it looks like they
22 used 1830 megawatts or 1880 megawatts for cycle 23
23 through the end of the license renewal period. So
24 that would account for some of the large increase.
25 In other words --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: But a factor of 14?

2 MR. ELLIOTT: I'm just saying that they
3 went from 1660 or something like that all the way up
4 to 1880 megawatt thermal. So that increases it quite
5 a bit.

6 And then they used a new GE methodology,
7 which they hadn't used before.

8 So all this stuff added in, I mean this
9 is what you did. So, I mean, I'm just reading the
10 application. You tell me is that what you did?

11 MR. ALEKSEY: This is Mike Aleksey.

12 Yes, we did. Originally it was based on
13 1670 and the Reg. Guide 1.190 evaluation it was
14 based on 1775 up through cycle 22 and then we
15 increased that to 1880 for cycle 23 on, which did
16 provide a significant conservatism. And the reason
17 we did that is because we had performed other
18 analyses at that level before and we thought it was
19 a prudent thing to do.

20 MEMBER SHACK: Okay. Well, I mean
21 since you can live with 3 times 10 to the 21, you
22 know and that sounds like the typical value I have
23 for end-of-life for a core shroud. You know, when I
24 saw the 3 times 10 to the 20 in the original
25 application, I wondered how much water you had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 between your core and your shroud, and it seemed
2 extremely low. The 3 times 10 to the 21 is about
3 where I expected it to be. I still don't understand
4 why it's so different, but obviously you can live
5 with it. And, as I say, it's a value that I find
6 plausible.

7 CHAIRMAN BONACA: Okay. Next slide,
8 please.

9 This slide talks a little about how we
10 were engaged in the industry during the development
11 of license renewal application. We attended many of
12 the working groups. We did participate in the GALL
13 draft revision 1 review and comments through NEI.

14 And we participated in our sister NMC
15 plants during their audits and inspections to gain
16 lessons learned.

17 We supported numerous license renewal
18 peer reviews throughout the industry. We also
19 hosted our own peer review where we did have seven
20 external peers on that team.

21 And then we did review many industry
22 RAIs and in detail we reviewed the Nine Mile, Point
23 Beach and Dresden/Quad's RAIs.

24 These next couple of slides we'll talk a
25 little bit about the methodology. Most of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bullets that I'll talk about now is where we added
2 additional detail into the application that you
3 might not always see. For example, we identified
4 system functions and tied those to the different
5 criterion for the different scoping to help better
6 describe why the system wasn't scoped.

7 We paid a lot of attention to our
8 boundary drawings and included boundary flags and
9 multicolored boundary drawings.

10 We used plant documentation to identify
11 our scoping components. Use DBDs and did extensive
12 plant walkdowns.

13 We created a number of technical reports
14 including those for criterion 2, nonsafety effecting
15 safety and also for the regulated events.

16 And then we did use the spaces approach
17 for our criterion 2, and that was incorporated into
18 the application.

19 MEMBER MAYNARD: I did have a question
20 here. Taking about your scoping, your boundary
21 drawings and everything. And yet in the inspection
22 report I noticed that the inspectors found a number
23 of items or systems where the boundary needed to be
24 changed or something needed to brought into scope,
25 or whatever. I'd like to get your perspective on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. Because it seemed like there's a number -- I
2 don't know if the inspectors were really picky or
3 whether you guys had missed these or what.

4 CHAIRMAN BONACA: No. We didn't have
5 some. There were some areas in the drawings, but I
6 think overall we felt that our drawings were pretty
7 accurate as boundary drawings typically go in the
8 industry.

9 MR. PAIRITZ: I am Joe Pairitz, the
10 Project Manager.

11 Some of the cases, too, occurred where a
12 color suddenly stopped and there wasn't an
13 explanation for why that was. And basically it was
14 that it went through a wall so it was no longer in
15 scope for criterion 2. And we had quite a few
16 instances where we had to go walk that down with NRC
17 inspectors to look at that. And we're doing it over
18 again, I would draw the wall in the drawing and make
19 it easier. But that was the cause for a good number
20 of those questions.

21 MEMBER SIEBER: You had other situations
22 where the line that started off on 1 PNID as a
23 colored line in scope, the adjoining PNID didn't
24 have a colored line in scope. So it ended at the
25 boundary of the drawing as opposed to some physical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 boundary.

2 MR. PAIRITZ: This is Joe Pairitz again.

3 That's correct. There were several
4 instances where the continuation went to the next
5 drawing, it didn't color it properly, and we did
6 correct those.

7 MEMBER SIEBER: Well, I read the same
8 inspection reports. And it just seemed like there
9 was a lot of them, relatively speaking.

10 My question to you would be now that the
11 inspection's over with, which is vertical slices and
12 not comprehensive, how confident are you that you
13 have captured all that should be in scope and
14 identified that on your plant drawings?

15 MR. PAIRITZ: Joe Pairitz again.

16 We did capture those instances in our
17 corrective action program. And part of that was
18 looking at other drawings to see the extent of
19 condition basically. And we're confident right now
20 that we have corrected those problems.

21 MEMBER SIEBER: When you did that, did
22 you find additional problems that wasn't found by
23 NRC inspectors?

24 MR. PAIRITZ: Off the top of my head
25 right now, I don't know for sure. There might have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been a couple, but basically no. And we spent a lot
2 of times on the drawings so we we're pretty
3 confident that they were right to begin with. They
4 did find a few instances, and in our works to
5 correct that I think we might have found a couple
6 more. But it wasn't a significant number.

7 And these things were in scope. It was
8 just the drawing didn't get colored properly.

9 MEMBER SIEBER: Yes. I gathered that
10 from the write-up.

11 CHAIRMAN BONACA: Well, some items were
12 also brought into scope, so there was some of both.

13 MR. PAIRITZ: Right.

14 CHAIRMAN BONACA: Since we're talking
15 inspections, I had a question about the corrosion
16 that the inspectors found on the conductor
17 termination logs of the fire diesel pump. And I'm
18 sure you have a surveillance program for that pump.
19 And so it was disturbing to read it because in
20 license renewal you are going to have a program
21 dealing with this fire pump which is an extension of
22 your existing program. And when I have to wait for
23 an inspector to find it, it troubles me and I
24 wondered about your view on that issue.

25 CHAIRMAN BONACA: Could I defer that to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Ron? He was involved with that inspection activity.

2 MR. SIEPEL: Right. My name is Ron
3 Siepel. I'm the electrical lead.

4 And if I understand the question right
5 is you had a question on the corrosion of the wire
6 that was in the diesel generator panel, is that the
7 question?

8 CHAIRMAN BONACA: Fire diesel -- fire
9 pump.

10 MR. SIEPEL: Okay. The diesel fire pump
11 panel, that panel had been identified on a previous
12 CAP or condition action request that was in the
13 process of replacement and it just hadn't been
14 replaced to date. And if it hasn't been replaced
15 now, it'll be replaced shortly. But that had been
16 previously identified out there under our program,
17 and it was in the process of being replaced.

18 CHAIRMAN BONACA: It wasn't identified
19 before? Wasn't clear from the inspections?

20 MEMBER SHACK: I was just curious. The
21 Staff SER sort of credits your computerized history
22 and maintenance planning system with helping in the
23 scoping, and yet it's not credited at all in your
24 license renewal application. You actually use this
25 thing or is it just sort of sitting around.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: This is Pat.

2 The CHAMPS database was used as a
3 starting point for the scoping process. That was
4 downloaded into a licensed renewal database called
5 ALEX.

6 The CHAMPS database is used more for
7 work management, so you have many of the active
8 components in there. And that was a starting point.
9 By taking that and using that as a starting point
10 and then adding all of the passive components,
11 therefore you would up with a complete ALEX database
12 for scoping and screening to take you through the
13 process methodically on a databased driven platform.

14 The next slide I'd like to talk a little
15 bit about the ageing management review. A couple of
16 other details that we added that I think help tell a
17 better story in the application was adding mechanism
18 for the aging effects.

19 MEMBER SIEBER: Let me ask one quick
20 question before we leave scoping. Is your
21 condensate storage tank in scope? I know piping and
22 anchors and bolts and housings are. But the tank
23 doesn't seem to be. Do you know?

24 CHAIRMAN BONACA: I don't know off the
25 top of my head.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: This is Joe Pairitz.

2 The piping leading up to the tank is in
3 scope. The tanks themselves, I guess I'll have Ray
4 check on that, but I think the tanks themselves are
5 not in scope.

6 CHAIRMAN BONACA: Individual --

7 MEMBER SIEBER: Yes, that's the way to
8 be. And I was wondering, you know, if all the other
9 stuff is in scope, why isn't the tank is in scope?
10 And if the tank would fail, can you still accomplish
11 what you're supposed to accomplish?

12 MR. BURKE: Yes. I'll answer one of the
13 questions, the CSTs being in scope or not. We do
14 not credit the condensate storage tank for any
15 design basis accident so they are not considered
16 safety related.

17 The piping going up to the tanks, I
18 believe and correct me if I'm wrong, Joe, is in
19 there from a nonsafety effecting safety standpoint.
20 Because they do lead in --

21 MEMBER SIEBER: Criterion 1?

22 MR. BURKE: Yes, that's correct.
23 Criterion 2. So that's why we terminated at the
24 tank.

25 And I guess Ray agrees with that. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I will have to think
2 about it? Thank you.

3 CHAIRMAN BONACA: Sure.

4 And also for the aging management
5 reviews we did numerous walkdowns to identify
6 materials and environments.

7 As for the aging management programs, we
8 wound up with 36 aging management programs. And we
9 did include the ten elements from GALL in the
10 application describing each program.

11 And lastly, I'd like to talk about the
12 application of GALL, and this is consistent with
13 what Jake started with, is we did have GALL
14 reconciliation to the Rev 0. That showed us to be
15 75 percent consistent with GALL. After we submitted
16 it we performed a precedents review, which brought
17 us up to 95 percent consistent with GALL. And we
18 believe that that high consistency with GALL
19 increased the efficiency of the audit and inspection
20 process.

21 At this point I'd like to turn it over
22 to Joe to go over the industry topics.

23 MR. PAIRITZ: Thank you, Pat.

24 Again, I'm Joe Pairitz. I'm the license
25 renewal Project Manager and also the mechanical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lead.

2 I'm going to talk about three industry
3 topics, the first being drywell shell corrosion,
4 second being the shroud cracking and thirdly the
5 steam dryer.

6 Starting with the drywell shell
7 corrosion, I'll give a little fresher on the Mark I
8 primary containment. This is a cut away view of the
9 reactor building. You have the reactor here in the
10 center, the drywell is the inverted light bulb
11 shaped liner right here. We have the vent pipes
12 going down to the suppression chamber, otherwise
13 known as the Torus.

14 We will concentrating on the refueling
15 bellows located at the top here. The air gap region
16 between the drywell shell and the surrounding
17 concrete and also the sand pocket region here
18 towards the bottom.

19 While the reactor cavity is flooded, and
20 that would be this area here. This is the spent fuel
21 pool over here. While the reactor cavity is flooded
22 for refueling activities, Monticello has multiple
23 design features for vent leakage from entering or
24 accumulating in the air gap region and in the sand
25 pocket regions. There are three separate drain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paths that exist to channel leakage away from these
2 areas in question.

3 We have a seal barrier over the sand
4 pocket region and we also have a flow switch that
5 would alert operators to any leakage from the
6 bellows.

7 MEMBER ARMIJO: This is Sam Armijo.

8 I have a quick question: Is this unique
9 for this particular BWR 3? Are these features added
10 that other --

11 MR. PAIRITZ: Some of the BWR 3s have
12 them and some don't. I think it might be related to
13 who the AE was on the project. I'm not sure of that.

14 MEMBER ARMIJO: Okay.

15 MR. PAIRITZ: We'll move into the
16 refueling bellows area, otherwise known to some
17 people are a refueling seal.

18 We have the reactor pressure vessel
19 shell over here on this side. The first set of
20 bellows we have are the reactor vessel to drywell
21 bellows. We move over, we have the drywell shell
22 right here. We have the second set of bellows that
23 are between the drywell shell and the reactor
24 building concrete. These bellows are in scope for
25 license renewal. If these bellows were to leak, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first barrier we have to protect the air gap, which
2 is down here, would be this trough or channel that's
3 down here that's supposed to catch any leakage that
4 would come from that bellows.

5 And then you have an 8 inch pipe here
6 that eventually reduces to a 4 inch pipe and goes to
7 rad waste. That line also has a flow switch on it.
8 Instead of 3 gallons per minute, that gives an alarm
9 in the control room. So if they've got a leak here
10 that's 3 gallons per minute or greater, it would
11 alarm in the control room.

12 These bellows and center spool plate
13 have been inspected in the past with no significant
14 degradation noted at that time. That was in the
15 late '80s.

16 I think we'll go on to the next slide.

17 Continuing into the air gap region here,
18 we have a 4 inch drain pipe here. There's actually
19 4 of these, 4 four inch drain pipes.

20 MEMBER MAYNARD: I'm sorry.

21 MR. PAIRITZ: Yes.

22 MEMBER MAYNARD: Go back. You say a
23 setpoint at 3 gallons per minute. Now wouldn't
24 typically you'd expect to see none?

25 MR. PAIRITZ: We expect to see none,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correct.

2 MEMBER MAYNARD: Okay. I'm not familiar
3 with it, but 3 gallons a minute --

4 MEMBER SHACK: That's a lot of water.

5 MEMBER MAYNARD: You know, 2 gallons a
6 minute wouldn't set the alarm off and that's seems
7 to me like it'd be quite a bit of water.

8 MR. PAIRITZ: Well, it is set at three.
9 I can't address the design basis for the three right
10 now. I think basically it was there to address
11 gross failure of the bellows. But if we had any
12 leakage, I can show you were that would be detected.

13 MEMBER MAYNARD: Okay. So any leakage
14 would be detected?

15 MR. PAIRITZ: Yes. And I'll think we'll
16 get to that when we talk about this picture.

17 MEMBER MAYNARD: Okay. All right.

18 MR. PAIRITZ: Here we have the air gap
19 which extends up towards the bellows. We have 4 four
20 inch drain pipes that drain this air gap region if
21 water were to get in that region. We have 18 gauge
22 galvanized sheet metal cover the sand pocket region
23 that's sealed to the drywell shell and sealed to the
24 surrounding concrete. So any water that might
25 accumulate on this sheet metal cover should be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drained away by the 4 four inch drain lines.

2 Now these drain lines come into the
3 Torus room, some people might know it as reactor
4 building basement. They're open. They come down to
5 floor level. They're open. You're going to have
6 water on the floor if there's any leakage in this
7 air gap region because they empty. They don't go to
8 rad waste, they go right on the floor into the
9 reactor building.

10 MEMBER WALLIS: You are concerned about
11 corrosion. And what you need for corrosion is
12 oxygen, presumably. That's from the air gap.

13 MR. PAIRITZ: Correct.

14 MEMBER WALLIS: And you need some
15 moisture. But you don't need a flow of water. And
16 the drains take away a flow of water, but a
17 sufficient humidity in there with very small amount
18 of liquid on the surface could lead to corrosion.

19 I'm not quite sure why drain prevents
20 corrosion. You've got to really control the
21 humidity, don't you?

22 MR. PAIRITZ: Well, when the linear was
23 originally manufactured it was painted with a
24 primer. So it does have some protection on it from
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The humidity you get in there, I mean
2 the drain pipe was obvious to remove any liquid
3 water. If you had high humidity in there, I can't
4 say what the drain would do in that case, although I
5 don't think there's a motive force to -- you know,
6 this one we're running, operating, the drywell shell
7 is fairly warm. So any water should evaporate from
8 there and, hopefully, would come out the drains. I
9 mean, not as liquid water but as a vapor.

10 MEMBER WALLIS: What happens to the air
11 gap? Do you ventilate it in some way? It just sits
12 there, sits there?

13 MR. PAIRITZ: It sits there.

14 MEMBER WALLIS: Silent air. So if there
15 were oxygen in there, it would get used up if it
16 were corroding?

17 MR. PAIRITZ: If there were oxygen in
18 there --

19 MEMBER WALLIS: It would get used up
20 pretty --

21 MEMBER SHACK: Very little.

22 MEMBER WALLIS: Yes.

23 MR. PAIRITZ: Yes. These drain pipes
24 point straight down to the floor, too. You know, I
25 don't think you get a lot of air movement into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 air gap. Maybe during heat up and cool down, but not
2 during normal operation.

3 MEMBER WALLIS: Yes, but doesn't
4 moisture slowly come out of concrete and things like
5 that over a long period of time?

6 MR. PAIRITZ: Ray, can you answer the
7 concrete question?

8 MR. DENNIS: Yes, this is Ray Dennis.
9 I'm the civil structural lead.

10 The air gap, it's not an airtight
11 environment. There's many, many penetrations to the
12 air gap or piping penetrations that go into the
13 reactor vessel and drywell. So it's a free flow of
14 oxygen and it's continuously being replenished --

15 MEMBER WALLIS: There is an oxygen
16 supply, right?

17 MR. DENNIS: Right.

18 MEMBER WALLIS: And you're carrying away
19 the water vapor --

20 MR. DENNIS: If the water vapor is heavy
21 enough to condense and then be carried away by the
22 drains. But the environment in the air gap is
23 basically the same environment you'd find in the
24 reactor building at all times.

25 MEMBER WALLIS: I guess my -- my concern

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is with enough water to cause corrosion, which
2 doesn't necessarily drain out but just stays there.
3 That's probably the worst condition for making
4 corrosion, isn't it?

5 MR. PAIRITZ: I think Ray makes a good
6 point, though, when he mentions that we have
7 penetrations going through this air gap that would
8 help, not necessarily ventilate it, but prevent more
9 humidity than is already in the air from building
10 up.

11 MEMBER WALLIS: Have some control over
12 it.

13 MR. PAIRITZ: And again, I would point
14 out that drywell shell is going to be a lot warmer
15 than the ambient air.

16 MEMBER WALLIS: That helps you. That
17 helps.

18 MEMBER SIEBER: On the other hand I
19 don't hear any kind of a argument that says we're
20 certain enough that there isn't corrosion because of
21 these factors that would tell me that I don't need
22 to go and make a thickness measurement of the linear
23 plate. So it seems to me that that's one of the
24 things you ought to be doing.

25 MR. PAIRITZ: Well, we did do that in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 response to Generic Letter 87-05. We took over 50--

2 MEMBER SIEBER: Right.

3 MR. PAIRITZ: -- readings there and we
4 could not detect any degradation from the original
5 material specifications, and that was after 17 years
6 of operations.

7 MEMBER SIEBER: That was in '87?

8 MR. PAIRITZ: That's correct. '86 and
9 '87.

10 MEMBER SIEBER: Well, it's still an
11 issue because some plants have found problems.

12 MR. PAIRITZ: That's right.

13 MEMBER SIEBER: And it's probably
14 generic to this style of containment and this age
15 group. And I understand a generic letter is in the
16 process to ask you to look at it.

17 MR. PAIRITZ: Well, ISG. I don't know
18 anything about a generic letter.

19 MEMBER SIEBER: ISG. Yes, okay.

20 MR. PAIRITZ: The other, though, as
21 plants that have experienced this, some of them have
22 not had this design. I know that one design in
23 particular doesn't have the cover on the sand pocket
24 region, doesn't have the four inch drain pipe. They
25 just have the sand pocket drains here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes.

2 MR. PAIRITZ: There are some
3 differences.

4 CHAIRMAN BONACA: What are you trying to
5 do? I know you're trying to perform visual
6 inspections problem.

7 MR. PAIRITZ: Okay.

8 CHAIRMAN BONACA: Are you going to
9 perform any UT, I mean volumetric inspections?

10 MR. PAIRITZ: Not at this time. I will
11 tell you that these drains, both the air gap drains
12 and the sand pocket drains are inspected before we
13 flood up refueling and after the bellows are well
14 submerged looking for leakage from any of those
15 lines. And that's what we do right now. And that
16 is proposed action in the ISG also.

17 MEMBER MAYNARD: What has your
18 experience been? Have you found leakage at times or
19 have you never found any signs of leakage? What's
20 your history?

21 MR. PAIRITZ: We've never had any
22 leakage. Never had the three gallon per minute flow
23 switch go off. We've never seen any leakage from
24 the four inch drain pipe for the air gap region.
25 We've never seen any leakage from the 4 2 inch drain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lines in the sand pocket. However, in February of
2 1987 as part of the plant life extension program and
3 part of work that was going on for Generic Letter
4 87-05 they did find 3½ ounces water in one of the
5 four drain lines in the sand pocket. Now this drain
6 line comes out of the concrete. It has a 90 degree
7 elbow and then a one foot stand pipe pointing up
8 vertically. They noticed a little crusty material
9 on top of the sand. They investigated that, found
10 out that that was calcium carbonate. They removed
11 the sand from the stand pipe and at the bottom of
12 the stand pipe they found 3½ ounces of water.

13 They had that water analyzed by two
14 different labs. It was not radioactive. It did not
15 contain any materials that would be indicative of it
16 coming from the reactor cavity. And it was
17 considered to be water that had come from inside the
18 Torus room.

19 These stand pipes are open to the
20 atmosphere. If you were doing some work on top of
21 the Torus and accidentally sprayed some water or
22 sprayed a hose, you could theoretically put some
23 water in there. And 3 ounces, 3½ ounces isn't very
24 much.

25 And I also think the calcification at

1 the top of the surface there would indicate that the
2 water came in through the top, calcified the sand
3 and then sat in the bottom there.

4 So we don't believe that we've ever had
5 any leakage from the air gap or for the sand pocket
6 region.

7 MEMBER ARMIJO: Have you ever done
8 anything to confirm that that sand pocket region is
9 dry, or can you?

10 MR. PAIRITZ: Well, the other three
11 drain lines, they took the sand out of those stand
12 pipes. There was no water there.

13 The top of the stand pipe is at the same
14 elevation as the bottom of this drain right here.
15 So even if the stand pipe were full of water, the
16 level in the sand pocket would still be down here.
17 The stand pipe would have to be overflowing for
18 there to be any water building up into this area.

19 We did remove part of the concrete floor
20 inside the drywell and do UTs on this area. And,
21 again, we compared that to our original material
22 specifications and we can't detect any thinning
23 there.

24 CHAIRMAN BONACA: You did that, what, 19
25 years ago?

1 MR. PAIRITZ: 1986 and 1987.

2 CHAIRMAN BONACA: Now on your slide
3 number 16 you're saying that drywell shell is
4 managed by the primary containment is ISI, which
5 again advised to specifically address the ISG.

6 MR. PAIRITZ: Correct.

7 CHAIRMAN BONACA: How --

8 MR. PAIRITZ: The ISG recommends doing a
9 surveillance on your drain piping to verify that
10 you're not having any leakage. It talks about a
11 cover n the sand pocket, which we have. And using
12 the IWE program to verify no significant corrosion.
13 Of course, that's from the inside the drywell.

14 CHAIRMAN BONACA: It doesn't tell you
15 anything about what happens on the outside of the
16 wall. So you're left with a question about the past
17 -- projected future?

18 MR. PAIRITZ: Right. We have no reason
19 to believe that there is any water in those areas.

20 CHAIRMAN BONACA: The steel liner is
21 your containment boundary, right?

22 MR. PAIRITZ: That's correct.

23 Anyway, just to finish this slide, we do
24 have the 18 gauge galvanized sheet metal cover over
25 the sand pocket region. As I mentioned there are 4

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two inch drain lines that would drain any water from
2 the sand pocket region.

3 We talked about the stand pipes filled
4 with sand. I think that's all I want to cover on
5 this slide.

6 Now with regards to the proposed ISG
7 2006 01, we've talked about the UTs that we did in
8 response to Generic Letter 87-05. Again, we
9 compared those to our original materials
10 specifications and we can't detect any wall thinning
11 or degradation there.

12 Again, the air gap and sand pocket drain
13 outlets are visually inspected, as prescribed by the
14 ISG. The top of the sand pocket area is sealed with
15 the galvanized steel sheet metal. The drywell shell
16 is managed by the primary containment in-service
17 inspection program, the IWE program and we will
18 revise it to specifically call out those procedures
19 that already exist that inspect the drains.

20 MEMBER ARMIJO: Were those 1987 UT
21 inspection points, are they still accessible? Were
22 any provisions made to have them still accessible or
23 were they concreted over?

24 MR. PAIRITZ: Well, they took readings
25 up in the air gap region 2. Those are marked on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inside of the drywell.

2 MEMBER ARMIJO: I'm talking about sand
3 pocket.

4 MR. PAIRITZ: Jim, do you have any idea?
5 I mean, I know where we excavated. I don't know if
6 the grid is still there that they used. Ray Dennis,
7 please?

8 MR. DENNIS: Yes. This is Ray Dennis
9 again.

10 Rather than fill the holes completely in
11 with concrete, they filled them in with a sand type
12 material and then put basically a concrete plug over
13 them.

14 MEMBER ARMIJO: So they would be --

15 MR. DENNIS: They'd be relatively easy
16 to inspect again. It would just be a matter of
17 removing a few inches of concrete rather than
18 several inches.

19 MEMBER ARMIJO: Yes. That's great.

20 Because --

21 MR. PAIRITZ: But whether or not they
22 have the grid the work that they used to ensure that
23 you're looking at the exact same place I think is
24 more the question.

25 MR. DENNIS: Yes. These spots are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 readily identified in our program where they are.
2 Plus, they're relatively easy to pick out given
3 their surrounding area.

4 MEMBER ARMIJO: So it would be an ideal
5 measurement. You've got a 1987 measurement,
6 possibly a later measurement at pretty much the same
7 location without tearing up the whole plant to get
8 at it? It's probably more doable than other people.

9 MR. PAIRITZ: I can't say. I mean, it
10 could be done.

11 MEMBER ARMIJO: I don't want to put
12 words in your mouth.

13 CHAIRMAN BONACA: No. I would like to
14 hear at some point from the Staff, you know, what's
15 the logic for accepting. Here, more than anything
16 else I'm thinking about precedent. You know, we had
17 some decisions and recommendations for TVA, Browns
18 Ferry. And it doesn't seem to be a consistent
19 approach that we're taking on this issue.

20 MR. ASHAR: Dr. Bonaca, I am Hans Ashar
21 with Dresden with Division of Engineering, NRR.

22 While reviewing this particular
23 application before this, I had reviewed close to
24 about a dozen other Mark I containments. Every time
25 I look for the telltale signs as to what could have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 caused partial area of corrosion. We looked at the
2 Dresden/Quad for example. We saw telltale signs.
3 They have to have something done there.

4 We saw Browns Ferry, we felt that that
5 there has to be something other.

6 And all the questions that we asked to
7 the applicant in this case, we found almost negative
8 -- negative to the extent that there were no water
9 in the top of the plane near the -- in the upper
10 area of the earlier -- can you show me the earlier
11 sketch?

12 MR. PAIRITZ: Sure. Hold on. Yes.

13 MR. ASHAR: Upper area, there is a plane
14 from the drywell. They did not see any, that's what
15 they told us. Then we went to down, because the
16 water can go into the sand pocket area. And we saw
17 no way that water can seep into that area in the
18 large quantities that could corrode that particular
19 area.

20 So there are a number of telltale signs
21 that we look for. We ask questions on each one of
22 them and we found out that, hey, this particular
23 plant does not have this type of problem. And it
24 does not -- it's not effective in telling us
25 anything about it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I have written down a very thorough
2 evaluation on this particular area because I knew
3 that ACRS, as well as other individuals, will have
4 some questions on this particular area.

5 CHAIRMAN BONACA: Well, I think my main
6 question is we need to have a constant understanding
7 of the issue.

8 MR. ASHAR: Agreed.

9 CHAIRMAN BONACA: And consistent
10 approach.

11 MR. ASHAR: I Agree.

12 CHAIRMAN BONACA: I mean, we can't
13 possibly have a tentative, you know, approach to the
14 -- when you're telling me that you don't have
15 significant amount of water or a large quantity of
16 water, it doesn't tell me anything.

17 MR. ASHAR: There is no water problem.

18 CHAIRMAN BONACA: I mean, the point that
19 Dr. Wallis was making, all you need is humidity
20 there for corrosion, you know it's well taken.

21 So I'm struggling with the ISG and the
22 way it is being interpreted by the plant that way.
23 Because all you have is statements by the licensee
24 for the same kind of configurations. One licensee is
25 more insistent than other than defending that he has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 no water there, so therefore -- you know, he's
2 argumenting about something that cannot be seen.

3 And on the other hand that's a primary
4 containment function.

5 MR. ASHAR: I fully agree. I recognize
6 what you are saying. I'm not contradicting what you
7 are telling me. But what I'm trying to say is this:
8 That the question of relatedness, I understand there
9 is a form by which everybody is to follow. And when
10 we -- They went up to ISG. We said you are going to
11 talk about various things, okay, like the drain
12 pipes being cleared, there is a control on drain
13 pipes. They are going to examine the drain pipes.
14 There is a seal. Some of the plants do not have
15 that seal that they here, okay. That makes
16 difference as to the wetness in the sand pocket
17 area.

18 It has to be quite a bit wet in order to
19 have corrosion initiated and become something like
20 some of the other plants had. And this particular
21 plant does not have that type of telltale signs.

22 It was very difficult to put them
23 through some kind of a UT inspections if we don't
24 find any reason to believe that we have problems
25 with this plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Okay. Thank you.

2 MR. PAIRITZ: Well, that concludes the
3 drywell shell corrosion. If there aren't any more
4 questions right now, I'll move on to the shroud.

5 Concerning the shroud, I have a rollout
6 view here. The horizontal welds are labeled on the
7 right side, H1 through H12. We have the vertical
8 welds labeled throughout the center of the drawing.

9 To give you an idea of the are we're
10 talking about, here's a jet pump on the side.

11 The points I want to make here is our
12 inspection coverages have increased from about 50
13 percent up to about 75 percent of the welds over the
14 past ten years due to improvements in technology.

15 As Mr. Potter was saying earlier, our H3
16 weld here has indications on 27 percent of the
17 inspected region, and we are able to inspect 71
18 percent of that weld.

19 MEMBER SHACK: Now is this VT1 enhanced
20 or is some sort of UT inspection?

21 MR. PAIRITZ: I'll let Mr. Potter answer
22 that.

23 MR. POTTER: This is Dave Potter from
24 Monticello.

25 The 73 percent converge on the H3 weld

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was from UT inspection.

2 MEMBER SHACK: That's a creeping wave
3 kind of thing?

4 MR. POTTER: There's three transducers
5 that were used in the package, but I don't recall if
6 there were a creeping wave, a shear wave and what
7 angles they were used. The processed was qualified
8 in accordance with the PIP processes for crack
9 identification.

10 MR. PAIRITZ: And moving on to the H1
11 weld, 16 percent of that weld showed indication and
12 we were able to look at 75 percent of that weld.

13 And then the other horizontal welds that
14 were looked at it was less than 10 percent
15 indication on varying degrees of inspection area.

16 The inspection results and evaluation to
17 allow inspection frequency to remain at the maximum
18 allowed ten year interval for circumferential welds,
19 for our horizontal welds.

20 We have looked at three vertical welds
21 per the BWRVIP. The inspection frequency for these
22 welds is established by inspection coverage.

23 MEMBER SHACK: Do you happen to know
24 whether these vertical welds, you know do they hit
25 high fluence regions or do they happen to hit low

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence regions? It's kind of a random event?

2 MR. PAIRITZ: Mr. Potter?

3 MR. POTTER: This is Dave Potter from
4 Monticello.

5 The regions, as shown on the diagram,
6 the V3, V4, V1 and V2 are relatively high fluence
7 areas.

8 MEMBER ARMIJO: Just a quick question.
9 Since you've instituted hydrogen water chemistry
10 have you noticed any change in any of the growth
11 rate or the initiation of cracking in the shrouds?

12 MR. PAIRITZ: I'll let Mr. Potter
13 address that. He's the expert here.

14 MR. POTTER: Since we've instituted
15 hydrogen water chemistry at Monticello, we have
16 three inspections to our credit. One that was
17 performed in 1994, another performed in '96 and this
18 most recent one in 2005. The crack indications that
19 we've identified in all three of those inspections
20 have not demonstrated substantial crack growth. So
21 our assumption has to be is that the cracking
22 occurred before hydrogen water chemistry was
23 instituted.

24 MEMBER ARMIJO: How about initiation?

25 MR. POTTER: The initiation that we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seen, I wouldn't call it substantial. A lot of it
2 has to do with UT uncertainty and our coverage that
3 we've gotten from previous inspections.

4 Our '94 inspection we did not have a lot
5 of coverage. And as we've spoken to, or as Joe
6 spoken to a moment ago, we increased our inspection
7 coverage from 1996 all the welds were approximately
8 50 percent to 2005 where they're 75. So we're
9 actually, the cracks that we were seeing were
10 basically in the areas that we hadn't inspected
11 before.

12 MEMBER ARMIJO: Okay. Thank you.

13 MR. PAIRITZ: Well, that covers crack
14 growth.

15 We feel that the moderate hydrogen water
16 chemistry has effectively contributed to mitigating
17 crack growth on our shroud, and we will continue to
18 manage the shroud per BWRVIP guidance.

19 CHAIRMAN BONACA: Well, you do have
20 additional cracking that you are monitoring that
21 way. Are they internals? For example, on the tack
22 welds on the jet pumps set screws and so forth.
23 Those cracks, I mean you just simply monitor the
24 size of the crack and whether or not they're
25 propagating further?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: I'll defer to Mr. Potter
2 again?

3 MR. POTTER: Yes. This is Dave Potter
4 again.

5 The cracking that we've identified on
6 the jet pump set screws we periodically
7 reinvestigate to make sure that they are not
8 behaving in an abnormal fashion. However, the safety
9 concern of the jet pump's tack screws is minimized,
10 basically, due to the crack geometry and what the
11 purpose of those tack welds are. And that's
12 basically to keep the set screws from rotating out.

13 CHAIRMAN BONACA: Okay. All right.
14 That's the function. I didn't know that. I didn't
15 understand.

16 I have another question, by the way.
17 It's more curiosity. When in the application you
18 talk about the belt line nozzle and the fact that
19 the weld material is not known insofar as CU and
20 nickel content. Could you tell me about it?
21 Because there is a technique you're using. You're
22 averaging CU and nickel on 9 sister plants. And then
23 you're adding one standard deviation, if I remember.
24 That, I really wasn't familiar with the technique.
25 And maybe --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: I'll Michael Aleksey,
2 answer that, our TLAA person.

3 MR. ALEKSEY: Was your question with
4 regard to the N2 nozzle?

5 CHAIRMAN BONACA: Yes. Yes, that's
6 right. The belt line nozzle.

7 MR. PAIRITZ: The one the unknown
8 chemistry.

9 MR. ALEKSEY: For the N2 nozzle the
10 nickel content was a result of industry information
11 that we had accumulated for those types of nozzles.
12 And we also used information from the RVID database
13 to establish the chemistries of that nozzle.

14 CHAIRMAN BONACA: Yes. The reason why I
15 was intrigued I thought that was a process that has
16 been reviewed and approved. I mean, it uses hits
17 from 9 sister plants or similar plants.

18 MR. ALEKSEY: Yes.

19 CHAIRMAN BONACA: Averages it and then
20 adds one standard deviation. So is it a process
21 that the NRC is familiar with and is it a approved
22 process?

23 MR. ELLIOTT: I don't know. Excuse me.
24 This Barry Elliott.

25 I can't hear you, so I can't hear what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're asking.

2 CHAIRMAN BONACA: It's the belt line
3 nozzle I'm talking about.

4 MR. ELLIOTT: Okay. Yes. What happened
5 is the belt line nozzles -- they aren't in the belt
6 lines. They're slightly above the belt line.

7 CHAIRMAN BONACA: Yes.

8 MR. ELLIOTT: But the fluence has gone
9 up because of license renewal. Also, because of the
10 way they're calculating the --

11 CHAIRMAN BONACA: That's right.

12 MR. ELLIOTT: -- fluence. They're doing
13 a very conservative thing with the fluence here.
14 And so now these nozzles are getting above the
15 criteria which we say you have to evaluate.

16 So they had to go out and evaluate the
17 nozzles. They have chemistry for the nozzles. What
18 they didn't have is underradiated properties for the
19 -- because the nozzles were built a long time ago
20 and they didn't have full C harpy curves, from what
21 I remember. So they went out and they got what's
22 equivalent to that. And went through their other
23 nozzles in the BWR fleet made the same way, and they
24 used that data. And then they establish a confidence
25 interval for that data. And they used the 95

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percent confidence interval lower bound for their
2 upper shelf energy unirradiated.

3 And we have accepted similar things to
4 that.

5 CHAIRMAN BONACA: So this is a process
6 you accept?

7 MR. ELLIOTT: Yes, we accept that.

8 CHAIRMAN BONACA: Although, I mean
9 you're not certain that the percent of Cu and
10 nickel are identical? Nine sister plants, I mean
11 they were similar plants.

12 MR. ELLIOTT: Right.

13 CHAIRMAN BONACA: But you don't have
14 specific information about this plant?

15 MR. ELLIOTT: No. We don't have specific
16 information about this plant. But we feel that we
17 looked at how they were made, the nozzles were
18 fabricated and they were fabricated equivalent ways
19 and the properties should be about the same.

20 CHAIRMAN BONACA: By the same vendors?

21 MR. ELLIOTT: I don't remember if we had
22 the same -- I'm not sure about the vendors.

23 MR. MEDOFF: This is Jim Medoff.

24 What Barry is saying is true. We've
25 evaluated the VIP processes for the vessel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 materials. And it's based on weld fluxes, how they
2 were laid down. So they grouped all those type --
3 like a shielded metal arc welds, they gathered the
4 data for all that type of welds and then they came
5 up with their statistical analysis.

6 CHAIRMAN BONACA: Well, I was expecting
7 that there will be a reference to some BWR always
8 group activity to --

9 MR. MEDOFF: There is, VIP 86.

10 CHAIRMAN BONACA: -- to provide this
11 kind of -- I mean without any pedigree to this
12 package of information, I'm only left on this
13 averaging that is stated in a little footnote in the
14 application. So since I am not the specialist in
15 metallurgy, but I know the importance of Cu in
16 nickel in the welds.

17 MR. ELLIOTT: We had to get an estimate
18 of the upper shelf energy for these forgings. So the
19 only thing we look at is the fleet, what the whole
20 fleet has for forgings. And that's what they did.
21 And then we used a 95 percent lower confidence bound
22 to establish its properties. And we've done that in
23 other cases where we don't have properties. We used
24 the entire BWR fleet and then established low bound
25 properties for welds that don't have properties.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And in this case we did it for the forgings.

2 CHAIRMAN BONACA: I return to my
3 metallurgical colleagues here and say how
4 comfortable are you with all this?

5 MEMBER ARMIJO: Well, you know, I
6 thought I heard that they knew the chemistry but
7 they didn't Charpy data. And they created the
8 Charpy data by a comparison with the rest of the
9 industry and then used a lower bound that was pretty
10 conservative.

11 CHAIRMAN BONACA: I can remember that 10
12 years ago, 15 years ago we were -- anyway --

13 MEMBER SHACK: Yes. I mean, you know you
14 just can't go back and recreate that data.

15 CHAIRMAN BONACA: Absolutely.

16 MEMBER SHACK: So you try to take a
17 conservative answer and --

18 CHAIRMAN BONACA: Is it conservative,
19 that's always the question. And that's what we're
20 looking for.

21 MEMBER SHACK: It is quite likely to be
22 conservative.

23 MEMBER ARMIJO: I think it's
24 conservative.

25 CHAIRMAN BONACA: Okay. That's --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: Are we ready to move on?

2 CHAIRMAN BONACA: Yes, let's move on.

3 MR. PAIRITZ: Okay. The last topic I
4 will talk about is the steam dryer. The steam dryer
5 is in scope for license renewal at Monticello. It's
6 a square hood dryer design. It looks like this.

7 In 1998 we inspected the dryer and we
8 noted indication in the area of the 324 degree
9 jacking bolt tack weld. Is down here in the blowup
10 on the bottom right. It was analyzed and determined
11 not to be structurally significant.

12 In 2001 we again reinspected this area
13 and found no additional indications and no change in
14 the indication at the 324 degree location.

15 In 2005 we did a comprehensive
16 inspection on the dryer. We specifically looked at
17 areas of dryer failures at other sites, and we did
18 not find any indications are those areas.

19 We did find some acceptable indications
20 on dryer shell behind three of the lifting lugs and
21 on the right side of the guide rod channel 215
22 degrees. Right here. And then we found behind the
23 lifting lugs on the shelves some indications in
24 three out of the four lifting lugs. Again, these
25 were analyzed and confirmed to be not structurally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant.

2 We will be inspecting the dryer in 2007
3 again to confirm continued acceptability. And we
4 plan on managing the dryer in accordance with the
5 BWRVIP.

6 Dryer questions?

7 MEMBER WALLIS: How does it compare with
8 other dryers? The various dryer designs, some of
9 which have more problems than others, how does --

10 MR. PAIRITZ: I'll have Mr. Potter
11 answer the question.

12 MR. POTTER: Could you clarify your
13 question for me? Are you talking in general the
14 dryer design or --

15 MEMBER WALLIS: There are about four or
16 five different versions of this GE dryer, Quad
17 Cities, Dresden, Vermont Yankee and so on. And some
18 of them had more problems than others. And I just
19 wondered how yours fitted into this sort of spectrum
20 of different shapes and histories?

21 MR. POTTER: Okay. This is Dave Potter
22 from Monticello.

23 There is in essence right now four types
24 of dryers that are used in the industry. You might
25 even consider five depending on how you cut it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's the square hood design, which is
2 Monticello's design, which is similar to Vermont
3 Yankee's, Quad Cities' Unit 1 and 2, and Dresden
4 Unit 2 and 3.

5 Then the slanted hood dryers which a
6 great deal of plants use.

7 And then the last would be the curved
8 hood dryers.

9 Finally, the very last design would be
10 the new dryers that have been installed in the Quad
11 Cities and Dresden plants. So Monticello's dryer is
12 similar to that. The original Quad Cities Unit 1 and
13 2 and Dresden Unit 2 and 3 and the Vermont Yankee
14 dryers which did experience the failures.

15 Does that answer your question, sir?

16 MEMBER WALLIS: And you haven't seen the
17 same kind of thing that they've seen?

18 MR. POTTER: No. The failures that
19 we're seeing at Quad Cities and Dresden were flow
20 induced type vibration failures that were seen
21 basically on the plate -- this plate region right
22 here as well as this plate cover view and this plate
23 region right here or this seam weld. Those areas
24 were inspected at Monticello in 2005 and we did not
25 identify any cracking.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I think there are
2 differences between the units. For example thermal
3 megawatt output.

4 MEMBER SHACK: Core power density are a
5 lot--

6 MEMBER SIEBER: Core power -- well steam
7 flow.

8 MEMBER SHACK: Right.

9 MEMBER SIEBER: The steam header
10 diameter. And so some dryers are more susceptible
11 than others because of different environment. This
12 apparently is a milder environment than plants that
13 have shown more damage.

14 Do you have any idea what the steam
15 velocity is at the outlet of the reactor nozzles?

16 MR. POTTER: This is Dave Potter again.
17 To be absolutely honest with you I have looked at
18 that number and compared our numbers to the
19 industry. But from memory I can't recite the
20 velocity and feet per second.

21 MEMBER SIEBER: Can you say whether it's
22 higher or lower?

23 MR. POTTER: I can say that it is
24 definitely lower than -- this is Dave Potter again.

25 I can say that the steam line velocity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is definitely lower than the Quad Cities Unit 1 and
2 2 and Dresden 2 and 3 at their extended power uprate
3 conditions. And Vermont Yankee, I know we are very
4 close, but I don't recall whose velocity is higher.

5 MEMBER SIEBER: It sort of all ties
6 together, at least in my mind.

7 MR. PAIRITZ: Any more dryer questions?
8 If not, the last topic I'll cover is on the
9 commitment process. Monticello's made 60
10 commitments to enhance aging management. The
11 commitments are described in the Monticello license
12 renewal updated safety analysis report supplement.

13 All Monticello commitments are entered
14 into the corrective action program. And this ensures
15 that there is a owner and a due date. The process
16 was looked at several times during the audits and
17 inspections.

18 Any questions on the commitment process?

19 MEMBER SIEBER: Well, the due date is
20 probably when your license expires, right?

21 MR. PAIRITZ: Well, most of them are --

22 MEMBER SIEBER: Or they all become due
23 at once?

24 MR. PAIRITZ: -- prior to the period of
25 extended operation. There are a few that are before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that.

2 MEMBER SIEBER: Yes. The question is do
3 you have a schedule as to when you're going to do
4 each of the items that you have in your commitment
5 tracking system?

6 MR. PAIRITZ: Yes. We have put together
7 a level 1 type schedule as to when those will be
8 accomplished and be part of our implementation
9 effort.

10 MEMBER SIEBER: Do you have the
11 resources to do the work?

12 MR. PAIRITZ: Yes. We got people
13 working on implementation right now. A couple of
14 contractors, some of the people that were on the
15 team. And that will continue.

16 Finally we're at the end. Are there any
17 other general questions that we can answer.

18 MEMBER SIEBER: You mean you would like
19 more questions.

20 MR. PAIRITZ: I'm here to answer them.

21 MEMBER MAYNARD: A comment. I do
22 appreciate you including your backup slides in the
23 package. I do appreciate that.

24 CHAIRMAN BONACA: Any additional
25 questions for the applicant? None. Thank you for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. It was a pleasure.

2 MR. PAIRITZ: Thank you.

3 CHAIRMAN BONACA: And we'll ask the
4 Staff now to present the SER.

5 MR. ZIMMERMAN: Dan Merzke the Project
6 Manager for the Monticello review and Patricia
7 Lougheed will lead the Staff's presentation.

8 MR. MERZKE: All right. Good afternoon,
9 gentlemen. My name is Dan Merzke. I'm the Project
10 Manager for the Staff review of the Monticello
11 license renewal application.

12 Joining me today is Patricia Lougheed
13 from Region III. She's our inspection team leader.
14 Also in the audience is Peter Wen, who is our audit
15 team leader. And supporting all of us are the
16 technical reviewers in the audience to answer any
17 questions that I can't answer for you.

18 The introduction will be start off with
19 an overview. We'll give you the plant and the
20 application followed by a discussion of the results
21 of the scoping and screening results.

22 I'll turn the mike over to Patricia who
23 will discuss the results of the license renewal
24 inspections.

25 And then I'll take it back over and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 finish with the Section III results of the aging
2 management review and the time-limited aging
3 analyses.

4 The application was submitted to us by
5 letter dated March 16, 2005. The Monticello plant
6 is General Electric BWR 3 design with a Mark I steel
7 containment, as already discussed. 17075 megawatt
8 thermal rated with a 600 megawatt electric power,
9 and that includes a 6.3 percent power uprate
10 approved in 1998.

11 Current operating license expires
12 September 8 of 2010.

13 And the plant, as already discussed, is
14 located approximately 30 miles northwest of
15 Minneapolis.

16 The draft SER was issued in April 26,
17 2006 with no open unconformity items. It also
18 included three license conditions. They're the
19 standard three license conditions for all the
20 approved plants so far.

21 We already discussed, Jake mentioned
22 that there were 113 form RAIs issued, which is
23 significantly lower than standard review.

24 And I think Jake touched on the fact
25 that we considered it a pretty good quality

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. The applicant went back and did a
2 thorough review of historical RAIs from previous
3 applications and tried to address those issues up
4 front.

5 In addition, we had 260 audit questions
6 between the scoping screening methodology and the
7 GALL audits.

8 And approximately, and as discussed
9 earlier, about 95 percent consistency with the draft
10 GALL Report revision 1, which was issued in January
11 of 2005. When the final GALL was issued in
12 September 2005 we did a scrub of that to make sure
13 that everything was covered.

14 During the review we did find some minor
15 components which were brought into scope. And I'll
16 discuss those during the scoping and screening
17 section.

18 Continuing on with the overview, the
19 audits were conducted during June and July of 2005.
20 Regional inspections were conducted in January and
21 February of this year.

22 Section 2.1 covers the scoping and
23 screening methodology. During the scoping and
24 screening methodology audit the audit team reviewed
25 the current licensing basis for flood control

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measures and determined that storage steel plate and
2 floor hatches designed to be installed for flood
3 control were not included within the scope of
4 license renewal. The applicant initially did not
5 include components storage in a warehouse within the
6 scope of license renewal. After further evaluation
7 and an extended condition, the applicant brought
8 these components into the scope of license renewal.

9 In Section 2.2 the plant-level scoping,
10 the Staff determined that there were omissions of
11 systems or structures within the scope of license
12 renewal.

13 For Section 2.3, the mechanical systems,
14 the Staff reviewed 36 mechanical systems, which was
15 a 100 review.

16 During the scoping and screening review
17 the Staff was unable to determine the scoping
18 boundary for 17 areas in the boundary drawings. The
19 Staff requested that the regional inspection team
20 visually inspect these areas to ensure the scoping
21 boundaries were in accordance with 10 CFR 54.4(a).
22 The inspections resulted in a length of steam piping
23 with a steam trap in the emergency diesel generator
24 room being brought into scope. And I'll mention,
25 that one was brought into scope because basically it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was below the floor deck plating in the emergency
2 diesel generator room. And the applicant considered
3 the floor as the boundary. However, it was not a
4 robust boundary because you could see through the
5 deck plating down into the area underneath. Any
6 steam coming out of there was going to impact or
7 potentially impact the operating temperature of the
8 EDG room. So the applicant agreed to bring that
9 steam piping and steam trap within the scope of
10 license renewal.

11 In addition during another walkdown, one
12 of the floor drains in the sodium hydrochloride
13 building which penetrates the floor into the intake
14 structure was also identified as being needed to be
15 brought into scope.

16 Section 2.4 covered the containment
17 structures and supports. Staff found no omissions
18 of structures or supports within the scope of
19 license renewal during the review.

20 For Section 2.5 the review of scoping
21 for the electrical system identified a motor control
22 center which was found to be outside the scope of
23 license renewal. It supplied power to the tank
24 heater for a standby liquid control tank. Since
25 standby liquid control system mitigates an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anticipated transient without scram or ATWS event,
2 the Staff determined it should be brought into the
3 scope of license renewal in accordance with 10 CFR
4 54.4(a)(3). The applicant determined that the motor
5 control centers are active components so they were
6 screened in accordance with 10 CFR 54.12(a)(1).

7 During the regional inspection the
8 inspectors determined that 480 volt load center
9 breakers should be scoped in. The applicant
10 determined these are active components also, so they
11 were screened out in accordance with 10 CFR
12 54.21(a)(1).

13 To conclude the scoping and screening
14 summary, it was the staff's determination that the
15 applicant's scoping methodology meets the
16 requirements of 10 CFR 54.4 and the scoping and
17 screening results as amended included all systems,
18 structures and components within the scope of
19 license renewal and subject to an aging management
20 review.

21 I'd like to turn it over now to Patricia
22 Lougheed from Region II who will discuss the license
23 renewal inspections.

24 MS. LOUGHEED: Hello. I'm Patricia
25 Lougheed. I was a lead inspector for the license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 renewal inspection conducted at Monticello.

2 My slide is on page 6 -- well, the one
3 that's shown there. Basically gives you some of the
4 logistics information about our inspection.

5 One thing that I would like to note is
6 that on this inspection I did have a person, a
7 metallurgist who really looked into a lot of the
8 core internals of the BWRVIP program to make sure
9 that it was being implemented in accordance with
10 what was proposed for license renewal. And to make
11 sure because there was not an official commitment
12 right now that NRC regulates or this program. So it
13 was ensuring that it was going to be brought forward
14 into license renewal properly.

15 Going on to my next slide, Dan touched
16 briefly upon the scoping and screening area. We did
17 look at all the issues that were brought forward
18 from the audit inspection. It was interesting,
19 besides the two cases where there were items that
20 were brought into scope, there were also a number of
21 areas most particularly what the licensee called the
22 985 pump room where there were components that were
23 identified as being in scope that really did not
24 need to be in scope. And there were quite a few
25 discussions during our inspection to clarify whether

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those items really should have been an in scope or
2 not. So there were some removals of things from the
3 scope as well as some additions.

4 CHAIRMAN BONACA: For understanding
5 better the logistic. You already had in hand the
6 audit report?

7 MS. LOUGHEED: We had the audit report.

8 CHAIRMAN BONACA: So that really was a
9 big help already --

10 MS. LOUGHEED: Right.

11 CHAIRMAN BONACA: -- in determining what
12 is consistent or exceptions and enhancements.

13 MS. LOUGHEED: Right.

14 CHAIRMAN BONACA: And you could start
15 from that?

16 MS. LOUGHEED: Right. And there's
17 always what we do in the region and the inspections
18 is that we look at the boundaries. Not the things
19 that are definitely in scope, the safety systems or
20 things like that. We look at those where they have
21 nonsafety safety interfaces, where there's nonsafety
22 systems that are going to be in the vicinity of
23 safety systems. We looked at what the actual
24 barriers were to make sure that there actually was
25 separation. Because it was not very obvious on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 license renewal drawings.

2 CHAIRMAN BONACA: I had a question, and
3 that doesn't go to this application. It's more
4 general.

5 You know, when you do PRA you find that
6 you have a lot of safety related components and
7 others important as you thought they were. And you
8 also find that the few, or a minor population of
9 components which are nonsafety related are
10 critically important for certain sequences. That's
11 really coming from the insides of the PRA. But
12 there is no -- I mean, license renewal does not
13 apply to these components.

14 MS. LOUGHEED: That is true.

15 CHAIRMAN BONACA: Do you find that the
16 licensees however are aware of the importance of
17 those components and take care of them or --

18 MS. LOUGHEED: My impression, and I
19 can't say that this is necessarily that we looked at
20 it on Monticello specifically. But licensees where
21 they have components that their PRAs have shown them
22 to be risk significant, they tend to pay more
23 attention to them because of that.

24 CHAIRMAN BONACA: Yes.

25 MS. LOUGHEED: Simply a lot of times

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because it becomes a matter of economics more. You
2 keep those pieces of equipment operating well and
3 your risk, and therefore your chance of a shutdown
4 go down.

5 So even though they're not considered
6 important to safety, they are treated with more
7 significance than things that are not risk
8 significant at all.

9 CHAIRMAN BONACA: Good.

10 MS. LOUGHEED: And I'll also the little
11 caveat that I think that a lot of the reason that
12 some of the safety systems don't show up as being
13 risk significant is because of the defense-in-depth
14 concept. You know, when you putt redundancy upon
15 redundancy well from a PRA aspect --

16 CHAIRMAN BONACA: Right.

17 MS. LOUGHEED: -- that does drive down
18 the significance.

19 CHAIRMAN BONACA: Right. Yes.

20 MS. LOUGHEED: Basically our conclusion,
21 and I probably should say we did do a lot of
22 walkdowns including into some fairly high radiation
23 areas. Our metallurgist also spent a number of
24 hours reviewing videotapes of the vessel internal
25 inspections and various welding inspections, areas

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that obviously he would not have access to with the
2 plant at power. So we did look at quite a bit from a
3 physical aspect, not just relying on the paperwork
4 and things like that.

5 Overall, we found that with a few minor
6 exceptions the systems were appropriately scoped.
7 We felt that we concentrated on the ones that were
8 most suspect rather than the ones where we knew 100
9 percent was going to be thrown into scope.

10 The applicant did submit some
11 clarification because they were coming up to doing
12 their annual submittal for the license application
13 while it was under review. A lot of the things that
14 we had identified were brought forward into that and
15 were submitted in that way.

16 Going on, we also looked at aging
17 management. My slide says that we reviewed all 33
18 aging management programs, where I notice that the
19 applicant said that there were 36 programs. I'm
20 still scratching my head which three we missed. We
21 really spent a lot of time on this one partly
22 because of the team that I had and the abilities of
23 that team to go in and look at a number of systems.

24 We found that the aging management
25 programs were implemented as described. That the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enhancement and exceptions that were being proposed
2 were acceptable.

3 We did identify some minor
4 inconsistencies, and those were either captured in a
5 revision to the application or in the corrective
6 action program. However.

7 CHAIRMAN BONACA: We talked about the
8 containment liner?

9 MS. LOUGHEED: Right.

10 CHAIRMAN BONACA: What's your opinion?
11 I mean, you went there and looked at it.

12 MS. LOUGHEED: Monticello is not one of
13 the plants that I would worry in Region III about
14 containment liner problems. All right. There are a
15 couple of plants that I have concerns about their
16 containment liners, but Monticello is not one of
17 them.

18 CHAIRMAN BONACA: Okay. Thank you.

19 MS. LOUGHEED: Basically that's -- I
20 know you've read through the inspection report in
21 some detail. We didn't find anything in there
22 either scoping, screening or aging management which
23 we felt would cause any sort of a hinderance to the
24 license being renewed. Overall, we found Monticello
25 to be in very good condition.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: But I must say that
2 I'm very impressed by the inspection report and by
3 the information from the audit. And I think they're
4 quite insightful.

5 MEMBER SIEBER: I concur with Dr.
6 Bonaca's opinion. A very good report.

7 MEMBER MAYNARD: Yes, I agree. It looked
8 like you did a very thorough job.

9 I've got one question. One of the things
10 in the inspection report that came out, I don't
11 think it necessarily associated with the scoping
12 itself, but on the failure to dismiss and relief
13 request. Was that something that your inspection
14 team found or is that something that just occurred
15 while you guys were there?

16 MS. LOUGHEED: No. It was something our
17 inspection team found. I very definitely had a
18 very, very, very team. Especially in the
19 metallurgical area. And we used him to full
20 advantage reviewing a lot of areas that we would not
21 have been able to look at otherwise.

22 MEMBER MAYNARD: Good. Good.

23 MS. LOUGHEED: Going on, you want me to
24 do the current performance? Okay.

25 Monticello is one of our good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performance in Region III. They are in column 1,
2 which was licensee response problem column. We
3 don't have any crosscutting issues opened. We have
4 no major issues at Monticello at all right now. So
5 we are following the revised oversight process with
6 minimum baseline inspections. And we will continue
7 to do that.

8 You can see the screens coming up. We
9 are green in every area on performance indicators.
10 And if you move on to the inspection findings, w
11 really have a lot of areas that we're doing
12 inspections where we don't have findings, which is
13 where the grey comes in. It doesn't mean we're not
14 inspecting there, it means that we haven't found
15 anything. And the areas where we have found things,
16 they have all been green or a very low safety
17 significance.

18 CHAIRMAN BONACA: Very good. Thank you.

19 MR. MERZKE: Just for Patricia's
20 benefit, the 33 aging management programs were the
21 official aging management programs listed in the
22 application. The two timed-limited aging analysis
23 support programs were also considered to be aging
24 management program. So that was 35.

25 Number 36 was a commitment made by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applicant late to implement an E6 program for
2 electrical cable connections.

3 CHAIRMAN BONACA: I'm sorry. Which one
4 is the --

5 MR. MERZKE: It was GALL E6 program.
6 I'll address it in a little bit and we'll have a
7 little discussion, but --

8 CHAIRMAN BONACA: First of all, I want
9 to thank you for the --

10 MS. LOUGHEED: Yes. We did very close
11 to 100 percent on this one.

12 CHAIRMAN BONACA: Great.

13 MS. LOUGHEED: We found they were able
14 to support it and we were able to get it done within
15 the time constraints.

16 CHAIRMAN BONACA: Thanks again.

17 Additional questions for the inspection?
18 If not, we're going to take a break and get back
19 here at 25 after 3:00.

20 (Whereupon, at 3:07 p.m. off the record
21 until 3:30 p.m.)

22 CHAIRMAN BONACA: We are back into
23 session. And we are going to be reviewing now the
24 aging management review results.

25 MR. MERZKE: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'll move on to the discussion of the
2 Staff's review of the aging management program and
3 reviews now.

4 The Staff reviewed at the time 35 aging
5 management programs based on the application. There
6 were 36 overall. The 36 was a late commitment by the
7 applicant to implement the GALL E6 program, which
8 would be consistent with GALL. And I'll discuss
9 that a little bit more in the electrical section.

10 So overall there were 36 aging
11 management programs, 29 of which were existing
12 programs and 7 which will be new programs to be
13 implemented prior to the period of extended
14 operations.

15 Of those, 9 of them were consistent with
16 the GALL Report and 25 were consistent with the GALL
17 Report with exceptions and/or enhancements. There
18 were two plant specific aging management programs;
19 they were a bust duct inspection and system
20 condition monitoring programs.

21 I'm going to start this discussion with
22 I picked a few of the aging management programs out
23 which involves considerable amount of Staff review.
24 And I thought I'd go over the results of those.

25 The first one would be the ASME Section

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 XI In Service Inspection subsections IWB, IWC and
2 IWD program. It's an existing program which is
3 consistent with the GALL Report with exceptions.

4 The LRA stated that relief requests in
5 code cases were not considered exceptions to the
6 GALL Report. The audit team did not agree and
7 requested the applicant evaluate all code cases and
8 relief requests for aging management concerns.

9 The Staff position is that relief
10 requests are not acceptable for aging management
11 because they expire after ten years.

12 The applicant subsequently removed
13 reference requests from the application except for
14 one relief request which has been approved 21 months
15 into the period of extended operations.

16 There were three code cases associated
17 with this aging management program are identified to
18 be exceptions to the GALL Report. They're endorsed
19 by NRC in the Reg. Guide 1.147. They were N-307-2
20 which concerned ultrasonic testing for Class 1
21 bolting with center holes; N-526, which concerned
22 successive examinations when a flaw is detected,
23 and; N-613-N which concerned examine volume of weld
24 and nozzles.

25 The Staff found these acceptable because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're endorsed by the NRC in Reg. Guide 1.147.

2 The bolting integrity AMP was found to
3 be consistent with the Gall report with
4 enhancements. The program will incorporate guidance
5 from EPRI technical reports which include *Bolted*
6 *Joint Maintenance and Application Guide* and the *Good*
7 *Bolting Practices Handbook*

8 . Staff determine the guidelines
9 reflect industry practice and meet the
10 recommendations of the GALL Report.

11 The buried piping and tanks inspection,
12 an aging management program which is consistent with
13 the GALL Report with enhancements. These
14 enhancements are all detailed in the commitment
15 section of the SER.

16 The applicant has committed to perform
17 inspections every ten years. They will credit
18 inspections of opportunity when excavating.

19 The applicant also committed to
20 performing an internal inspection of the diesel fuel
21 oil storage tank every ten years in addition to the
22 external inspection.

23 Other enhancements include a review of
24 operating experience to determine the susceptible
25 locations and to perform further evaluation on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extended condition if pipe wall thickness shows a
2 susceptibility to corrosion.

3 CHAIRMAN BONACA: So let me understand
4 now for buried pipes they're going to do a
5 inspections, but if they do not have any inspection
6 in ten years, they'll do one?

7 MR. MERZKE: That is correct.

8 CHAIRMAN BONACA: Okay.

9 MR. MERZKE: Yes, sir.

10 CHAIRMAN BONACA: And that's consistent
11 with GALL, yes.

12 MR. MERZKE: Ultrasonic testing and
13 visual inspections completed in 1999 and 2003 showed
14 no degradation or aging effects.

15 BWR vessels internals program. It's
16 consistent with the GALL Report with exception and
17 enhancement. The exception was that the applicant
18 used the updated water chemistry guidelines of
19 BWRVIP-130, as the GALL recommended BWRVIP-29. The
20 Staff found this acceptable as it's an updated
21 version of the same guidelines, and that was issued
22 in 2004.

23 Enhancement to this program is to use
24 the BWRVIP guidelines for inspection, evaluation and
25 repair to the maximum extent possible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The applicant made a number of
2 commitments based on questions from the audit and
3 inspection teams. They include additional top guide
4 inspections beyond those required by BWRVIP-26 and
5 steam dryer per BWRVIP-139.

6 Regional inspectors identified a couple
7 of issues which resulted in commitments to inspect
8 in core monitoring dry tubes per General Electric
9 Service Information Letter 409 and spray core piping
10 welds in accordance with BWRVIP-18.

11 In addition, core plate hold down bolts
12 will be inspected in accordance with BWRVIP-25 which
13 requires either UT or enhanced visual inspection or
14 another inspection technique which would be reviewed
15 and approved by the NRC.

16 In lieu of inspections, the applicant
17 has committed to installing wedges to replace
18 lateral load resistance prior to the period of
19 extended operations if they're unable to complete
20 those inspections.

21 CHAIRMAN BONACA: For core spray piping
22 welds, if I remember, the issue was that they did
23 not identify the flow through the welds, through the
24 cracks that you may have.

25 MR. MERZKE: The issue was that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were not doing the inspection on the welds because
2 the welds were -- they have mechanical clamps
3 surrounding them which replace the structural
4 integrity of the welds. The inspection team looked
5 at it a different way. If the crack developed in the
6 weld, it would be a diversion path for core spray.
7 And in case of an accident, that core spray would be
8 diverted outside the shroud and unavailable and it
9 might impact P-clad temperature. So the applicant
10 decided that it would be prudent to bring those --
11 inspect in accordance with BWRVIP-18.

12 CHAIRMAN BONACA: Good.

13 MR. MERZKE: The flow accelerated
14 corrosion program. This is an existing program
15 which is consistent with the GALL Report. The
16 application originally stated that the trigger point
17 for conducting an engineering evaluation for
18 nonsafety related piping would be 60 percent nominal
19 wall thickness. Staff could find no technical basis
20 for this number, so the applicant committed to using
21 87.5 percent nominal wall thickness as a trigger
22 point for all piping susceptible to flow accelerated
23 corrosion. The applicant uses 87.5 percent nominal
24 wall thickness as a trigger point for evaluation for
25 safety related piping also.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 For inaccessible medium voltage cables
2 not subject to 10 CFR 50.49 environmental
3 qualification requirements. This is a new program
4 which will be consistent with GALL and implemented
5 prior to the period of extended operation.

6 The application originally indicated
7 that medium voltage cables that are not subject to
8 prolonged exposure to significant moisture due to
9 inspecting for water collection and cable manholes
10 and conduits do not require testing. The Staff
11 position was that testing should be in addition to
12 inspection for water collection. The applicant
13 committed to conduct the testing as well as to
14 inspect initially at least once every two years, and
15 that two years comes from their operating
16 experience.

17 CHAIRMAN BONACA: Now from reading the
18 application most of these cables are just simply
19 buried in the ground. I mean, so --

20 MR. MERZKE: they do have some conduit,
21 too, sir.

22 CHAIRMAN BONACA: Some of them?

23 MR. MERZKE: Yes.

24 CHAIRMAN BONACA: A few. So, I mean,
25 the first portion of this program only addresses

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those few. So there's nothing you can do about
2 that?

3 MR. MERZKE: Well, the applicant has not
4 detected any water in any manholes during the
5 inspection process. So they've not detected any
6 moisture.

7 This program is supposed to be
8 consistent with the GALL Report which will cover all
9 medium --

10 CHAIRMAN BONACA: Oh, I agree with that.

11 MR. MERZKE: Okay. Reflecting on the
12 fact, and I was wondering because tomorrow we're
13 going to have presentation on this issue for current
14 licensing value. And after feeling comfortable with
15 the fact that this program is going to inspect for
16 water in manholes I was startled by the reality that
17 most of these cables are really in the ground,
18 they're not in conduits. And so that portion of the
19 program doesn't do much for us.

20 MR. MERZKE: Right. I guess that's where
21 the testing comes in.

22 CHAIRMAN BONACA: Yes.

23 MR. MERZKE: The reactor head closure
24 studs programs. It's an existing program which is
25 consistent with the GALL Report. The application

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 did not identify any exceptions to GALL here. The
2 audit team review determined that the use of code
3 case N-307-2 was an exception to GALL. This code
4 case alters the portion of the stub which examined.

5 The Staff found the exception acceptable
6 because the examination will identify the relevant
7 aging effects cracking and corrosion as the high
8 stressed portion of the stud continues to be
9 examined.

10 Inspectors also identified installed
11 studs which exceeds 175 kilo pounds per square inch
12 tinsel strength, which is what's recommend in Reg.
13 Guide 1.65 to minimize the likelihood of stress
14 corrosion cracking.

15 The applicant considers all these
16 students susceptible to cracking and is implementing
17 the preventive measures of Reg. Guide 1.65. The
18 applicant continues to conduct ultrasonic testing
19 and surface examinations on a ten year interval. And
20 to date, no parent degradation has been identified.

21 For the aging management review results
22 there's 100 percent review done; 36 plant systems,
23 18 structure in four commodity groups. I just
24 highlighted a few areas here.

25 Section 3.3 in the auxiliary systems

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there was a significant discussion on elastomers.
2 The application originally identified AMRs for
3 elastomers subject to elevated temperatures,
4 ultraviolet or ionizing radiation. The applicant
5 claimed no aging effect for elastomers in a plant
6 indoor air environment. It was the Staff's position
7 that elastomers subject to an ozone environment
8 experienced degradation that needs to be managed.
9 The applicant amended their application to manage
10 aging of elastomers in an air environment using the
11 system condition monitoring program and the one time
12 inspection programs.

13 The cable spreading room Halon system
14 will be inspected and tested every 18 months. Life
15 to six months is recommended by the GALL Report.
16 The GALL is based on the NFPA recommendations, which
17 takes into consideration system failures across all
18 industry, not just do to aging effects. Plant
19 specific operating experience has demonstrated that
20 an 18 month inspection interval will detect aging
21 effects prior to loss of intended function. Staff
22 accepted this exception because the 18 month
23 surveillance interval is part of the NRC approved
24 fire protection program and thus forms of an element
25 of the plant's current licensing basis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Section 3.5 aging management for the
2 drywell shell, the Staff found the applicant's
3 program for managing aging effects to the drywell
4 shell acceptable and consistent with the proposed
5 staff license renewal ISG which was issued for
6 comment earlier this month.

7 The applicant follows the code
8 requirements specified by ASME Section XI,
9 subsection IWE. UT performed in the sand pocket
10 region in 1986 and 1987 detected no degradation.
11 The applicant instituted a leakage monitoring
12 program which detects for water leakage past the
13 refueling seal bellows which is in the scope of
14 license renewal. It also detects leakage in the
15 drywell air gap drains and the sand pocket drains.
16 Drains are verified open and no leakage detected
17 every refueling outage. In addition, there's an 19
18 gauge galvanized sheet metal cover sealed to the
19 vessel and surrounding concrete which covers the
20 sand pocket region. Drywell air gap drains drain
21 any water on top of the cover, as you saw in the
22 applicant's diagram.

23 MEMBER MAYNARD: When did this
24 monitoring program start?

25 MR. MERZKE: I believe it was a result

1 of the response to Generic Letter 87-05.

2 MEMBER MAYNARD: So it's been in place
3 since 1987? Is that correct?

4 MR. MERZKE: That's correct.

5 The Staff found this program acceptable
6 to managing aging of the drywell.

7 CHAIRMAN BONACA: You had a comment,
8 Sam, it was important all the --

9 MEMBER ARMIJO: Yes. I had a question
10 when the UT examine was done in 1987 there's four
11 drain lines, sand drain lines. And was a UT done in
12 between those where there might be a low point there
13 that wasn't drained in the sand pocket region or was
14 it done at the location where the drain lines are?

15 MR. MERZKE: I don't have an answer to
16 that. I think the applicant may.

17 MEMBER ARMIJO: Do you have an idea?
18 Could we find out sometime, on call or something?

19 MR. MERZKE: Okay. Any other questions?

20 CHAIRMAN BONACA: You have those
21 requests regarding the configuration of the drain
22 pipe and the fact that --

23 MR. MERZKE: Well, look, I start --

24 CHAIRMAN BONACA: -- the design to
25 accumulate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: Yes. The stand pipe
2 design, it's kind of strange to me why it even
3 exists. Why isn't it just cut off and if there's
4 anything in there, it drains out onto the floor.
5 You know, it's not the scope of the ACRS to do a
6 design, but it seems strange to me that that stand
7 pipe is an asset. I think it's necessary. I don't
8 know why you guys --

9 MR. MERZKE: You'll have to talk about
10 it.

11 MEMBER ARMIJO: You must like it for
12 some reason or somebody likes it.

13 MR. PAIRITZ: This is Joe Pairitz the
14 Project Manager for Monticello.

15 The stand pipe, I believe, was
16 originally designed that way because the drain is
17 full of sand and part of the stand pipe is full of
18 sand. I think it was meant to keep the sand from
19 migrating out and going all over the floor. You'd
20 constantly be sweeping up sand.

21 So I looked at it and said they must
22 have done that to keep the sand in, but that's my
23 personal opinion.

24 MEMBER ARMIJO: Thank you.

25 I don't think it would pore out. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think it'd just jam up in there. As long as the
2 water gets out.

3 MR. MERZKE: All right. Continue on for
4 aging management of in scope inaccessible concrete,
5 the applicant stated and the Staff verified that the
6 below grade environment is not aggressive. Periodic
7 testing of the ground water will be performed as
8 part of the structure's monitoring program.

9 Section 3.6 covered electrical and I&C
10 components. There were four commodity groups
11 reviewed; electrical penetrations, fuse holders,
12 nine EQ cables and connections and off-site power
13 and station blackout recovery paths.

14 The Staff noted that industry operating
15 experience shows loosening of metallic parts of the
16 cable connections. Requested that the applicant
17 demonstrate how this effect will be managed. In
18 response, the applicant committed to implement a new
19 aging management program consistent with the GALL
20 AMP E6 electrical cable connections not subject to
21 10 CFR 50.49 EQ requirements prior to entering the
22 period of extended operations.

23 This application was originally reviewed
24 under the original GALL, GALL Rev. 0. The E6
25 program was not part of that GALL. The applicant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has committed to basically implementing one of the
2 programs implemented in the latest GALL revision.

3 I'd like to move on and discuss the
4 timed-limited again analyses. The first table here
5 summarizes the upper shelf energy for the limiting
6 belt line components. The acceptance criteria for
7 upper shelf energy is greater than 50 foot pounds.
8 The applicant has demonstrated and the Staff has
9 verified that the upper shelf energy for the
10 limiting belt line components at Monticello will
11 exceed 50 foot pounds at the end of the period of
12 extended operations.

13 The next table summarizes the mean nil
14 ductility reference temperature for the limiting
15 circumferential and axial welds. The values for
16 both are calculated to be within acceptable limits
17 through the period of extended operation pursuant to
18 10 CFR 54.21(a)(1)(ii).

19 CHAIRMAN BONACA: A question I have,
20 okay, this is more learning on my part, but I found
21 for this plant a lot of equivalent margin analysis
22 and, you know, which we haven't seen often before.
23 Maybe it is because of BWR versus PWR, but typically
24 we have a screening process by which you say you
25 meet the screening criteria and you don't have to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any further analysis.

2 MR. ELLIOTT: Right.

3 CHAIRMAN BONACA: And here I saw a lot
4 of equivalent margin analysis. If it's a separate
5 issue, you might want to address both. In page 422
6 of the application when it speaks of reactor
7 pressure vessels circumferential weld properties and
8 then it presents a conditional failure probability
9 at 64 EFPY of 1.78 as an acceptance criteria. And I
10 haven't seen that.

11 MR. ELLIOTT: I can't hear you. But let
12 me just summarize.

13 We went through the licensee what they
14 had to do for the upper shelf energy. And it turns
15 out they have four plates in the -- I think it's
16 four plates in the belt line. And one of the plates
17 is in their surveillance program, so they actually
18 have Charpy data for that plate.

19 CHAIRMAN BONACA: Okay.

20 MR. ELLIOTT: The problem is the other
21 three plates they don't have enough Charpy data to
22 know what the upper shelf energy is. And this is
23 not something that's specific to them. There's a
24 lot of GE plants that have the same problem.

25 When these plants were originally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensed there was no requirement to do upper shelf
2 energy testing. You just had to test in the
3 transition region and you had to have a lower enough
4 transition temperature so that you had adequate
5 toughness. So they didn't do the testing on the
6 upper shelf energy. And this is typical of a lot of
7 GE plants.

8 So what GE did was they have a topical
9 report on this issue in which they say that if you
10 don't have specific values of upper shelf energy,
11 they have developed a methodology, equivalent margin
12 analysis methodology that if you have a certain
13 amount of irradiation embrittlement, you're with
14 their bounds of their analysis. So that's what they
15 were first attempting to do; to show that for these
16 plates they were within the bounds of GE and generic
17 analysis.

18 CHAIRMAN BONACA: Yes. Okay. So that's
19 likely that for GE plants we're going to see more of
20 this?

21 MR. ELLIOTT: Yes. For GE plants this
22 is very typical.

23 CHAIRMAN BONACA: But it is not really a
24 marginality of this vessel. It's more like it's
25 typical of the approach we're going to see for GE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plants, for boilers?

2 MR. ELLIOTT: Right.

3 CHAIRMAN BONACA: Well the other issue
4 is that cable on page 422 where they're speaking of,
5 sort of the, configuration of weld -- essentially
6 the calculation reference, NRC calculation where a
7 condition of failure probability as 64 EFPY is used
8 as a criteria.

9 MR. ELLIOTT: Yes.

10 CHAIRMAN BONACA: And that's 1.78 and
11 ten to the minus five. And I really surprised by
12 seeing this kind of criteria used.

13 MR. ELLIOTT: Are we talking about the
14 circumferential welds?

15 MR. MERZKE: Yes. It's the BWRVIP-05.

16 MR. ELLIOTT: Okay. We reviewed the
17 circumferential welds under the BWRVIP-05 program.

18 CHAIRMAN BONACA: Okay.

19 MR. ELLIOTT: And the purpose of that
20 review at the time was to eliminate the inspection
21 of the circumferential welds. And GE put out their
22 report, and we reviewed it. And we did our own
23 analyses to convince ourselves that what they were
24 saying was true. So we put out in our safety
25 evaluation of that topical report our own analyses.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes.

2 MR. ELLIOTT: And we took their
3 fluences.

4 CHAIRMAN BONACA: Yes.A

5 MR. ELLIOTT: And we extended it,
6 originals were 40 years. And we extended it to 64
7 effective full power years just to show how it would
8 impact the analyses. And we determined that even at
9 65 effective full power years they would still be
10 the criteria that we had established to eliminate
11 the inspection of the circumferential welds.

12 CHAIRMAN BONACA: That's the inspection
13 effect. Okay. Yes, that was on page 422 of the
14 application. Bill, you were looking at it.

15 All right. That was to eliminate the
16 inspection. Okay. All right. I think that you've
17 gotten what I needed.

18 MEMBER SHACK: I mean, they eliminate
19 the inspection mostly because they can't do it?

20 MR. ELLIOTT: No, no. They can't do a
21 100 percent.

22 MEMBER SHACK: They can't do a 100
23 percent, yes.

24 MR. ELLIOTT: But the reason we have
25 eliminated it isn't because of that. We find that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the axial welds are much more susceptible. If
2 something was going to happen, they're under a much
3 higher stress than the circumferential welds. And
4 so that the axial welds would be a precursor to what
5 would happen for the circumferential welds. So as
6 long as we inspect the axial welds, we're
7 comfortable that you don't need to inspect the
8 circumferential welds.

9 CHAIRMAN BONACA: Okay. Thank you.

10 MR. MERZKE: On to Section 4.3 the
11 application covering metal fatigue. The applicant
12 satisfactorily demonstrated that the cumulative
13 usage factor, CUF, for all components subject to
14 fatigue will not exceed 1.0 through the period of
15 extended operations. Components evaluated are
16 monitored by the applicant's fatigue monitoring
17 program, which the staff found acceptable.

18 Section 4.4 covers irradiation-assisted
19 stress corrosion cracking or IASCC. Components made
20 from austenitic stainless steel exposed to a neutron
21 fluence in excess of 5 times 10 to the 20th neutron
22 per centimeter squared considered it susceptible to
23 IASCC. These components include the top guide,
24 shroud and in core instrumentation, dry tubes and
25 guide tubes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 IASCC is managed by Monticello by the
2 ASME Section 11 ISI sub sections IWB, IWC and IWD
3 program, vessel internals implant chemistry
4 programs.

5 In 1999 the applicant implemented the
6 hydrogen water chemistry program to reduce the
7 oxygenated environment also reducing the
8 susceptibility to IASCC.

9 In addition to the examinations required
10 by the ISI program, the applicant committed to
11 conduct additional top guide inspections of the high
12 fluence locations using the enhanced visual
13 inspection technique.

14 Section 4.7 covers the environmental
15 qualification of electrical equipment. The Staff
16 reviewed the applicant's TLAA on environmental
17 qualification program and concluded that the
18 evaluation was acceptable in accordance with 10 CFR
19 54.21(c)(0)(ii).

20 Section 4.8 covered the stress
21 relaxation of rim hold-down bolts. The applicant
22 provided an analysis on the stress relaxation of the
23 core plate hold-down bolts, which the Staff
24 reviewed. The Staff found the initial evaluation
25 unacceptable because it relied on friction, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was not included in the generic analysis accepted in
2 BWRVIP-25. The Staff requested the applicant
3 provide an analysis which did not include friction.
4 Subsequent analysis was provided by General
5 Electric. It was comparative analysis between the
6 BWRVIP-25 loads and the Monticello specific loads.
7 The analysis determined that the bolt stresses at
8 Monticello were either bounded by the BWRVIP-25
9 analysis or within ASME allowables. The Staff found
10 the analysis acceptable pursuant to 10 CFR
11 54.21(C)(1)(ii).

12 To summarize the TLAAs, pursuant to 10
13 CFR 54.3 the Staff found the TLAA list adequate and
14 pursuant to 10 CFR 54.21(c)(1) the Staff found that
15 the analyses provided would be the remain valid for
16 the period of extended operations. They were
17 projected to the end of the period of extended
18 operations or that the effects of aging will be
19 adequately managed for the period of extended
20 operations.

21 And pursuant to 10 CFR 54.21(c)(2) there
22 are no plant specific exceptions.

23 In conclusion, the Staff has concluded
24 that there is reasonable assurance that the
25 activities authorized by the renewed license will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 continue to be conducted in accordance with the
2 current licensing basis. And that any changes made
3 to the MNGP current licensing basis in order to
4 comply with 10 CFR 54.29(e) or (a) are in accord
5 with the Act and the Commission's regulations.

6 Does anybody have any further questions?

7 CHAIRMAN BONACA: Any questions? No
8 questions. We thank you for that presentation. It
9 was very informative.

10 At this stage what I would like to do is
11 to, first of all, ask the audience if you have any
12 questions for the presenters. There are none.

13 What I would like to do is to go around
14 the table and get insights on two things. One, do
15 we need to have a interim letter. And a second
16 question that I have is views regarding the
17 application and the safety evaluation reports by
18 individual members. You know, what are the most
19 notable issues. I believe I'm scheduled for a brief
20 update to the full Committee tomorrow or the day
21 after. So I would like to know from you what input
22 I should provide.

23 So again, two questions: (1) Should we
24 have an interim letter, and; (2) what feedback
25 should we give to the full Committee on this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. And also some views that you may have
2 on the application and the safety evaluation report.

3 So I'll start with you, Jack?

4 MEMBER SIEBER: Okay. The answer to
5 your first question is I don't see a need for an
6 interim letter.

7 My view of the application and the SER
8 and the audit and inspection report is that all
9 three documents were generally well done and
10 complete. I think the application was
11 comprehensive, even though the Staff did determine
12 in the area of scoping there were a few minor
13 corrections that needed to be made.

14 I think particularly impressive was the
15 inspection and audit report headed up by Region III.
16 Again, they have done an excellent job and it
17 results in including the licensee's effort to review
18 RAIs sent to other LER license renewal candidates.
19 Their requests for additional information and
20 include the answers in their application; I think
21 that saves a lot of effort for both the licensee and
22 the Staff. And I commend the licensee for doing
23 that.

24 And the result was an unusually low
25 number of RAIs. And I think the process more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 efficient. I think it reduces burden on all parties
2 involved. And I think shows the maturing of the
3 license renewal process.

4 The inspection and audit report, again,
5 was very thorough and well written. And basically
6 left no stone unturned. It was very clear to me what
7 steps the inspectors took to make their
8 determinations.

9 And so I think overall I would say that
10 it was a job well done.

11 In addition to looking at the
12 application, the inspection and audit report and the
13 SER, I also looked at other inspection reports
14 related to that plant on the NRC's website along
15 with their reactor oversight process, performance
16 indicators. And I was familiar years ago with the
17 performance of both of those northern states power
18 plants, Monticello and Perry Island. And it appears
19 based on what I could read and what I reviewed, that
20 they continue to perform well, and to me that's an
21 important factor.

22 So overall I was generally impressed
23 with the quality of both the licensee and the
24 Staff's reports. And I think the job was well done.

25 CHAIRMAN BONACA: Good. Thank you, Jack.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Appreciate it.

2 Bill?

3 MEMBER SHACK: I don't see any need for
4 an interim letter.

5 I'm still curious about this factor of
6 14 in the fluence. I mean, that just strikes me as
7 an extraordinary change in value that I can't
8 conceive of. And if somebody could email an
9 explanation of where it comes from --

10 MR. ZIMMERMAN: We'll do that. We'll get
11 that to you.

12 CHAIRMAN BONACA: Okay. Sam?

13 MEMBER ARMIJO: Yes. I don't want to
14 comment on the need for an interim letter. I don't
15 know enough about the process yet to talk about
16 that.

17 I think I agree with Jack's assessment
18 overall. I think a very nice job done by the Staff
19 and by the applicant.

20 I still have a nagging concern about the
21 drywell in that I'm not sure that the UT inspection
22 that was done was done in the worst location or the
23 most severe location. So I'd appreciate if either
24 the Staff or Niagara-Mohawk could tell where these
25 inspections were done before we put that issue to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bed. If it was done in the worst case location, I
2 think they've got plenty of margin in this plant.
3 BWR 3s have always been our really nice little
4 plants, low powered power density plants. And I
5 think the plant's been very well maintained. And I
6 think the plan to keep it that way is good.

7 So other than the issue n the --

8 CHAIRMAN BONACA: Well, let me just
9 point out that the issue on the interim letter. If
10 this was, for example, to be a significant issue for
11 which we have expectations, that would be a
12 motivation for writing an interim letter.

13 MEMBER ARMIJO: That's what I wanted to
14 ask. You know, maybe we just don't have the
15 information. But if it turned out, for example I
16 just have this concern that there could be a low
17 point where water's accumulated and stayed there for
18 a long time, and that wasn't the location where the
19 UT exam was done, it was done somewhere else. So
20 that's really my remaining concern.

21 MR. ZIMMERMAN: We'll look into that,
22 and we'll get that back to you through Tany. And
23 we'll talk to the licensee about that.

24 CHAIRMAN BONACA: Otto?

25 MEMBER MAYNARD: And you said Niagara-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mohawk, I don't think Niagara-Mohawk is going to get
2 you anywhere on --

3 MEMBER ARMIJO: Oh, no, no. Monticello.
4 I'm sorry. I said Niagara-Mohawk, I'm sorry. It's
5 still a BWR, I think.

6 MEMBER MAYNARD: Yes.

7 I see no need for an interim letter. I
8 agree with the previous comments on the overall
9 quality, scope and depth of the reports.
10 Especially complimentary of the inspection report
11 there.

12 And I believe that other Sam's specific
13 question on the location of these inspections, I
14 think that most of the issues that we may have
15 lingering a little bit on the shell is really more
16 of a generic question and issue that we need to come
17 to grips with than it is a Monticello specific as to
18 exactly what's required. It appears to me as though
19 they're doing exactly what the interim staff
20 guidance is requiring and have done that. So I think
21 it's more of a generic than a plant specific force.

22 CHAIRMAN BONACA: Okay. Thank you.

23 Yes, I share some of the views of the
24 rest of the Committee.

25 First of all, I was impressed by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 clarity of the application, and most of all the
2 inspection reports. I mean they were quite informed,
3 they provided a lot of information.

4 Regarding the liner, containment liner,
5 you know the presentation from the inspector leader
6 here gave some confidence. Because, I mean, they
7 probed the issue, they went back and looked at it.

8 I still believe, however, that it is
9 somewhat concern to me and I tend to agree with you,
10 Otto, that it is a generic issue right now. You
11 know we don't have a very clear basis for saying
12 Browns Ferry should inspect and Monticello should
13 not or doesn't need to. I mean I don't understand
14 yet what makes the big distinction there, okay. And
15 I think we have to clarify this issue.

16 In addition to that, I'm kind of
17 concerned about license renewal and all this
18 inaccessible components. I mean, the issue is not
19 only the liner. The issue is the cables we are going
20 to discuss tomorrow on this Generic Letter. The
21 issue is piping, which is buried under. And you
22 know these components are not going to operate
23 forever. You're going to have some incidents of
24 degradation tied to aging and I'm not sure that the
25 programs we have in place are going to address the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues in a complete fashion.

2 I know going back to the containment
3 liner, I mean I am puzzled by the guidance that we
4 have licensees by which we impose a requirement for
5 an inspection on one and we do not on some other. It
6 is all left to the judgment of the reviewer. I
7 think it's an important issue that we have to look
8 at.

9 If that was my plant and I have been 19
10 years without looking at it, I would commit to do an
11 inspection. Now does it meet however the
12 requirement of the rule? It sounds like it does.
13 So, you know, my sense is is maybe we don't interim
14 letter. The only purpose of an interim letter would
15 be for us to say to recommend that they have an
16 inspection done. And, you know, my sense is that
17 let's leave it as a generic issue.

18 And I think it will be interesting to
19 gain an understanding of this issue as we go forward
20 so that we have a better understanding of when we're
21 going to ask for an inspection and when we're not.

22 MR. ZIMMERMAN: In fact, tomorrow at
23 3:15 we're scheduled to come over here and brief you
24 on the ISG, so that will prompt further dialogue on
25 the issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes. Okay. Good.
2 And that brings it to the table anyway.

3 So outside of these comments, I mean I
4 think that again it sounds like this is a good
5 plant, has a good operating history. It seems to be
6 ready for moving on to --

7 MEMBER SHACK: Well, I'm impressed when
8 they found a number of SAMAs that would improve
9 their safety, they went out and implemented them.

10 CHAIRMAN BONACA: Yes.

11 My concluding statement, I agree with
12 the other comments of the members. Very low number
13 of RAIs, by the way. It is a real improvement in
14 the process. And I think we're getting to a maturity
15 of the license renewal process.

16 Okay. So you've got our comments.
17 We're not going to have an interim letter, at least
18 we're not going to recommend one to the full
19 Committee.

20 And I'm going to turn around and see if
21 there are any further questions or comments
22 regarding these applications from the public. If
23 are no further comments, this meeting is adjourned.

24 (Whereupon, at 4:10 p.m. the meeting was
25 adjourned.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

Official Transcript of Proceedings
NUCLEAR REGULATORY
COMMISSION

Title: Advisory Committee on Reactor Safeguards
Plant License Renewal Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, May 30, 2006

Work Order No.: NRC-1057

Pages 1-114

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

PLANT LICENSE RENEWAL SUBCOMMITTEE

MEETING

+ + + + +

ROCKVILLE, MARYLAND

TUESDAY

MAY 30, 2006

The Subcommittee met in Room 2TB3 at Two White Flint North, 14555 Rockville Pike, Rockville, Maryland, at 1:30 p.m., Mario V. Bonaca, Subcommittee Chair, presiding.

MEMBERS PRESENT:

MARIO V. BONACA Chairman

J. SAM ARMIJO

WILLIAM J. SHACK

JOHN D. SIEBER

GRAHAM B. WALLIS

OTTO MAYNARD

1 NRC STAFF PRESENT:

2 CAYETANO SANTOS Designated Federal Official

3 JAKE ZIMMERMAN

4 DAN MERZKE

5 PATRICIA LOUGHEED

6 DAVE POTTER

7 MICHAEL ALEKSEY

8 PETER WEN

9 BARRY ELLIOTT

10 HANSRAJ ASHAR

11 JAMES MEDOFF

12 DR. KEN CHANG

13 DR. K.T. KUO

14 MONTICELLO REPRESENTATIVES PRESENT:

15 PATRICK BURKE

16 JOHN GRUBB

17 JOEL PAIRITZ

18 SHERRY BERNHOFT

19 JIM ROOTES

20 RON SIEPEL

21 STEVE HAMMER

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18

A-G-E-N-D-A

OPENING REMARKS 4

STAFF INTRODUCTION, Mr. Zimmerman 5

MONTICELLO LICENSE RENEWAL APPLICATION, P. Burke 8

 Description, J. Grubb 10

 Operating history, background, scoping,
 P Burke 15

 Application of GALL, P. Burke 34

 Industry topics, J. Pairitz 34

 Commitment process, J. Pairitz 68

SER OVERVIEW 70

 Overview, D. Merzke 70

 Scoping and screening results, D. Merzke . 72

 License renewal inspections, P Lougheed . . 75

AGING MANAGEMENT REVIEW RESULTS and TIME-LIMITED
AGING ANALYSES, D. Merzke 84

SUBCOMMITTEE DISCUSSION 107

P-R-O-C-E-E-D-I-N-G-S

1.31 p.m.

CHAIRMAN BONACA: The meeting will now come to order.

This is a meeting of the Plant License Renewal Subcommittee. I am Mario Bonaca, Chairman of the Plant License Renewal Subcommittee.

The ACRS members in attendance are Jack Sieber, Bill Shack, Graham Wallis, Sam Armijo and Otto Maynard.

Cayetano Santos of the ACRS Staff is a Designated Federal Official for this meeting.

The purpose of the meeting is to discuss the license renewal application for the Monticello Nuclear Generating Plant. We will hear presentations from the NRC's Office of Nuclear Reactor Regulation and representatives of the Nuclear Management Company.

The Subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberation by the full Committee.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the *Federal*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Register. We have received no written comments or
2 requests for time to make oral statements from
3 members of the public regarding today's meeting.

4 A transcript of the meeting is being
5 kept and will be made available as stated in the
6 *Federal Register* notice. Therefore, we request that
7 participants in this meeting use the microphones
8 located throughout the meeting room when addressing
9 the Subcommittee. The participants should first
10 identify themselves and speak with sufficient
11 clarity and volume so that they may readily heard.

12 We will now proceed with the meeting.
13 And I call upon Mr. Jake Zimmerman to begin the
14 meeting.

15 MR. ZIMMERMAN: Thank you, Dr. Bonaca.

16 Good afternoon. My name is Jake
17 Zimmerman. I'm the Branch Chief in License Renewal
18 Branch B, in the Division of License Renewal.

19 With me today is Dr. Ken Chang, who is
20 the Branch Chief for License Renewal Branch C, whose
21 responsibility is the on-site audits of the aging
22 management programs and the aging management reviews
23 and also the time limit and aging analysis.

24 Behind me also is Dr. P.T. Kuo, our
25 Deputy Director for the Division of License Renewal,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 who you all are familiar with.

2 The Staff has conducted a very detailed
3 and thorough review of the Monticello Nuclear
4 Generating Plant license renewal application which
5 was submitted in March of 2005. Mr. Dan Merzke,
6 here to my right, is the Project Manager for this
7 review. He will lead the Staff's presentation this
8 afternoon on the draft safety evaluation report.

9 In addition we have Ms. Patricia
10 Lougheed who is our team leader for the Region III
11 inspections that were conducted at Monticello
12 Nuclear Generating Plant.

13 We also have several members of the NRR
14 technical staff here in the audience to provide
15 additional information and answer your questions.

16 The Staff felt that the Monticello
17 Nuclear Generating Plant application was of very
18 good quality. This resulted in the issuance of only
19 a 113 formal requests for additional information. I
20 know the ACRS has been interested in the number of
21 questions that have come out of these reviews in the
22 past. We believe part of that reduction is as a
23 result of the Generic Aging Lessons Learned Report.
24 This application was submitted using the draft GALL
25 Report that was issued back in January of 2005,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 however it was reconciled with the September 2005
2 version of the GALL Report. In fact, it resulted in
3 a 95 percent consistency between their application
4 and the revised GALL. So I think it was a good
5 application. The GALL certainly helped with the
6 review providing a roadmap.

7 In addition, the Staff at Monticello
8 provided excellent support for our on-site audits,
9 the inspections that were conducted and also the
10 headquarters reviews through the conference calls
11 and numerous meetings that we had.

12 Because there are no open items, the
13 Staff has requested that we accelerate the schedule
14 to complete this review in 20 months versus our
15 standard 22 months. That's been the practice over
16 the last several license renewal applications, and
17 we're working with ACRS Staff to set up the next
18 meeting.

19 And with that, I'd like to turn it over
20 to Pat Burke, who is the Manager of this project to
21 begin the applicant's presentation.

22 MR. BURKE: Thank you, Jake.

23 And thank you members of the ACRS
24 Subcommittee for allowing Monticello to present this
25 presentation in support of the Staff in this meeting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 today.

2 What I'd like to do is start off by
3 giving a brief introduction of the team and the
4 members that we have here today to help answer any
5 questions you may have.

6 Now we have on my left here a Mr. John
7 Grubb, who our Director of Engineer.

8 We have Ms. Sherry Bernhoft, who is the
9 Director of Fleet Project Management in the
10 audience.

11 Again, I am Patrick Burke, the Manager
12 of Projects.

13 Joel Pairitz is our License Renewal
14 Project Manager.

15 Ray Dennis is our civil lead.

16 Ron Spiepel is our electrical lead.

17 Jim Rootes is our programs lead.

18 Michael Aleksey we have as our TLAA
19 support.

20 Dave Potter is our engineering
21 supervisor of inspections and materials.

22 And Steve Hammer is a principal engineer
23 on the project.

24 We also have with us today our sister
25 plant, Palisades from the Nuclear Management Company

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 observing and gaining any lessons learned during
2 this presentation today.

3 What we'd like to talk about today is
4 the agenda. We will start with having John Grubb go
5 over a brief description of the Monticello Nuclear
6 Generating Plant.

7 And I'll talk a little bit about the
8 operating history and some highlights. I'll talk a
9 little bit about the project application and
10 background. I'll discuss the methodology. And as
11 Jake mentioned, we'll talk a little bit about the
12 application of the GALL to Monticello's application.

13 At that point I'll turn it over to Joe,
14 our Project Manager to go over a couple of industry
15 topics such as drywell shell corrosion shroud
16 cracking, steam dryer. And then we'll conclude with
17 a short discussion on commitment process.

18 At this point I'd like to turn it over
19 to Mr. John Grubb.

20 MR. GRUBB: All right. Thank you, Pat.
21 And again, thanks to the Committee.

22 A brief description of the Monticello
23 plant. The plant is located, it's on the banks of
24 the Mississippi River. It's roughly 30 miles
25 northwest of Minneapolis. It's approximately 2100

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 acres of land that's owned by Xcel Energy.

2 The plant is a single unit GE BWR 3. We
3 do have a Mark I containment.

4 MEMBER WALLIS: One question about this.

5 MR. GRUBB: Yes, sir.

6 MEMBER WALLIS: How far do the suburbs
7 of Minneapolis extend the direction of the plant?

8 MR. GRUBB: The closest suburb actual
9 Minneapolis suburb to the plant is the Maple Grove
10 suburb, and it's about 18 to 20 miles.

11 MEMBER WALLIS: Okay. Thank you.

12 MR. GRUBB: Our current license thermal
13 power is 17075 megawatts thermal, approximately 600
14 megawatts electric.

15 The plant is owned by Northern States
16 Power Company, which is a subsidiary of Xcel Energy.

17 The plant is operated by the Nuclear
18 Management Company.

19 And we have an on-site staff of
20 approximately 420.

21 Just a quick aerial view of the station.
22 The Mississippi River, which is ultimate heat sink.
23 Intake structure here. Turbine building. Reactor
24 building. Cooling towers and discharge canal here.
25 Return to the river up in the upper left. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 subyard is here. It's a pretty small, relatively
2 compact site.

3 Next.

4 What you'll see in this slide is that
5 Monticello has historically been and continues to be
6 a very reliable plant. Our current unit capability
7 factor is rated at 93 percent. Our INPO performance
8 index is at 100 percent. We are greater than 1500
9 days since our last scram from power. Our current
10 operating cycle, we've been online for greater than
11 400 days. We currently have no equipment issues that
12 are threatening unit availability.

13 MEMBER SHACK: What's your fuel like?

14 MR. GRUBB: We are on a two year fuel
15 cycle.

16 The performance indicators are all
17 green. And we have no findings that have been
18 greater than green.

19 MEMBER SIEBER: I have a question about
20 the inspection findings.

21 MR. GRUBB: Yes, sir.

22 MEMBER SIEBER: I looked through all of
23 your inspection reports for the last couple of
24 years, and including the summary of the findings.
25 And they were all green or less. And I noticed a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lot of areas didn't have any findings at all, which
2 is actually a good thing.

3 On the other hand, if I review all those
4 findings which resulted in on-sited violations, I
5 think that you might be able to pick out a trend.
6 And I was wondering if you have done that and see a
7 trend or a problem area in your findings?

8 MR. GRUBB: Well, I wouldn't say I see a
9 problem area. What Monticello has been going
10 through over the last several years is we focused on
11 the programs area specifically and we've done a lot
12 of reconstitution. And a lot of time focusing,
13 doing assessments in the programs area. So we have
14 a number of things that have come up in the
15 programs; Appendix R, fire protection, EQ, some of
16 those areas that we have focused on. But we've
17 been doing that because we recognize that maybe we
18 hadn't been at the top of the industry with respect
19 to how we treated programs historically.

20 MEMBER SIEBER: Another thing that I
21 noticed was several operator errors that occurred
22 during surveillance testing. Does your staff have a
23 pretty good size turnover at this time? It's an
24 older plant and older plants often have a staff that
25 grew up with the plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GRUBB: Yes. There has not been a
2 lot of turnover in the operations area specifically.
3 We have been trying to bring groups of new license
4 candidates and new operator candidates over the last
5 several years. We hired ten last year.

6 As far as the human performance, we do
7 recognize that. There is two initiatives at the
8 site level that we're going after to try to address
9 that.

10 What the station is is we have six focus
11 areas. And the way we treat those is if we do
12 nothing else as a station, those six areas are going
13 to get a lot of attention. Two of those, one is
14 operations leadership which is making sure the Ops
15 department is leading the station and the operators
16 are taking responsibilities. The second one is
17 procedure use and adherence. So we have recognized
18 that trend and we are focusing on those two areas.

19 MEMBER SIEBER: And how would you
20 describe compared to other plants the material
21 condition of Monticello?

22 MR. GRUBB: I guess I don't have a good
23 picture of the rest of the plants. Our material
24 condition is very good. We're in pretty good shape.
25 The plant has historically been maintained very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well. What you'll see at Monticello and the people
2 that come to Monticello, the craft and the mechanics
3 and so forth that maintain the equipment take a
4 tremendous amount of ownership. And as a result of
5 that, our equipment performance and our equipment is
6 in very good condition.

7 MEMBER SIEBER: I would caution that
8 even though Minnesota is a great place, you might
9 not want to isolate yourself from your brethren in
10 the industry and get out and see what the best
11 plants look like and make yours just like it.

12 MR. GRUBB: We agree.

13 MEMBER SIEBER: Okay. Thanks.

14 MR. GRUBB: All right. Pat, back to
15 you.

16 MR. BURKE: All right. I'd like to
17 start my discussion with a little bit on the
18 operating history and highlights, some background,
19 Monticello's construction. The permit was issued in
20 1967. We obtained our operating license in
21 September of 1970. That means that 40 years later
22 in September of 2010, our 40 year license would
23 expire. And as Jake mentioned earlier, we did
24 submit our license renewal application in March 16th
25 of 2005.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 These next couple of slides I'll talk a
2 little bit about the operating history, and this
3 will go to the point of material condition which we
4 just talked about.

5 In 1984 we replaced all the resurg
6 piping with a low carbon stainless steel resistant
7 to intergranular stress corrosion cracking. The
8 small bar piping was a 304L material. The large bar
9 piping was a 316 NG material. During that project
10 we replaced risers, supply headers, suction piping
11 and safe-ends.

12 We made some additional improvements by
13 reducing the number of welds and doing some
14 induction heating, stress improvement and
15 electropolishing was applied to the new pipe.

16 In 1986 we replaced spray safe-ends with
17 intergranular stress corrosion cracking resistant
18 material also.

19 In 1989 we implemented the hydrogen
20 water chemistry. We were one of the early plants in
21 implementing that. We implement the moderate
22 hydrogen water chemistry for protection of the
23 vessel internals.

24 MEMBER SHACK: And you're still doing
25 that rather than noble metal?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: That's correct. We are
2 still with moderate hydrogen water chemistry. We
3 have been evaluating noble metals. We've been kind
4 of a slow deliberate approach to reviewing that.
5 We've had very, very good fuel reliability. So
6 we're kind of going slowly into noble metals.

7 MEMBER ARMIJO: Have you been adding any
8 zinc for dose retrieval?

9 MR. BURKE: Yes, we have. We inject
10 depleted zinc.

11 MEMBER SHACK: This is probably getting
12 ahead because you're going to tell us about core
13 strength, but what's the condition of your core
14 shroud jus as a sample internal that's seen a lot of
15 cracking in other plants?

16 MR. BURKE: I think I'll defer that Mr.
17 Dave Potter.

18 MR. POTTER: I am Dave Potter from the
19 Monticello plant.

20 The condition of our shroud is actually
21 better than most in the industry. I wouldn't say
22 it's the best. Our most cracked weld is the H3 weld
23 which had 27 percent indication of our last
24 inspection. But we had three-quarters of that weld
25 basically covered in our last inspection. So in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relative terms our shroud is very good.

2 MR. BURKE: And we will be giving more
3 information in a minute also.

4 In 1997 we did replace the emergency
5 core cooling system suction strainers. And we
6 increased the surface area of those strainers for
7 debris loading.

8 In 1998 we did initiate a power uprate.
9 We increased our power level from 1670 megawatters
10 thermal up to 1775 megawatts thermal, which was a
11 6.3 percent increase.

12 As part of the license renewal effort,
13 we did implement six SAMAs, which did significantly
14 reduce our overall plant risk.

15 MEMBER SHACK: Now those are the six
16 SAMAs that were identified in your environmental
17 impact statement as having a favorable cost risk?

18 MR. BURKE: Yes, sir. That is correct.

19 MEMBER SHACK: That's all six, including
20 the manual RCIC which reduced your CDF but upped
21 your risk?

22 MR. BURKE: That is correct.

23 MEMBER SHACK: Okay. Well, if one of my
24 colleagues was here, he'd ask you about that. But
25 we'll let that one pass.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: He's not here.

2 I would like to know, however, what is
3 the CDF for this plant?

4 MR. BURKE: The core damage frequency
5 before the six SAMAs was 4.37 ten to the minus
6 fifth. And the after implementation --

7 CHAIRMAN BONACA: Internal events or
8 total?

9 MR. BURKE: Total events.

10 CHAIRMAN BONACA: Internal events?

11 MR. BURKE: Internal, that's right.

12 And after the implementation of this was
13 changed to 5.99 times ten to the minus six per year.

14 MEMBER SHACK: That was a question I was
15 going to have for the Staff. You know, reading
16 through here this was the first environmental impact
17 where I came to the SAMAs and they actually, you
18 know, they had a bunch of favorable ones. And the
19 fire truck one was a real bargain. You know, you
20 haul the fire truck and hook it up.

21 What is the criteria for when -- why did
22 we ask these people to do these SAMA analysis? Is
23 there some criterion that they would meet that they
24 would have to do them or is it just something they
25 look at? You know, they obviously choose to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implement a number of the SAMAs. And I just
2 wondered in general what do we do with the SAMA
3 analysis after they do it?

4 You can come up with that later or
5 answer now?

6 MR. KUO: Yes. P.T. Kuo, License
7 Renewal.

8 We generally perform the SAMA analysis
9 and if we see there is a cost benefit area that the
10 applicant can improve, then we make the
11 recommendations. And we send this recommendations
12 to them that these are the cost beneficial actions
13 that they have to take.

14 And then later on --

15 MEMBER SHACK: So they don't have to
16 take them, though?

17 MR. KUO: They don't have to take them.

18 MEMBER SHACK: They could take them?

19 MR. KUO: But based on our SAMA analysis
20 we identify, if we identified any actions that we
21 believe is beneficial, we'll let them know.

22 MEMBER SIEBER: Before you move forward,
23 I'd like to go back to your 6.3 percent power
24 uprate. Do you have additional margin in your plant
25 where you could perform another uprate in power?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: We've done some studies,
2 some evaluation on that. There would be significant
3 cost. If we decided to do another power uprate, it
4 would be a significant cost to replace the
5 equipment.

6 MEMBER SIEBER: Like the turbine?

7 MR. BURKE: Like the turbine, generator
8 rewinds, transformers, feed pumps.

9 I think the answer to your question is
10 there is probably not a lot of margin above and
11 beyond for another power uprate. We have margin
12 where we're at.

13 MEMBER SIEBER: Okay. Thanks.

14 MR. BURKE: Now looking out into the
15 future, we have a number of future lifecycle
16 management projects that are in progress and being
17 implemented, such as replacement of feedwater
18 heaters, recirc pump motors and rotating pump
19 assemblies. We've done the 11 pump last outage and
20 we plan to do the 12 pump this outage the service
21 water pump replacements and transformers and
22 generator rewinds.

23 The next couple of slides I would like
24 to talk a little bit about the project. This slide
25 here what I'd like to talk about is how we selected

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the people for the project and how we made sure we
2 had the right people for the project.

3 Now, we initiated the project through an
4 interview process for site employees. We selected a
5 core team. They're NMC employees that were from the
6 site. Four of them had SROs or SRO certifications
7 and all of them were very experienced and
8 multidisciplined.

9 We supplemented that core team with
10 license renewal experienced contractors. Again, the
11 majority of those contractors were on-site
12 performing that work. We did retain the majority of
13 that team during the audits and inspections. So we
14 had the same people that prepared the application
15 supporting the audits and inspections.

16 We contracted with General Electric to
17 perform the reactor pressure vessel and internal
18 time-limited aging analysis and aging management
19 reviews.

20 And we also did engage the plant and the
21 site staff in review of aging management review
22 documents and aging management program documents.

23 MEMBER SHACK: The one thing that struck
24 me as extraordinary, though, in the TLAA for the
25 core shroud, the first estimate of the shroud

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence peak was 3 times 10 to the 20, and then it
2 got changed to 3.8 times 10 to the 21. Now that's a
3 factor of 14 and it was a change in methodology.
4 I'm a little surprised to see that kind of a change.
5 Is there some explanation for what went on there?

6 MR. BURKE: Yes. I'd like to defer that
7 to Michael Aleksey.

8 MR. ALEKSEY: My name is Michael
9 Aleksey.

10 I'd like you to rephrase that question,
11 please? I didn't hear the first part of it.

12 MEMBER SHACK: In the initial license
13 renewal application it says the peak shroud fluence
14 was 3 times 10 to the 20 neutrons per square
15 centimeter greater than 10 leV.

16 MR. ALEKSEY: Yes.

17 MEMBER SHACK: Then it got changed to
18 3.8 times 10 to the 21. I mean it's a factor of 14.

19 MR. ALEKSEY: Well, the original
20 analysis was based on Reg. Guide 1.99 and the
21 original capsule that was pulled in 1984
22 thereabouts, we went to the Reg. Guide 1.190
23 evaluation and used the typical factors to bump that
24 up by 30 percent at certain areas and stuff like
25 that, and came up with the results that we got.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I don't think that that's unusual in
2 terms of --

3 MEMBER SHACK: It's not unusual? A
4 factor of 14? I mean, you know from a case 3 times
5 10 to the minus 20 you're hardly seeing any
6 influence of irradiation on stainless steel to 3
7 times 10 to the 21; it's, you know, a big time
8 change. It's embrittlement, it's high crack growth
9 rates without your hydrogen water chemistry.

10 I mean, normally I hear the Staff
11 beating up people over 10 percent changes in fluence
12 and a factor of 14 just seems very large.

13 Barry is going to enlighten me.

14 MR. ELLIOTT: Barry Elliott, NRC.

15 I'd just like to talk to them for a
16 second.

17 I believe in their application, and I'm
18 making some assumptions, the original applications
19 likes the fluence is calculated for either 1775
20 megawatts or 1680 or something like that. When they
21 did the recalculation for these, it looks like they
22 used 1830 megawatts or 1880 megawatts for cycle 23
23 through the end of the license renewal period. So
24 that would account for some of the large increase.
25 In other words --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: But a factor of 14?

2 MR. ELLIOTT: I'm just saying that they
3 went from 1660 or something like that all the way up
4 to 1880 megawatt thermal. So that increases it quite
5 a bit.

6 And then they used a new GE methodology,
7 which they hadn't used before.

8 So all this stuff added in, I mean this
9 is what you did. So, I mean, I'm just reading the
10 application. You tell me is that what you did?

11 MR. ALEKSEY: This is Mike Aleksey.

12 Yes, we did. Originally it was based on
13 1670 and the Reg. Guide 1.190 evaluation it was
14 based on 1775 up through cycle 22 and then we
15 increased that to 1880 for cycle 23 on, which did
16 provide a significant conservatism. And the reason
17 we did that is because we had performed other
18 analyses at that level before and we thought it was
19 a prudent thing to do.

20 MEMBER SHACK: Okay. Well, I mean
21 since you can live with 3 times 10 to the 21, you
22 know and that sounds like the typical value I have
23 for end-of-life for a core shroud. You know, when I
24 saw the 3 times 10 to the 20 in the original
25 application, I wondered how much water you had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 between your core and your shroud, and it seemed
2 extremely low. The 3 times 10 to the 21 is about
3 where I expected it to be. I still don't understand
4 why it's so different, but obviously you can live
5 with it. And, as I say, it's a value that I find
6 plausible.

7 CHAIRMAN BONACA: Okay. Next slide,
8 please.

9 This slide talks a little about how we
10 were engaged in the industry during the development
11 of license renewal application. We attended many of
12 the working groups. We did participate in the GALL
13 draft revision 1 review and comments through NEI.

14 And we participated in our sister NMC
15 plants during their audits and inspections to gain
16 lessons learned.

17 We supported numerous license renewal
18 peer reviews throughout the industry. We also
19 hosted our own peer review where we did have seven
20 external peers on that team.

21 And then we did review many industry
22 RAIs and in detail we reviewed the Nine Mile, Point
23 Beach and Dresden/Quad's RAIs.

24 These next couple of slides we'll talk a
25 little bit about the methodology. Most of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bullets that I'll talk about now is where we added
2 additional detail into the application that you
3 might not always see. For example, we identified
4 system functions and tied those to the different
5 criterion for the different scoping to help better
6 describe why the system wasn't scoped.

7 We paid a lot of attention to our
8 boundary drawings and included boundary flags and
9 multicolored boundary drawings.

10 We used plant documentation to identify
11 our scoping components. Use DBDs and did extensive
12 plant walkdowns.

13 We created a number of technical reports
14 including those for criterion 2, nonsafety effecting
15 safety and also for the regulated events.

16 And then we did use the spaces approach
17 for our criterion 2, and that was incorporated into
18 the application.

19 MEMBER MAYNARD: I did have a question
20 here. Taking about your scoping, your boundary
21 drawings and everything. And yet in the inspection
22 report I noticed that the inspectors found a number
23 of items or systems where the boundary needed to be
24 changed or something needed to brought into scope,
25 or whatever. I'd like to get your perspective on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. Because it seemed like there's a number -- I
2 don't know if the inspectors were really picky or
3 whether you guys had missed these or what.

4 CHAIRMAN BONACA: No. We didn't have
5 some. There were some areas in the drawings, but I
6 think overall we felt that our drawings were pretty
7 accurate as boundary drawings typically go in the
8 industry.

9 MR. PAIRITZ: I am Joe Pairitz, the
10 Project Manager.

11 Some of the cases, too, occurred where a
12 color suddenly stopped and there wasn't an
13 explanation for why that was. And basically it was
14 that it went through a wall so it was no longer in
15 scope for criterion 2. And we had quite a few
16 instances where we had to go walk that down with NRC
17 inspectors to look at that. And we're doing it over
18 again, I would draw the wall in the drawing and make
19 it easier. But that was the cause for a good number
20 of those questions.

21 MEMBER SIEBER: You had other situations
22 where the line that started off on 1 PNID as a
23 colored line in scope, the adjoining PNID didn't
24 have a colored line in scope. So it ended at the
25 boundary of the drawing as opposed to some physical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 boundary.

2 MR. PAIRITZ: This is Joe Pairitz again.

3 That's correct. There were several
4 instances where the continuation went to the next
5 drawing, it didn't color it properly, and we did
6 correct those.

7 MEMBER SIEBER: Well, I read the same
8 inspection reports. And it just seemed like there
9 was a lot of them, relatively speaking.

10 My question to you would be now that the
11 inspection's over with, which is vertical slices and
12 not comprehensive, how confident are you that you
13 have captured all that should be in scope and
14 identified that on your plant drawings?

15 MR. PAIRITZ: Joe Pairitz again.

16 We did capture those instances in our
17 corrective action program. And part of that was
18 looking at other drawings to see the extent of
19 condition basically. And we're confident right now
20 that we have corrected those problems.

21 MEMBER SIEBER: When you did that, did
22 you find additional problems that wasn't found by
23 NRC inspectors?

24 MR. PAIRITZ: Off the top of my head
25 right now, I don't know for sure. There might have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been a couple, but basically no. And we spent a lot
2 of times on the drawings so we we're pretty
3 confident that they were right to begin with. They
4 did find a few instances, and in our works to
5 correct that I think we might have found a couple
6 more. But it wasn't a significant number.

7 And these things were in scope. It was
8 just the drawing didn't get colored properly.

9 MEMBER SIEBER: Yes. I gathered that
10 from the write-up.

11 CHAIRMAN BONACA: Well, some items were
12 also brought into scope, so there was some of both.

13 MR. PAIRITZ: Right.

14 CHAIRMAN BONACA: Since we're talking
15 inspections, I had a question about the corrosion
16 that the inspectors found on the conductor
17 termination logs of the fire diesel pump. And I'm
18 sure you have a surveillance program for that pump.
19 And so it was disturbing to read it because in
20 license renewal you are going to have a program
21 dealing with this fire pump which is an extension of
22 your existing program. And when I have to wait for
23 an inspector to find it, it troubles me and I
24 wondered about your view on that issue.

25 CHAIRMAN BONACA: Could I defer that to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Ron? He was involved with that inspection activity.

2 MR. SIEPEL: Right. My name is Ron
3 Siepel. I'm the electrical lead.

4 And if I understand the question right
5 is you had a question on the corrosion of the wire
6 that was in the diesel generator panel, is that the
7 question?

8 CHAIRMAN BONACA: Fire diesel -- fire
9 pump.

10 MR. SIEPEL: Okay. The diesel fire pump
11 panel, that panel had been identified on a previous
12 CAP or condition action request that was in the
13 process of replacement and it just hadn't been
14 replaced to date. And if it hasn't been replaced
15 now, it'll be replaced shortly. But that had been
16 previously identified out there under our program,
17 and it was in the process of being replaced.

18 CHAIRMAN BONACA: It wasn't identified
19 before? Wasn't clear from the inspections?

20 MEMBER SHACK: I was just curious. The
21 Staff SER sort of credits your computerized history
22 and maintenance planning system with helping in the
23 scoping, and yet it's not credited at all in your
24 license renewal application. You actually use this
25 thing or is it just sort of sitting around.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: This is Pat.

2 The CHAMPS database was used as a
3 starting point for the scoping process. That was
4 downloaded into a licensed renewal database called
5 ALEX.

6 The CHAMPS database is used more for
7 work management, so you have many of the active
8 components in there. And that was a starting point.
9 By taking that and using that as a starting point
10 and then adding all of the passive components,
11 therefore you would up with a complete ALEX database
12 for scoping and screening to take you through the
13 process methodically on a databased driven platform.

14 The next slide I'd like to talk a little
15 bit about the ageing management review. A couple of
16 other details that we added that I think help tell a
17 better story in the application was adding mechanism
18 for the aging effects.

19 MEMBER SIEBER: Let me ask one quick
20 question before we leave scoping. Is your
21 condensate storage tank in scope? I know piping and
22 anchors and bolts and housings are. But the tank
23 doesn't seem to be. Do you know?

24 CHAIRMAN BONACA: I don't know off the
25 top of my head.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: This is Joe Pairitz.

2 The piping leading up to the tank is in
3 scope. The tanks themselves, I guess I'll have Ray
4 check on that, but I think the tanks themselves are
5 not in scope.

6 CHAIRMAN BONACA: Individual --

7 MEMBER SIEBER: Yes, that's the way to
8 be. And I was wondering, you know, if all the other
9 stuff is in scope, why isn't the tank is in scope?
10 And if the tank would fail, can you still accomplish
11 what you're supposed to accomplish?

12 MR. BURKE: Yes. I'll answer one of the
13 questions, the CSTs being in scope or not. We do
14 not credit the condensate storage tank for any
15 design basis accident so they are not considered
16 safety related.

17 The piping going up to the tanks, I
18 believe and correct me if I'm wrong, Joe, is in
19 there from a nonsafety effecting safety standpoint.
20 Because they do lead in --

21 MEMBER SIEBER: Criterion 1?

22 MR. BURKE: Yes, that's correct.
23 Criterion 2. So that's why we terminated at the
24 tank.

25 And I guess Ray agrees with that. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I will have to think
2 about it? Thank you.

3 CHAIRMAN BONACA: Sure.

4 And also for the aging management
5 reviews we did numerous walkdowns to identify
6 materials and environments.

7 As for the aging management programs, we
8 wound up with 36 aging management programs. And we
9 did include the ten elements from GALL in the
10 application describing each program.

11 And lastly, I'd like to talk about the
12 application of GALL, and this is consistent with
13 what Jake started with, is we did have GALL
14 reconciliation to the Rev 0. That showed us to be
15 75 percent consistent with GALL. After we submitted
16 it we performed a precedents review, which brought
17 us up to 95 percent consistent with GALL. And we
18 believe that that high consistency with GALL
19 increased the efficiency of the audit and inspection
20 process.

21 At this point I'd like to turn it over
22 to Joe to go over the industry topics.

23 MR. PAIRITZ: Thank you, Pat.

24 Again, I'm Joe Pairitz. I'm the license
25 renewal Project Manager and also the mechanical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lead.

2 I'm going to talk about three industry
3 topics, the first being drywell shell corrosion,
4 second being the shroud cracking and thirdly the
5 steam dryer.

6 Starting with the drywell shell
7 corrosion, I'll give a little fresher on the Mark I
8 primary containment. This is a cut away view of the
9 reactor building. You have the reactor here in the
10 center, the drywell is the inverted light bulb
11 shaped liner right here. We have the vent pipes
12 going down to the suppression chamber, otherwise
13 known as the Torus.

14 We will concentrating on the refueling
15 bellows located at the top here. The air gap region
16 between the drywell shell and the surrounding
17 concrete and also the sand pocket region here
18 towards the bottom.

19 While the reactor cavity is flooded, and
20 that would be this area here. This is the spent fuel
21 pool over here. While the reactor cavity is flooded
22 for refueling activities, Monticello has multiple
23 design features for vent leakage from entering or
24 accumulating in the air gap region and in the sand
25 pocket regions. There are three separate drain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paths that exist to channel leakage away from these
2 areas in question.

3 We have a seal barrier over the sand
4 pocket region and we also have a flow switch that
5 would alert operators to any leakage from the
6 bellows.

7 MEMBER ARMIJO: This is Sam Armijo.

8 I have a quick question: Is this unique
9 for this particular BWR 3? Are these features added
10 that other --

11 MR. PAIRITZ: Some of the BWR 3s have
12 them and some don't. I think it might be related to
13 who the AE was on the project. I'm not sure of that.

14 MEMBER ARMIJO: Okay.

15 MR. PAIRITZ: We'll move into the
16 refueling bellows area, otherwise known to some
17 people are a refueling seal.

18 We have the reactor pressure vessel
19 shell over here on this side. The first set of
20 bellows we have are the reactor vessel to drywell
21 bellows. We move over, we have the drywell shell
22 right here. We have the second set of bellows that
23 are between the drywell shell and the reactor
24 building concrete. These bellows are in scope for
25 license renewal. If these bellows were to leak, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first barrier we have to protect the air gap, which
2 is down here, would be this trough or channel that's
3 down here that's supposed to catch any leakage that
4 would come from that bellows.

5 And then you have an 8 inch pipe here
6 that eventually reduces to a 4 inch pipe and goes to
7 rad waste. That line also has a flow switch on it.
8 Instead of 3 gallons per minute, that gives an alarm
9 in the control room. So if they've got a leak here
10 that's 3 gallons per minute or greater, it would
11 alarm in the control room.

12 These bellows and center spool plate
13 have been inspected in the past with no significant
14 degradation noted at that time. That was in the
15 late '80s.

16 I think we'll go on to the next slide.

17 Continuing into the air gap region here,
18 we have a 4 inch drain pipe here. There's actually
19 4 of these, 4 four inch drain pipes.

20 MEMBER MAYNARD: I'm sorry.

21 MR. PAIRITZ: Yes.

22 MEMBER MAYNARD: Go back. You say a
23 setpoint at 3 gallons per minute. Now wouldn't
24 typically you'd expect to see none?

25 MR. PAIRITZ: We expect to see none,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correct.

2 MEMBER MAYNARD: Okay. I'm not familiar
3 with it, but 3 gallons a minute --

4 MEMBER SHACK: That's a lot of water.

5 MEMBER MAYNARD: You know, 2 gallons a
6 minute wouldn't set the alarm off and that's seems
7 to me like it'd be quite a bit of water.

8 MR. PAIRITZ: Well, it is set at three.
9 I can't address the design basis for the three right
10 now. I think basically it was there to address
11 gross failure of the bellows. But if we had any
12 leakage, I can show you were that would be detected.

13 MEMBER MAYNARD: Okay. So any leakage
14 would be detected?

15 MR. PAIRITZ: Yes. And I'll think we'll
16 get to that when we talk about this picture.

17 MEMBER MAYNARD: Okay. All right.

18 MR. PAIRITZ: Here we have the air gap
19 which extends up towards the bellows. We have 4 four
20 inch drain pipes that drain this air gap region if
21 water were to get in that region. We have 18 gauge
22 galvanized sheet metal cover the sand pocket region
23 that's sealed to the drywell shell and sealed to the
24 surrounding concrete. So any water that might
25 accumulate on this sheet metal cover should be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drained away by the 4 four inch drain lines.

2 Now these drain lines come into the
3 Torus room, some people might know it as reactor
4 building basement. They're open. They come down to
5 floor level. They're open. You're going to have
6 water on the floor if there's any leakage in this
7 air gap region because they empty. They don't go to
8 rad waste, they go right on the floor into the
9 reactor building.

10 MEMBER WALLIS: You are concerned about
11 corrosion. And what you need for corrosion is
12 oxygen, presumably. That's from the air gap.

13 MR. PAIRITZ: Correct.

14 MEMBER WALLIS: And you need some
15 moisture. But you don't need a flow of water. And
16 the drains take away a flow of water, but a
17 sufficient humidity in there with very small amount
18 of liquid on the surface could lead to corrosion.

19 I'm not quite sure why drain prevents
20 corrosion. You've got to really control the
21 humidity, don't you?

22 MR. PAIRITZ: Well, when the linear was
23 originally manufactured it was painted with a
24 primer. So it does have some protection on it from
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The humidity you get in there, I mean
2 the drain pipe was obvious to remove any liquid
3 water. If you had high humidity in there, I can't
4 say what the drain would do in that case, although I
5 don't think there's a motive force to -- you know,
6 this one we're running, operating, the drywell shell
7 is fairly warm. So any water should evaporate from
8 there and, hopefully, would come out the drains. I
9 mean, not as liquid water but as a vapor.

10 MEMBER WALLIS: What happens to the air
11 gap? Do you ventilate it in some way? It just sits
12 there, sits there?

13 MR. PAIRITZ: It sits there.

14 MEMBER WALLIS: Silent air. So if there
15 were oxygen in there, it would get used up if it
16 were corroding?

17 MR. PAIRITZ: If there were oxygen in
18 there --

19 MEMBER WALLIS: It would get used up
20 pretty --

21 MEMBER SHACK: Very little.

22 MEMBER WALLIS: Yes.

23 MR. PAIRITZ: Yes. These drain pipes
24 point straight down to the floor, too. You know, I
25 don't think you get a lot of air movement into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 air gap. Maybe during heat up and cool down, but not
2 during normal operation.

3 MEMBER WALLIS: Yes, but doesn't
4 moisture slowly come out of concrete and things like
5 that over a long period of time?

6 MR. PAIRITZ: Ray, can you answer the
7 concrete question?

8 MR. DENNIS: Yes, this is Ray Dennis.
9 I'm the civil structural lead.

10 The air gap, it's not an airtight
11 environment. There's many, many penetrations to the
12 air gap or piping penetrations that go into the
13 reactor vessel and drywell. So it's a free flow of
14 oxygen and it's continuously being replenished --

15 MEMBER WALLIS: There is an oxygen
16 supply, right?

17 MR. DENNIS: Right.

18 MEMBER WALLIS: And you're carrying away
19 the water vapor --

20 MR. DENNIS: If the water vapor is heavy
21 enough to condense and then be carried away by the
22 drains. But the environment in the air gap is
23 basically the same environment you'd find in the
24 reactor building at all times.

25 MEMBER WALLIS: I guess my -- my concern

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is with enough water to cause corrosion, which
2 doesn't necessarily drain out but just stays there.
3 That's probably the worst condition for making
4 corrosion, isn't it?

5 MR. PAIRITZ: I think Ray makes a good
6 point, though, when he mentions that we have
7 penetrations going through this air gap that would
8 help, not necessarily ventilate it, but prevent more
9 humidity than is already in the air from building
10 up.

11 MEMBER WALLIS: Have some control over
12 it.

13 MR. PAIRITZ: And again, I would point
14 out that drywell shell is going to be a lot warmer
15 than the ambient air.

16 MEMBER WALLIS: That helps you. That
17 helps.

18 MEMBER SIEBER: On the other hand I
19 don't hear any kind of a argument that says we're
20 certain enough that there isn't corrosion because of
21 these factors that would tell me that I don't need
22 to go and make a thickness measurement of the linear
23 plate. So it seems to me that that's one of the
24 things you ought to be doing.

25 MR. PAIRITZ: Well, we did do that in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 response to Generic Letter 87-05. We took over 50--

2 MEMBER SIEBER: Right.

3 MR. PAIRITZ: -- readings there and we
4 could not detect any degradation from the original
5 material specifications, and that was after 17 years
6 of operations.

7 MEMBER SIEBER: That was in '87?

8 MR. PAIRITZ: That's correct. '86 and
9 '87.

10 MEMBER SIEBER: Well, it's still an
11 issue because some plants have found problems.

12 MR. PAIRITZ: That's right.

13 MEMBER SIEBER: And it's probably
14 generic to this style of containment and this age
15 group. And I understand a generic letter is in the
16 process to ask you to look at it.

17 MR. PAIRITZ: Well, ISG. I don't know
18 anything about a generic letter.

19 MEMBER SIEBER: ISG. Yes, okay.

20 MR. PAIRITZ: The other, though, as
21 plants that have experienced this, some of them have
22 not had this design. I know that one design in
23 particular doesn't have the cover on the sand pocket
24 region, doesn't have the four inch drain pipe. They
25 just have the sand pocket drains here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes.

2 MR. PAIRITZ: There are some
3 differences.

4 CHAIRMAN BONACA: What are you trying to
5 do? I know you're trying to perform visual
6 inspections problem.

7 MR. PAIRITZ: Okay.

8 CHAIRMAN BONACA: Are you going to
9 perform any UT, I mean volumetric inspections?

10 MR. PAIRITZ: Not at this time. I will
11 tell you that these drains, both the air gap drains
12 and the sand pocket drains are inspected before we
13 flood up refueling and after the bellows are well
14 submerged looking for leakage from any of those
15 lines. And that's what we do right now. And that
16 is proposed action in the ISG also.

17 MEMBER MAYNARD: What has your
18 experience been? Have you found leakage at times or
19 have you never found any signs of leakage? What's
20 your history?

21 MR. PAIRITZ: We've never had any
22 leakage. Never had the three gallon per minute flow
23 switch go off. We've never seen any leakage from
24 the four inch drain pipe for the air gap region.
25 We've never seen any leakage from the 4 2 inch drain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lines in the sand pocket. However, in February of
2 1987 as part of the plant life extension program and
3 part of work that was going on for Generic Letter
4 87-05 they did find 3½ ounces water in one of the
5 four drain lines in the sand pocket. Now this drain
6 line comes out of the concrete. It has a 90 degree
7 elbow and then a one foot stand pipe pointing up
8 vertically. They noticed a little crusty material
9 on top of the sand. They investigated that, found
10 out that that was calcium carbonate. They removed
11 the sand from the stand pipe and at the bottom of
12 the stand pipe they found 3½ ounces of water.

13 They had that water analyzed by two
14 different labs. It was not radioactive. It did not
15 contain any materials that would be indicative of it
16 coming from the reactor cavity. And it was
17 considered to be water that had come from inside the
18 Torus room.

19 These stand pipes are open to the
20 atmosphere. If you were doing some work on top of
21 the Torus and accidentally sprayed some water or
22 sprayed a hose, you could theoretically put some
23 water in there. And 3 ounces, 3½ ounces isn't very
24 much.

25 And I also think the calcification at

1 the top of the surface there would indicate that the
2 water came in through the top, calcified the sand
3 and then sat in the bottom there.

4 So we don't believe that we've ever had
5 any leakage from the air gap or for the sand pocket
6 region.

7 MEMBER ARMIJO: Have you ever done
8 anything to confirm that that sand pocket region is
9 dry, or can you?

10 MR. PAIRITZ: Well, the other three
11 drain lines, they took the sand out of those stand
12 pipes. There was no water there.

13 The top of the stand pipe is at the same
14 elevation as the bottom of this drain right here.
15 So even if the stand pipe were full of water, the
16 level in the sand pocket would still be down here.
17 The stand pipe would have to be overflowing for
18 there to be any water building up into this area.

19 We did remove part of the concrete floor
20 inside the drywell and do UTs on this area. And,
21 again, we compared that to our original material
22 specifications and we can't detect any thinning
23 there.

24 CHAIRMAN BONACA: You did that, what, 19
25 years ago?

1 MR. PAIRITZ: 1986 and 1987.

2 CHAIRMAN BONACA: Now on your slide
3 number 16 you're saying that drywell shell is
4 managed by the primary containment is ISI, which
5 again advised to specifically address the ISG.

6 MR. PAIRITZ: Correct.

7 CHAIRMAN BONACA: How --

8 MR. PAIRITZ: The ISG recommends doing a
9 surveillance on your drain piping to verify that
10 you're not having any leakage. It talks about a
11 cover n the sand pocket, which we have. And using
12 the IWE program to verify no significant corrosion.
13 Of course, that's from the inside the drywell.

14 CHAIRMAN BONACA: It doesn't tell you
15 anything about what happens on the outside of the
16 wall. So you're left with a question about the past
17 -- projected future?

18 MR. PAIRITZ: Right. We have no reason
19 to believe that there is any water in those areas.

20 CHAIRMAN BONACA: The steel liner is
21 your containment boundary, right?

22 MR. PAIRITZ: That's correct.

23 Anyway, just to finish this slide, we do
24 have the 18 gauge galvanized sheet metal cover over
25 the sand pocket region. As I mentioned there are 4

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two inch drain lines that would drain any water from
2 the sand pocket region.

3 We talked about the stand pipes filled
4 with sand. I think that's all I want to cover on
5 this slide.

6 Now with regards to the proposed ISG
7 2006 01, we've talked about the UTs that we did in
8 response to Generic Letter 87-05. Again, we
9 compared those to our original materials
10 specifications and we can't detect any wall thinning
11 or degradation there.

12 Again, the air gap and sand pocket drain
13 outlets are visually inspected, as prescribed by the
14 ISG. The top of the sand pocket area is sealed with
15 the galvanized steel sheet metal. The drywell shell
16 is managed by the primary containment in-service
17 inspection program, the IWE program and we will
18 revise it to specifically call out those procedures
19 that already exist that inspect the drains.

20 MEMBER ARMIJO: Were those 1987 UT
21 inspection points, are they still accessible? Were
22 any provisions made to have them still accessible or
23 were they concreted over?

24 MR. PAIRITZ: Well, they took readings
25 up in the air gap region 2. Those are marked on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inside of the drywell.

2 MEMBER ARMIJO: I'm talking about sand
3 pocket.

4 MR. PAIRITZ: Jim, do you have any idea?
5 I mean, I know where we excavated. I don't know if
6 the grid is still there that they used. Ray Dennis,
7 please?

8 MR. DENNIS: Yes. This is Ray Dennis
9 again.

10 Rather than fill the holes completely in
11 with concrete, they filled them in with a sand type
12 material and then put basically a concrete plug over
13 them.

14 MEMBER ARMIJO: So they would be --

15 MR. DENNIS: They'd be relatively easy
16 to inspect again. It would just be a matter of
17 removing a few inches of concrete rather than
18 several inches.

19 MEMBER ARMIJO: Yes. That's great.

20 Because --

21 MR. PAIRITZ: But whether or not they
22 have the grid the work that they used to ensure that
23 you're looking at the exact same place I think is
24 more the question.

25 MR. DENNIS: Yes. These spots are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 readily identified in our program where they are.
2 Plus, they're relatively easy to pick out given
3 their surrounding area.

4 MEMBER ARMIJO: So it would be an ideal
5 measurement. You've got a 1987 measurement,
6 possibly a later measurement at pretty much the same
7 location without tearing up the whole plant to get
8 at it? It's probably more doable than other people.

9 MR. PAIRITZ: I can't say. I mean, it
10 could be done.

11 MEMBER ARMIJO: I don't want to put
12 words in your mouth.

13 CHAIRMAN BONACA: No. I would like to
14 hear at some point from the Staff, you know, what's
15 the logic for accepting. Here, more than anything
16 else I'm thinking about precedent. You know, we had
17 some decisions and recommendations for TVA, Browns
18 Ferry. And it doesn't seem to be a consistent
19 approach that we're taking on this issue.

20 MR. ASHAR: Dr. Bonaca, I am Hans Ashar
21 with Dresden with Division of Engineering, NRR.

22 While reviewing this particular
23 application before this, I had reviewed close to
24 about a dozen other Mark I containments. Every time
25 I look for the telltale signs as to what could have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 caused partial area of corrosion. We looked at the
2 Dresden/Quad for example. We saw telltale signs.
3 They have to have something done there.

4 We saw Browns Ferry, we felt that that
5 there has to be something other.

6 And all the questions that we asked to
7 the applicant in this case, we found almost negative
8 -- negative to the extent that there were no water
9 in the top of the plane near the -- in the upper
10 area of the earlier -- can you show me the earlier
11 sketch?

12 MR. PAIRITZ: Sure. Hold on. Yes.

13 MR. ASHAR: Upper area, there is a plane
14 from the drywell. They did not see any, that's what
15 they told us. Then we went to down, because the
16 water can go into the sand pocket area. And we saw
17 no way that water can seep into that area in the
18 large quantities that could corrode that particular
19 area.

20 So there are a number of telltale signs
21 that we look for. We ask questions on each one of
22 them and we found out that, hey, this particular
23 plant does not have this type of problem. And it
24 does not -- it's not effective in telling us
25 anything about it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I have written down a very thorough
2 evaluation on this particular area because I knew
3 that ACRS, as well as other individuals, will have
4 some questions on this particular area.

5 CHAIRMAN BONACA: Well, I think my main
6 question is we need to have a constant understanding
7 of the issue.

8 MR. ASHAR: Agreed.

9 CHAIRMAN BONACA: And consistent
10 approach.

11 MR. ASHAR: I Agree.

12 CHAIRMAN BONACA: I mean, we can't
13 possibly have a tentative, you know, approach to the
14 -- when you're telling me that you don't have
15 significant amount of water or a large quantity of
16 water, it doesn't tell me anything.

17 MR. ASHAR: There is no water problem.

18 CHAIRMAN BONACA: I mean, the point that
19 Dr. Wallis was making, all you need is humidity
20 there for corrosion, you know it's well taken.

21 So I'm struggling with the ISG and the
22 way it is being interpreted by the plant that way.
23 Because all you have is statements by the licensee
24 for the same kind of configurations. One licensee is
25 more insistent than other than defending that he has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 no water there, so therefore -- you know, he's
2 argumenting about something that cannot be seen.

3 And on the other hand that's a primary
4 containment function.

5 MR. ASHAR: I fully agree. I recognize
6 what you are saying. I'm not contradicting what you
7 are telling me. But what I'm trying to say is this:
8 That the question of relatedness, I understand there
9 is a form by which everybody is to follow. And when
10 we -- They went up to ISG. We said you are going to
11 talk about various things, okay, like the drain
12 pipes being cleared, there is a control on drain
13 pipes. They are going to examine the drain pipes.
14 There is a seal. Some of the plants do not have
15 that seal that they here, okay. That makes
16 difference as to the wetness in the sand pocket
17 area.

18 It has to be quite a bit wet in order to
19 have corrosion initiated and become something like
20 some of the other plants had. And this particular
21 plant does not have that type of telltale signs.

22 It was very difficult to put them
23 through some kind of a UT inspections if we don't
24 find any reason to believe that we have problems
25 with this plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Okay. Thank you.

2 MR. PAIRITZ: Well, that concludes the
3 drywell shell corrosion. If there aren't any more
4 questions right now, I'll move on to the shroud.

5 Concerning the shroud, I have a rollout
6 view here. The horizontal welds are labeled on the
7 right side, H1 through H12. We have the vertical
8 welds labeled throughout the center of the drawing.

9 To give you an idea of the are we're
10 talking about, here's a jet pump on the side.

11 The points I want to make here is our
12 inspection coverages have increased from about 50
13 percent up to about 75 percent of the welds over the
14 past ten years due to improvements in technology.

15 As Mr. Potter was saying earlier, our H3
16 weld here has indications on 27 percent of the
17 inspected region, and we are able to inspect 71
18 percent of that weld.

19 MEMBER SHACK: Now is this VT1 enhanced
20 or is some sort of UT inspection?

21 MR. PAIRITZ: I'll let Mr. Potter answer
22 that.

23 MR. POTTER: This is Dave Potter from
24 Monticello.

25 The 73 percent converge on the H3 weld

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was from UT inspection.

2 MEMBER SHACK: That's a creeping wave
3 kind of thing?

4 MR. POTTER: There's three transducers
5 that were used in the package, but I don't recall if
6 there were a creeping wave, a shear wave and what
7 angles they were used. The processed was qualified
8 in accordance with the PIP processes for crack
9 identification.

10 MR. PAIRITZ: And moving on to the H1
11 weld, 16 percent of that weld showed indication and
12 we were able to look at 75 percent of that weld.

13 And then the other horizontal welds that
14 were looked at it was less than 10 percent
15 indication on varying degrees of inspection area.

16 The inspection results and evaluation to
17 allow inspection frequency to remain at the maximum
18 allowed ten year interval for circumferential welds,
19 for our horizontal welds.

20 We have looked at three vertical welds
21 per the BWRVIP. The inspection frequency for these
22 welds is established by inspection coverage.

23 MEMBER SHACK: Do you happen to know
24 whether these vertical welds, you know do they hit
25 high fluence regions or do they happen to hit low

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence regions? It's kind of a random event?

2 MR. PAIRITZ: Mr. Potter?

3 MR. POTTER: This is Dave Potter from
4 Monticello.

5 The regions, as shown on the diagram,
6 the V3, V4, V1 and V2 are relatively high fluence
7 areas.

8 MEMBER ARMIJO: Just a quick question.
9 Since you've instituted hydrogen water chemistry
10 have you noticed any change in any of the growth
11 rate or the initiation of cracking in the shrouds?

12 MR. PAIRITZ: I'll let Mr. Potter
13 address that. He's the expert here.

14 MR. POTTER: Since we've instituted
15 hydrogen water chemistry at Monticello, we have
16 three inspections to our credit. One that was
17 performed in 1994, another performed in '96 and this
18 most recent one in 2005. The crack indications that
19 we've identified in all three of those inspections
20 have not demonstrated substantial crack growth. So
21 our assumption has to be is that the cracking
22 occurred before hydrogen water chemistry was
23 instituted.

24 MEMBER ARMIJO: How about initiation?

25 MR. POTTER: The initiation that we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seen, I wouldn't call it substantial. A lot of it
2 has to do with UT uncertainty and our coverage that
3 we've gotten from previous inspections.

4 Our '94 inspection we did not have a lot
5 of coverage. And as we've spoken to, or as Joe
6 spoken to a moment ago, we increased our inspection
7 coverage from 1996 all the welds were approximately
8 50 percent to 2005 where they're 75. So we're
9 actually, the cracks that we were seeing were
10 basically in the areas that we hadn't inspected
11 before.

12 MEMBER ARMIJO: Okay. Thank you.

13 MR. PAIRITZ: Well, that covers crack
14 growth.

15 We feel that the moderate hydrogen water
16 chemistry has effectively contributed to mitigating
17 crack growth on our shroud, and we will continue to
18 manage the shroud per BWRVIP guidance.

19 CHAIRMAN BONACA: Well, you do have
20 additional cracking that you are monitoring that
21 way. Are they internals? For example, on the tack
22 welds on the jet pumps set screws and so forth.
23 Those cracks, I mean you just simply monitor the
24 size of the crack and whether or not they're
25 propagating further?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: I'll defer to Mr. Potter
2 again?

3 MR. POTTER: Yes. This is Dave Potter
4 again.

5 The cracking that we've identified on
6 the jet pump set screws we periodically
7 reinvestigate to make sure that they are not
8 behaving in an abnormal fashion. However, the safety
9 concern of the jet pump's tack screws is minimized,
10 basically, due to the crack geometry and what the
11 purpose of those tack welds are. And that's
12 basically to keep the set screws from rotating out.

13 CHAIRMAN BONACA: Okay. All right.
14 That's the function. I didn't know that. I didn't
15 understand.

16 I have another question, by the way.
17 It's more curiosity. When in the application you
18 talk about the belt line nozzle and the fact that
19 the weld material is not known insofar as CU and
20 nickel content. Could you tell me about it?
21 Because there is a technique you're using. You're
22 averaging CU and nickel on 9 sister plants. And then
23 you're adding one standard deviation, if I remember.
24 That, I really wasn't familiar with the technique.
25 And maybe --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: I'll Michael Aleksey,
2 answer that, our TLAA person.

3 MR. ALEKSEY: Was your question with
4 regard to the N2 nozzle?

5 CHAIRMAN BONACA: Yes. Yes, that's
6 right. The belt line nozzle.

7 MR. PAIRITZ: The one the unknown
8 chemistry.

9 MR. ALEKSEY: For the N2 nozzle the
10 nickel content was a result of industry information
11 that we had accumulated for those types of nozzles.
12 And we also used information from the RVID database
13 to establish the chemistries of that nozzle.

14 CHAIRMAN BONACA: Yes. The reason why I
15 was intrigued I thought that was a process that has
16 been reviewed and approved. I mean, it uses hits
17 from 9 sister plants or similar plants.

18 MR. ALEKSEY: Yes.

19 CHAIRMAN BONACA: Averages it and then
20 adds one standard deviation. So is it a process
21 that the NRC is familiar with and is it a approved
22 process?

23 MR. ELLIOTT: I don't know. Excuse me.
24 This Barry Elliott.

25 I can't hear you, so I can't hear what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're asking.

2 CHAIRMAN BONACA: It's the belt line
3 nozzle I'm talking about.

4 MR. ELLIOTT: Okay. Yes. What happened
5 is the belt line nozzles -- they aren't in the belt
6 lines. They're slightly above the belt line.

7 CHAIRMAN BONACA: Yes.

8 MR. ELLIOTT: But the fluence has gone
9 up because of license renewal. Also, because of the
10 way they're calculating the --

11 CHAIRMAN BONACA: That's right.

12 MR. ELLIOTT: -- fluence. They're doing
13 a very conservative thing with the fluence here.
14 And so now these nozzles are getting above the
15 criteria which we say you have to evaluate.

16 So they had to go out and evaluate the
17 nozzles. They have chemistry for the nozzles. What
18 they didn't have is underradiated properties for the
19 -- because the nozzles were built a long time ago
20 and they didn't have full C harpy curves, from what
21 I remember. So they went out and they got what's
22 equivalent to that. And went through their other
23 nozzles in the BWR fleet made the same way, and they
24 used that data. And then they establish a confidence
25 interval for that data. And they used the 95

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percent confidence interval lower bound for their
2 upper shelf energy unirradiated.

3 And we have accepted similar things to
4 that.

5 CHAIRMAN BONACA: So this is a process
6 you accept?

7 MR. ELLIOTT: Yes, we accept that.

8 CHAIRMAN BONACA: Although, I mean
9 you're not certain that the percent of Cu and
10 nickel are identical? Nine sister plants, I mean
11 they were similar plants.

12 MR. ELLIOTT: Right.

13 CHAIRMAN BONACA: But you don't have
14 specific information about this plant?

15 MR. ELLIOTT: No. We don't have specific
16 information about this plant. But we feel that we
17 looked at how they were made, the nozzles were
18 fabricated and they were fabricated equivalent ways
19 and the properties should be about the same.

20 CHAIRMAN BONACA: By the same vendors?

21 MR. ELLIOTT: I don't remember if we had
22 the same -- I'm not sure about the vendors.

23 MR. MEDOFF: This is Jim Medoff.

24 What Barry is saying is true. We've
25 evaluated the VIP processes for the vessel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 materials. And it's based on weld fluxes, how they
2 were laid down. So they grouped all those type --
3 like a shielded metal arc welds, they gathered the
4 data for all that type of welds and then they came
5 up with their statistical analysis.

6 CHAIRMAN BONACA: Well, I was expecting
7 that there will be a reference to some BWR always
8 group activity to --

9 MR. MEDOFF: There is, VIP 86.

10 CHAIRMAN BONACA: -- to provide this
11 kind of -- I mean without any pedigree to this
12 package of information, I'm only left on this
13 averaging that is stated in a little footnote in the
14 application. So since I am not the specialist in
15 metallurgy, but I know the importance of Cu in
16 nickel in the welds.

17 MR. ELLIOTT: We had to get an estimate
18 of the upper shelf energy for these forgings. So the
19 only thing we look at is the fleet, what the whole
20 fleet has for forgings. And that's what they did.
21 And then we used a 95 percent lower confidence bound
22 to establish its properties. And we've done that in
23 other cases where we don't have properties. We used
24 the entire BWR fleet and then established low bound
25 properties for welds that don't have properties.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And in this case we did it for the forgings.

2 CHAIRMAN BONACA: I return to my
3 metallurgical colleagues here and say how
4 comfortable are you with all this?

5 MEMBER ARMIJO: Well, you know, I
6 thought I heard that they knew the chemistry but
7 they didn't Charpy data. And they created the
8 Charpy data by a comparison with the rest of the
9 industry and then used a lower bound that was pretty
10 conservative.

11 CHAIRMAN BONACA: I can remember that 10
12 years ago, 15 years ago we were -- anyway --

13 MEMBER SHACK: Yes. I mean, you know you
14 just can't go back and recreate that data.

15 CHAIRMAN BONACA: Absolutely.

16 MEMBER SHACK: So you try to take a
17 conservative answer and --

18 CHAIRMAN BONACA: Is it conservative,
19 that's always the question. And that's what we're
20 looking for.

21 MEMBER SHACK: It is quite likely to be
22 conservative.

23 MEMBER ARMIJO: I think it's
24 conservative.

25 CHAIRMAN BONACA: Okay. That's --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: Are we ready to move on?

2 CHAIRMAN BONACA: Yes, let's move on.

3 MR. PAIRITZ: Okay. The last topic I
4 will talk about is the steam dryer. The steam dryer
5 is in scope for license renewal at Monticello. It's
6 a square hood dryer design. It looks like this.

7 In 1998 we inspected the dryer and we
8 noted indication in the area of the 324 degree
9 jacking bolt tack weld. Is down here in the blowup
10 on the bottom right. It was analyzed and determined
11 not to be structurally significant.

12 In 2001 we again reinspected this area
13 and found no additional indications and no change in
14 the indication at the 324 degree location.

15 In 2005 we did a comprehensive
16 inspection on the dryer. We specifically looked at
17 areas of dryer failures at other sites, and we did
18 not find any indications are those areas.

19 We did find some acceptable indications
20 on dryer shell behind three of the lifting lugs and
21 on the right side of the guide rod channel 215
22 degrees. Right here. And then we found behind the
23 lifting lugs on the shelves some indications in
24 three out of the four lifting lugs. Again, these
25 were analyzed and confirmed to be not structurally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant.

2 We will be inspecting the dryer in 2007
3 again to confirm continued acceptability. And we
4 plan on managing the dryer in accordance with the
5 BWRVIP.

6 Dryer questions?

7 MEMBER WALLIS: How does it compare with
8 other dryers? The various dryer designs, some of
9 which have more problems than others, how does --

10 MR. PAIRITZ: I'll have Mr. Potter
11 answer the question.

12 MR. POTTER: Could you clarify your
13 question for me? Are you talking in general the
14 dryer design or --

15 MEMBER WALLIS: There are about four or
16 five different versions of this GE dryer, Quad
17 Cities, Dresden, Vermont Yankee and so on. And some
18 of them had more problems than others. And I just
19 wondered how yours fitted into this sort of spectrum
20 of different shapes and histories?

21 MR. POTTER: Okay. This is Dave Potter
22 from Monticello.

23 There is in essence right now four types
24 of dryers that are used in the industry. You might
25 even consider five depending on how you cut it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's the square hood design, which is
2 Monticello's design, which is similar to Vermont
3 Yankee's, Quad Cities' Unit 1 and 2, and Dresden
4 Unit 2 and 3.

5 Then the slanted hood dryers which a
6 great deal of plants use.

7 And then the last would be the curved
8 hood dryers.

9 Finally, the very last design would be
10 the new dryers that have been installed in the Quad
11 Cities and Dresden plants. So Monticello's dryer is
12 similar to that. The original Quad Cities Unit 1 and
13 2 and Dresden Unit 2 and 3 and the Vermont Yankee
14 dryers which did experience the failures.

15 Does that answer your question, sir?

16 MEMBER WALLIS: And you haven't seen the
17 same kind of thing that they've seen?

18 MR. POTTER: No. The failures that
19 we're seeing at Quad Cities and Dresden were flow
20 induced type vibration failures that were seen
21 basically on the plate -- this plate region right
22 here as well as this plate cover view and this plate
23 region right here or this seam weld. Those areas
24 were inspected at Monticello in 2005 and we did not
25 identify any cracking.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I think there are
2 differences between the units. For example thermal
3 megawatt output.

4 MEMBER SHACK: Core power density are a
5 lot--

6 MEMBER SIEBER: Core power -- well steam
7 flow.

8 MEMBER SHACK: Right.

9 MEMBER SIEBER: The steam header
10 diameter. And so some dryers are more susceptible
11 than others because of different environment. This
12 apparently is a milder environment than plants that
13 have shown more damage.

14 Do you have any idea what the steam
15 velocity is at the outlet of the reactor nozzles?

16 MR. POTTER: This is Dave Potter again.
17 To be absolutely honest with you I have looked at
18 that number and compared our numbers to the
19 industry. But from memory I can't recite the
20 velocity and feet per second.

21 MEMBER SIEBER: Can you say whether it's
22 higher or lower?

23 MR. POTTER: I can say that it is
24 definitely lower than -- this is Dave Potter again.

25 I can say that the steam line velocity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is definitely lower than the Quad Cities Unit 1 and
2 2 and Dresden 2 and 3 at their extended power uprate
3 conditions. And Vermont Yankee, I know we are very
4 close, but I don't recall whose velocity is higher.

5 MEMBER SIEBER: It sort of all ties
6 together, at least in my mind.

7 MR. PAIRITZ: Any more dryer questions?
8 If not, the last topic I'll cover is on the
9 commitment process. Monticello's made 60
10 commitments to enhance aging management. The
11 commitments are described in the Monticello license
12 renewal updated safety analysis report supplement.

13 All Monticello commitments are entered
14 into the corrective action program. And this ensures
15 that there is a owner and a due date. The process
16 was looked at several times during the audits and
17 inspections.

18 Any questions on the commitment process?

19 MEMBER SIEBER: Well, the due date is
20 probably when your license expires, right?

21 MR. PAIRITZ: Well, most of them are --

22 MEMBER SIEBER: Or they all become due
23 at once?

24 MR. PAIRITZ: -- prior to the period of
25 extended operation. There are a few that are before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that.

2 MEMBER SIEBER: Yes. The question is do
3 you have a schedule as to when you're going to do
4 each of the items that you have in your commitment
5 tracking system?

6 MR. PAIRITZ: Yes. We have put together
7 a level 1 type schedule as to when those will be
8 accomplished and be part of our implementation
9 effort.

10 MEMBER SIEBER: Do you have the
11 resources to do the work?

12 MR. PAIRITZ: Yes. We got people
13 working on implementation right now. A couple of
14 contractors, some of the people that were on the
15 team. And that will continue.

16 Finally we're at the end. Are there any
17 other general questions that we can answer.

18 MEMBER SIEBER: You mean you would like
19 more questions.

20 MR. PAIRITZ: I'm here to answer them.

21 MEMBER MAYNARD: A comment. I do
22 appreciate you including your backup slides in the
23 package. I do appreciate that.

24 CHAIRMAN BONACA: Any additional
25 questions for the applicant? None. Thank you for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. It was a pleasure.

2 MR. PAIRITZ: Thank you.

3 CHAIRMAN BONACA: And we'll ask the
4 Staff now to present the SER.

5 MR. ZIMMERMAN: Dan Merzke the Project
6 Manager for the Monticello review and Patricia
7 Lougheed will lead the Staff's presentation.

8 MR. MERZKE: All right. Good afternoon,
9 gentlemen. My name is Dan Merzke. I'm the Project
10 Manager for the Staff review of the Monticello
11 license renewal application.

12 Joining me today is Patricia Lougheed
13 from Region III. She's our inspection team leader.
14 Also in the audience is Peter Wen, who is our audit
15 team leader. And supporting all of us are the
16 technical reviewers in the audience to answer any
17 questions that I can't answer for you.

18 The introduction will be start off with
19 an overview. We'll give you the plant and the
20 application followed by a discussion of the results
21 of the scoping and screening results.

22 I'll turn the mike over to Patricia who
23 will discuss the results of the license renewal
24 inspections.

25 And then I'll take it back over and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 finish with the Section III results of the aging
2 management review and the time-limited aging
3 analyses.

4 The application was submitted to us by
5 letter dated March 16, 2005. The Monticello plant
6 is General Electric BWR 3 design with a Mark I steel
7 containment, as already discussed. 17075 megawatt
8 thermal rated with a 600 megawatt electric power,
9 and that includes a 6.3 percent power uprate
10 approved in 1998.

11 Current operating license expires
12 September 8 of 2010.

13 And the plant, as already discussed, is
14 located approximately 30 miles northwest of
15 Minneapolis.

16 The draft SER was issued in April 26,
17 2006 with no open unconformity items. It also
18 included three license conditions. They're the
19 standard three license conditions for all the
20 approved plants so far.

21 We already discussed, Jake mentioned
22 that there were 113 form RAIs issued, which is
23 significantly lower than standard review.

24 And I think Jake touched on the fact
25 that we considered it a pretty good quality

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. The applicant went back and did a
2 thorough review of historical RAIs from previous
3 applications and tried to address those issues up
4 front.

5 In addition, we had 260 audit questions
6 between the scoping screening methodology and the
7 GALL audits.

8 And approximately, and as discussed
9 earlier, about 95 percent consistency with the draft
10 GALL Report revision 1, which was issued in January
11 of 2005. When the final GALL was issued in
12 September 2005 we did a scrub of that to make sure
13 that everything was covered.

14 During the review we did find some minor
15 components which were brought into scope. And I'll
16 discuss those during the scoping and screening
17 section.

18 Continuing on with the overview, the
19 audits were conducted during June and July of 2005.
20 Regional inspections were conducted in January and
21 February of this year.

22 Section 2.1 covers the scoping and
23 screening methodology. During the scoping and
24 screening methodology audit the audit team reviewed
25 the current licensing basis for flood control

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measures and determined that storage steel plate and
2 floor hatches designed to be installed for flood
3 control were not included within the scope of
4 license renewal. The applicant initially did not
5 include components storage in a warehouse within the
6 scope of license renewal. After further evaluation
7 and an extended condition, the applicant brought
8 these components into the scope of license renewal.

9 In Section 2.2 the plant-level scoping,
10 the Staff determined that there were omissions of
11 systems or structures within the scope of license
12 renewal.

13 For Section 2.3, the mechanical systems,
14 the Staff reviewed 36 mechanical systems, which was
15 a 100 review.

16 During the scoping and screening review
17 the Staff was unable to determine the scoping
18 boundary for 17 areas in the boundary drawings. The
19 Staff requested that the regional inspection team
20 visually inspect these areas to ensure the scoping
21 boundaries were in accordance with 10 CFR 54.4(a).
22 The inspections resulted in a length of steam piping
23 with a steam trap in the emergency diesel generator
24 room being brought into scope. And I'll mention,
25 that one was brought into scope because basically it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was below the floor deck plating in the emergency
2 diesel generator room. And the applicant considered
3 the floor as the boundary. However, it was not a
4 robust boundary because you could see through the
5 deck plating down into the area underneath. Any
6 steam coming out of there was going to impact or
7 potentially impact the operating temperature of the
8 EDG room. So the applicant agreed to bring that
9 steam piping and steam trap within the scope of
10 license renewal.

11 In addition during another walkdown, one
12 of the floor drains in the sodium hydrochloride
13 building which penetrates the floor into the intake
14 structure was also identified as being needed to be
15 brought into scope.

16 Section 2.4 covered the containment
17 structures and supports. Staff found no omissions
18 of structures or supports within the scope of
19 license renewal during the review.

20 For Section 2.5 the review of scoping
21 for the electrical system identified a motor control
22 center which was found to be outside the scope of
23 license renewal. It supplied power to the tank
24 heater for a standby liquid control tank. Since
25 standby liquid control system mitigates an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anticipated transient without scram or ATWS event,
2 the Staff determined it should be brought into the
3 scope of license renewal in accordance with 10 CFR
4 54.4(a)(3). The applicant determined that the motor
5 control centers are active components so they were
6 screened in accordance with 10 CFR 54.12(a)(1).

7 During the regional inspection the
8 inspectors determined that 480 volt load center
9 breakers should be scoped in. The applicant
10 determined these are active components also, so they
11 were screened out in accordance with 10 CFR
12 54.21(a)(1).

13 To conclude the scoping and screening
14 summary, it was the staff's determination that the
15 applicant's scoping methodology meets the
16 requirements of 10 CFR 54.4 and the scoping and
17 screening results as amended included all systems,
18 structures and components within the scope of
19 license renewal and subject to an aging management
20 review.

21 I'd like to turn it over now to Patricia
22 Lougheed from Region II who will discuss the license
23 renewal inspections.

24 MS. LOUGHEED: Hello. I'm Patricia
25 Lougheed. I was a lead inspector for the license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 renewal inspection conducted at Monticello.

2 My slide is on page 6 -- well, the one
3 that's shown there. Basically gives you some of the
4 logistics information about our inspection.

5 One thing that I would like to note is
6 that on this inspection I did have a person, a
7 metallurgist who really looked into a lot of the
8 core internals of the BWRVIP program to make sure
9 that it was being implemented in accordance with
10 what was proposed for license renewal. And to make
11 sure because there was not an official commitment
12 right now that NRC regulates or this program. So it
13 was ensuring that it was going to be brought forward
14 into license renewal properly.

15 Going on to my next slide, Dan touched
16 briefly upon the scoping and screening area. We did
17 look at all the issues that were brought forward
18 from the audit inspection. It was interesting,
19 besides the two cases where there were items that
20 were brought into scope, there were also a number of
21 areas most particularly what the licensee called the
22 985 pump room where there were components that were
23 identified as being in scope that really did not
24 need to be in scope. And there were quite a few
25 discussions during our inspection to clarify whether

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those items really should have been an in scope or
2 not. So there were some removals of things from the
3 scope as well as some additions.

4 CHAIRMAN BONACA: For understanding
5 better the logistic. You already had in hand the
6 audit report?

7 MS. LOUGHEED: We had the audit report.

8 CHAIRMAN BONACA: So that really was a
9 big help already --

10 MS. LOUGHEED: Right.

11 CHAIRMAN BONACA: -- in determining what
12 is consistent or exceptions and enhancements.

13 MS. LOUGHEED: Right.

14 CHAIRMAN BONACA: And you could start
15 from that?

16 MS. LOUGHEED: Right. And there's
17 always what we do in the region and the inspections
18 is that we look at the boundaries. Not the things
19 that are definitely in scope, the safety systems or
20 things like that. We look at those where they have
21 nonsafety safety interfaces, where there's nonsafety
22 systems that are going to be in the vicinity of
23 safety systems. We looked at what the actual
24 barriers were to make sure that there actually was
25 separation. Because it was not very obvious on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 license renewal drawings.

2 CHAIRMAN BONACA: I had a question, and
3 that doesn't go to this application. It's more
4 general.

5 You know, when you do PRA you find that
6 you have a lot of safety related components and
7 others important as you thought they were. And you
8 also find that the few, or a minor population of
9 components which are nonsafety related are
10 critically important for certain sequences. That's
11 really coming from the insides of the PRA. But
12 there is no -- I mean, license renewal does not
13 apply to these components.

14 MS. LOUGHEED: That is true.

15 CHAIRMAN BONACA: Do you find that the
16 licensees however are aware of the importance of
17 those components and take care of them or --

18 MS. LOUGHEED: My impression, and I
19 can't say that this is necessarily that we looked at
20 it on Monticello specifically. But licensees where
21 they have components that their PRAs have shown them
22 to be risk significant, they tend to pay more
23 attention to them because of that.

24 CHAIRMAN BONACA: Yes.

25 MS. LOUGHEED: Simply a lot of times

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because it becomes a matter of economics more. You
2 keep those pieces of equipment operating well and
3 your risk, and therefore your chance of a shutdown
4 go down.

5 So even though they're not considered
6 important to safety, they are treated with more
7 significance than things that are not risk
8 significant at all.

9 CHAIRMAN BONACA: Good.

10 MS. LOUGHEED: And I'll also the little
11 caveat that I think that a lot of the reason that
12 some of the safety systems don't show up as being
13 risk significant is because of the defense-in-depth
14 concept. You know, when you putt redundancy upon
15 redundancy well from a PRA aspect --

16 CHAIRMAN BONACA: Right.

17 MS. LOUGHEED: -- that does drive down
18 the significance.

19 CHAIRMAN BONACA: Right. Yes.

20 MS. LOUGHEED: Basically our conclusion,
21 and I probably should say we did do a lot of
22 walkdowns including into some fairly high radiation
23 areas. Our metallurgist also spent a number of
24 hours reviewing videotapes of the vessel internal
25 inspections and various welding inspections, areas

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that obviously he would not have access to with the
2 plant at power. So we did look at quite a bit from a
3 physical aspect, not just relying on the paperwork
4 and things like that.

5 Overall, we found that with a few minor
6 exceptions the systems were appropriately scoped.
7 We felt that we concentrated on the ones that were
8 most suspect rather than the ones where we knew 100
9 percent was going to be thrown into scope.

10 The applicant did submit some
11 clarification because they were coming up to doing
12 their annual submittal for the license application
13 while it was under review. A lot of the things that
14 we had identified were brought forward into that and
15 were submitted in that way.

16 Going on, we also looked at aging
17 management. My slide says that we reviewed all 33
18 aging management programs, where I notice that the
19 applicant said that there were 36 programs. I'm
20 still scratching my head which three we missed. We
21 really spent a lot of time on this one partly
22 because of the team that I had and the abilities of
23 that team to go in and look at a number of systems.

24 We found that the aging management
25 programs were implemented as described. That the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enhancement and exceptions that were being proposed
2 were acceptable.

3 We did identify some minor
4 inconsistencies, and those were either captured in a
5 revision to the application or in the corrective
6 action program. However.

7 CHAIRMAN BONACA: We talked about the
8 containment liner?

9 MS. LOUGHEED: Right.

10 CHAIRMAN BONACA: What's your opinion?
11 I mean, you went there and looked at it.

12 MS. LOUGHEED: Monticello is not one of
13 the plants that I would worry in Region III about
14 containment liner problems. All right. There are a
15 couple of plants that I have concerns about their
16 containment liners, but Monticello is not one of
17 them.

18 CHAIRMAN BONACA: Okay. Thank you.

19 MS. LOUGHEED: Basically that's -- I
20 know you've read through the inspection report in
21 some detail. We didn't find anything in there
22 either scoping, screening or aging management which
23 we felt would cause any sort of a hinderance to the
24 license being renewed. Overall, we found Monticello
25 to be in very good condition.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: But I must say that
2 I'm very impressed by the inspection report and by
3 the information from the audit. And I think they're
4 quite insightful.

5 MEMBER SIEBER: I concur with Dr.
6 Bonaca's opinion. A very good report.

7 MEMBER MAYNARD: Yes, I agree. It looked
8 like you did a very thorough job.

9 I've got one question. One of the things
10 in the inspection report that came out, I don't
11 think it necessarily associated with the scoping
12 itself, but on the failure to dismiss and relief
13 request. Was that something that your inspection
14 team found or is that something that just occurred
15 while you guys were there?

16 MS. LOUGHEED: No. It was something our
17 inspection team found. I very definitely had a
18 very, very, very team. Especially in the
19 metallurgical area. And we used him to full
20 advantage reviewing a lot of areas that we would not
21 have been able to look at otherwise.

22 MEMBER MAYNARD: Good. Good.

23 MS. LOUGHEED: Going on, you want me to
24 do the current performance? Okay.

25 Monticello is one of our good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performance in Region III. They are in column 1,
2 which was licensee response problem column. We
3 don't have any crosscutting issues opened. We have
4 no major issues at Monticello at all right now. So
5 we are following the revised oversight process with
6 minimum baseline inspections. And we will continue
7 to do that.

8 You can see the screens coming up. We
9 are green in every area on performance indicators.
10 And if you move on to the inspection findings, w
11 really have a lot of areas that we're doing
12 inspections where we don't have findings, which is
13 where the grey comes in. It doesn't mean we're not
14 inspecting there, it means that we haven't found
15 anything. And the areas where we have found things,
16 they have all been green or a very low safety
17 significance.

18 CHAIRMAN BONACA: Very good. Thank you.

19 MR. MERZKE: Just for Patricia's
20 benefit, the 33 aging management programs were the
21 official aging management programs listed in the
22 application. The two timed-limited aging analysis
23 support programs were also considered to be aging
24 management program. So that was 35.

25 Number 36 was a commitment made by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applicant late to implement an E6 program for
2 electrical cable connections.

3 CHAIRMAN BONACA: I'm sorry. Which one
4 is the --

5 MR. MERZKE: It was GALL E6 program.
6 I'll address it in a little bit and we'll have a
7 little discussion, but --

8 CHAIRMAN BONACA: First of all, I want
9 to thank you for the --

10 MS. LOUGHEED: Yes. We did very close
11 to 100 percent on this one.

12 CHAIRMAN BONACA: Great.

13 MS. LOUGHEED: We found they were able
14 to support it and we were able to get it done within
15 the time constraints.

16 CHAIRMAN BONACA: Thanks again.

17 Additional questions for the inspection?
18 If not, we're going to take a break and get back
19 here at 25 after 3:00.

20 (Whereupon, at 3:07 p.m. off the record
21 until 3:30 p.m.)

22 CHAIRMAN BONACA: We are back into
23 session. And we are going to be reviewing now the
24 aging management review results.

25 MR. MERZKE: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'll move on to the discussion of the
2 Staff's review of the aging management program and
3 reviews now.

4 The Staff reviewed at the time 35 aging
5 management programs based on the application. There
6 were 36 overall. The 36 was a late commitment by the
7 applicant to implement the GALL E6 program, which
8 would be consistent with GALL. And I'll discuss
9 that a little bit more in the electrical section.

10 So overall there were 36 aging
11 management programs, 29 of which were existing
12 programs and 7 which will be new programs to be
13 implemented prior to the period of extended
14 operations.

15 Of those, 9 of them were consistent with
16 the GALL Report and 25 were consistent with the GALL
17 Report with exceptions and/or enhancements. There
18 were two plant specific aging management programs;
19 they were a bust duct inspection and system
20 condition monitoring programs.

21 I'm going to start this discussion with
22 I picked a few of the aging management programs out
23 which involves considerable amount of Staff review.
24 And I thought I'd go over the results of those.

25 The first one would be the ASME Section

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 XI In Service Inspection subsections IWB, IWC and
2 IWD program. It's an existing program which is
3 consistent with the GALL Report with exceptions.

4 The LRA stated that relief requests in
5 code cases were not considered exceptions to the
6 GALL Report. The audit team did not agree and
7 requested the applicant evaluate all code cases and
8 relief requests for aging management concerns.

9 The Staff position is that relief
10 requests are not acceptable for aging management
11 because they expire after ten years.

12 The applicant subsequently removed
13 reference requests from the application except for
14 one relief request which has been approved 21 months
15 into the period of extended operations.

16 There were three code cases associated
17 with this aging management program are identified to
18 be exceptions to the GALL Report. They're endorsed
19 by NRC in the Reg. Guide 1.147. They were N-307-2
20 which concerned ultrasonic testing for Class 1
21 bolting with center holes; N-526, which concerned
22 successive examinations when a flaw is detected,
23 and; N-613-N which concerned examine volume of weld
24 and nozzles.

25 The Staff found these acceptable because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're endorsed by the NRC in Reg. Guide 1.147.

2 The bolting integrity AMP was found to
3 be consistent with the Gall report with
4 enhancements. The program will incorporate guidance
5 from EPRI technical reports which include *Bolted*
6 *Joint Maintenance and Application Guide* and the *Good*
7 *Bolting Practices Handbook*

8 . Staff determine the guidelines
9 reflect industry practice and meet the
10 recommendations of the GALL Report.

11 The buried piping and tanks inspection,
12 an aging management program which is consistent with
13 the GALL Report with enhancements. These
14 enhancements are all detailed in the commitment
15 section of the SER.

16 The applicant has committed to perform
17 inspections every ten years. They will credit
18 inspections of opportunity when excavating.

19 The applicant also committed to
20 performing an internal inspection of the diesel fuel
21 oil storage tank every ten years in addition to the
22 external inspection.

23 Other enhancements include a review of
24 operating experience to determine the susceptible
25 locations and to perform further evaluation on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extended condition if pipe wall thickness shows a
2 susceptibility to corrosion.

3 CHAIRMAN BONACA: So let me understand
4 now for buried pipes they're going to do a
5 inspections, but if they do not have any inspection
6 in ten years, they'll do one?

7 MR. MERZKE: That is correct.

8 CHAIRMAN BONACA: Okay.

9 MR. MERZKE: Yes, sir.

10 CHAIRMAN BONACA: And that's consistent
11 with GALL, yes.

12 MR. MERZKE: Ultrasonic testing and
13 visual inspections completed in 1999 and 2003 showed
14 no degradation or aging effects.

15 BWR vessels internals program. It's
16 consistent with the GALL Report with exception and
17 enhancement. The exception was that the applicant
18 used the updated water chemistry guidelines of
19 BWRVIP-130, as the GALL recommended BWRVIP-29. The
20 Staff found this acceptable as it's an updated
21 version of the same guidelines, and that was issued
22 in 2004.

23 Enhancement to this program is to use
24 the BWRVIP guidelines for inspection, evaluation and
25 repair to the maximum extent possible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The applicant made a number of
2 commitments based on questions from the audit and
3 inspection teams. They include additional top guide
4 inspections beyond those required by BWRVIP-26 and
5 steam dryer per BWRVIP-139.

6 Regional inspectors identified a couple
7 of issues which resulted in commitments to inspect
8 in core monitoring dry tubes per General Electric
9 Service Information Letter 409 and spray core piping
10 welds in accordance with BWRVIP-18.

11 In addition, core plate hold down bolts
12 will be inspected in accordance with BWRVIP-25 which
13 requires either UT or enhanced visual inspection or
14 another inspection technique which would be reviewed
15 and approved by the NRC.

16 In lieu of inspections, the applicant
17 has committed to installing wedges to replace
18 lateral load resistance prior to the period of
19 extended operations if they're unable to complete
20 those inspections.

21 CHAIRMAN BONACA: For core spray piping
22 welds, if I remember, the issue was that they did
23 not identify the flow through the welds, through the
24 cracks that you may have.

25 MR. MERZKE: The issue was that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were not doing the inspection on the welds because
2 the welds were -- they have mechanical clamps
3 surrounding them which replace the structural
4 integrity of the welds. The inspection team looked
5 at it a different way. If the crack developed in the
6 weld, it would be a diversion path for core spray.
7 And in case of an accident, that core spray would be
8 diverted outside the shroud and unavailable and it
9 might impact P-clad temperature. So the applicant
10 decided that it would be prudent to bring those --
11 inspect in accordance with BWRVIP-18.

12 CHAIRMAN BONACA: Good.

13 MR. MERZKE: The flow accelerated
14 corrosion program. This is an existing program
15 which is consistent with the GALL Report. The
16 application originally stated that the trigger point
17 for conducting an engineering evaluation for
18 nonsafety related piping would be 60 percent nominal
19 wall thickness. Staff could find no technical basis
20 for this number, so the applicant committed to using
21 87.5 percent nominal wall thickness as a trigger
22 point for all piping susceptible to flow accelerated
23 corrosion. The applicant uses 87.5 percent nominal
24 wall thickness as a trigger point for evaluation for
25 safety related piping also.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 For inaccessible medium voltage cables
2 not subject to 10 CFR 50.49 environmental
3 qualification requirements. This is a new program
4 which will be consistent with GALL and implemented
5 prior to the period of extended operation.

6 The application originally indicated
7 that medium voltage cables that are not subject to
8 prolonged exposure to significant moisture due to
9 inspecting for water collection and cable manholes
10 and conduits do not require testing. The Staff
11 position was that testing should be in addition to
12 inspection for water collection. The applicant
13 committed to conduct the testing as well as to
14 inspect initially at least once every two years, and
15 that two years comes from their operating
16 experience.

17 CHAIRMAN BONACA: Now from reading the
18 application most of these cables are just simply
19 buried in the ground. I mean, so --

20 MR. MERZKE: they do have some conduit,
21 too, sir.

22 CHAIRMAN BONACA: Some of them?

23 MR. MERZKE: Yes.

24 CHAIRMAN BONACA: A few. So, I mean,
25 the first portion of this program only addresses

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those few. So there's nothing you can do about
2 that?

3 MR. MERZKE: Well, the applicant has not
4 detected any water in any manholes during the
5 inspection process. So they've not detected any
6 moisture.

7 This program is supposed to be
8 consistent with the GALL Report which will cover all
9 medium --

10 CHAIRMAN BONACA: Oh, I agree with that.

11 MR. MERZKE: Okay. Reflecting on the
12 fact, and I was wondering because tomorrow we're
13 going to have presentation on this issue for current
14 licensing value. And after feeling comfortable with
15 the fact that this program is going to inspect for
16 water in manholes I was startled by the reality that
17 most of these cables are really in the ground,
18 they're not in conduits. And so that portion of the
19 program doesn't do much for us.

20 MR. MERZKE: Right. I guess that's where
21 the testing comes in.

22 CHAIRMAN BONACA: Yes.

23 MR. MERZKE: The reactor head closure
24 studs programs. It's an existing program which is
25 consistent with the GALL Report. The application

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 did not identify any exceptions to GALL here. The
2 audit team review determined that the use of code
3 case N-307-2 was an exception to GALL. This code
4 case alters the portion of the stub which examined.

5 The Staff found the exception acceptable
6 because the examination will identify the relevant
7 aging effects cracking and corrosion as the high
8 stressed portion of the stud continues to be
9 examined.

10 Inspectors also identified installed
11 studs which exceeds 175 kilo pounds per square inch
12 tinsel strength, which is what's recommend in Reg.
13 Guide 1.65 to minimize the likelihood of stress
14 corrosion cracking.

15 The applicant considers all these
16 students susceptible to cracking and is implementing
17 the preventive measures of Reg. Guide 1.65. The
18 applicant continues to conduct ultrasonic testing
19 and surface examinations on a ten year interval. And
20 to date, no parent degradation has been identified.

21 For the aging management review results
22 there's 100 percent review done; 36 plant systems,
23 18 structure in four commodity groups. I just
24 highlighted a few areas here.

25 Section 3.3 in the auxiliary systems

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there was a significant discussion on elastomers.
2 The application originally identified AMRs for
3 elastomers subject to elevated temperatures,
4 ultraviolet or ionizing radiation. The applicant
5 claimed no aging effect for elastomers in a plant
6 indoor air environment. It was the Staff's position
7 that elastomers subject to an ozone environment
8 experienced degradation that needs to be managed.
9 The applicant amended their application to manage
10 aging of elastomers in an air environment using the
11 system condition monitoring program and the one time
12 inspection programs.

13 The cable spreading room Halon system
14 will be inspected and tested every 18 months. Life
15 to six months is recommended by the GALL Report.
16 The GALL is based on the NFPA recommendations, which
17 takes into consideration system failures across all
18 industry, not just do to aging effects. Plant
19 specific operating experience has demonstrated that
20 an 18 month inspection interval will detect aging
21 effects prior to loss of intended function. Staff
22 accepted this exception because the 18 month
23 surveillance interval is part of the NRC approved
24 fire protection program and thus forms of an element
25 of the plant's current licensing basis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Section 3.5 aging management for the
2 drywell shell, the Staff found the applicant's
3 program for managing aging effects to the drywell
4 shell acceptable and consistent with the proposed
5 staff license renewal ISG which was issued for
6 comment earlier this month.

7 The applicant follows the code
8 requirements specified by ASME Section XI,
9 subsection IWE. UT performed in the sand pocket
10 region in 1986 and 1987 detected no degradation.
11 The applicant instituted a leakage monitoring
12 program which detects for water leakage past the
13 refueling seal bellows which is in the scope of
14 license renewal. It also detects leakage in the
15 drywell air gap drains and the sand pocket drains.
16 Drains are verified open and no leakage detected
17 every refueling outage. In addition, there's an 19
18 gauge galvanized sheet metal cover sealed to the
19 vessel and surrounding concrete which covers the
20 sand pocket region. Drywell air gap drains drain
21 any water on top of the cover, as you saw in the
22 applicant's diagram.

23 MEMBER MAYNARD: When did this
24 monitoring program start?

25 MR. MERZKE: I believe it was a result

1 of the response to Generic Letter 87-05.

2 MEMBER MAYNARD: So it's been in place
3 since 1987? Is that correct?

4 MR. MERZKE: That's correct.

5 The Staff found this program acceptable
6 to managing aging of the drywell.

7 CHAIRMAN BONACA: You had a comment,
8 Sam, it was important all the --

9 MEMBER ARMIJO: Yes. I had a question
10 when the UT examine was done in 1987 there's four
11 drain lines, sand drain lines. And was a UT done in
12 between those where there might be a low point there
13 that wasn't drained in the sand pocket region or was
14 it done at the location where the drain lines are?

15 MR. MERZKE: I don't have an answer to
16 that. I think the applicant may.

17 MEMBER ARMIJO: Do you have an idea?
18 Could we find out sometime, on call or something?

19 MR. MERZKE: Okay. Any other questions?

20 CHAIRMAN BONACA: You have those
21 requests regarding the configuration of the drain
22 pipe and the fact that --

23 MR. MERZKE: Well, look, I start --

24 CHAIRMAN BONACA: -- the design to
25 accumulate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: Yes. The stand pipe
2 design, it's kind of strange to me why it even
3 exists. Why isn't it just cut off and if there's
4 anything in there, it drains out onto the floor.
5 You know, it's not the scope of the ACRS to do a
6 design, but it seems strange to me that that stand
7 pipe is an asset. I think it's necessary. I don't
8 know why you guys --

9 MR. MERZKE: You'll have to talk about
10 it.

11 MEMBER ARMIJO: You must like it for
12 some reason or somebody likes it.

13 MR. PAIRITZ: This is Joe Pairitz the
14 Project Manager for Monticello.

15 The stand pipe, I believe, was
16 originally designed that way because the drain is
17 full of sand and part of the stand pipe is full of
18 sand. I think it was meant to keep the sand from
19 migrating out and going all over the floor. You'd
20 constantly be sweeping up sand.

21 So I looked at it and said they must
22 have done that to keep the sand in, but that's my
23 personal opinion.

24 MEMBER ARMIJO: Thank you.

25 I don't think it would pore out. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think it'd just jam up in there. As long as the
2 water gets out.

3 MR. MERZKE: All right. Continue on for
4 aging management of in scope inaccessible concrete,
5 the applicant stated and the Staff verified that the
6 below grade environment is not aggressive. Periodic
7 testing of the ground water will be performed as
8 part of the structure's monitoring program.

9 Section 3.6 covered electrical and I&C
10 components. There were four commodity groups
11 reviewed; electrical penetrations, fuse holders,
12 nine EQ cables and connections and off-site power
13 and station blackout recovery paths.

14 The Staff noted that industry operating
15 experience shows loosening of metallic parts of the
16 cable connections. Requested that the applicant
17 demonstrate how this effect will be managed. In
18 response, the applicant committed to implement a new
19 aging management program consistent with the GALL
20 AMP E6 electrical cable connections not subject to
21 10 CFR 50.49 EQ requirements prior to entering the
22 period of extended operations.

23 This application was originally reviewed
24 under the original GALL, GALL Rev. 0. The E6
25 program was not part of that GALL. The applicant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has committed to basically implementing one of the
2 programs implemented in the latest GALL revision.

3 I'd like to move on and discuss the
4 timed-limited again analyses. The first table here
5 summarizes the upper shelf energy for the limiting
6 belt line components. The acceptance criteria for
7 upper shelf energy is greater than 50 foot pounds.
8 The applicant has demonstrated and the Staff has
9 verified that the upper shelf energy for the
10 limiting belt line components at Monticello will
11 exceed 50 foot pounds at the end of the period of
12 extended operations.

13 The next table summarizes the mean nil
14 ductility reference temperature for the limiting
15 circumferential and axial welds. The values for
16 both are calculated to be within acceptable limits
17 through the period of extended operation pursuant to
18 10 CFR 54.21(a)(1)(ii).

19 CHAIRMAN BONACA: A question I have,
20 okay, this is more learning on my part, but I found
21 for this plant a lot of equivalent margin analysis
22 and, you know, which we haven't seen often before.
23 Maybe it is because of BWR versus PWR, but typically
24 we have a screening process by which you say you
25 meet the screening criteria and you don't have to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any further analysis.

2 MR. ELLIOTT: Right.

3 CHAIRMAN BONACA: And here I saw a lot
4 of equivalent margin analysis. If it's a separate
5 issue, you might want to address both. In page 422
6 of the application when it speaks of reactor
7 pressure vessels circumferential weld properties and
8 then it presents a conditional failure probability
9 at 64 EFPY of 1.78 as an acceptance criteria. And I
10 haven't seen that.

11 MR. ELLIOTT: I can't hear you. But let
12 me just summarize.

13 We went through the licensee what they
14 had to do for the upper shelf energy. And it turns
15 out they have four plates in the -- I think it's
16 four plates in the belt line. And one of the plates
17 is in their surveillance program, so they actually
18 have Charpy data for that plate.

19 CHAIRMAN BONACA: Okay.

20 MR. ELLIOTT: The problem is the other
21 three plates they don't have enough Charpy data to
22 know what the upper shelf energy is. And this is
23 not something that's specific to them. There's a
24 lot of GE plants that have the same problem.

25 When these plants were originally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensed there was no requirement to do upper shelf
2 energy testing. You just had to test in the
3 transition region and you had to have a lower enough
4 transition temperature so that you had adequate
5 toughness. So they didn't do the testing on the
6 upper shelf energy. And this is typical of a lot of
7 GE plants.

8 So what GE did was they have a topical
9 report on this issue in which they say that if you
10 don't have specific values of upper shelf energy,
11 they have developed a methodology, equivalent margin
12 analysis methodology that if you have a certain
13 amount of irradiation embrittlement, you're with
14 their bounds of their analysis. So that's what they
15 were first attempting to do; to show that for these
16 plates they were within the bounds of GE and generic
17 analysis.

18 CHAIRMAN BONACA: Yes. Okay. So that's
19 likely that for GE plants we're going to see more of
20 this?

21 MR. ELLIOTT: Yes. For GE plants this
22 is very typical.

23 CHAIRMAN BONACA: But it is not really a
24 marginality of this vessel. It's more like it's
25 typical of the approach we're going to see for GE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plants, for boilers?

2 MR. ELLIOTT: Right.

3 CHAIRMAN BONACA: Well the other issue
4 is that cable on page 422 where they're speaking of,
5 sort of the, configuration of weld -- essentially
6 the calculation reference, NRC calculation where a
7 condition of failure probability as 64 EFPY is used
8 as a criteria.

9 MR. ELLIOTT: Yes.

10 CHAIRMAN BONACA: And that's 1.78 and
11 ten to the minus five. And I really surprised by
12 seeing this kind of criteria used.

13 MR. ELLIOTT: Are we talking about the
14 circumferential welds?

15 MR. MERZKE: Yes. It's the BWRVIP-05.

16 MR. ELLIOTT: Okay. We reviewed the
17 circumferential welds under the BWRVIP-05 program.

18 CHAIRMAN BONACA: Okay.

19 MR. ELLIOTT: And the purpose of that
20 review at the time was to eliminate the inspection
21 of the circumferential welds. And GE put out their
22 report, and we reviewed it. And we did our own
23 analyses to convince ourselves that what they were
24 saying was true. So we put out in our safety
25 evaluation of that topical report our own analyses.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes.

2 MR. ELLIOTT: And we took their
3 fluences.

4 CHAIRMAN BONACA: Yes.A

5 MR. ELLIOTT: And we extended it,
6 originals were 40 years. And we extended it to 64
7 effective full power years just to show how it would
8 impact the analyses. And we determined that even at
9 65 effective full power years they would still be
10 the criteria that we had established to eliminate
11 the inspection of the circumferential welds.

12 CHAIRMAN BONACA: That's the inspection
13 effect. Okay. Yes, that was on page 422 of the
14 application. Bill, you were looking at it.

15 All right. That was to eliminate the
16 inspection. Okay. All right. I think that you've
17 gotten what I needed.

18 MEMBER SHACK: I mean, they eliminate
19 the inspection mostly because they can't do it?

20 MR. ELLIOTT: No, no. They can't do a
21 100 percent.

22 MEMBER SHACK: They can't do a 100
23 percent, yes.

24 MR. ELLIOTT: But the reason we have
25 eliminated it isn't because of that. We find that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the axial welds are much more susceptible. If
2 something was going to happen, they're under a much
3 higher stress than the circumferential welds. And
4 so that the axial welds would be a precursor to what
5 would happen for the circumferential welds. So as
6 long as we inspect the axial welds, we're
7 comfortable that you don't need to inspect the
8 circumferential welds.

9 CHAIRMAN BONACA: Okay. Thank you.

10 MR. MERZKE: On to Section 4.3 the
11 application covering metal fatigue. The applicant
12 satisfactorily demonstrated that the cumulative
13 usage factor, CUF, for all components subject to
14 fatigue will not exceed 1.0 through the period of
15 extended operations. Components evaluated are
16 monitored by the applicant's fatigue monitoring
17 program, which the staff found acceptable.

18 Section 4.4 covers irradiation-assisted
19 stress corrosion cracking or IASCC. Components made
20 from austenitic stainless steel exposed to a neutron
21 fluence in excess of 5 times 10 to the 20th neutron
22 per centimeter squared considered it susceptible to
23 IASCC. These components include the top guide,
24 shroud and in core instrumentation, dry tubes and
25 guide tubes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 IASCC is managed by Monticello by the
2 ASME Section 11 ISI sub sections IWB, IWC and IWD
3 program, vessel internals implant chemistry
4 programs.

5 In 1999 the applicant implemented the
6 hydrogen water chemistry program to reduce the
7 oxygenated environment also reducing the
8 susceptibility to IASCC.

9 In addition to the examinations required
10 by the ISI program, the applicant committed to
11 conduct additional top guide inspections of the high
12 fluence locations using the enhanced visual
13 inspection technique.

14 Section 4.7 covers the environmental
15 qualification of electrical equipment. The Staff
16 reviewed the applicant's TLAA on environmental
17 qualification program and concluded that the
18 evaluation was acceptable in accordance with 10 CFR
19 54.21(c)(0)(ii).

20 Section 4.8 covered the stress
21 relaxation of rim hold-down bolts. The applicant
22 provided an analysis on the stress relaxation of the
23 core plate hold-down bolts, which the Staff
24 reviewed. The Staff found the initial evaluation
25 unacceptable because it relied on friction, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was not included in the generic analysis accepted in
2 BWRVIP-25. The Staff requested the applicant
3 provide an analysis which did not include friction.
4 Subsequent analysis was provided by General
5 Electric. It was comparative analysis between the
6 BWRVIP-25 loads and the Monticello specific loads.
7 The analysis determined that the bolt stresses at
8 Monticello were either bounded by the BWRVIP-25
9 analysis or within ASME allowables. The Staff found
10 the analysis acceptable pursuant to 10 CFR
11 54.21(C)(1)(ii).

12 To summarize the TLAAs, pursuant to 10
13 CFR 54.3 the Staff found the TLAA list adequate and
14 pursuant to 10 CFR 54.21(c)(1) the Staff found that
15 the analyses provided would be the remain valid for
16 the period of extended operations. They were
17 projected to the end of the period of extended
18 operations or that the effects of aging will be
19 adequately managed for the period of extended
20 operations.

21 And pursuant to 10 CFR 54.21(c)(2) there
22 are no plant specific exceptions.

23 In conclusion, the Staff has concluded
24 that there is reasonable assurance that the
25 activities authorized by the renewed license will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 continue to be conducted in accordance with the
2 current licensing basis. And that any changes made
3 to the MNGP current licensing basis in order to
4 comply with 10 CFR 54.29(e) or (a) are in accord
5 with the Act and the Commission's regulations.

6 Does anybody have any further questions?

7 CHAIRMAN BONACA: Any questions? No
8 questions. We thank you for that presentation. It
9 was very informative.

10 At this stage what I would like to do is
11 to, first of all, ask the audience if you have any
12 questions for the presenters. There are none.

13 What I would like to do is to go around
14 the table and get insights on two things. One, do
15 we need to have a interim letter. And a second
16 question that I have is views regarding the
17 application and the safety evaluation reports by
18 individual members. You know, what are the most
19 notable issues. I believe I'm scheduled for a brief
20 update to the full Committee tomorrow or the day
21 after. So I would like to know from you what input
22 I should provide.

23 So again, two questions: (1) Should we
24 have an interim letter, and; (2) what feedback
25 should we give to the full Committee on this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. And also some views that you may have
2 on the application and the safety evaluation report.

3 So I'll start with you, Jack?

4 MEMBER SIEBER: Okay. The answer to
5 your first question is I don't see a need for an
6 interim letter.

7 My view of the application and the SER
8 and the audit and inspection report is that all
9 three documents were generally well done and
10 complete. I think the application was
11 comprehensive, even though the Staff did determine
12 in the area of scoping there were a few minor
13 corrections that needed to be made.

14 I think particularly impressive was the
15 inspection and audit report headed up by Region III.
16 Again, they have done an excellent job and it
17 results in including the licensee's effort to review
18 RAIs sent to other LER license renewal candidates.
19 Their requests for additional information and
20 include the answers in their application; I think
21 that saves a lot of effort for both the licensee and
22 the Staff. And I commend the licensee for doing
23 that.

24 And the result was an unusually low
25 number of RAIs. And I think the process more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 efficient. I think it reduces burden on all parties
2 involved. And I think shows the maturing of the
3 license renewal process.

4 The inspection and audit report, again,
5 was very thorough and well written. And basically
6 left no stone unturned. It was very clear to me what
7 steps the inspectors took to make their
8 determinations.

9 And so I think overall I would say that
10 it was a job well done.

11 In addition to looking at the
12 application, the inspection and audit report and the
13 SER, I also looked at other inspection reports
14 related to that plant on the NRC's website along
15 with their reactor oversight process, performance
16 indicators. And I was familiar years ago with the
17 performance of both of those northern states power
18 plants, Monticello and Perry Island. And it appears
19 based on what I could read and what I reviewed, that
20 they continue to perform well, and to me that's an
21 important factor.

22 So overall I was generally impressed
23 with the quality of both the licensee and the
24 Staff's reports. And I think the job was well done.

25 CHAIRMAN BONACA: Good. Thank you, Jack.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Appreciate it.

2 Bill?

3 MEMBER SHACK: I don't see any need for
4 an interim letter.

5 I'm still curious about this factor of
6 14 in the fluence. I mean, that just strikes me as
7 an extraordinary change in value that I can't
8 conceive of. And if somebody could email an
9 explanation of where it comes from --

10 MR. ZIMMERMAN: We'll do that. We'll get
11 that to you.

12 CHAIRMAN BONACA: Okay. Sam?

13 MEMBER ARMIJO: Yes. I don't want to
14 comment on the need for an interim letter. I don't
15 know enough about the process yet to talk about
16 that.

17 I think I agree with Jack's assessment
18 overall. I think a very nice job done by the Staff
19 and by the applicant.

20 I still have a nagging concern about the
21 drywell in that I'm not sure that the UT inspection
22 that was done was done in the worst location or the
23 most severe location. So I'd appreciate if either
24 the Staff or Niagara-Mohawk could tell where these
25 inspections were done before we put that issue to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bed. If it was done in the worst case location, I
2 think they've got plenty of margin in this plant.
3 BWR 3s have always been our really nice little
4 plants, low powered power density plants. And I
5 think the plant's been very well maintained. And I
6 think the plan to keep it that way is good.

7 So other than the issue n the --

8 CHAIRMAN BONACA: Well, let me just
9 point out that the issue on the interim letter. If
10 this was, for example, to be a significant issue for
11 which we have expectations, that would be a
12 motivation for writing an interim letter.

13 MEMBER ARMIJO: That's what I wanted to
14 ask. You know, maybe we just don't have the
15 information. But if it turned out, for example I
16 just have this concern that there could be a low
17 point where water's accumulated and stayed there for
18 a long time, and that wasn't the location where the
19 UT exam was done, it was done somewhere else. So
20 that's really my remaining concern.

21 MR. ZIMMERMAN: We'll look into that,
22 and we'll get that back to you through Tany. And
23 we'll talk to the licensee about that.

24 CHAIRMAN BONACA: Otto?

25 MEMBER MAYNARD: And you said Niagara-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mohawk, I don't think Niagara-Mohawk is going to get
2 you anywhere on --

3 MEMBER ARMIJO: Oh, no, no. Monticello.
4 I'm sorry. I said Niagara-Mohawk, I'm sorry. It's
5 still a BWR, I think.

6 MEMBER MAYNARD: Yes.

7 I see no need for an interim letter. I
8 agree with the previous comments on the overall
9 quality, scope and depth of the reports.
10 Especially complimentary of the inspection report
11 there.

12 And I believe that other Sam's specific
13 question on the location of these inspections, I
14 think that most of the issues that we may have
15 lingering a little bit on the shell is really more
16 of a generic question and issue that we need to come
17 to grips with than it is a Monticello specific as to
18 exactly what's required. It appears to me as though
19 they're doing exactly what the interim staff
20 guidance is requiring and have done that. So I think
21 it's more of a generic than a plant specific force.

22 CHAIRMAN BONACA: Okay. Thank you.

23 Yes, I share some of the views of the
24 rest of the Committee.

25 First of all, I was impressed by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 clarity of the application, and most of all the
2 inspection reports. I mean they were quite informed,
3 they provided a lot of information.

4 Regarding the liner, containment liner,
5 you know the presentation from the inspector leader
6 here gave some confidence. Because, I mean, they
7 probed the issue, they went back and looked at it.

8 I still believe, however, that it is
9 somewhat concern to me and I tend to agree with you,
10 Otto, that it is a generic issue right now. You
11 know we don't have a very clear basis for saying
12 Browns Ferry should inspect and Monticello should
13 not or doesn't need to. I mean I don't understand
14 yet what makes the big distinction there, okay. And
15 I think we have to clarify this issue.

16 In addition to that, I'm kind of
17 concerned about license renewal and all this
18 inaccessible components. I mean, the issue is not
19 only the liner. The issue is the cables we are going
20 to discuss tomorrow on this Generic Letter. The
21 issue is piping, which is buried under. And you
22 know these components are not going to operate
23 forever. You're going to have some incidents of
24 degradation tied to aging and I'm not sure that the
25 programs we have in place are going to address the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues in a complete fashion.

2 I know going back to the containment
3 liner, I mean I am puzzled by the guidance that we
4 have licensees by which we impose a requirement for
5 an inspection on one and we do not on some other. It
6 is all left to the judgment of the reviewer. I
7 think it's an important issue that we have to look
8 at.

9 If that was my plant and I have been 19
10 years without looking at it, I would commit to do an
11 inspection. Now does it meet however the
12 requirement of the rule? It sounds like it does.
13 So, you know, my sense is is maybe we don't interim
14 letter. The only purpose of an interim letter would
15 be for us to say to recommend that they have an
16 inspection done. And, you know, my sense is that
17 let's leave it as a generic issue.

18 And I think it will be interesting to
19 gain an understanding of this issue as we go forward
20 so that we have a better understanding of when we're
21 going to ask for an inspection and when we're not.

22 MR. ZIMMERMAN: In fact, tomorrow at
23 3:15 we're scheduled to come over here and brief you
24 on the ISG, so that will prompt further dialogue on
25 the issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes. Okay. Good.
2 And that brings it to the table anyway.

3 So outside of these comments, I mean I
4 think that again it sounds like this is a good
5 plant, has a good operating history. It seems to be
6 ready for moving on to --

7 MEMBER SHACK: Well, I'm impressed when
8 they found a number of SAMAs that would improve
9 their safety, they went out and implemented them.

10 CHAIRMAN BONACA: Yes.

11 My concluding statement, I agree with
12 the other comments of the members. Very low number
13 of RAIs, by the way. It is a real improvement in
14 the process. And I think we're getting to a maturity
15 of the license renewal process.

16 Okay. So you've got our comments.
17 We're not going to have an interim letter, at least
18 we're not going to recommend one to the full
19 Committee.

20 And I'm going to turn around and see if
21 there are any further questions or comments
22 regarding these applications from the public. If
23 are no further comments, this meeting is adjourned.

24 (Whereupon, at 4:10 p.m. the meeting was
25 adjourned.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

Official Transcript of Proceedings
NUCLEAR REGULATORY
COMMISSION

Title: Advisory Committee on Reactor Safeguards
Plant License Renewal Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, May 30, 2006

Work Order No.: NRC-1057

Pages 1-114

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

PLANT LICENSE RENEWAL SUBCOMMITTEE

MEETING

+ + + + +

ROCKVILLE, MARYLAND

TUESDAY

MAY 30, 2006

The Subcommittee met in Room 2TB3 at Two White Flint North, 14555 Rockville Pike, Rockville, Maryland, at 1:30 p.m., Mario V. Bonaca, Subcommittee Chair, presiding.

MEMBERS PRESENT:

- MARIO V. BONACA Chairman
- J. SAM ARMIJO
- WILLIAM J. SHACK
- JOHN D. SIEBER
- GRAHAM B. WALLIS
- OTTO MAYNARD

1 NRC STAFF PRESENT:

2 CAYETANO SANTOS Designated Federal Official

3 JAKE ZIMMERMAN

4 DAN MERZKE

5 PATRICIA LOUGHEED

6 DAVE POTTER

7 MICHAEL ALEKSEY

8 PETER WEN

9 BARRY ELLIOTT

10 HANSRAJ ASHAR

11 JAMES MEDOFF

12 DR. KEN CHANG

13 DR. K.T. KUO

14 MONTICELLO REPRESENTATIVES PRESENT:

15 PATRICK BURKE

16 JOHN GRUBB

17 JOEL PAIRITZ

18 SHERRY BERNHOFT

19 JIM ROOTES

20 RON SIEPEL

21 STEVE HAMMER

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18

A-G-E-N-D-A

OPENING REMARKS 4

STAFF INTRODUCTION, Mr. Zimmerman 5

MONTICELLO LICENSE RENEWAL APPLICATION, P. Burke 8

 Description, J. Grubb 10

 Operating history, background, scoping,
 P Burke 15

 Application of GALL, P. Burke 34

 Industry topics, J. Pairitz 34

 Commitment process, J. Pairitz 68

SER OVERVIEW 70

 Overview, D. Merzke 70

 Scoping and screening results, D. Merzke . 72

 License renewal inspections, P Lougheed . . 75

AGING MANAGEMENT REVIEW RESULTS and TIME-LIMITED
AGING ANALYSES, D. Merzke 84

SUBCOMMITTEE DISCUSSION 107

P-R-O-C-E-E-D-I-N-G-S

1.31 p.m.

CHAIRMAN BONACA: The meeting will now come to order.

This is a meeting of the Plant License Renewal Subcommittee. I am Mario Bonaca, Chairman of the Plant License Renewal Subcommittee.

The ACRS members in attendance are Jack Sieber, Bill Shack, Graham Wallis, Sam Armijo and Otto Maynard.

Cayetano Santos of the ACRS Staff is a Designated Federal Official for this meeting.

The purpose of the meeting is to discuss the license renewal application for the Monticello Nuclear Generating Plant. We will hear presentations from the NRC's Office of Nuclear Reactor Regulation and representatives of the Nuclear Management Company.

The Subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberation by the full Committee.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the *Federal*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Register. We have received no written comments or
2 requests for time to make oral statements from
3 members of the public regarding today's meeting.

4 A transcript of the meeting is being
5 kept and will be made available as stated in the
6 *Federal Register* notice. Therefore, we request that
7 participants in this meeting use the microphones
8 located throughout the meeting room when addressing
9 the Subcommittee. The participants should first
10 identify themselves and speak with sufficient
11 clarity and volume so that they may readily heard.

12 We will now proceed with the meeting.
13 And I call upon Mr. Jake Zimmerman to begin the
14 meeting.

15 MR. ZIMMERMAN: Thank you, Dr. Bonaca.

16 Good afternoon. My name is Jake
17 Zimmerman. I'm the Branch Chief in License Renewal
18 Branch B, in the Division of License Renewal.

19 With me today is Dr. Ken Chang, who is
20 the Branch Chief for License Renewal Branch C, whose
21 responsibility is the on-site audits of the aging
22 management programs and the aging management reviews
23 and also the time limit and aging analysis.

24 Behind me also is Dr. P.T. Kuo, our
25 Deputy Director for the Division of License Renewal,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 who you all are familiar with.

2 The Staff has conducted a very detailed
3 and thorough review of the Monticello Nuclear
4 Generating Plant license renewal application which
5 was submitted in March of 2005. Mr. Dan Merzke,
6 here to my right, is the Project Manager for this
7 review. He will lead the Staff's presentation this
8 afternoon on the draft safety evaluation report.

9 In addition we have Ms. Patricia
10 Lougheed who is our team leader for the Region III
11 inspections that were conducted at Monticello
12 Nuclear Generating Plant.

13 We also have several members of the NRR
14 technical staff here in the audience to provide
15 additional information and answer your questions.

16 The Staff felt that the Monticello
17 Nuclear Generating Plant application was of very
18 good quality. This resulted in the issuance of only
19 a 113 formal requests for additional information. I
20 know the ACRS has been interested in the number of
21 questions that have come out of these reviews in the
22 past. We believe part of that reduction is as a
23 result of the Generic Aging Lessons Learned Report.
24 This application was submitted using the draft GALL
25 Report that was issued back in January of 2005,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 however it was reconciled with the September 2005
2 version of the GALL Report. In fact, it resulted in
3 a 95 percent consistency between their application
4 and the revised GALL. So I think it was a good
5 application. The GALL certainly helped with the
6 review providing a roadmap.

7 In addition, the Staff at Monticello
8 provided excellent support for our on-site audits,
9 the inspections that were conducted and also the
10 headquarters reviews through the conference calls
11 and numerous meetings that we had.

12 Because there are no open items, the
13 Staff has requested that we accelerate the schedule
14 to complete this review in 20 months versus our
15 standard 22 months. That's been the practice over
16 the last several license renewal applications, and
17 we're working with ACRS Staff to set up the next
18 meeting.

19 And with that, I'd like to turn it over
20 to Pat Burke, who is the Manager of this project to
21 begin the applicant's presentation.

22 MR. BURKE: Thank you, Jake.

23 And thank you members of the ACRS
24 Subcommittee for allowing Monticello to present this
25 presentation in support of the Staff in this meeting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 today.

2 What I'd like to do is start off by
3 giving a brief introduction of the team and the
4 members that we have here today to help answer any
5 questions you may have.

6 Now we have on my left here a Mr. John
7 Grubb, who our Director of Engineer.

8 We have Ms. Sherry Bernhoft, who is the
9 Director of Fleet Project Management in the
10 audience.

11 Again, I am Patrick Burke, the Manager
12 of Projects.

13 Joel Pairitz is our License Renewal
14 Project Manager.

15 Ray Dennis is our civil lead.

16 Ron Spiepel is our electrical lead.

17 Jim Rootes is our programs lead.

18 Michael Aleksey we have as our TLAA
19 support.

20 Dave Potter is our engineering
21 supervisor of inspections and materials.

22 And Steve Hammer is a principal engineer
23 on the project.

24 We also have with us today our sister
25 plant, Palisades from the Nuclear Management Company

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 observing and gaining any lessons learned during
2 this presentation today.

3 What we'd like to talk about today is
4 the agenda. We will start with having John Grubb go
5 over a brief description of the Monticello Nuclear
6 Generating Plant.

7 And I'll talk a little bit about the
8 operating history and some highlights. I'll talk a
9 little bit about the project application and
10 background. I'll discuss the methodology. And as
11 Jake mentioned, we'll talk a little bit about the
12 application of the GALL to Monticello's application.

13 At that point I'll turn it over to Joe,
14 our Project Manager to go over a couple of industry
15 topics such as drywell shell corrosion shroud
16 cracking, steam dryer. And then we'll conclude with
17 a short discussion on commitment process.

18 At this point I'd like to turn it over
19 to Mr. John Grubb.

20 MR. GRUBB: All right. Thank you, Pat.
21 And again, thanks to the Committee.

22 A brief description of the Monticello
23 plant. The plant is located, it's on the banks of
24 the Mississippi River. It's roughly 30 miles
25 northwest of Minneapolis. It's approximately 2100

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 acres of land that's owned by Xcel Energy.

2 The plant is a single unit GE BWR 3. We
3 do have a Mark I containment.

4 MEMBER WALLIS: One question about this.

5 MR. GRUBB: Yes, sir.

6 MEMBER WALLIS: How far do the suburbs
7 of Minneapolis extend the direction of the plant?

8 MR. GRUBB: The closest suburb actual
9 Minneapolis suburb to the plant is the Maple Grove
10 suburb, and it's about 18 to 20 miles.

11 MEMBER WALLIS: Okay. Thank you.

12 MR. GRUBB: Our current license thermal
13 power is 17075 megawatts thermal, approximately 600
14 megawatts electric.

15 The plant is owned by Northern States
16 Power Company, which is a subsidiary of Xcel Energy.

17 The plant is operated by the Nuclear
18 Management Company.

19 And we have an on-site staff of
20 approximately 420.

21 Just a quick aerial view of the station.
22 The Mississippi River, which is ultimate heat sink.
23 Intake structure here. Turbine building. Reactor
24 building. Cooling towers and discharge canal here.
25 Return to the river up in the upper left. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 subyard is here. It's a pretty small, relatively
2 compact site.

3 Next.

4 What you'll see in this slide is that
5 Monticello has historically been and continues to be
6 a very reliable plant. Our current unit capability
7 factor is rated at 93 percent. Our INPO performance
8 index is at 100 percent. We are greater than 1500
9 days since our last scram from power. Our current
10 operating cycle, we've been online for greater than
11 400 days. We currently have no equipment issues that
12 are threatening unit availability.

13 MEMBER SHACK: What's your fuel like?

14 MR. GRUBB: We are on a two year fuel
15 cycle.

16 The performance indicators are all
17 green. And we have no findings that have been
18 greater than green.

19 MEMBER SIEBER: I have a question about
20 the inspection findings.

21 MR. GRUBB: Yes, sir.

22 MEMBER SIEBER: I looked through all of
23 your inspection reports for the last couple of
24 years, and including the summary of the findings.
25 And they were all green or less. And I noticed a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lot of areas didn't have any findings at all, which
2 is actually a good thing.

3 On the other hand, if I review all those
4 findings which resulted in on-sited violations, I
5 think that you might be able to pick out a trend.
6 And I was wondering if you have done that and see a
7 trend or a problem area in your findings?

8 MR. GRUBB: Well, I wouldn't say I see a
9 problem area. What Monticello has been going
10 through over the last several years is we focused on
11 the programs area specifically and we've done a lot
12 of reconstitution. And a lot of time focusing,
13 doing assessments in the programs area. So we have
14 a number of things that have come up in the
15 programs; Appendix R, fire protection, EQ, some of
16 those areas that we have focused on. But we've
17 been doing that because we recognize that maybe we
18 hadn't been at the top of the industry with respect
19 to how we treated programs historically.

20 MEMBER SIEBER: Another thing that I
21 noticed was several operator errors that occurred
22 during surveillance testing. Does your staff have a
23 pretty good size turnover at this time? It's an
24 older plant and older plants often have a staff that
25 grew up with the plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GRUBB: Yes. There has not been a
2 lot of turnover in the operations area specifically.
3 We have been trying to bring groups of new license
4 candidates and new operator candidates over the last
5 several years. We hired ten last year.

6 As far as the human performance, we do
7 recognize that. There is two initiatives at the
8 site level that we're going after to try to address
9 that.

10 What the station is is we have six focus
11 areas. And the way we treat those is if we do
12 nothing else as a station, those six areas are going
13 to get a lot of attention. Two of those, one is
14 operations leadership which is making sure the Ops
15 department is leading the station and the operators
16 are taking responsibilities. The second one is
17 procedure use and adherence. So we have recognized
18 that trend and we are focusing on those two areas.

19 MEMBER SIEBER: And how would you
20 describe compared to other plants the material
21 condition of Monticello?

22 MR. GRUBB: I guess I don't have a good
23 picture of the rest of the plants. Our material
24 condition is very good. We're in pretty good shape.
25 The plant has historically been maintained very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well. What you'll see at Monticello and the people
2 that come to Monticello, the craft and the mechanics
3 and so forth that maintain the equipment take a
4 tremendous amount of ownership. And as a result of
5 that, our equipment performance and our equipment is
6 in very good condition.

7 MEMBER SIEBER: I would caution that
8 even though Minnesota is a great place, you might
9 not want to isolate yourself from your brethren in
10 the industry and get out and see what the best
11 plants look like and make yours just like it.

12 MR. GRUBB: We agree.

13 MEMBER SIEBER: Okay. Thanks.

14 MR. GRUBB: All right. Pat, back to
15 you.

16 MR. BURKE: All right. I'd like to
17 start my discussion with a little bit on the
18 operating history and highlights, some background,
19 Monticello's construction. The permit was issued in
20 1967. We obtained our operating license in
21 September of 1970. That means that 40 years later
22 in September of 2010, our 40 year license would
23 expire. And as Jake mentioned earlier, we did
24 submit our license renewal application in March 16th
25 of 2005.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 These next couple of slides I'll talk a
2 little bit about the operating history, and this
3 will go to the point of material condition which we
4 just talked about.

5 In 1984 we replaced all the resurg
6 piping with a low carbon stainless steel resistant
7 to intergranular stress corrosion cracking. The
8 small bar piping was a 304L material. The large bar
9 piping was a 316 NG material. During that project
10 we replaced risers, supply headers, suction piping
11 and safe-ends.

12 We made some additional improvements by
13 reducing the number of welds and doing some
14 induction heating, stress improvement and
15 electropolishing was applied to the new pipe.

16 In 1986 we replaced spray safe-ends with
17 intergranular stress corrosion cracking resistant
18 material also.

19 In 1989 we implemented the hydrogen
20 water chemistry. We were one of the early plants in
21 implementing that. We implement the moderate
22 hydrogen water chemistry for protection of the
23 vessel internals.

24 MEMBER SHACK: And you're still doing
25 that rather than noble metal?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: That's correct. We are
2 still with moderate hydrogen water chemistry. We
3 have been evaluating noble metals. We've been kind
4 of a slow deliberate approach to reviewing that.
5 We've had very, very good fuel reliability. So
6 we're kind of going slowly into noble metals.

7 MEMBER ARMIJO: Have you been adding any
8 zinc for dose retrieval?

9 MR. BURKE: Yes, we have. We inject
10 depleted zinc.

11 MEMBER SHACK: This is probably getting
12 ahead because you're going to tell us about core
13 strength, but what's the condition of your core
14 shroud jus as a sample internal that's seen a lot of
15 cracking in other plants?

16 MR. BURKE: I think I'll defer that Mr.
17 Dave Potter.

18 MR. POTTER: I am Dave Potter from the
19 Monticello plant.

20 The condition of our shroud is actually
21 better than most in the industry. I wouldn't say
22 it's the best. Our most cracked weld is the H3 weld
23 which had 27 percent indication of our last
24 inspection. But we had three-quarters of that weld
25 basically covered in our last inspection. So in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relative terms our shroud is very good.

2 MR. BURKE: And we will be giving more
3 information in a minute also.

4 In 1997 we did replace the emergency
5 core cooling system suction strainers. And we
6 increased the surface area of those strainers for
7 debris loading.

8 In 1998 we did initiate a power uprate.
9 We increased our power level from 1670 megawatters
10 thermal up to 1775 megawatts thermal, which was a
11 6.3 percent increase.

12 As part of the license renewal effort,
13 we did implement six SAMAs, which did significantly
14 reduce our overall plant risk.

15 MEMBER SHACK: Now those are the six
16 SAMAs that were identified in your environmental
17 impact statement as having a favorable cost risk?

18 MR. BURKE: Yes, sir. That is correct.

19 MEMBER SHACK: That's all six, including
20 the manual RCIC which reduced your CDF but upped
21 your risk?

22 MR. BURKE: That is correct.

23 MEMBER SHACK: Okay. Well, if one of my
24 colleagues was here, he'd ask you about that. But
25 we'll let that one pass.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: He's not here.

2 I would like to know, however, what is
3 the CDF for this plant?

4 MR. BURKE: The core damage frequency
5 before the six SAMAs was 4.37 ten to the minus
6 fifth. And the after implementation --

7 CHAIRMAN BONACA: Internal events or
8 total?

9 MR. BURKE: Total events.

10 CHAIRMAN BONACA: Internal events?

11 MR. BURKE: Internal, that's right.

12 And after the implementation of this was
13 changed to 5.99 times ten to the minus six per year.

14 MEMBER SHACK: That was a question I was
15 going to have for the Staff. You know, reading
16 through here this was the first environmental impact
17 where I came to the SAMAs and they actually, you
18 know, they had a bunch of favorable ones. And the
19 fire truck one was a real bargain. You know, you
20 haul the fire truck and hook it up.

21 What is the criteria for when -- why did
22 we ask these people to do these SAMA analysis? Is
23 there some criterion that they would meet that they
24 would have to do them or is it just something they
25 look at? You know, they obviously choose to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implement a number of the SAMAs. And I just
2 wondered in general what do we do with the SAMA
3 analysis after they do it?

4 You can come up with that later or
5 answer now?

6 MR. KUO: Yes. P.T. Kuo, License
7 Renewal.

8 We generally perform the SAMA analysis
9 and if we see there is a cost benefit area that the
10 applicant can improve, then we make the
11 recommendations. And we send this recommendations
12 to them that these are the cost beneficial actions
13 that they have to take.

14 And then later on --

15 MEMBER SHACK: So they don't have to
16 take them, though?

17 MR. KUO: They don't have to take them.

18 MEMBER SHACK: They could take them?

19 MR. KUO: But based on our SAMA analysis
20 we identify, if we identified any actions that we
21 believe is beneficial, we'll let them know.

22 MEMBER SIEBER: Before you move forward,
23 I'd like to go back to your 6.3 percent power
24 uprate. Do you have additional margin in your plant
25 where you could perform another uprate in power?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: We've done some studies,
2 some evaluation on that. There would be significant
3 cost. If we decided to do another power uprate, it
4 would be a significant cost to replace the
5 equipment.

6 MEMBER SIEBER: Like the turbine?

7 MR. BURKE: Like the turbine, generator
8 rewinds, transformers, feed pumps.

9 I think the answer to your question is
10 there is probably not a lot of margin above and
11 beyond for another power uprate. We have margin
12 where we're at.

13 MEMBER SIEBER: Okay. Thanks.

14 MR. BURKE: Now looking out into the
15 future, we have a number of future lifecycle
16 management projects that are in progress and being
17 implemented, such as replacement of feedwater
18 heaters, recirc pump motors and rotating pump
19 assemblies. We've done the 11 pump last outage and
20 we plan to do the 12 pump this outage the service
21 water pump replacements and transformers and
22 generator rewinds.

23 The next couple of slides I would like
24 to talk a little bit about the project. This slide
25 here what I'd like to talk about is how we selected

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the people for the project and how we made sure we
2 had the right people for the project.

3 Now, we initiated the project through an
4 interview process for site employees. We selected a
5 core team. They're NMC employees that were from the
6 site. Four of them had SROs or SRO certifications
7 and all of them were very experienced and
8 multidisciplined.

9 We supplemented that core team with
10 license renewal experienced contractors. Again, the
11 majority of those contractors were on-site
12 performing that work. We did retain the majority of
13 that team during the audits and inspections. So we
14 had the same people that prepared the application
15 supporting the audits and inspections.

16 We contracted with General Electric to
17 perform the reactor pressure vessel and internal
18 time-limited aging analysis and aging management
19 reviews.

20 And we also did engage the plant and the
21 site staff in review of aging management review
22 documents and aging management program documents.

23 MEMBER SHACK: The one thing that struck
24 me as extraordinary, though, in the TLAA for the
25 core shroud, the first estimate of the shroud

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence peak was 3 times 10 to the 20, and then it
2 got changed to 3.8 times 10 to the 21. Now that's a
3 factor of 14 and it was a change in methodology.
4 I'm a little surprised to see that kind of a change.
5 Is there some explanation for what went on there?

6 MR. BURKE: Yes. I'd like to defer that
7 to Michael Aleksey.

8 MR. ALEKSEY: My name is Michael
9 Aleksey.

10 I'd like you to rephrase that question,
11 please? I didn't hear the first part of it.

12 MEMBER SHACK: In the initial license
13 renewal application it says the peak shroud fluence
14 was 3 times 10 to the 20 neutrons per square
15 centimeter greater than 10 leV.

16 MR. ALEKSEY: Yes.

17 MEMBER SHACK: Then it got changed to
18 3.8 times 10 to the 21. I mean it's a factor of 14.

19 MR. ALEKSEY: Well, the original
20 analysis was based on Reg. Guide 1.99 and the
21 original capsule that was pulled in 1984
22 thereabouts, we went to the Reg. Guide 1.190
23 evaluation and used the typical factors to bump that
24 up by 30 percent at certain areas and stuff like
25 that, and came up with the results that we got.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I don't think that that's unusual in
2 terms of --

3 MEMBER SHACK: It's not unusual? A
4 factor of 14? I mean, you know from a case 3 times
5 10 to the minus 20 you're hardly seeing any
6 influence of irradiation on stainless steel to 3
7 times 10 to the 21; it's, you know, a big time
8 change. It's embrittlement, it's high crack growth
9 rates without your hydrogen water chemistry.

10 I mean, normally I hear the Staff
11 beating up people over 10 percent changes in fluence
12 and a factor of 14 just seems very large.

13 Barry is going to enlighten me.

14 MR. ELLIOTT: Barry Elliott, NRC.

15 I'd just like to talk to them for a
16 second.

17 I believe in their application, and I'm
18 making some assumptions, the original applications
19 likes the fluence is calculated for either 1775
20 megawatts or 1680 or something like that. When they
21 did the recalculation for these, it looks like they
22 used 1830 megawatts or 1880 megawatts for cycle 23
23 through the end of the license renewal period. So
24 that would account for some of the large increase.
25 In other words --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: But a factor of 14?

2 MR. ELLIOTT: I'm just saying that they
3 went from 1660 or something like that all the way up
4 to 1880 megawatt thermal. So that increases it quite
5 a bit.

6 And then they used a new GE methodology,
7 which they hadn't used before.

8 So all this stuff added in, I mean this
9 is what you did. So, I mean, I'm just reading the
10 application. You tell me is that what you did?

11 MR. ALEKSEY: This is Mike Aleksey.

12 Yes, we did. Originally it was based on
13 1670 and the Reg. Guide 1.190 evaluation it was
14 based on 1775 up through cycle 22 and then we
15 increased that to 1880 for cycle 23 on, which did
16 provide a significant conservatism. And the reason
17 we did that is because we had performed other
18 analyses at that level before and we thought it was
19 a prudent thing to do.

20 MEMBER SHACK: Okay. Well, I mean
21 since you can live with 3 times 10 to the 21, you
22 know and that sounds like the typical value I have
23 for end-of-life for a core shroud. You know, when I
24 saw the 3 times 10 to the 20 in the original
25 application, I wondered how much water you had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 between your core and your shroud, and it seemed
2 extremely low. The 3 times 10 to the 21 is about
3 where I expected it to be. I still don't understand
4 why it's so different, but obviously you can live
5 with it. And, as I say, it's a value that I find
6 plausible.

7 CHAIRMAN BONACA: Okay. Next slide,
8 please.

9 This slide talks a little about how we
10 were engaged in the industry during the development
11 of license renewal application. We attended many of
12 the working groups. We did participate in the GALL
13 draft revision 1 review and comments through NEI.

14 And we participated in our sister NMC
15 plants during their audits and inspections to gain
16 lessons learned.

17 We supported numerous license renewal
18 peer reviews throughout the industry. We also
19 hosted our own peer review where we did have seven
20 external peers on that team.

21 And then we did review many industry
22 RAIs and in detail we reviewed the Nine Mile, Point
23 Beach and Dresden/Quad's RAIs.

24 These next couple of slides we'll talk a
25 little bit about the methodology. Most of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bullets that I'll talk about now is where we added
2 additional detail into the application that you
3 might not always see. For example, we identified
4 system functions and tied those to the different
5 criterion for the different scoping to help better
6 describe why the system wasn't scoped.

7 We paid a lot of attention to our
8 boundary drawings and included boundary flags and
9 multicolored boundary drawings.

10 We used plant documentation to identify
11 our scoping components. Use DBDs and did extensive
12 plant walkdowns.

13 We created a number of technical reports
14 including those for criterion 2, nonsafety effecting
15 safety and also for the regulated events.

16 And then we did use the spaces approach
17 for our criterion 2, and that was incorporated into
18 the application.

19 MEMBER MAYNARD: I did have a question
20 here. Taking about your scoping, your boundary
21 drawings and everything. And yet in the inspection
22 report I noticed that the inspectors found a number
23 of items or systems where the boundary needed to be
24 changed or something needed to brought into scope,
25 or whatever. I'd like to get your perspective on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. Because it seemed like there's a number -- I
2 don't know if the inspectors were really picky or
3 whether you guys had missed these or what.

4 CHAIRMAN BONACA: No. We didn't have
5 some. There were some areas in the drawings, but I
6 think overall we felt that our drawings were pretty
7 accurate as boundary drawings typically go in the
8 industry.

9 MR. PAIRITZ: I am Joe Pairitz, the
10 Project Manager.

11 Some of the cases, too, occurred where a
12 color suddenly stopped and there wasn't an
13 explanation for why that was. And basically it was
14 that it went through a wall so it was no longer in
15 scope for criterion 2. And we had quite a few
16 instances where we had to go walk that down with NRC
17 inspectors to look at that. And we're doing it over
18 again, I would draw the wall in the drawing and make
19 it easier. But that was the cause for a good number
20 of those questions.

21 MEMBER SIEBER: You had other situations
22 where the line that started off on 1 PNID as a
23 colored line in scope, the adjoining PNID didn't
24 have a colored line in scope. So it ended at the
25 boundary of the drawing as opposed to some physical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 boundary.

2 MR. PAIRITZ: This is Joe Pairitz again.

3 That's correct. There were several
4 instances where the continuation went to the next
5 drawing, it didn't color it properly, and we did
6 correct those.

7 MEMBER SIEBER: Well, I read the same
8 inspection reports. And it just seemed like there
9 was a lot of them, relatively speaking.

10 My question to you would be now that the
11 inspection's over with, which is vertical slices and
12 not comprehensive, how confident are you that you
13 have captured all that should be in scope and
14 identified that on your plant drawings?

15 MR. PAIRITZ: Joe Pairitz again.

16 We did capture those instances in our
17 corrective action program. And part of that was
18 looking at other drawings to see the extent of
19 condition basically. And we're confident right now
20 that we have corrected those problems.

21 MEMBER SIEBER: When you did that, did
22 you find additional problems that wasn't found by
23 NRC inspectors?

24 MR. PAIRITZ: Off the top of my head
25 right now, I don't know for sure. There might have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been a couple, but basically no. And we spent a lot
2 of times on the drawings so we we're pretty
3 confident that they were right to begin with. They
4 did find a few instances, and in our works to
5 correct that I think we might have found a couple
6 more. But it wasn't a significant number.

7 And these things were in scope. It was
8 just the drawing didn't get colored properly.

9 MEMBER SIEBER: Yes. I gathered that
10 from the write-up.

11 CHAIRMAN BONACA: Well, some items were
12 also brought into scope, so there was some of both.

13 MR. PAIRITZ: Right.

14 CHAIRMAN BONACA: Since we're talking
15 inspections, I had a question about the corrosion
16 that the inspectors found on the conductor
17 termination logs of the fire diesel pump. And I'm
18 sure you have a surveillance program for that pump.
19 And so it was disturbing to read it because in
20 license renewal you are going to have a program
21 dealing with this fire pump which is an extension of
22 your existing program. And when I have to wait for
23 an inspector to find it, it troubles me and I
24 wondered about your view on that issue.

25 CHAIRMAN BONACA: Could I defer that to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Ron? He was involved with that inspection activity.

2 MR. SIEPEL: Right. My name is Ron
3 Siepel. I'm the electrical lead.

4 And if I understand the question right
5 is you had a question on the corrosion of the wire
6 that was in the diesel generator panel, is that the
7 question?

8 CHAIRMAN BONACA: Fire diesel -- fire
9 pump.

10 MR. SIEPEL: Okay. The diesel fire pump
11 panel, that panel had been identified on a previous
12 CAP or condition action request that was in the
13 process of replacement and it just hadn't been
14 replaced to date. And if it hasn't been replaced
15 now, it'll be replaced shortly. But that had been
16 previously identified out there under our program,
17 and it was in the process of being replaced.

18 CHAIRMAN BONACA: It wasn't identified
19 before? Wasn't clear from the inspections?

20 MEMBER SHACK: I was just curious. The
21 Staff SER sort of credits your computerized history
22 and maintenance planning system with helping in the
23 scoping, and yet it's not credited at all in your
24 license renewal application. You actually use this
25 thing or is it just sort of sitting around.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: This is Pat.

2 The CHAMPS database was used as a
3 starting point for the scoping process. That was
4 downloaded into a licensed renewal database called
5 ALEX.

6 The CHAMPS database is used more for
7 work management, so you have many of the active
8 components in there. And that was a starting point.
9 By taking that and using that as a starting point
10 and then adding all of the passive components,
11 therefore you would up with a complete ALEX database
12 for scoping and screening to take you through the
13 process methodically on a databased driven platform.

14 The next slide I'd like to talk a little
15 bit about the ageing management review. A couple of
16 other details that we added that I think help tell a
17 better story in the application was adding mechanism
18 for the aging effects.

19 MEMBER SIEBER: Let me ask one quick
20 question before we leave scoping. Is your
21 condensate storage tank in scope? I know piping and
22 anchors and bolts and housings are. But the tank
23 doesn't seem to be. Do you know?

24 CHAIRMAN BONACA: I don't know off the
25 top of my head.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: This is Joe Pairitz.

2 The piping leading up to the tank is in
3 scope. The tanks themselves, I guess I'll have Ray
4 check on that, but I think the tanks themselves are
5 not in scope.

6 CHAIRMAN BONACA: Individual --

7 MEMBER SIEBER: Yes, that's the way to
8 be. And I was wondering, you know, if all the other
9 stuff is in scope, why isn't the tank is in scope?
10 And if the tank would fail, can you still accomplish
11 what you're supposed to accomplish?

12 MR. BURKE: Yes. I'll answer one of the
13 questions, the CSTs being in scope or not. We do
14 not credit the condensate storage tank for any
15 design basis accident so they are not considered
16 safety related.

17 The piping going up to the tanks, I
18 believe and correct me if I'm wrong, Joe, is in
19 there from a nonsafety effecting safety standpoint.
20 Because they do lead in --

21 MEMBER SIEBER: Criterion 1?

22 MR. BURKE: Yes, that's correct.
23 Criterion 2. So that's why we terminated at the
24 tank.

25 And I guess Ray agrees with that. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I will have to think
2 about it? Thank you.

3 CHAIRMAN BONACA: Sure.

4 And also for the aging management
5 reviews we did numerous walkdowns to identify
6 materials and environments.

7 As for the aging management programs, we
8 wound up with 36 aging management programs. And we
9 did include the ten elements from GALL in the
10 application describing each program.

11 And lastly, I'd like to talk about the
12 application of GALL, and this is consistent with
13 what Jake started with, is we did have GALL
14 reconciliation to the Rev 0. That showed us to be
15 75 percent consistent with GALL. After we submitted
16 it we performed a precedents review, which brought
17 us up to 95 percent consistent with GALL. And we
18 believe that that high consistency with GALL
19 increased the efficiency of the audit and inspection
20 process.

21 At this point I'd like to turn it over
22 to Joe to go over the industry topics.

23 MR. PAIRITZ: Thank you, Pat.

24 Again, I'm Joe Pairitz. I'm the license
25 renewal Project Manager and also the mechanical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lead.

2 I'm going to talk about three industry
3 topics, the first being drywell shell corrosion,
4 second being the shroud cracking and thirdly the
5 steam dryer.

6 Starting with the drywell shell
7 corrosion, I'll give a little fresher on the Mark I
8 primary containment. This is a cut away view of the
9 reactor building. You have the reactor here in the
10 center, the drywell is the inverted light bulb
11 shaped liner right here. We have the vent pipes
12 going down to the suppression chamber, otherwise
13 known as the Torus.

14 We will concentrating on the refueling
15 bellows located at the top here. The air gap region
16 between the drywell shell and the surrounding
17 concrete and also the sand pocket region here
18 towards the bottom.

19 While the reactor cavity is flooded, and
20 that would be this area here. This is the spent fuel
21 pool over here. While the reactor cavity is flooded
22 for refueling activities, Monticello has multiple
23 design features for vent leakage from entering or
24 accumulating in the air gap region and in the sand
25 pocket regions. There are three separate drain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paths that exist to channel leakage away from these
2 areas in question.

3 We have a seal barrier over the sand
4 pocket region and we also have a flow switch that
5 would alert operators to any leakage from the
6 bellows.

7 MEMBER ARMIJO: This is Sam Armijo.

8 I have a quick question: Is this unique
9 for this particular BWR 3? Are these features added
10 that other --

11 MR. PAIRITZ: Some of the BWR 3s have
12 them and some don't. I think it might be related to
13 who the AE was on the project. I'm not sure of that.

14 MEMBER ARMIJO: Okay.

15 MR. PAIRITZ: We'll move into the
16 refueling bellows area, otherwise known to some
17 people are a refueling seal.

18 We have the reactor pressure vessel
19 shell over here on this side. The first set of
20 bellows we have are the reactor vessel to drywell
21 bellows. We move over, we have the drywell shell
22 right here. We have the second set of bellows that
23 are between the drywell shell and the reactor
24 building concrete. These bellows are in scope for
25 license renewal. If these bellows were to leak, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first barrier we have to protect the air gap, which
2 is down here, would be this trough or channel that's
3 down here that's supposed to catch any leakage that
4 would come from that bellows.

5 And then you have an 8 inch pipe here
6 that eventually reduces to a 4 inch pipe and goes to
7 rad waste. That line also has a flow switch on it.
8 Instead of 3 gallons per minute, that gives an alarm
9 in the control room. So if they've got a leak here
10 that's 3 gallons per minute or greater, it would
11 alarm in the control room.

12 These bellows and center spool plate
13 have been inspected in the past with no significant
14 degradation noted at that time. That was in the
15 late '80s.

16 I think we'll go on to the next slide.

17 Continuing into the air gap region here,
18 we have a 4 inch drain pipe here. There's actually
19 4 of these, 4 four inch drain pipes.

20 MEMBER MAYNARD: I'm sorry.

21 MR. PAIRITZ: Yes.

22 MEMBER MAYNARD: Go back. You say a
23 setpoint at 3 gallons per minute. Now wouldn't
24 typically you'd expect to see none?

25 MR. PAIRITZ: We expect to see none,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correct.

2 MEMBER MAYNARD: Okay. I'm not familiar
3 with it, but 3 gallons a minute --

4 MEMBER SHACK: That's a lot of water.

5 MEMBER MAYNARD: You know, 2 gallons a
6 minute wouldn't set the alarm off and that's seems
7 to me like it'd be quite a bit of water.

8 MR. PAIRITZ: Well, it is set at three.
9 I can't address the design basis for the three right
10 now. I think basically it was there to address
11 gross failure of the bellows. But if we had any
12 leakage, I can show you were that would be detected.

13 MEMBER MAYNARD: Okay. So any leakage
14 would be detected?

15 MR. PAIRITZ: Yes. And I'll think we'll
16 get to that when we talk about this picture.

17 MEMBER MAYNARD: Okay. All right.

18 MR. PAIRITZ: Here we have the air gap
19 which extends up towards the bellows. We have 4 four
20 inch drain pipes that drain this air gap region if
21 water were to get in that region. We have 18 gauge
22 galvanized sheet metal cover the sand pocket region
23 that's sealed to the drywell shell and sealed to the
24 surrounding concrete. So any water that might
25 accumulate on this sheet metal cover should be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drained away by the 4 four inch drain lines.

2 Now these drain lines come into the
3 Torus room, some people might know it as reactor
4 building basement. They're open. They come down to
5 floor level. They're open. You're going to have
6 water on the floor if there's any leakage in this
7 air gap region because they empty. They don't go to
8 rad waste, they go right on the floor into the
9 reactor building.

10 MEMBER WALLIS: You are concerned about
11 corrosion. And what you need for corrosion is
12 oxygen, presumably. That's from the air gap.

13 MR. PAIRITZ: Correct.

14 MEMBER WALLIS: And you need some
15 moisture. But you don't need a flow of water. And
16 the drains take away a flow of water, but a
17 sufficient humidity in there with very small amount
18 of liquid on the surface could lead to corrosion.

19 I'm not quite sure why drain prevents
20 corrosion. You've got to really control the
21 humidity, don't you?

22 MR. PAIRITZ: Well, when the linear was
23 originally manufactured it was painted with a
24 primer. So it does have some protection on it from
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The humidity you get in there, I mean
2 the drain pipe was obvious to remove any liquid
3 water. If you had high humidity in there, I can't
4 say what the drain would do in that case, although I
5 don't think there's a motive force to -- you know,
6 this one we're running, operating, the drywell shell
7 is fairly warm. So any water should evaporate from
8 there and, hopefully, would come out the drains. I
9 mean, not as liquid water but as a vapor.

10 MEMBER WALLIS: What happens to the air
11 gap? Do you ventilate it in some way? It just sits
12 there, sits there?

13 MR. PAIRITZ: It sits there.

14 MEMBER WALLIS: Silent air. So if there
15 were oxygen in there, it would get used up if it
16 were corroding?

17 MR. PAIRITZ: If there were oxygen in
18 there --

19 MEMBER WALLIS: It would get used up
20 pretty --

21 MEMBER SHACK: Very little.

22 MEMBER WALLIS: Yes.

23 MR. PAIRITZ: Yes. These drain pipes
24 point straight down to the floor, too. You know, I
25 don't think you get a lot of air movement into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 air gap. Maybe during heat up and cool down, but not
2 during normal operation.

3 MEMBER WALLIS: Yes, but doesn't
4 moisture slowly come out of concrete and things like
5 that over a long period of time?

6 MR. PAIRITZ: Ray, can you answer the
7 concrete question?

8 MR. DENNIS: Yes, this is Ray Dennis.
9 I'm the civil structural lead.

10 The air gap, it's not an airtight
11 environment. There's many, many penetrations to the
12 air gap or piping penetrations that go into the
13 reactor vessel and drywell. So it's a free flow of
14 oxygen and it's continuously being replenished --

15 MEMBER WALLIS: There is an oxygen
16 supply, right?

17 MR. DENNIS: Right.

18 MEMBER WALLIS: And you're carrying away
19 the water vapor --

20 MR. DENNIS: If the water vapor is heavy
21 enough to condense and then be carried away by the
22 drains. But the environment in the air gap is
23 basically the same environment you'd find in the
24 reactor building at all times.

25 MEMBER WALLIS: I guess my -- my concern

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is with enough water to cause corrosion, which
2 doesn't necessarily drain out but just stays there.
3 That's probably the worst condition for making
4 corrosion, isn't it?

5 MR. PAIRITZ: I think Ray makes a good
6 point, though, when he mentions that we have
7 penetrations going through this air gap that would
8 help, not necessarily ventilate it, but prevent more
9 humidity than is already in the air from building
10 up.

11 MEMBER WALLIS: Have some control over
12 it.

13 MR. PAIRITZ: And again, I would point
14 out that drywell shell is going to be a lot warmer
15 than the ambient air.

16 MEMBER WALLIS: That helps you. That
17 helps.

18 MEMBER SIEBER: On the other hand I
19 don't hear any kind of a argument that says we're
20 certain enough that there isn't corrosion because of
21 these factors that would tell me that I don't need
22 to go and make a thickness measurement of the linear
23 plate. So it seems to me that that's one of the
24 things you ought to be doing.

25 MR. PAIRITZ: Well, we did do that in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 response to Generic Letter 87-05. We took over 50--

2 MEMBER SIEBER: Right.

3 MR. PAIRITZ: -- readings there and we
4 could not detect any degradation from the original
5 material specifications, and that was after 17 years
6 of operations.

7 MEMBER SIEBER: That was in '87?

8 MR. PAIRITZ: That's correct. '86 and
9 '87.

10 MEMBER SIEBER: Well, it's still an
11 issue because some plants have found problems.

12 MR. PAIRITZ: That's right.

13 MEMBER SIEBER: And it's probably
14 generic to this style of containment and this age
15 group. And I understand a generic letter is in the
16 process to ask you to look at it.

17 MR. PAIRITZ: Well, ISG. I don't know
18 anything about a generic letter.

19 MEMBER SIEBER: ISG. Yes, okay.

20 MR. PAIRITZ: The other, though, as
21 plants that have experienced this, some of them have
22 not had this design. I know that one design in
23 particular doesn't have the cover on the sand pocket
24 region, doesn't have the four inch drain pipe. They
25 just have the sand pocket drains here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes.

2 MR. PAIRITZ: There are some
3 differences.

4 CHAIRMAN BONACA: What are you trying to
5 do? I know you're trying to perform visual
6 inspections problem.

7 MR. PAIRITZ: Okay.

8 CHAIRMAN BONACA: Are you going to
9 perform any UT, I mean volumetric inspections?

10 MR. PAIRITZ: Not at this time. I will
11 tell you that these drains, both the air gap drains
12 and the sand pocket drains are inspected before we
13 flood up refueling and after the bellows are well
14 submerged looking for leakage from any of those
15 lines. And that's what we do right now. And that
16 is proposed action in the ISG also.

17 MEMBER MAYNARD: What has your
18 experience been? Have you found leakage at times or
19 have you never found any signs of leakage? What's
20 your history?

21 MR. PAIRITZ: We've never had any
22 leakage. Never had the three gallon per minute flow
23 switch go off. We've never seen any leakage from
24 the four inch drain pipe for the air gap region.
25 We've never seen any leakage from the 4 2 inch drain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lines in the sand pocket. However, in February of
2 1987 as part of the plant life extension program and
3 part of work that was going on for Generic Letter
4 87-05 they did find 3½ ounces water in one of the
5 four drain lines in the sand pocket. Now this drain
6 line comes out of the concrete. It has a 90 degree
7 elbow and then a one foot stand pipe pointing up
8 vertically. They noticed a little crusty material
9 on top of the sand. They investigated that, found
10 out that that was calcium carbonate. They removed
11 the sand from the stand pipe and at the bottom of
12 the stand pipe they found 3½ ounces of water.

13 They had that water analyzed by two
14 different labs. It was not radioactive. It did not
15 contain any materials that would be indicative of it
16 coming from the reactor cavity. And it was
17 considered to be water that had come from inside the
18 Torus room.

19 These stand pipes are open to the
20 atmosphere. If you were doing some work on top of
21 the Torus and accidentally sprayed some water or
22 sprayed a hose, you could theoretically put some
23 water in there. And 3 ounces, 3½ ounces isn't very
24 much.

25 And I also think the calcification at

1 the top of the surface there would indicate that the
2 water came in through the top, calcified the sand
3 and then sat in the bottom there.

4 So we don't believe that we've ever had
5 any leakage from the air gap or for the sand pocket
6 region.

7 MEMBER ARMIJO: Have you ever done
8 anything to confirm that that sand pocket region is
9 dry, or can you?

10 MR. PAIRITZ: Well, the other three
11 drain lines, they took the sand out of those stand
12 pipes. There was no water there.

13 The top of the stand pipe is at the same
14 elevation as the bottom of this drain right here.
15 So even if the stand pipe were full of water, the
16 level in the sand pocket would still be down here.
17 The stand pipe would have to be overflowing for
18 there to be any water building up into this area.

19 We did remove part of the concrete floor
20 inside the drywell and do UTs on this area. And,
21 again, we compared that to our original material
22 specifications and we can't detect any thinning
23 there.

24 CHAIRMAN BONACA: You did that, what, 19
25 years ago?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: 1986 and 1987.

2 CHAIRMAN BONACA: Now on your slide
3 number 16 you're saying that drywell shell is
4 managed by the primary containment is ISI, which
5 again advised to specifically address the ISG.

6 MR. PAIRITZ: Correct.

7 CHAIRMAN BONACA: How --

8 MR. PAIRITZ: The ISG recommends doing a
9 surveillance on your drain piping to verify that
10 you're not having any leakage. It talks about a
11 cover n the sand pocket, which we have. And using
12 the IWE program to verify no significant corrosion.
13 Of course, that's from the inside the drywell.

14 CHAIRMAN BONACA: It doesn't tell you
15 anything about what happens on the outside of the
16 wall. So you're left with a question about the past
17 -- projected future?

18 MR. PAIRITZ: Right. We have no reason
19 to believe that there is any water in those areas.

20 CHAIRMAN BONACA: The steel liner is
21 your containment boundary, right?

22 MR. PAIRITZ: That's correct.

23 Anyway, just to finish this slide, we do
24 have the 18 gauge galvanized sheet metal cover over
25 the sand pocket region. As I mentioned there are 4

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two inch drain lines that would drain any water from
2 the sand pocket region.

3 We talked about the stand pipes filled
4 with sand. I think that's all I want to cover on
5 this slide.

6 Now with regards to the proposed ISG
7 2006 01, we've talked about the UTs that we did in
8 response to Generic Letter 87-05. Again, we
9 compared those to our original materials
10 specifications and we can't detect any wall thinning
11 or degradation there.

12 Again, the air gap and sand pocket drain
13 outlets are visually inspected, as prescribed by the
14 ISG. The top of the sand pocket area is sealed with
15 the galvanized steel sheet metal. The drywell shell
16 is managed by the primary containment in-service
17 inspection program, the IWE program and we will
18 revise it to specifically call out those procedures
19 that already exist that inspect the drains.

20 MEMBER ARMIJO: Were those 1987 UT
21 inspection points, are they still accessible? Were
22 any provisions made to have them still accessible or
23 were they concreted over?

24 MR. PAIRITZ: Well, they took readings
25 up in the air gap region 2. Those are marked on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inside of the drywell.

2 MEMBER ARMIJO: I'm talking about sand
3 pocket.

4 MR. PAIRITZ: Jim, do you have any idea?
5 I mean, I know where we excavated. I don't know if
6 the grid is still there that they used. Ray Dennis,
7 please?

8 MR. DENNIS: Yes. This is Ray Dennis
9 again.

10 Rather than fill the holes completely in
11 with concrete, they filled them in with a sand type
12 material and then put basically a concrete plug over
13 them.

14 MEMBER ARMIJO: So they would be --

15 MR. DENNIS: They'd be relatively easy
16 to inspect again. It would just be a matter of
17 removing a few inches of concrete rather than
18 several inches.

19 MEMBER ARMIJO: Yes. That's great.

20 Because --

21 MR. PAIRITZ: But whether or not they
22 have the grid the work that they used to ensure that
23 you're looking at the exact same place I think is
24 more the question.

25 MR. DENNIS: Yes. These spots are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 readily identified in our program where they are.
2 Plus, they're relatively easy to pick out given
3 their surrounding area.

4 MEMBER ARMIJO: So it would be an ideal
5 measurement. You've got a 1987 measurement,
6 possibly a later measurement at pretty much the same
7 location without tearing up the whole plant to get
8 at it? It's probably more doable than other people.

9 MR. PAIRITZ: I can't say. I mean, it
10 could be done.

11 MEMBER ARMIJO: I don't want to put
12 words in your mouth.

13 CHAIRMAN BONACA: No. I would like to
14 hear at some point from the Staff, you know, what's
15 the logic for accepting. Here, more than anything
16 else I'm thinking about precedent. You know, we had
17 some decisions and recommendations for TVA, Browns
18 Ferry. And it doesn't seem to be a consistent
19 approach that we're taking on this issue.

20 MR. ASHAR: Dr. Bonaca, I am Hans Ashar
21 with Dresden with Division of Engineering, NRR.

22 While reviewing this particular
23 application before this, I had reviewed close to
24 about a dozen other Mark I containments. Every time
25 I look for the telltale signs as to what could have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 caused partial area of corrosion. We looked at the
2 Dresden/Quad for example. We saw telltale signs.
3 They have to have something done there.

4 We saw Browns Ferry, we felt that that
5 there has to be something other.

6 And all the questions that we asked to
7 the applicant in this case, we found almost negative
8 -- negative to the extent that there were no water
9 in the top of the plane near the -- in the upper
10 area of the earlier -- can you show me the earlier
11 sketch?

12 MR. PAIRITZ: Sure. Hold on. Yes.

13 MR. ASHAR: Upper area, there is a plane
14 from the drywell. They did not see any, that's what
15 they told us. Then we went to down, because the
16 water can go into the sand pocket area. And we saw
17 no way that water can seep into that area in the
18 large quantities that could corrode that particular
19 area.

20 So there are a number of telltale signs
21 that we look for. We ask questions on each one of
22 them and we found out that, hey, this particular
23 plant does not have this type of problem. And it
24 does not -- it's not effective in telling us
25 anything about it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I have written down a very thorough
2 evaluation on this particular area because I knew
3 that ACRS, as well as other individuals, will have
4 some questions on this particular area.

5 CHAIRMAN BONACA: Well, I think my main
6 question is we need to have a constant understanding
7 of the issue.

8 MR. ASHAR: Agreed.

9 CHAIRMAN BONACA: And consistent
10 approach.

11 MR. ASHAR: I Agree.

12 CHAIRMAN BONACA: I mean, we can't
13 possibly have a tentative, you know, approach to the
14 -- when you're telling me that you don't have
15 significant amount of water or a large quantity of
16 water, it doesn't tell me anything.

17 MR. ASHAR: There is no water problem.

18 CHAIRMAN BONACA: I mean, the point that
19 Dr. Wallis was making, all you need is humidity
20 there for corrosion, you know it's well taken.

21 So I'm struggling with the ISG and the
22 way it is being interpreted by the plant that way.
23 Because all you have is statements by the licensee
24 for the same kind of configurations. One licensee is
25 more insistent than other than defending that he has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 no water there, so therefore -- you know, he's
2 argumenting about something that cannot be seen.

3 And on the other hand that's a primary
4 containment function.

5 MR. ASHAR: I fully agree. I recognize
6 what you are saying. I'm not contradicting what you
7 are telling me. But what I'm trying to say is this:
8 That the question of relatedness, I understand there
9 is a form by which everybody is to follow. And when
10 we -- They went up to ISG. We said you are going to
11 talk about various things, okay, like the drain
12 pipes being cleared, there is a control on drain
13 pipes. They are going to examine the drain pipes.
14 There is a seal. Some of the plants do not have
15 that seal that they here, okay. That makes
16 difference as to the wetness in the sand pocket
17 area.

18 It has to be quite a bit wet in order to
19 have corrosion initiated and become something like
20 some of the other plants had. And this particular
21 plant does not have that type of telltale signs.

22 It was very difficult to put them
23 through some kind of a UT inspections if we don't
24 find any reason to believe that we have problems
25 with this plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Okay. Thank you.

2 MR. PAIRITZ: Well, that concludes the
3 drywell shell corrosion. If there aren't any more
4 questions right now, I'll move on to the shroud.

5 Concerning the shroud, I have a rollout
6 view here. The horizontal welds are labeled on the
7 right side, H1 through H12. We have the vertical
8 welds labeled throughout the center of the drawing.

9 To give you an idea of the are we're
10 talking about, here's a jet pump on the side.

11 The points I want to make here is our
12 inspection coverages have increased from about 50
13 percent up to about 75 percent of the welds over the
14 past ten years due to improvements in technology.

15 As Mr. Potter was saying earlier, our H3
16 weld here has indications on 27 percent of the
17 inspected region, and we are able to inspect 71
18 percent of that weld.

19 MEMBER SHACK: Now is this VT1 enhanced
20 or is some sort of UT inspection?

21 MR. PAIRITZ: I'll let Mr. Potter answer
22 that.

23 MR. POTTER: This is Dave Potter from
24 Monticello.

25 The 73 percent converge on the H3 weld

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was from UT inspection.

2 MEMBER SHACK: That's a creeping wave
3 kind of thing?

4 MR. POTTER: There's three transducers
5 that were used in the package, but I don't recall if
6 there were a creeping wave, a shear wave and what
7 angles they were used. The processed was qualified
8 in accordance with the PIP processes for crack
9 identification.

10 MR. PAIRITZ: And moving on to the H1
11 weld, 16 percent of that weld showed indication and
12 we were able to look at 75 percent of that weld.

13 And then the other horizontal welds that
14 were looked at it was less than 10 percent
15 indication on varying degrees of inspection area.

16 The inspection results and evaluation to
17 allow inspection frequency to remain at the maximum
18 allowed ten year interval for circumferential welds,
19 for our horizontal welds.

20 We have looked at three vertical welds
21 per the BWRVIP. The inspection frequency for these
22 welds is established by inspection coverage.

23 MEMBER SHACK: Do you happen to know
24 whether these vertical welds, you know do they hit
25 high fluence regions or do they happen to hit low

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence regions? It's kind of a random event?

2 MR. PAIRITZ: Mr. Potter?

3 MR. POTTER: This is Dave Potter from
4 Monticello.

5 The regions, as shown on the diagram,
6 the V3, V4, V1 and V2 are relatively high fluence
7 areas.

8 MEMBER ARMIJO: Just a quick question.
9 Since you've instituted hydrogen water chemistry
10 have you noticed any change in any of the growth
11 rate or the initiation of cracking in the shrouds?

12 MR. PAIRITZ: I'll let Mr. Potter
13 address that. He's the expert here.

14 MR. POTTER: Since we've instituted
15 hydrogen water chemistry at Monticello, we have
16 three inspections to our credit. One that was
17 performed in 1994, another performed in '96 and this
18 most recent one in 2005. The crack indications that
19 we've identified in all three of those inspections
20 have not demonstrated substantial crack growth. So
21 our assumption has to be is that the cracking
22 occurred before hydrogen water chemistry was
23 instituted.

24 MEMBER ARMIJO: How about initiation?

25 MR. POTTER: The initiation that we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seen, I wouldn't call it substantial. A lot of it
2 has to do with UT uncertainty and our coverage that
3 we've gotten from previous inspections.

4 Our '94 inspection we did not have a lot
5 of coverage. And as we've spoken to, or as Joe
6 spoken to a moment ago, we increased our inspection
7 coverage from 1996 all the welds were approximately
8 50 percent to 2005 where they're 75. So we're
9 actually, the cracks that we were seeing were
10 basically in the areas that we hadn't inspected
11 before.

12 MEMBER ARMIJO: Okay. Thank you.

13 MR. PAIRITZ: Well, that covers crack
14 growth.

15 We feel that the moderate hydrogen water
16 chemistry has effectively contributed to mitigating
17 crack growth on our shroud, and we will continue to
18 manage the shroud per BWRVIP guidance.

19 CHAIRMAN BONACA: Well, you do have
20 additional cracking that you are monitoring that
21 way. Are they internals? For example, on the tack
22 welds on the jet pumps set screws and so forth.
23 Those cracks, I mean you just simply monitor the
24 size of the crack and whether or not they're
25 propagating further?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: I'll defer to Mr. Potter
2 again?

3 MR. POTTER: Yes. This is Dave Potter
4 again.

5 The cracking that we've identified on
6 the jet pump set screws we periodically
7 reinvestigate to make sure that they are not
8 behaving in an abnormal fashion. However, the safety
9 concern of the jet pump's tack screws is minimized,
10 basically, due to the crack geometry and what the
11 purpose of those tack welds are. And that's
12 basically to keep the set screws from rotating out.

13 CHAIRMAN BONACA: Okay. All right.
14 That's the function. I didn't know that. I didn't
15 understand.

16 I have another question, by the way.
17 It's more curiosity. When in the application you
18 talk about the belt line nozzle and the fact that
19 the weld material is not known insofar as CU and
20 nickel content. Could you tell me about it?
21 Because there is a technique you're using. You're
22 averaging CU and nickel on 9 sister plants. And then
23 you're adding one standard deviation, if I remember.
24 That, I really wasn't familiar with the technique.
25 And maybe --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: I'll Michael Aleksey,
2 answer that, our TLAA person.

3 MR. ALEKSEY: Was your question with
4 regard to the N2 nozzle?

5 CHAIRMAN BONACA: Yes. Yes, that's
6 right. The belt line nozzle.

7 MR. PAIRITZ: The one the unknown
8 chemistry.

9 MR. ALEKSEY: For the N2 nozzle the
10 nickel content was a result of industry information
11 that we had accumulated for those types of nozzles.
12 And we also used information from the RVID database
13 to establish the chemistries of that nozzle.

14 CHAIRMAN BONACA: Yes. The reason why I
15 was intrigued I thought that was a process that has
16 been reviewed and approved. I mean, it uses hits
17 from 9 sister plants or similar plants.

18 MR. ALEKSEY: Yes.

19 CHAIRMAN BONACA: Averages it and then
20 adds one standard deviation. So is it a process
21 that the NRC is familiar with and is it a approved
22 process?

23 MR. ELLIOTT: I don't know. Excuse me.
24 This Barry Elliott.

25 I can't hear you, so I can't hear what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're asking.

2 CHAIRMAN BONACA: It's the belt line
3 nozzle I'm talking about.

4 MR. ELLIOTT: Okay. Yes. What happened
5 is the belt line nozzles -- they aren't in the belt
6 lines. They're slightly above the belt line.

7 CHAIRMAN BONACA: Yes.

8 MR. ELLIOTT: But the fluence has gone
9 up because of license renewal. Also, because of the
10 way they're calculating the --

11 CHAIRMAN BONACA: That's right.

12 MR. ELLIOTT: -- fluence. They're doing
13 a very conservative thing with the fluence here.
14 And so now these nozzles are getting above the
15 criteria which we say you have to evaluate.

16 So they had to go out and evaluate the
17 nozzles. They have chemistry for the nozzles. What
18 they didn't have is underradiated properties for the
19 -- because the nozzles were built a long time ago
20 and they didn't have full C harpy curves, from what
21 I remember. So they went out and they got what's
22 equivalent to that. And went through their other
23 nozzles in the BWR fleet made the same way, and they
24 used that data. And then they establish a confidence
25 interval for that data. And they used the 95

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percent confidence interval lower bound for their
2 upper shelf energy unirradiated.

3 And we have accepted similar things to
4 that.

5 CHAIRMAN BONACA: So this is a process
6 you accept?

7 MR. ELLIOTT: Yes, we accept that.

8 CHAIRMAN BONACA: Although, I mean
9 you're not certain that the percent of Cu and
10 nickel are identical? Nine sister plants, I mean
11 they were similar plants.

12 MR. ELLIOTT: Right.

13 CHAIRMAN BONACA: But you don't have
14 specific information about this plant?

15 MR. ELLIOTT: No. We don't have specific
16 information about this plant. But we feel that we
17 looked at how they were made, the nozzles were
18 fabricated and they were fabricated equivalent ways
19 and the properties should be about the same.

20 CHAIRMAN BONACA: By the same vendors?

21 MR. ELLIOTT: I don't remember if we had
22 the same -- I'm not sure about the vendors.

23 MR. MEDOFF: This is Jim Medoff.

24 What Barry is saying is true. We've
25 evaluated the VIP processes for the vessel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 materials. And it's based on weld fluxes, how they
2 were laid down. So they grouped all those type --
3 like a shielded metal arc welds, they gathered the
4 data for all that type of welds and then they came
5 up with their statistical analysis.

6 CHAIRMAN BONACA: Well, I was expecting
7 that there will be a reference to some BWR always
8 group activity to --

9 MR. MEDOFF: There is, VIP 86.

10 CHAIRMAN BONACA: -- to provide this
11 kind of -- I mean without any pedigree to this
12 package of information, I'm only left on this
13 averaging that is stated in a little footnote in the
14 application. So since I am not the specialist in
15 metallurgy, but I know the importance of Cu in
16 nickel in the welds.

17 MR. ELLIOTT: We had to get an estimate
18 of the upper shelf energy for these forgings. So the
19 only thing we look at is the fleet, what the whole
20 fleet has for forgings. And that's what they did.
21 And then we used a 95 percent lower confidence bound
22 to establish its properties. And we've done that in
23 other cases where we don't have properties. We used
24 the entire BWR fleet and then established low bound
25 properties for welds that don't have properties.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And in this case we did it for the forgings.

2 CHAIRMAN BONACA: I return to my
3 metallurgical colleagues here and say how
4 comfortable are you with all this?

5 MEMBER ARMIJO: Well, you know, I
6 thought I heard that they knew the chemistry but
7 they didn't Charpy data. And they created the
8 Charpy data by a comparison with the rest of the
9 industry and then used a lower bound that was pretty
10 conservative.

11 CHAIRMAN BONACA: I can remember that 10
12 years ago, 15 years ago we were -- anyway --

13 MEMBER SHACK: Yes. I mean, you know you
14 just can't go back and recreate that data.

15 CHAIRMAN BONACA: Absolutely.

16 MEMBER SHACK: So you try to take a
17 conservative answer and --

18 CHAIRMAN BONACA: Is it conservative,
19 that's always the question. And that's what we're
20 looking for.

21 MEMBER SHACK: It is quite likely to be
22 conservative.

23 MEMBER ARMIJO: I think it's
24 conservative.

25 CHAIRMAN BONACA: Okay. That's --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: Are we ready to move on?

2 CHAIRMAN BONACA: Yes, let's move on.

3 MR. PAIRITZ: Okay. The last topic I
4 will talk about is the steam dryer. The steam dryer
5 is in scope for license renewal at Monticello. It's
6 a square hood dryer design. It looks like this.

7 In 1998 we inspected the dryer and we
8 noted indication in the area of the 324 degree
9 jacking bolt tack weld. Is down here in the blowup
10 on the bottom right. It was analyzed and determined
11 not to be structurally significant.

12 In 2001 we again reinspected this area
13 and found no additional indications and no change in
14 the indication at the 324 degree location.

15 In 2005 we did a comprehensive
16 inspection on the dryer. We specifically looked at
17 areas of dryer failures at other sites, and we did
18 not find any indications are those areas.

19 We did find some acceptable indications
20 on dryer shell behind three of the lifting lugs and
21 on the right side of the guide rod channel 215
22 degrees. Right here. And then we found behind the
23 lifting lugs on the shelves some indications in
24 three out of the four lifting lugs. Again, these
25 were analyzed and confirmed to be not structurally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant.

2 We will be inspecting the dryer in 2007
3 again to confirm continued acceptability. And we
4 plan on managing the dryer in accordance with the
5 BWRVIP.

6 Dryer questions?

7 MEMBER WALLIS: How does it compare with
8 other dryers? The various dryer designs, some of
9 which have more problems than others, how does --

10 MR. PAIRITZ: I'll have Mr. Potter
11 answer the question.

12 MR. POTTER: Could you clarify your
13 question for me? Are you talking in general the
14 dryer design or --

15 MEMBER WALLIS: There are about four or
16 five different versions of this GE dryer, Quad
17 Cities, Dresden, Vermont Yankee and so on. And some
18 of them had more problems than others. And I just
19 wondered how yours fitted into this sort of spectrum
20 of different shapes and histories?

21 MR. POTTER: Okay. This is Dave Potter
22 from Monticello.

23 There is in essence right now four types
24 of dryers that are used in the industry. You might
25 even consider five depending on how you cut it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's the square hood design, which is
2 Monticello's design, which is similar to Vermont
3 Yankee's, Quad Cities' Unit 1 and 2, and Dresden
4 Unit 2 and 3.

5 Then the slanted hood dryers which a
6 great deal of plants use.

7 And then the last would be the curved
8 hood dryers.

9 Finally, the very last design would be
10 the new dryers that have been installed in the Quad
11 Cities and Dresden plants. So Monticello's dryer is
12 similar to that. The original Quad Cities Unit 1 and
13 2 and Dresden Unit 2 and 3 and the Vermont Yankee
14 dryers which did experience the failures.

15 Does that answer your question, sir?

16 MEMBER WALLIS: And you haven't seen the
17 same kind of thing that they've seen?

18 MR. POTTER: No. The failures that
19 we're seeing at Quad Cities and Dresden were flow
20 induced type vibration failures that were seen
21 basically on the plate -- this plate region right
22 here as well as this plate cover view and this plate
23 region right here or this seam weld. Those areas
24 were inspected at Monticello in 2005 and we did not
25 identify any cracking.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I think there are
2 differences between the units. For example thermal
3 megawatt output.

4 MEMBER SHACK: Core power density are a
5 lot--

6 MEMBER SIEBER: Core power -- well steam
7 flow.

8 MEMBER SHACK: Right.

9 MEMBER SIEBER: The steam header
10 diameter. And so some dryers are more susceptible
11 than others because of different environment. This
12 apparently is a milder environment than plants that
13 have shown more damage.

14 Do you have any idea what the steam
15 velocity is at the outlet of the reactor nozzles?

16 MR. POTTER: This is Dave Potter again.
17 To be absolutely honest with you I have looked at
18 that number and compared our numbers to the
19 industry. But from memory I can't recite the
20 velocity and feet per second.

21 MEMBER SIEBER: Can you say whether it's
22 higher or lower?

23 MR. POTTER: I can say that it is
24 definitely lower than -- this is Dave Potter again.

25 I can say that the steam line velocity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is definitely lower than the Quad Cities Unit 1 and
2 2 and Dresden 2 and 3 at their extended power uprate
3 conditions. And Vermont Yankee, I know we are very
4 close, but I don't recall whose velocity is higher.

5 MEMBER SIEBER: It sort of all ties
6 together, at least in my mind.

7 MR. PAIRITZ: Any more dryer questions?
8 If not, the last topic I'll cover is on the
9 commitment process. Monticello's made 60
10 commitments to enhance aging management. The
11 commitments are described in the Monticello license
12 renewal updated safety analysis report supplement.

13 All Monticello commitments are entered
14 into the corrective action program. And this ensures
15 that there is a owner and a due date. The process
16 was looked at several times during the audits and
17 inspections.

18 Any questions on the commitment process?

19 MEMBER SIEBER: Well, the due date is
20 probably when your license expires, right?

21 MR. PAIRITZ: Well, most of them are --

22 MEMBER SIEBER: Or they all become due
23 at once?

24 MR. PAIRITZ: -- prior to the period of
25 extended operation. There are a few that are before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that.

2 MEMBER SIEBER: Yes. The question is do
3 you have a schedule as to when you're going to do
4 each of the items that you have in your commitment
5 tracking system?

6 MR. PAIRITZ: Yes. We have put together
7 a level 1 type schedule as to when those will be
8 accomplished and be part of our implementation
9 effort.

10 MEMBER SIEBER: Do you have the
11 resources to do the work?

12 MR. PAIRITZ: Yes. We got people
13 working on implementation right now. A couple of
14 contractors, some of the people that were on the
15 team. And that will continue.

16 Finally we're at the end. Are there any
17 other general questions that we can answer.

18 MEMBER SIEBER: You mean you would like
19 more questions.

20 MR. PAIRITZ: I'm here to answer them.

21 MEMBER MAYNARD: A comment. I do
22 appreciate you including your backup slides in the
23 package. I do appreciate that.

24 CHAIRMAN BONACA: Any additional
25 questions for the applicant? None. Thank you for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. It was a pleasure.

2 MR. PAIRITZ: Thank you.

3 CHAIRMAN BONACA: And we'll ask the
4 Staff now to present the SER.

5 MR. ZIMMERMAN: Dan Merzke the Project
6 Manager for the Monticello review and Patricia
7 Lougheed will lead the Staff's presentation.

8 MR. MERZKE: All right. Good afternoon,
9 gentlemen. My name is Dan Merzke. I'm the Project
10 Manager for the Staff review of the Monticello
11 license renewal application.

12 Joining me today is Patricia Lougheed
13 from Region III. She's our inspection team leader.
14 Also in the audience is Peter Wen, who is our audit
15 team leader. And supporting all of us are the
16 technical reviewers in the audience to answer any
17 questions that I can't answer for you.

18 The introduction will be start off with
19 an overview. We'll give you the plant and the
20 application followed by a discussion of the results
21 of the scoping and screening results.

22 I'll turn the mike over to Patricia who
23 will discuss the results of the license renewal
24 inspections.

25 And then I'll take it back over and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 finish with the Section III results of the aging
2 management review and the time-limited aging
3 analyses.

4 The application was submitted to us by
5 letter dated March 16, 2005. The Monticello plant
6 is General Electric BWR 3 design with a Mark I steel
7 containment, as already discussed. 17075 megawatt
8 thermal rated with a 600 megawatt electric power,
9 and that includes a 6.3 percent power uprate
10 approved in 1998.

11 Current operating license expires
12 September 8 of 2010.

13 And the plant, as already discussed, is
14 located approximately 30 miles northwest of
15 Minneapolis.

16 The draft SER was issued in April 26,
17 2006 with no open unconformity items. It also
18 included three license conditions. They're the
19 standard three license conditions for all the
20 approved plants so far.

21 We already discussed, Jake mentioned
22 that there were 113 form RAIs issued, which is
23 significantly lower than standard review.

24 And I think Jake touched on the fact
25 that we considered it a pretty good quality

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. The applicant went back and did a
2 thorough review of historical RAIs from previous
3 applications and tried to address those issues up
4 front.

5 In addition, we had 260 audit questions
6 between the scoping screening methodology and the
7 GALL audits.

8 And approximately, and as discussed
9 earlier, about 95 percent consistency with the draft
10 GALL Report revision 1, which was issued in January
11 of 2005. When the final GALL was issued in
12 September 2005 we did a scrub of that to make sure
13 that everything was covered.

14 During the review we did find some minor
15 components which were brought into scope. And I'll
16 discuss those during the scoping and screening
17 section.

18 Continuing on with the overview, the
19 audits were conducted during June and July of 2005.
20 Regional inspections were conducted in January and
21 February of this year.

22 Section 2.1 covers the scoping and
23 screening methodology. During the scoping and
24 screening methodology audit the audit team reviewed
25 the current licensing basis for flood control

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measures and determined that storage steel plate and
2 floor hatches designed to be installed for flood
3 control were not included within the scope of
4 license renewal. The applicant initially did not
5 include components storage in a warehouse within the
6 scope of license renewal. After further evaluation
7 and an extended condition, the applicant brought
8 these components into the scope of license renewal.

9 In Section 2.2 the plant-level scoping,
10 the Staff determined that there were omissions of
11 systems or structures within the scope of license
12 renewal.

13 For Section 2.3, the mechanical systems,
14 the Staff reviewed 36 mechanical systems, which was
15 a 100 review.

16 During the scoping and screening review
17 the Staff was unable to determine the scoping
18 boundary for 17 areas in the boundary drawings. The
19 Staff requested that the regional inspection team
20 visually inspect these areas to ensure the scoping
21 boundaries were in accordance with 10 CFR 54.4(a).
22 The inspections resulted in a length of steam piping
23 with a steam trap in the emergency diesel generator
24 room being brought into scope. And I'll mention,
25 that one was brought into scope because basically it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was below the floor deck plating in the emergency
2 diesel generator room. And the applicant considered
3 the floor as the boundary. However, it was not a
4 robust boundary because you could see through the
5 deck plating down into the area underneath. Any
6 steam coming out of there was going to impact or
7 potentially impact the operating temperature of the
8 EDG room. So the applicant agreed to bring that
9 steam piping and steam trap within the scope of
10 license renewal.

11 In addition during another walkdown, one
12 of the floor drains in the sodium hydrochloride
13 building which penetrates the floor into the intake
14 structure was also identified as being needed to be
15 brought into scope.

16 Section 2.4 covered the containment
17 structures and supports. Staff found no omissions
18 of structures or supports within the scope of
19 license renewal during the review.

20 For Section 2.5 the review of scoping
21 for the electrical system identified a motor control
22 center which was found to be outside the scope of
23 license renewal. It supplied power to the tank
24 heater for a standby liquid control tank. Since
25 standby liquid control system mitigates an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anticipated transient without scram or ATWS event,
2 the Staff determined it should be brought into the
3 scope of license renewal in accordance with 10 CFR
4 54.4(a)(3). The applicant determined that the motor
5 control centers are active components so they were
6 screened in accordance with 10 CFR 54.12(a)(1).

7 During the regional inspection the
8 inspectors determined that 480 volt load center
9 breakers should be scoped in. The applicant
10 determined these are active components also, so they
11 were screened out in accordance with 10 CFR
12 54.21(a)(1).

13 To conclude the scoping and screening
14 summary, it was the staff's determination that the
15 applicant's scoping methodology meets the
16 requirements of 10 CFR 54.4 and the scoping and
17 screening results as amended included all systems,
18 structures and components within the scope of
19 license renewal and subject to an aging management
20 review.

21 I'd like to turn it over now to Patricia
22 Lougheed from Region II who will discuss the license
23 renewal inspections.

24 MS. LOUGHEED: Hello. I'm Patricia
25 Lougheed. I was a lead inspector for the license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 renewal inspection conducted at Monticello.

2 My slide is on page 6 -- well, the one
3 that's shown there. Basically gives you some of the
4 logistics information about our inspection.

5 One thing that I would like to note is
6 that on this inspection I did have a person, a
7 metallurgist who really looked into a lot of the
8 core internals of the BWRVIP program to make sure
9 that it was being implemented in accordance with
10 what was proposed for license renewal. And to make
11 sure because there was not an official commitment
12 right now that NRC regulates or this program. So it
13 was ensuring that it was going to be brought forward
14 into license renewal properly.

15 Going on to my next slide, Dan touched
16 briefly upon the scoping and screening area. We did
17 look at all the issues that were brought forward
18 from the audit inspection. It was interesting,
19 besides the two cases where there were items that
20 were brought into scope, there were also a number of
21 areas most particularly what the licensee called the
22 985 pump room where there were components that were
23 identified as being in scope that really did not
24 need to be in scope. And there were quite a few
25 discussions during our inspection to clarify whether

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those items really should have been an in scope or
2 not. So there were some removals of things from the
3 scope as well as some additions.

4 CHAIRMAN BONACA: For understanding
5 better the logistic. You already had in hand the
6 audit report?

7 MS. LOUGHEED: We had the audit report.

8 CHAIRMAN BONACA: So that really was a
9 big help already --

10 MS. LOUGHEED: Right.

11 CHAIRMAN BONACA: -- in determining what
12 is consistent or exceptions and enhancements.

13 MS. LOUGHEED: Right.

14 CHAIRMAN BONACA: And you could start
15 from that?

16 MS. LOUGHEED: Right. And there's
17 always what we do in the region and the inspections
18 is that we look at the boundaries. Not the things
19 that are definitely in scope, the safety systems or
20 things like that. We look at those where they have
21 nonsafety safety interfaces, where there's nonsafety
22 systems that are going to be in the vicinity of
23 safety systems. We looked at what the actual
24 barriers were to make sure that there actually was
25 separation. Because it was not very obvious on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 license renewal drawings.

2 CHAIRMAN BONACA: I had a question, and
3 that doesn't go to this application. It's more
4 general.

5 You know, when you do PRA you find that
6 you have a lot of safety related components and
7 others important as you thought they were. And you
8 also find that the few, or a minor population of
9 components which are nonsafety related are
10 critically important for certain sequences. That's
11 really coming from the insides of the PRA. But
12 there is no -- I mean, license renewal does not
13 apply to these components.

14 MS. LOUGHEED: That is true.

15 CHAIRMAN BONACA: Do you find that the
16 licensees however are aware of the importance of
17 those components and take care of them or --

18 MS. LOUGHEED: My impression, and I
19 can't say that this is necessarily that we looked at
20 it on Monticello specifically. But licensees where
21 they have components that their PRAs have shown them
22 to be risk significant, they tend to pay more
23 attention to them because of that.

24 CHAIRMAN BONACA: Yes.

25 MS. LOUGHEED: Simply a lot of times

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because it becomes a matter of economics more. You
2 keep those pieces of equipment operating well and
3 your risk, and therefore your chance of a shutdown
4 go down.

5 So even though they're not considered
6 important to safety, they are treated with more
7 significance than things that are not risk
8 significant at all.

9 CHAIRMAN BONACA: Good.

10 MS. LOUGHEED: And I'll also the little
11 caveat that I think that a lot of the reason that
12 some of the safety systems don't show up as being
13 risk significant is because of the defense-in-depth
14 concept. You know, when you putt redundancy upon
15 redundancy well from a PRA aspect --

16 CHAIRMAN BONACA: Right.

17 MS. LOUGHEED: -- that does drive down
18 the significance.

19 CHAIRMAN BONACA: Right. Yes.

20 MS. LOUGHEED: Basically our conclusion,
21 and I probably should say we did do a lot of
22 walkdowns including into some fairly high radiation
23 areas. Our metallurgist also spent a number of
24 hours reviewing videotapes of the vessel internal
25 inspections and various welding inspections, areas

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that obviously he would not have access to with the
2 plant at power. So we did look at quite a bit from a
3 physical aspect, not just relying on the paperwork
4 and things like that.

5 Overall, we found that with a few minor
6 exceptions the systems were appropriately scoped.
7 We felt that we concentrated on the ones that were
8 most suspect rather than the ones where we knew 100
9 percent was going to be thrown into scope.

10 The applicant did submit some
11 clarification because they were coming up to doing
12 their annual submittal for the license application
13 while it was under review. A lot of the things that
14 we had identified were brought forward into that and
15 were submitted in that way.

16 Going on, we also looked at aging
17 management. My slide says that we reviewed all 33
18 aging management programs, where I notice that the
19 applicant said that there were 36 programs. I'm
20 still scratching my head which three we missed. We
21 really spent a lot of time on this one partly
22 because of the team that I had and the abilities of
23 that team to go in and look at a number of systems.

24 We found that the aging management
25 programs were implemented as described. That the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enhancement and exceptions that were being proposed
2 were acceptable.

3 We did identify some minor
4 inconsistencies, and those were either captured in a
5 revision to the application or in the corrective
6 action program. However.

7 CHAIRMAN BONACA: We talked about the
8 containment liner?

9 MS. LOUGHEED: Right.

10 CHAIRMAN BONACA: What's your opinion?
11 I mean, you went there and looked at it.

12 MS. LOUGHEED: Monticello is not one of
13 the plants that I would worry in Region III about
14 containment liner problems. All right. There are a
15 couple of plants that I have concerns about their
16 containment liners, but Monticello is not one of
17 them.

18 CHAIRMAN BONACA: Okay. Thank you.

19 MS. LOUGHEED: Basically that's -- I
20 know you've read through the inspection report in
21 some detail. We didn't find anything in there
22 either scoping, screening or aging management which
23 we felt would cause any sort of a hinderance to the
24 license being renewed. Overall, we found Monticello
25 to be in very good condition.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: But I must say that
2 I'm very impressed by the inspection report and by
3 the information from the audit. And I think they're
4 quite insightful.

5 MEMBER SIEBER: I concur with Dr.
6 Bonaca's opinion. A very good report.

7 MEMBER MAYNARD: Yes, I agree. It looked
8 like you did a very thorough job.

9 I've got one question. One of the things
10 in the inspection report that came out, I don't
11 think it necessarily associated with the scoping
12 itself, but on the failure to dismiss and relief
13 request. Was that something that your inspection
14 team found or is that something that just occurred
15 while you guys were there?

16 MS. LOUGHEED: No. It was something our
17 inspection team found. I very definitely had a
18 very, very, very team. Especially in the
19 metallurgical area. And we used him to full
20 advantage reviewing a lot of areas that we would not
21 have been able to look at otherwise.

22 MEMBER MAYNARD: Good. Good.

23 MS. LOUGHEED: Going on, you want me to
24 do the current performance? Okay.

25 Monticello is one of our good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performance in Region III. They are in column 1,
2 which was licensee response problem column. We
3 don't have any crosscutting issues opened. We have
4 no major issues at Monticello at all right now. So
5 we are following the revised oversight process with
6 minimum baseline inspections. And we will continue
7 to do that.

8 You can see the screens coming up. We
9 are green in every area on performance indicators.
10 And if you move on to the inspection findings, w
11 really have a lot of areas that we're doing
12 inspections where we don't have findings, which is
13 where the grey comes in. It doesn't mean we're not
14 inspecting there, it means that we haven't found
15 anything. And the areas where we have found things,
16 they have all been green or a very low safety
17 significance.

18 CHAIRMAN BONACA: Very good. Thank you.

19 MR. MERZKE: Just for Patricia's
20 benefit, the 33 aging management programs were the
21 official aging management programs listed in the
22 application. The two timed-limited aging analysis
23 support programs were also considered to be aging
24 management program. So that was 35.

25 Number 36 was a commitment made by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applicant late to implement an E6 program for
2 electrical cable connections.

3 CHAIRMAN BONACA: I'm sorry. Which one
4 is the --

5 MR. MERZKE: It was GALL E6 program.
6 I'll address it in a little bit and we'll have a
7 little discussion, but --

8 CHAIRMAN BONACA: First of all, I want
9 to thank you for the --

10 MS. LOUGHEED: Yes. We did very close
11 to 100 percent on this one.

12 CHAIRMAN BONACA: Great.

13 MS. LOUGHEED: We found they were able
14 to support it and we were able to get it done within
15 the time constraints.

16 CHAIRMAN BONACA: Thanks again.

17 Additional questions for the inspection?
18 If not, we're going to take a break and get back
19 here at 25 after 3:00.

20 (Whereupon, at 3:07 p.m. off the record
21 until 3:30 p.m.)

22 CHAIRMAN BONACA: We are back into
23 session. And we are going to be reviewing now the
24 aging management review results.

25 MR. MERZKE: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'll move on to the discussion of the
2 Staff's review of the aging management program and
3 reviews now.

4 The Staff reviewed at the time 35 aging
5 management programs based on the application. There
6 were 36 overall. The 36 was a late commitment by the
7 applicant to implement the GALL E6 program, which
8 would be consistent with GALL. And I'll discuss
9 that a little bit more in the electrical section.

10 So overall there were 36 aging
11 management programs, 29 of which were existing
12 programs and 7 which will be new programs to be
13 implemented prior to the period of extended
14 operations.

15 Of those, 9 of them were consistent with
16 the GALL Report and 25 were consistent with the GALL
17 Report with exceptions and/or enhancements. There
18 were two plant specific aging management programs;
19 they were a bust duct inspection and system
20 condition monitoring programs.

21 I'm going to start this discussion with
22 I picked a few of the aging management programs out
23 which involves considerable amount of Staff review.
24 And I thought I'd go over the results of those.

25 The first one would be the ASME Section

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 XI In Service Inspection subsections IWB, IWC and
2 IWD program. It's an existing program which is
3 consistent with the GALL Report with exceptions.

4 The LRA stated that relief requests in
5 code cases were not considered exceptions to the
6 GALL Report. The audit team did not agree and
7 requested the applicant evaluate all code cases and
8 relief requests for aging management concerns.

9 The Staff position is that relief
10 requests are not acceptable for aging management
11 because they expire after ten years.

12 The applicant subsequently removed
13 reference requests from the application except for
14 one relief request which has been approved 21 months
15 into the period of extended operations.

16 There were three code cases associated
17 with this aging management program are identified to
18 be exceptions to the GALL Report. They're endorsed
19 by NRC in the Reg. Guide 1.147. They were N-307-2
20 which concerned ultrasonic testing for Class 1
21 bolting with center holes; N-526, which concerned
22 successive examinations when a flaw is detected,
23 and; N-613-N which concerned examine volume of weld
24 and nozzles.

25 The Staff found these acceptable because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're endorsed by the NRC in Reg. Guide 1.147.

2 The bolting integrity AMP was found to
3 be consistent with the Gall report with
4 enhancements. The program will incorporate guidance
5 from EPRI technical reports which include *Bolted*
6 *Joint Maintenance and Application Guide* and the *Good*
7 *Bolting Practices Handbook*

8 . Staff determine the guidelines
9 reflect industry practice and meet the
10 recommendations of the GALL Report.

11 The buried piping and tanks inspection,
12 an aging management program which is consistent with
13 the GALL Report with enhancements. These
14 enhancements are all detailed in the commitment
15 section of the SER.

16 The applicant has committed to perform
17 inspections every ten years. They will credit
18 inspections of opportunity when excavating.

19 The applicant also committed to
20 performing an internal inspection of the diesel fuel
21 oil storage tank every ten years in addition to the
22 external inspection.

23 Other enhancements include a review of
24 operating experience to determine the susceptible
25 locations and to perform further evaluation on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extended condition if pipe wall thickness shows a
2 susceptibility to corrosion.

3 CHAIRMAN BONACA: So let me understand
4 now for buried pipes they're going to do a
5 inspections, but if they do not have any inspection
6 in ten years, they'll do one?

7 MR. MERZKE: That is correct.

8 CHAIRMAN BONACA: Okay.

9 MR. MERZKE: Yes, sir.

10 CHAIRMAN BONACA: And that's consistent
11 with GALL, yes.

12 MR. MERZKE: Ultrasonic testing and
13 visual inspections completed in 1999 and 2003 showed
14 no degradation or aging effects.

15 BWR vessels internals program. It's
16 consistent with the GALL Report with exception and
17 enhancement. The exception was that the applicant
18 used the updated water chemistry guidelines of
19 BWRVIP-130, as the GALL recommended BWRVIP-29. The
20 Staff found this acceptable as it's an updated
21 version of the same guidelines, and that was issued
22 in 2004.

23 Enhancement to this program is to use
24 the BWRVIP guidelines for inspection, evaluation and
25 repair to the maximum extent possible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The applicant made a number of
2 commitments based on questions from the audit and
3 inspection teams. They include additional top guide
4 inspections beyond those required by BWRVIP-26 and
5 steam dryer per BWRVIP-139.

6 Regional inspectors identified a couple
7 of issues which resulted in commitments to inspect
8 in core monitoring dry tubes per General Electric
9 Service Information Letter 409 and spray core piping
10 welds in accordance with BWRVIP-18.

11 In addition, core plate hold down bolts
12 will be inspected in accordance with BWRVIP-25 which
13 requires either UT or enhanced visual inspection or
14 another inspection technique which would be reviewed
15 and approved by the NRC.

16 In lieu of inspections, the applicant
17 has committed to installing wedges to replace
18 lateral load resistance prior to the period of
19 extended operations if they're unable to complete
20 those inspections.

21 CHAIRMAN BONACA: For core spray piping
22 welds, if I remember, the issue was that they did
23 not identify the flow through the welds, through the
24 cracks that you may have.

25 MR. MERZKE: The issue was that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were not doing the inspection on the welds because
2 the welds were -- they have mechanical clamps
3 surrounding them which replace the structural
4 integrity of the welds. The inspection team looked
5 at it a different way. If the crack developed in the
6 weld, it would be a diversion path for core spray.
7 And in case of an accident, that core spray would be
8 diverted outside the shroud and unavailable and it
9 might impact P-clad temperature. So the applicant
10 decided that it would be prudent to bring those --
11 inspect in accordance with BWRVIP-18.

12 CHAIRMAN BONACA: Good.

13 MR. MERZKE: The flow accelerated
14 corrosion program. This is an existing program
15 which is consistent with the GALL Report. The
16 application originally stated that the trigger point
17 for conducting an engineering evaluation for
18 nonsafety related piping would be 60 percent nominal
19 wall thickness. Staff could find no technical basis
20 for this number, so the applicant committed to using
21 87.5 percent nominal wall thickness as a trigger
22 point for all piping susceptible to flow accelerated
23 corrosion. The applicant uses 87.5 percent nominal
24 wall thickness as a trigger point for evaluation for
25 safety related piping also.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 For inaccessible medium voltage cables
2 not subject to 10 CFR 50.49 environmental
3 qualification requirements. This is a new program
4 which will be consistent with GALL and implemented
5 prior to the period of extended operation.

6 The application originally indicated
7 that medium voltage cables that are not subject to
8 prolonged exposure to significant moisture due to
9 inspecting for water collection and cable manholes
10 and conduits do not require testing. The Staff
11 position was that testing should be in addition to
12 inspection for water collection. The applicant
13 committed to conduct the testing as well as to
14 inspect initially at least once every two years, and
15 that two years comes from their operating
16 experience.

17 CHAIRMAN BONACA: Now from reading the
18 application most of these cables are just simply
19 buried in the ground. I mean, so --

20 MR. MERZKE: they do have some conduit,
21 too, sir.

22 CHAIRMAN BONACA: Some of them?

23 MR. MERZKE: Yes.

24 CHAIRMAN BONACA: A few. So, I mean,
25 the first portion of this program only addresses

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those few. So there's nothing you can do about
2 that?

3 MR. MERZKE: Well, the applicant has not
4 detected any water in any manholes during the
5 inspection process. So they've not detected any
6 moisture.

7 This program is supposed to be
8 consistent with the GALL Report which will cover all
9 medium --

10 CHAIRMAN BONACA: Oh, I agree with that.

11 MR. MERZKE: Okay. Reflecting on the
12 fact, and I was wondering because tomorrow we're
13 going to have presentation on this issue for current
14 licensing value. And after feeling comfortable with
15 the fact that this program is going to inspect for
16 water in manholes I was startled by the reality that
17 most of these cables are really in the ground,
18 they're not in conduits. And so that portion of the
19 program doesn't do much for us.

20 MR. MERZKE: Right. I guess that's where
21 the testing comes in.

22 CHAIRMAN BONACA: Yes.

23 MR. MERZKE: The reactor head closure
24 studs programs. It's an existing program which is
25 consistent with the GALL Report. The application

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 did not identify any exceptions to GALL here. The
2 audit team review determined that the use of code
3 case N-307-2 was an exception to GALL. This code
4 case alters the portion of the stub which examined.

5 The Staff found the exception acceptable
6 because the examination will identify the relevant
7 aging effects cracking and corrosion as the high
8 stressed portion of the stud continues to be
9 examined.

10 Inspectors also identified installed
11 studs which exceeds 175 kilo pounds per square inch
12 tinsel strength, which is what's recommend in Reg.
13 Guide 1.65 to minimize the likelihood of stress
14 corrosion cracking.

15 The applicant considers all these
16 students susceptible to cracking and is implementing
17 the preventive measures of Reg. Guide 1.65. The
18 applicant continues to conduct ultrasonic testing
19 and surface examinations on a ten year interval. And
20 to date, no parent degradation has been identified.

21 For the aging management review results
22 there's 100 percent review done; 36 plant systems,
23 18 structure in four commodity groups. I just
24 highlighted a few areas here.

25 Section 3.3 in the auxiliary systems

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there was a significant discussion on elastomers.
2 The application originally identified AMRs for
3 elastomers subject to elevated temperatures,
4 ultraviolet or ionizing radiation. The applicant
5 claimed no aging effect for elastomers in a plant
6 indoor air environment. It was the Staff's position
7 that elastomers subject to an ozone environment
8 experienced degradation that needs to be managed.
9 The applicant amended their application to manage
10 aging of elastomers in an air environment using the
11 system condition monitoring program and the one time
12 inspection programs.

13 The cable spreading room Halon system
14 will be inspected and tested every 18 months. Life
15 to six months is recommended by the GALL Report.
16 The GALL is based on the NFPA recommendations, which
17 takes into consideration system failures across all
18 industry, not just do to aging effects. Plant
19 specific operating experience has demonstrated that
20 an 18 month inspection interval will detect aging
21 effects prior to loss of intended function. Staff
22 accepted this exception because the 18 month
23 surveillance interval is part of the NRC approved
24 fire protection program and thus forms of an element
25 of the plant's current licensing basis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Section 3.5 aging management for the
2 drywell shell, the Staff found the applicant's
3 program for managing aging effects to the drywell
4 shell acceptable and consistent with the proposed
5 staff license renewal ISG which was issued for
6 comment earlier this month.

7 The applicant follows the code
8 requirements specified by ASME Section XI,
9 subsection IWE. UT performed in the sand pocket
10 region in 1986 and 1987 detected no degradation.
11 The applicant instituted a leakage monitoring
12 program which detects for water leakage past the
13 refueling seal bellows which is in the scope of
14 license renewal. It also detects leakage in the
15 drywell air gap drains and the sand pocket drains.
16 Drains are verified open and no leakage detected
17 every refueling outage. In addition, there's an 19
18 gauge galvanized sheet metal cover sealed to the
19 vessel and surrounding concrete which covers the
20 sand pocket region. Drywell air gap drains drain
21 any water on top of the cover, as you saw in the
22 applicant's diagram.

23 MEMBER MAYNARD: When did this
24 monitoring program start?

25 MR. MERZKE: I believe it was a result

1 of the response to Generic Letter 87-05.

2 MEMBER MAYNARD: So it's been in place
3 since 1987? Is that correct?

4 MR. MERZKE: That's correct.

5 The Staff found this program acceptable
6 to managing aging of the drywell.

7 CHAIRMAN BONACA: You had a comment,
8 Sam, it was important all the --

9 MEMBER ARMIJO: Yes. I had a question
10 when the UT examine was done in 1987 there's four
11 drain lines, sand drain lines. And was a UT done in
12 between those where there might be a low point there
13 that wasn't drained in the sand pocket region or was
14 it done at the location where the drain lines are?

15 MR. MERZKE: I don't have an answer to
16 that. I think the applicant may.

17 MEMBER ARMIJO: Do you have an idea?
18 Could we find out sometime, on call or something?

19 MR. MERZKE: Okay. Any other questions?

20 CHAIRMAN BONACA: You have those
21 requests regarding the configuration of the drain
22 pipe and the fact that --

23 MR. MERZKE: Well, look, I start --

24 CHAIRMAN BONACA: -- the design to
25 accumulate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: Yes. The stand pipe
2 design, it's kind of strange to me why it even
3 exists. Why isn't it just cut off and if there's
4 anything in there, it drains out onto the floor.
5 You know, it's not the scope of the ACRS to do a
6 design, but it seems strange to me that that stand
7 pipe is an asset. I think it's necessary. I don't
8 know why you guys --

9 MR. MERZKE: You'll have to talk about
10 it.

11 MEMBER ARMIJO: You must like it for
12 some reason or somebody likes it.

13 MR. PAIRITZ: This is Joe Pairitz the
14 Project Manager for Monticello.

15 The stand pipe, I believe, was
16 originally designed that way because the drain is
17 full of sand and part of the stand pipe is full of
18 sand. I think it was meant to keep the sand from
19 migrating out and going all over the floor. You'd
20 constantly be sweeping up sand.

21 So I looked at it and said they must
22 have done that to keep the sand in, but that's my
23 personal opinion.

24 MEMBER ARMIJO: Thank you.

25 I don't think it would pore out. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think it'd just jam up in there. As long as the
2 water gets out.

3 MR. MERZKE: All right. Continue on for
4 aging management of in scope inaccessible concrete,
5 the applicant stated and the Staff verified that the
6 below grade environment is not aggressive. Periodic
7 testing of the ground water will be performed as
8 part of the structure's monitoring program.

9 Section 3.6 covered electrical and I&C
10 components. There were four commodity groups
11 reviewed; electrical penetrations, fuse holders,
12 nine EQ cables and connections and off-site power
13 and station blackout recovery paths.

14 The Staff noted that industry operating
15 experience shows loosening of metallic parts of the
16 cable connections. Requested that the applicant
17 demonstrate how this effect will be managed. In
18 response, the applicant committed to implement a new
19 aging management program consistent with the GALL
20 AMP E6 electrical cable connections not subject to
21 10 CFR 50.49 EQ requirements prior to entering the
22 period of extended operations.

23 This application was originally reviewed
24 under the original GALL, GALL Rev. 0. The E6
25 program was not part of that GALL. The applicant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has committed to basically implementing one of the
2 programs implemented in the latest GALL revision.

3 I'd like to move on and discuss the
4 timed-limited again analyses. The first table here
5 summarizes the upper shelf energy for the limiting
6 belt line components. The acceptance criteria for
7 upper shelf energy is greater than 50 foot pounds.
8 The applicant has demonstrated and the Staff has
9 verified that the upper shelf energy for the
10 limiting belt line components at Monticello will
11 exceed 50 foot pounds at the end of the period of
12 extended operations.

13 The next table summarizes the mean nil
14 ductility reference temperature for the limiting
15 circumferential and axial welds. The values for
16 both are calculated to be within acceptable limits
17 through the period of extended operation pursuant to
18 10 CFR 54.21(a)(1)(ii).

19 CHAIRMAN BONACA: A question I have,
20 okay, this is more learning on my part, but I found
21 for this plant a lot of equivalent margin analysis
22 and, you know, which we haven't seen often before.
23 Maybe it is because of BWR versus PWR, but typically
24 we have a screening process by which you say you
25 meet the screening criteria and you don't have to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any further analysis.

2 MR. ELLIOTT: Right.

3 CHAIRMAN BONACA: And here I saw a lot
4 of equivalent margin analysis. If it's a separate
5 issue, you might want to address both. In page 422
6 of the application when it speaks of reactor
7 pressure vessels circumferential weld properties and
8 then it presents a conditional failure probability
9 at 64 EFPY of 1.78 as an acceptance criteria. And I
10 haven't seen that.

11 MR. ELLIOTT: I can't hear you. But let
12 me just summarize.

13 We went through the licensee what they
14 had to do for the upper shelf energy. And it turns
15 out they have four plates in the -- I think it's
16 four plates in the belt line. And one of the plates
17 is in their surveillance program, so they actually
18 have Charpy data for that plate.

19 CHAIRMAN BONACA: Okay.

20 MR. ELLIOTT: The problem is the other
21 three plates they don't have enough Charpy data to
22 know what the upper shelf energy is. And this is
23 not something that's specific to them. There's a
24 lot of GE plants that have the same problem.

25 When these plants were originally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensed there was no requirement to do upper shelf
2 energy testing. You just had to test in the
3 transition region and you had to have a lower enough
4 transition temperature so that you had adequate
5 toughness. So they didn't do the testing on the
6 upper shelf energy. And this is typical of a lot of
7 GE plants.

8 So what GE did was they have a topical
9 report on this issue in which they say that if you
10 don't have specific values of upper shelf energy,
11 they have developed a methodology, equivalent margin
12 analysis methodology that if you have a certain
13 amount of irradiation embrittlement, you're with
14 their bounds of their analysis. So that's what they
15 were first attempting to do; to show that for these
16 plates they were within the bounds of GE and generic
17 analysis.

18 CHAIRMAN BONACA: Yes. Okay. So that's
19 likely that for GE plants we're going to see more of
20 this?

21 MR. ELLIOTT: Yes. For GE plants this
22 is very typical.

23 CHAIRMAN BONACA: But it is not really a
24 marginality of this vessel. It's more like it's
25 typical of the approach we're going to see for GE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plants, for boilers?

2 MR. ELLIOTT: Right.

3 CHAIRMAN BONACA: Well the other issue
4 is that cable on page 422 where they're speaking of,
5 sort of the, configuration of weld -- essentially
6 the calculation reference, NRC calculation where a
7 condition of failure probability as 64 EFPY is used
8 as a criteria.

9 MR. ELLIOTT: Yes.

10 CHAIRMAN BONACA: And that's 1.78 and
11 ten to the minus five. And I really surprised by
12 seeing this kind of criteria used.

13 MR. ELLIOTT: Are we talking about the
14 circumferential welds?

15 MR. MERZKE: Yes. It's the BWRVIP-05.

16 MR. ELLIOTT: Okay. We reviewed the
17 circumferential welds under the BWRVIP-05 program.

18 CHAIRMAN BONACA: Okay.

19 MR. ELLIOTT: And the purpose of that
20 review at the time was to eliminate the inspection
21 of the circumferential welds. And GE put out their
22 report, and we reviewed it. And we did our own
23 analyses to convince ourselves that what they were
24 saying was true. So we put out in our safety
25 evaluation of that topical report our own analyses.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes.

2 MR. ELLIOTT: And we took their
3 fluences.

4 CHAIRMAN BONACA: Yes.A

5 MR. ELLIOTT: And we extended it,
6 originals were 40 years. And we extended it to 64
7 effective full power years just to show how it would
8 impact the analyses. And we determined that even at
9 65 effective full power years they would still be
10 the criteria that we had established to eliminate
11 the inspection of the circumferential welds.

12 CHAIRMAN BONACA: That's the inspection
13 effect. Okay. Yes, that was on page 422 of the
14 application. Bill, you were looking at it.

15 All right. That was to eliminate the
16 inspection. Okay. All right. I think that you've
17 gotten what I needed.

18 MEMBER SHACK: I mean, they eliminate
19 the inspection mostly because they can't do it?

20 MR. ELLIOTT: No, no. They can't do a
21 100 percent.

22 MEMBER SHACK: They can't do a 100
23 percent, yes.

24 MR. ELLIOTT: But the reason we have
25 eliminated it isn't because of that. We find that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the axial welds are much more susceptible. If
2 something was going to happen, they're under a much
3 higher stress than the circumferential welds. And
4 so that the axial welds would be a precursor to what
5 would happen for the circumferential welds. So as
6 long as we inspect the axial welds, we're
7 comfortable that you don't need to inspect the
8 circumferential welds.

9 CHAIRMAN BONACA: Okay. Thank you.

10 MR. MERZKE: On to Section 4.3 the
11 application covering metal fatigue. The applicant
12 satisfactorily demonstrated that the cumulative
13 usage factor, CUF, for all components subject to
14 fatigue will not exceed 1.0 through the period of
15 extended operations. Components evaluated are
16 monitored by the applicant's fatigue monitoring
17 program, which the staff found acceptable.

18 Section 4.4 covers irradiation-assisted
19 stress corrosion cracking or IASCC. Components made
20 from austenitic stainless steel exposed to a neutron
21 fluence in excess of 5 times 10 to the 20th neutron
22 per centimeter squared considered it susceptible to
23 IASCC. These components include the top guide,
24 shroud and in core instrumentation, dry tubes and
25 guide tubes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 IASCC is managed by Monticello by the
2 ASME Section 11 ISI sub sections IWB, IWC and IWD
3 program, vessel internals implant chemistry
4 programs.

5 In 1999 the applicant implemented the
6 hydrogen water chemistry program to reduce the
7 oxygenated environment also reducing the
8 susceptibility to IASCC.

9 In addition to the examinations required
10 by the ISI program, the applicant committed to
11 conduct additional top guide inspections of the high
12 fluence locations using the enhanced visual
13 inspection technique.

14 Section 4.7 covers the environmental
15 qualification of electrical equipment. The Staff
16 reviewed the applicant's TLAA on environmental
17 qualification program and concluded that the
18 evaluation was acceptable in accordance with 10 CFR
19 54.21(c)(0)(ii).

20 Section 4.8 covered the stress
21 relaxation of rim hold-down bolts. The applicant
22 provided an analysis on the stress relaxation of the
23 core plate hold-down bolts, which the Staff
24 reviewed. The Staff found the initial evaluation
25 unacceptable because it relied on friction, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was not included in the generic analysis accepted in
2 BWRVIP-25. The Staff requested the applicant
3 provide an analysis which did not include friction.
4 Subsequent analysis was provided by General
5 Electric. It was comparative analysis between the
6 BWRVIP-25 loads and the Monticello specific loads.
7 The analysis determined that the bolt stresses at
8 Monticello were either bounded by the BWRVIP-25
9 analysis or within ASME allowables. The Staff found
10 the analysis acceptable pursuant to 10 CFR
11 54.21(C)(1)(ii).

12 To summarize the TLAAs, pursuant to 10
13 CFR 54.3 the Staff found the TLAA list adequate and
14 pursuant to 10 CFR 54.21(c)(1) the Staff found that
15 the analyses provided would be the remain valid for
16 the period of extended operations. They were
17 projected to the end of the period of extended
18 operations or that the effects of aging will be
19 adequately managed for the period of extended
20 operations.

21 And pursuant to 10 CFR 54.21(c)(2) there
22 are no plant specific exceptions.

23 In conclusion, the Staff has concluded
24 that there is reasonable assurance that the
25 activities authorized by the renewed license will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 continue to be conducted in accordance with the
2 current licensing basis. And that any changes made
3 to the MNGP current licensing basis in order to
4 comply with 10 CFR 54.29(e) or (a) are in accord
5 with the Act and the Commission's regulations.

6 Does anybody have any further questions?

7 CHAIRMAN BONACA: Any questions? No
8 questions. We thank you for that presentation. It
9 was very informative.

10 At this stage what I would like to do is
11 to, first of all, ask the audience if you have any
12 questions for the presenters. There are none.

13 What I would like to do is to go around
14 the table and get insights on two things. One, do
15 we need to have a interim letter. And a second
16 question that I have is views regarding the
17 application and the safety evaluation reports by
18 individual members. You know, what are the most
19 notable issues. I believe I'm scheduled for a brief
20 update to the full Committee tomorrow or the day
21 after. So I would like to know from you what input
22 I should provide.

23 So again, two questions: (1) Should we
24 have an interim letter, and; (2) what feedback
25 should we give to the full Committee on this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. And also some views that you may have
2 on the application and the safety evaluation report.

3 So I'll start with you, Jack?

4 MEMBER SIEBER: Okay. The answer to
5 your first question is I don't see a need for an
6 interim letter.

7 My view of the application and the SER
8 and the audit and inspection report is that all
9 three documents were generally well done and
10 complete. I think the application was
11 comprehensive, even though the Staff did determine
12 in the area of scoping there were a few minor
13 corrections that needed to be made.

14 I think particularly impressive was the
15 inspection and audit report headed up by Region III.
16 Again, they have done an excellent job and it
17 results in including the licensee's effort to review
18 RAIs sent to other LER license renewal candidates.
19 Their requests for additional information and
20 include the answers in their application; I think
21 that saves a lot of effort for both the licensee and
22 the Staff. And I commend the licensee for doing
23 that.

24 And the result was an unusually low
25 number of RAIs. And I think the process more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 efficient. I think it reduces burden on all parties
2 involved. And I think shows the maturing of the
3 license renewal process.

4 The inspection and audit report, again,
5 was very thorough and well written. And basically
6 left no stone unturned. It was very clear to me what
7 steps the inspectors took to make their
8 determinations.

9 And so I think overall I would say that
10 it was a job well done.

11 In addition to looking at the
12 application, the inspection and audit report and the
13 SER, I also looked at other inspection reports
14 related to that plant on the NRC's website along
15 with their reactor oversight process, performance
16 indicators. And I was familiar years ago with the
17 performance of both of those northern states power
18 plants, Monticello and Perry Island. And it appears
19 based on what I could read and what I reviewed, that
20 they continue to perform well, and to me that's an
21 important factor.

22 So overall I was generally impressed
23 with the quality of both the licensee and the
24 Staff's reports. And I think the job was well done.

25 CHAIRMAN BONACA: Good. Thank you, Jack.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Appreciate it.

2 Bill?

3 MEMBER SHACK: I don't see any need for
4 an interim letter.

5 I'm still curious about this factor of
6 14 in the fluence. I mean, that just strikes me as
7 an extraordinary change in value that I can't
8 conceive of. And if somebody could email an
9 explanation of where it comes from --

10 MR. ZIMMERMAN: We'll do that. We'll get
11 that to you.

12 CHAIRMAN BONACA: Okay. Sam?

13 MEMBER ARMIJO: Yes. I don't want to
14 comment on the need for an interim letter. I don't
15 know enough about the process yet to talk about
16 that.

17 I think I agree with Jack's assessment
18 overall. I think a very nice job done by the Staff
19 and by the applicant.

20 I still have a nagging concern about the
21 drywell in that I'm not sure that the UT inspection
22 that was done was done in the worst location or the
23 most severe location. So I'd appreciate if either
24 the Staff or Niagara-Mohawk could tell where these
25 inspections were done before we put that issue to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bed. If it was done in the worst case location, I
2 think they've got plenty of margin in this plant.
3 BWR 3s have always been our really nice little
4 plants, low powered power density plants. And I
5 think the plant's been very well maintained. And I
6 think the plan to keep it that way is good.

7 So other than the issue n the --

8 CHAIRMAN BONACA: Well, let me just
9 point out that the issue on the interim letter. If
10 this was, for example, to be a significant issue for
11 which we have expectations, that would be a
12 motivation for writing an interim letter.

13 MEMBER ARMIJO: That's what I wanted to
14 ask. You know, maybe we just don't have the
15 information. But if it turned out, for example I
16 just have this concern that there could be a low
17 point where water's accumulated and stayed there for
18 a long time, and that wasn't the location where the
19 UT exam was done, it was done somewhere else. So
20 that's really my remaining concern.

21 MR. ZIMMERMAN: We'll look into that,
22 and we'll get that back to you through Tany. And
23 we'll talk to the licensee about that.

24 CHAIRMAN BONACA: Otto?

25 MEMBER MAYNARD: And you said Niagara-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mohawk, I don't think Niagara-Mohawk is going to get
2 you anywhere on --

3 MEMBER ARMIJO: Oh, no, no. Monticello.
4 I'm sorry. I said Niagara-Mohawk, I'm sorry. It's
5 still a BWR, I think.

6 MEMBER MAYNARD: Yes.

7 I see no need for an interim letter. I
8 agree with the previous comments on the overall
9 quality, scope and depth of the reports.
10 Especially complimentary of the inspection report
11 there.

12 And I believe that other Sam's specific
13 question on the location of these inspections, I
14 think that most of the issues that we may have
15 lingering a little bit on the shell is really more
16 of a generic question and issue that we need to come
17 to grips with than it is a Monticello specific as to
18 exactly what's required. It appears to me as though
19 they're doing exactly what the interim staff
20 guidance is requiring and have done that. So I think
21 it's more of a generic than a plant specific force.

22 CHAIRMAN BONACA: Okay. Thank you.

23 Yes, I share some of the views of the
24 rest of the Committee.

25 First of all, I was impressed by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 clarity of the application, and most of all the
2 inspection reports. I mean they were quite informed,
3 they provided a lot of information.

4 Regarding the liner, containment liner,
5 you know the presentation from the inspector leader
6 here gave some confidence. Because, I mean, they
7 probed the issue, they went back and looked at it.

8 I still believe, however, that it is
9 somewhat concern to me and I tend to agree with you,
10 Otto, that it is a generic issue right now. You
11 know we don't have a very clear basis for saying
12 Browns Ferry should inspect and Monticello should
13 not or doesn't need to. I mean I don't understand
14 yet what makes the big distinction there, okay. And
15 I think we have to clarify this issue.

16 In addition to that, I'm kind of
17 concerned about license renewal and all this
18 inaccessible components. I mean, the issue is not
19 only the liner. The issue is the cables we are going
20 to discuss tomorrow on this Generic Letter. The
21 issue is piping, which is buried under. And you
22 know these components are not going to operate
23 forever. You're going to have some incidents of
24 degradation tied to aging and I'm not sure that the
25 programs we have in place are going to address the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues in a complete fashion.

2 I know going back to the containment
3 liner, I mean I am puzzled by the guidance that we
4 have licensees by which we impose a requirement for
5 an inspection on one and we do not on some other. It
6 is all left to the judgment of the reviewer. I
7 think it's an important issue that we have to look
8 at.

9 If that was my plant and I have been 19
10 years without looking at it, I would commit to do an
11 inspection. Now does it meet however the
12 requirement of the rule? It sounds like it does.
13 So, you know, my sense is is maybe we don't interim
14 letter. The only purpose of an interim letter would
15 be for us to say to recommend that they have an
16 inspection done. And, you know, my sense is that
17 let's leave it as a generic issue.

18 And I think it will be interesting to
19 gain an understanding of this issue as we go forward
20 so that we have a better understanding of when we're
21 going to ask for an inspection and when we're not.

22 MR. ZIMMERMAN: In fact, tomorrow at
23 3:15 we're scheduled to come over here and brief you
24 on the ISG, so that will prompt further dialogue on
25 the issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes. Okay. Good.
2 And that brings it to the table anyway.

3 So outside of these comments, I mean I
4 think that again it sounds like this is a good
5 plant, has a good operating history. It seems to be
6 ready for moving on to --

7 MEMBER SHACK: Well, I'm impressed when
8 they found a number of SAMAs that would improve
9 their safety, they went out and implemented them.

10 CHAIRMAN BONACA: Yes.

11 My concluding statement, I agree with
12 the other comments of the members. Very low number
13 of RAIs, by the way. It is a real improvement in
14 the process. And I think we're getting to a maturity
15 of the license renewal process.

16 Okay. So you've got our comments.
17 We're not going to have an interim letter, at least
18 we're not going to recommend one to the full
19 Committee.

20 And I'm going to turn around and see if
21 there are any further questions or comments
22 regarding these applications from the public. If
23 are no further comments, this meeting is adjourned.

24 (Whereupon, at 4:10 p.m. the meeting was
25 adjourned.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

Official Transcript of Proceedings
NUCLEAR REGULATORY
COMMISSION

Title: Advisory Committee on Reactor Safeguards
Plant License Renewal Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, May 30, 2006

Work Order No.: NRC-1057

Pages 1-114

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

PLANT LICENSE RENEWAL SUBCOMMITTEE

MEETING

+ + + + +

ROCKVILLE, MARYLAND

TUESDAY

MAY 30, 2006

The Subcommittee met in Room 2TB3 at Two White Flint North, 14555 Rockville Pike, Rockville, Maryland, at 1:30 p.m., Mario V. Bonaca, Subcommittee Chair, presiding.

MEMBERS PRESENT:

- MARIO V. BONACA Chairman
- J. SAM ARMIJO
- WILLIAM J. SHACK
- JOHN D. SIEBER
- GRAHAM B. WALLIS
- OTTO MAYNARD

1 NRC STAFF PRESENT:

2 CAYETANO SANTOS Designated Federal Official

3 JAKE ZIMMERMAN

4 DAN MERZKE

5 PATRICIA LOUGHEED

6 DAVE POTTER

7 MICHAEL ALEKSEY

8 PETER WEN

9 BARRY ELLIOTT

10 HANSRAJ ASHAR

11 JAMES MEDOFF

12 DR. KEN CHANG

13 DR. K.T. KUO

14 MONTICELLO REPRESENTATIVES PRESENT:

15 PATRICK BURKE

16 JOHN GRUBB

17 JOEL PAIRITZ

18 SHERRY BERNHOFT

19 JIM ROOTES

20 RON SIEPEL

21 STEVE HAMMER

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18

A-G-E-N-D-A

OPENING REMARKS 4

STAFF INTRODUCTION, Mr. Zimmerman 5

MONTICELLO LICENSE RENEWAL APPLICATION, P. Burke 8

 Description, J. Grubb 10

 Operating history, background, scoping,
 P Burke 15

 Application of GALL, P. Burke 34

 Industry topics, J. Pairitz 34

 Commitment process, J. Pairitz 68

SER OVERVIEW 70

 Overview, D. Merzke 70

 Scoping and screening results, D. Merzke 72

 License renewal inspections, P Lougheed 75

AGING MANAGEMENT REVIEW RESULTS and TIME-LIMITED
AGING ANALYSES, D. Merzke 84

SUBCOMMITTEE DISCUSSION 107

P-R-O-C-E-E-D-I-N-G-S

1.31 p.m.

CHAIRMAN BONACA: The meeting will now come to order.

This is a meeting of the Plant License Renewal Subcommittee. I am Mario Bonaca, Chairman of the Plant License Renewal Subcommittee.

The ACRS members in attendance are Jack Sieber, Bill Shack, Graham Wallis, Sam Armijo and Otto Maynard.

Cayetano Santos of the ACRS Staff is a Designated Federal Official for this meeting.

The purpose of the meeting is to discuss the license renewal application for the Monticello Nuclear Generating Plant. We will hear presentations from the NRC's Office of Nuclear Reactor Regulation and representatives of the Nuclear Management Company.

The Subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberation by the full Committee.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the *Federal*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Register. We have received no written comments or
2 requests for time to make oral statements from
3 members of the public regarding today's meeting.

4 A transcript of the meeting is being
5 kept and will be made available as stated in the
6 *Federal Register* notice. Therefore, we request that
7 participants in this meeting use the microphones
8 located throughout the meeting room when addressing
9 the Subcommittee. The participants should first
10 identify themselves and speak with sufficient
11 clarity and volume so that they may readily heard.

12 We will now proceed with the meeting.
13 And I call upon Mr. Jake Zimmerman to begin the
14 meeting.

15 MR. ZIMMERMAN: Thank you, Dr. Bonaca.

16 Good afternoon. My name is Jake
17 Zimmerman. I'm the Branch Chief in License Renewal
18 Branch B, in the Division of License Renewal.

19 With me today is Dr. Ken Chang, who is
20 the Branch Chief for License Renewal Branch C, whose
21 responsibility is the on-site audits of the aging
22 management programs and the aging management reviews
23 and also the time limit and aging analysis.

24 Behind me also is Dr. P.T. Kuo, our
25 Deputy Director for the Division of License Renewal,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 who you all are familiar with.

2 The Staff has conducted a very detailed
3 and thorough review of the Monticello Nuclear
4 Generating Plant license renewal application which
5 was submitted in March of 2005. Mr. Dan Merzke,
6 here to my right, is the Project Manager for this
7 review. He will lead the Staff's presentation this
8 afternoon on the draft safety evaluation report.

9 In addition we have Ms. Patricia
10 Lougheed who is our team leader for the Region III
11 inspections that were conducted at Monticello
12 Nuclear Generating Plant.

13 We also have several members of the NRR
14 technical staff here in the audience to provide
15 additional information and answer your questions.

16 The Staff felt that the Monticello
17 Nuclear Generating Plant application was of very
18 good quality. This resulted in the issuance of only
19 a 113 formal requests for additional information. I
20 know the ACRS has been interested in the number of
21 questions that have come out of these reviews in the
22 past. We believe part of that reduction is as a
23 result of the Generic Aging Lessons Learned Report.
24 This application was submitted using the draft GALL
25 Report that was issued back in January of 2005,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 however it was reconciled with the September 2005
2 version of the GALL Report. In fact, it resulted in
3 a 95 percent consistency between their application
4 and the revised GALL. So I think it was a good
5 application. The GALL certainly helped with the
6 review providing a roadmap.

7 In addition, the Staff at Monticello
8 provided excellent support for our on-site audits,
9 the inspections that were conducted and also the
10 headquarters reviews through the conference calls
11 and numerous meetings that we had.

12 Because there are no open items, the
13 Staff has requested that we accelerate the schedule
14 to complete this review in 20 months versus our
15 standard 22 months. That's been the practice over
16 the last several license renewal applications, and
17 we're working with ACRS Staff to set up the next
18 meeting.

19 And with that, I'd like to turn it over
20 to Pat Burke, who is the Manager of this project to
21 begin the applicant's presentation.

22 MR. BURKE: Thank you, Jake.

23 And thank you members of the ACRS
24 Subcommittee for allowing Monticello to present this
25 presentation in support of the Staff in this meeting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 today.

2 What I'd like to do is start off by
3 giving a brief introduction of the team and the
4 members that we have here today to help answer any
5 questions you may have.

6 Now we have on my left here a Mr. John
7 Grubb, who our Director of Engineer.

8 We have Ms. Sherry Bernhoft, who is the
9 Director of Fleet Project Management in the
10 audience.

11 Again, I am Patrick Burke, the Manager
12 of Projects.

13 Joel Pairitz is our License Renewal
14 Project Manager.

15 Ray Dennis is our civil lead.

16 Ron Spiepel is our electrical lead.

17 Jim Rootes is our programs lead.

18 Michael Aleksey we have as our TLAA
19 support.

20 Dave Potter is our engineering
21 supervisor of inspections and materials.

22 And Steve Hammer is a principal engineer
23 on the project.

24 We also have with us today our sister
25 plant, Palisades from the Nuclear Management Company

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 observing and gaining any lessons learned during
2 this presentation today.

3 What we'd like to talk about today is
4 the agenda. We will start with having John Grubb go
5 over a brief description of the Monticello Nuclear
6 Generating Plant.

7 And I'll talk a little bit about the
8 operating history and some highlights. I'll talk a
9 little bit about the project application and
10 background. I'll discuss the methodology. And as
11 Jake mentioned, we'll talk a little bit about the
12 application of the GALL to Monticello's application.

13 At that point I'll turn it over to Joe,
14 our Project Manager to go over a couple of industry
15 topics such as drywell shell corrosion shroud
16 cracking, steam dryer. And then we'll conclude with
17 a short discussion on commitment process.

18 At this point I'd like to turn it over
19 to Mr. John Grubb.

20 MR. GRUBB: All right. Thank you, Pat.
21 And again, thanks to the Committee.

22 A brief description of the Monticello
23 plant. The plant is located, it's on the banks of
24 the Mississippi River. It's roughly 30 miles
25 northwest of Minneapolis. It's approximately 2100

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 acres of land that's owned by Xcel Energy.

2 The plant is a single unit GE BWR 3. We
3 do have a Mark I containment.

4 MEMBER WALLIS: One question about this.

5 MR. GRUBB: Yes, sir.

6 MEMBER WALLIS: How far do the suburbs
7 of Minneapolis extend the direction of the plant?

8 MR. GRUBB: The closest suburb actual
9 Minneapolis suburb to the plant is the Maple Grove
10 suburb, and it's about 18 to 20 miles.

11 MEMBER WALLIS: Okay. Thank you.

12 MR. GRUBB: Our current license thermal
13 power is 17075 megawatts thermal, approximately 600
14 megawatts electric.

15 The plant is owned by Northern States
16 Power Company, which is a subsidiary of Xcel Energy.

17 The plant is operated by the Nuclear
18 Management Company.

19 And we have an on-site staff of
20 approximately 420.

21 Just a quick aerial view of the station.
22 The Mississippi River, which is ultimate heat sink.
23 Intake structure here. Turbine building. Reactor
24 building. Cooling towers and discharge canal here.
25 Return to the river up in the upper left. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 subyard is here. It's a pretty small, relatively
2 compact site.

3 Next.

4 What you'll see in this slide is that
5 Monticello has historically been and continues to be
6 a very reliable plant. Our current unit capability
7 factor is rated at 93 percent. Our INPO performance
8 index is at 100 percent. We are greater than 1500
9 days since our last scram from power. Our current
10 operating cycle, we've been online for greater than
11 400 days. We currently have no equipment issues that
12 are threatening unit availability.

13 MEMBER SHACK: What's your fuel like?

14 MR. GRUBB: We are on a two year fuel
15 cycle.

16 The performance indicators are all
17 green. And we have no findings that have been
18 greater than green.

19 MEMBER SIEBER: I have a question about
20 the inspection findings.

21 MR. GRUBB: Yes, sir.

22 MEMBER SIEBER: I looked through all of
23 your inspection reports for the last couple of
24 years, and including the summary of the findings.
25 And they were all green or less. And I noticed a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lot of areas didn't have any findings at all, which
2 is actually a good thing.

3 On the other hand, if I review all those
4 findings which resulted in on-sited violations, I
5 think that you might be able to pick out a trend.
6 And I was wondering if you have done that and see a
7 trend or a problem area in your findings?

8 MR. GRUBB: Well, I wouldn't say I see a
9 problem area. What Monticello has been going
10 through over the last several years is we focused on
11 the programs area specifically and we've done a lot
12 of reconstitution. And a lot of time focusing,
13 doing assessments in the programs area. So we have
14 a number of things that have come up in the
15 programs; Appendix R, fire protection, EQ, some of
16 those areas that we have focused on. But we've
17 been doing that because we recognize that maybe we
18 hadn't been at the top of the industry with respect
19 to how we treated programs historically.

20 MEMBER SIEBER: Another thing that I
21 noticed was several operator errors that occurred
22 during surveillance testing. Does your staff have a
23 pretty good size turnover at this time? It's an
24 older plant and older plants often have a staff that
25 grew up with the plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GRUBB: Yes. There has not been a
2 lot of turnover in the operations area specifically.
3 We have been trying to bring groups of new license
4 candidates and new operator candidates over the last
5 several years. We hired ten last year.

6 As far as the human performance, we do
7 recognize that. There is two initiatives at the
8 site level that we're going after to try to address
9 that.

10 What the station is is we have six focus
11 areas. And the way we treat those is if we do
12 nothing else as a station, those six areas are going
13 to get a lot of attention. Two of those, one is
14 operations leadership which is making sure the Ops
15 department is leading the station and the operators
16 are taking responsibilities. The second one is
17 procedure use and adherence. So we have recognized
18 that trend and we are focusing on those two areas.

19 MEMBER SIEBER: And how would you
20 describe compared to other plants the material
21 condition of Monticello?

22 MR. GRUBB: I guess I don't have a good
23 picture of the rest of the plants. Our material
24 condition is very good. We're in pretty good shape.
25 The plant has historically been maintained very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well. What you'll see at Monticello and the people
2 that come to Monticello, the craft and the mechanics
3 and so forth that maintain the equipment take a
4 tremendous amount of ownership. And as a result of
5 that, our equipment performance and our equipment is
6 in very good condition.

7 MEMBER SIEBER: I would caution that
8 even though Minnesota is a great place, you might
9 not want to isolate yourself from your brethren in
10 the industry and get out and see what the best
11 plants look like and make yours just like it.

12 MR. GRUBB: We agree.

13 MEMBER SIEBER: Okay. Thanks.

14 MR. GRUBB: All right. Pat, back to
15 you.

16 MR. BURKE: All right. I'd like to
17 start my discussion with a little bit on the
18 operating history and highlights, some background,
19 Monticello's construction. The permit was issued in
20 1967. We obtained our operating license in
21 September of 1970. That means that 40 years later
22 in September of 2010, our 40 year license would
23 expire. And as Jake mentioned earlier, we did
24 submit our license renewal application in March 16th
25 of 2005.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 These next couple of slides I'll talk a
2 little bit about the operating history, and this
3 will go to the point of material condition which we
4 just talked about.

5 In 1984 we replaced all the resurg
6 piping with a low carbon stainless steel resistant
7 to intergranular stress corrosion cracking. The
8 small bar piping was a 304L material. The large bar
9 piping was a 316 NG material. During that project
10 we replaced risers, supply headers, suction piping
11 and safe-ends.

12 We made some additional improvements by
13 reducing the number of welds and doing some
14 induction heating, stress improvement and
15 electropolishing was applied to the new pipe.

16 In 1986 we replaced spray safe-ends with
17 intergranular stress corrosion cracking resistant
18 material also.

19 In 1989 we implemented the hydrogen
20 water chemistry. We were one of the early plants in
21 implementing that. We implement the moderate
22 hydrogen water chemistry for protection of the
23 vessel internals.

24 MEMBER SHACK: And you're still doing
25 that rather than noble metal?

1 MR. BURKE: That's correct. We are
2 still with moderate hydrogen water chemistry. We
3 have been evaluating noble metals. We've been kind
4 of a slow deliberate approach to reviewing that.
5 We've had very, very good fuel reliability. So
6 we're kind of going slowly into noble metals.

7 MEMBER ARMIJO: Have you been adding any
8 zinc for dose retrieval?

9 MR. BURKE: Yes, we have. We inject
10 depleted zinc.

11 MEMBER SHACK: This is probably getting
12 ahead because you're going to tell us about core
13 strength, but what's the condition of your core
14 shroud jus as a sample internal that's seen a lot of
15 cracking in other plants?

16 MR. BURKE: I think I'll defer that Mr.
17 Dave Potter.

18 MR. POTTER: I am Dave Potter from the
19 Monticello plant.

20 The condition of our shroud is actually
21 better than most in the industry. I wouldn't say
22 it's the best. Our most cracked weld is the H3 weld
23 which had 27 percent indication of our last
24 inspection. But we had three-quarters of that weld
25 basically covered in our last inspection. So in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relative terms our shroud is very good.

2 MR. BURKE: And we will be giving more
3 information in a minute also.

4 In 1997 we did replace the emergency
5 core cooling system suction strainers. And we
6 increased the surface area of those strainers for
7 debris loading.

8 In 1998 we did initiate a power uprate.
9 We increased our power level from 1670 megawatters
10 thermal up to 1775 megawatts thermal, which was a
11 6.3 percent increase.

12 As part of the license renewal effort,
13 we did implement six SAMAs, which did significantly
14 reduce our overall plant risk.

15 MEMBER SHACK: Now those are the six
16 SAMAs that were identified in your environmental
17 impact statement as having a favorable cost risk?

18 MR. BURKE: Yes, sir. That is correct.

19 MEMBER SHACK: That's all six, including
20 the manual RCIC which reduced your CDF but upped
21 your risk?

22 MR. BURKE: That is correct.

23 MEMBER SHACK: Okay. Well, if one of my
24 colleagues was here, he'd ask you about that. But
25 we'll let that one pass.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: He's not here.

2 I would like to know, however, what is
3 the CDF for this plant?

4 MR. BURKE: The core damage frequency
5 before the six SAMAs was 4.37 ten to the minus
6 fifth. And the after implementation --

7 CHAIRMAN BONACA: Internal events or
8 total?

9 MR. BURKE: Total events.

10 CHAIRMAN BONACA: Internal events?

11 MR. BURKE: Internal, that's right.

12 And after the implementation of this was
13 changed to 5.99 times ten to the minus six per year.

14 MEMBER SHACK: That was a question I was
15 going to have for the Staff. You know, reading
16 through here this was the first environmental impact
17 where I came to the SAMAs and they actually, you
18 know, they had a bunch of favorable ones. And the
19 fire truck one was a real bargain. You know, you
20 haul the fire truck and hook it up.

21 What is the criteria for when -- why did
22 we ask these people to do these SAMA analysis? Is
23 there some criterion that they would meet that they
24 would have to do them or is it just something they
25 look at? You know, they obviously choose to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implement a number of the SAMAs. And I just
2 wondered in general what do we do with the SAMA
3 analysis after they do it?

4 You can come up with that later or
5 answer now?

6 MR. KUO: Yes. P.T. Kuo, License
7 Renewal.

8 We generally perform the SAMA analysis
9 and if we see there is a cost benefit area that the
10 applicant can improve, then we make the
11 recommendations. And we send this recommendations
12 to them that these are the cost beneficial actions
13 that they have to take.

14 And then later on --

15 MEMBER SHACK: So they don't have to
16 take them, though?

17 MR. KUO: They don't have to take them.

18 MEMBER SHACK: They could take them?

19 MR. KUO: But based on our SAMA analysis
20 we identify, if we identified any actions that we
21 believe is beneficial, we'll let them know.

22 MEMBER SIEBER: Before you move forward,
23 I'd like to go back to your 6.3 percent power
24 uprate. Do you have additional margin in your plant
25 where you could perform another uprate in power?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: We've done some studies,
2 some evaluation on that. There would be significant
3 cost. If we decided to do another power uprate, it
4 would be a significant cost to replace the
5 equipment.

6 MEMBER SIEBER: Like the turbine?

7 MR. BURKE: Like the turbine, generator
8 rewinds, transformers, feed pumps.

9 I think the answer to your question is
10 there is probably not a lot of margin above and
11 beyond for another power uprate. We have margin
12 where we're at.

13 MEMBER SIEBER: Okay. Thanks.

14 MR. BURKE: Now looking out into the
15 future, we have a number of future lifecycle
16 management projects that are in progress and being
17 implemented, such as replacement of feedwater
18 heaters, recirc pump motors and rotating pump
19 assemblies. We've done the 11 pump last outage and
20 we plan to do the 12 pump this outage the service
21 water pump replacements and transformers and
22 generator rewinds.

23 The next couple of slides I would like
24 to talk a little bit about the project. This slide
25 here what I'd like to talk about is how we selected

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the people for the project and how we made sure we
2 had the right people for the project.

3 Now, we initiated the project through an
4 interview process for site employees. We selected a
5 core team. They're NMC employees that were from the
6 site. Four of them had SROs or SRO certifications
7 and all of them were very experienced and
8 multidisciplined.

9 We supplemented that core team with
10 license renewal experienced contractors. Again, the
11 majority of those contractors were on-site
12 performing that work. We did retain the majority of
13 that team during the audits and inspections. So we
14 had the same people that prepared the application
15 supporting the audits and inspections.

16 We contracted with General Electric to
17 perform the reactor pressure vessel and internal
18 time-limited aging analysis and aging management
19 reviews.

20 And we also did engage the plant and the
21 site staff in review of aging management review
22 documents and aging management program documents.

23 MEMBER SHACK: The one thing that struck
24 me as extraordinary, though, in the TLAA for the
25 core shroud, the first estimate of the shroud

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence peak was 3 times 10 to the 20, and then it
2 got changed to 3.8 times 10 to the 21. Now that's a
3 factor of 14 and it was a change in methodology.
4 I'm a little surprised to see that kind of a change.
5 Is there some explanation for what went on there?

6 MR. BURKE: Yes. I'd like to defer that
7 to Michael Aleksey.

8 MR. ALEKSEY: My name is Michael
9 Aleksey.

10 I'd like you to rephrase that question,
11 please? I didn't hear the first part of it.

12 MEMBER SHACK: In the initial license
13 renewal application it says the peak shroud fluence
14 was 3 times 10 to the 20 neutrons per square
15 centimeter greater than 10 leV.

16 MR. ALEKSEY: Yes.

17 MEMBER SHACK: Then it got changed to
18 3.8 times 10 to the 21. I mean it's a factor of 14.

19 MR. ALEKSEY: Well, the original
20 analysis was based on Reg. Guide 1.99 and the
21 original capsule that was pulled in 1984
22 thereabouts, we went to the Reg. Guide 1.190
23 evaluation and used the typical factors to bump that
24 up by 30 percent at certain areas and stuff like
25 that, and came up with the results that we got.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I don't think that that's unusual in
2 terms of --

3 MEMBER SHACK: It's not unusual? A
4 factor of 14? I mean, you know from a case 3 times
5 10 to the minus 20 you're hardly seeing any
6 influence of irradiation on stainless steel to 3
7 times 10 to the 21; it's, you know, a big time
8 change. It's embrittlement, it's high crack growth
9 rates without your hydrogen water chemistry.

10 I mean, normally I hear the Staff
11 beating up people over 10 percent changes in fluence
12 and a factor of 14 just seems very large.

13 Barry is going to enlighten me.

14 MR. ELLIOTT: Barry Elliott, NRC.

15 I'd just like to talk to them for a
16 second.

17 I believe in their application, and I'm
18 making some assumptions, the original applications
19 likes the fluence is calculated for either 1775
20 megawatts or 1680 or something like that. When they
21 did the recalculation for these, it looks like they
22 used 1830 megawatts or 1880 megawatts for cycle 23
23 through the end of the license renewal period. So
24 that would account for some of the large increase.
25 In other words --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: But a factor of 14?

2 MR. ELLIOTT: I'm just saying that they
3 went from 1660 or something like that all the way up
4 to 1880 megawatt thermal. So that increases it quite
5 a bit.

6 And then they used a new GE methodology,
7 which they hadn't used before.

8 So all this stuff added in, I mean this
9 is what you did. So, I mean, I'm just reading the
10 application. You tell me is that what you did?

11 MR. ALEKSEY: This is Mike Aleksey.

12 Yes, we did. Originally it was based on
13 1670 and the Reg. Guide 1.190 evaluation it was
14 based on 1775 up through cycle 22 and then we
15 increased that to 1880 for cycle 23 on, which did
16 provide a significant conservatism. And the reason
17 we did that is because we had performed other
18 analyses at that level before and we thought it was
19 a prudent thing to do.

20 MEMBER SHACK: Okay. Well, I mean
21 since you can live with 3 times 10 to the 21, you
22 know and that sounds like the typical value I have
23 for end-of-life for a core shroud. You know, when I
24 saw the 3 times 10 to the 20 in the original
25 application, I wondered how much water you had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 between your core and your shroud, and it seemed
2 extremely low. The 3 times 10 to the 21 is about
3 where I expected it to be. I still don't understand
4 why it's so different, but obviously you can live
5 with it. And, as I say, it's a value that I find
6 plausible.

7 CHAIRMAN BONACA: Okay. Next slide,
8 please.

9 This slide talks a little about how we
10 were engaged in the industry during the development
11 of license renewal application. We attended many of
12 the working groups. We did participate in the GALL
13 draft revision 1 review and comments through NEI.

14 And we participated in our sister NMC
15 plants during their audits and inspections to gain
16 lessons learned.

17 We supported numerous license renewal
18 peer reviews throughout the industry. We also
19 hosted our own peer review where we did have seven
20 external peers on that team.

21 And then we did review many industry
22 RAIs and in detail we reviewed the Nine Mile, Point
23 Beach and Dresden/Quad's RAIs.

24 These next couple of slides we'll talk a
25 little bit about the methodology. Most of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bullets that I'll talk about now is where we added
2 additional detail into the application that you
3 might not always see. For example, we identified
4 system functions and tied those to the different
5 criterion for the different scoping to help better
6 describe why the system wasn't scoped.

7 We paid a lot of attention to our
8 boundary drawings and included boundary flags and
9 multicolored boundary drawings.

10 We used plant documentation to identify
11 our scoping components. Use DBDs and did extensive
12 plant walkdowns.

13 We created a number of technical reports
14 including those for criterion 2, nonsafety effecting
15 safety and also for the regulated events.

16 And then we did use the spaces approach
17 for our criterion 2, and that was incorporated into
18 the application.

19 MEMBER MAYNARD: I did have a question
20 here. Taking about your scoping, your boundary
21 drawings and everything. And yet in the inspection
22 report I noticed that the inspectors found a number
23 of items or systems where the boundary needed to be
24 changed or something needed to brought into scope,
25 or whatever. I'd like to get your perspective on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. Because it seemed like there's a number -- I
2 don't know if the inspectors were really picky or
3 whether you guys had missed these or what.

4 CHAIRMAN BONACA: No. We didn't have
5 some. There were some areas in the drawings, but I
6 think overall we felt that our drawings were pretty
7 accurate as boundary drawings typically go in the
8 industry.

9 MR. PAIRITZ: I am Joe Pairitz, the
10 Project Manager.

11 Some of the cases, too, occurred where a
12 color suddenly stopped and there wasn't an
13 explanation for why that was. And basically it was
14 that it went through a wall so it was no longer in
15 scope for criterion 2. And we had quite a few
16 instances where we had to go walk that down with NRC
17 inspectors to look at that. And we're doing it over
18 again, I would draw the wall in the drawing and make
19 it easier. But that was the cause for a good number
20 of those questions.

21 MEMBER SIEBER: You had other situations
22 where the line that started off on 1 PNID as a
23 colored line in scope, the adjoining PNID didn't
24 have a colored line in scope. So it ended at the
25 boundary of the drawing as opposed to some physical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 boundary.

2 MR. PAIRITZ: This is Joe Pairitz again.

3 That's correct. There were several
4 instances where the continuation went to the next
5 drawing, it didn't color it properly, and we did
6 correct those.

7 MEMBER SIEBER: Well, I read the same
8 inspection reports. And it just seemed like there
9 was a lot of them, relatively speaking.

10 My question to you would be now that the
11 inspection's over with, which is vertical slices and
12 not comprehensive, how confident are you that you
13 have captured all that should be in scope and
14 identified that on your plant drawings?

15 MR. PAIRITZ: Joe Pairitz again.

16 We did capture those instances in our
17 corrective action program. And part of that was
18 looking at other drawings to see the extent of
19 condition basically. And we're confident right now
20 that we have corrected those problems.

21 MEMBER SIEBER: When you did that, did
22 you find additional problems that wasn't found by
23 NRC inspectors?

24 MR. PAIRITZ: Off the top of my head
25 right now, I don't know for sure. There might have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been a couple, but basically no. And we spent a lot
2 of times on the drawings so we we're pretty
3 confident that they were right to begin with. They
4 did find a few instances, and in our works to
5 correct that I think we might have found a couple
6 more. But it wasn't a significant number.

7 And these things were in scope. It was
8 just the drawing didn't get colored properly.

9 MEMBER SIEBER: Yes. I gathered that
10 from the write-up.

11 CHAIRMAN BONACA: Well, some items were
12 also brought into scope, so there was some of both.

13 MR. PAIRITZ: Right.

14 CHAIRMAN BONACA: Since we're talking
15 inspections, I had a question about the corrosion
16 that the inspectors found on the conductor
17 termination logs of the fire diesel pump. And I'm
18 sure you have a surveillance program for that pump.
19 And so it was disturbing to read it because in
20 license renewal you are going to have a program
21 dealing with this fire pump which is an extension of
22 your existing program. And when I have to wait for
23 an inspector to find it, it troubles me and I
24 wondered about your view on that issue.

25 CHAIRMAN BONACA: Could I defer that to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Ron? He was involved with that inspection activity.

2 MR. SIEPEL: Right. My name is Ron
3 Siepel. I'm the electrical lead.

4 And if I understand the question right
5 is you had a question on the corrosion of the wire
6 that was in the diesel generator panel, is that the
7 question?

8 CHAIRMAN BONACA: Fire diesel -- fire
9 pump.

10 MR. SIEPEL: Okay. The diesel fire pump
11 panel, that panel had been identified on a previous
12 CAP or condition action request that was in the
13 process of replacement and it just hadn't been
14 replaced to date. And if it hasn't been replaced
15 now, it'll be replaced shortly. But that had been
16 previously identified out there under our program,
17 and it was in the process of being replaced.

18 CHAIRMAN BONACA: It wasn't identified
19 before? Wasn't clear from the inspections?

20 MEMBER SHACK: I was just curious. The
21 Staff SER sort of credits your computerized history
22 and maintenance planning system with helping in the
23 scoping, and yet it's not credited at all in your
24 license renewal application. You actually use this
25 thing or is it just sort of sitting around.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: This is Pat.

2 The CHAMPS database was used as a
3 starting point for the scoping process. That was
4 downloaded into a licensed renewal database called
5 ALEX.

6 The CHAMPS database is used more for
7 work management, so you have many of the active
8 components in there. And that was a starting point.
9 By taking that and using that as a starting point
10 and then adding all of the passive components,
11 therefore you would up with a complete ALEX database
12 for scoping and screening to take you through the
13 process methodically on a databased driven platform.

14 The next slide I'd like to talk a little
15 bit about the ageing management review. A couple of
16 other details that we added that I think help tell a
17 better story in the application was adding mechanism
18 for the aging effects.

19 MEMBER SIEBER: Let me ask one quick
20 question before we leave scoping. Is your
21 condensate storage tank in scope? I know piping and
22 anchors and bolts and housings are. But the tank
23 doesn't seem to be. Do you know?

24 CHAIRMAN BONACA: I don't know off the
25 top of my head.

1 MR. PAIRITZ: This is Joe Pairitz.

2 The piping leading up to the tank is in
3 scope. The tanks themselves, I guess I'll have Ray
4 check on that, but I think the tanks themselves are
5 not in scope.

6 CHAIRMAN BONACA: Individual --

7 MEMBER SIEBER: Yes, that's the way to
8 be. And I was wondering, you know, if all the other
9 stuff is in scope, why isn't the tank is in scope?
10 And if the tank would fail, can you still accomplish
11 what you're supposed to accomplish?

12 MR. BURKE: Yes. I'll answer one of the
13 questions, the CSTs being in scope or not. We do
14 not credit the condensate storage tank for any
15 design basis accident so they are not considered
16 safety related.

17 The piping going up to the tanks, I
18 believe and correct me if I'm wrong, Joe, is in
19 there from a nonsafety effecting safety standpoint.
20 Because they do lead in --

21 MEMBER SIEBER: Criterion 1?

22 MR. BURKE: Yes, that's correct.
23 Criterion 2. So that's why we terminated at the
24 tank.

25 And I guess Ray agrees with that. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I will have to think
2 about it? Thank you.

3 CHAIRMAN BONACA: Sure.

4 And also for the aging management
5 reviews we did numerous walkdowns to identify
6 materials and environments.

7 As for the aging management programs, we
8 wound up with 36 aging management programs. And we
9 did include the ten elements from GALL in the
10 application describing each program.

11 And lastly, I'd like to talk about the
12 application of GALL, and this is consistent with
13 what Jake started with, is we did have GALL
14 reconciliation to the Rev 0. That showed us to be
15 75 percent consistent with GALL. After we submitted
16 it we performed a precedents review, which brought
17 us up to 95 percent consistent with GALL. And we
18 believe that that high consistency with GALL
19 increased the efficiency of the audit and inspection
20 process.

21 At this point I'd like to turn it over
22 to Joe to go over the industry topics.

23 MR. PAIRITZ: Thank you, Pat.

24 Again, I'm Joe Pairitz. I'm the license
25 renewal Project Manager and also the mechanical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lead.

2 I'm going to talk about three industry
3 topics, the first being drywell shell corrosion,
4 second being the shroud cracking and thirdly the
5 steam dryer.

6 Starting with the drywell shell
7 corrosion, I'll give a little fresher on the Mark I
8 primary containment. This is a cut away view of the
9 reactor building. You have the reactor here in the
10 center, the drywell is the inverted light bulb
11 shaped liner right here. We have the vent pipes
12 going down to the suppression chamber, otherwise
13 known as the Torus.

14 We will concentrating on the refueling
15 bellows located at the top here. The air gap region
16 between the drywell shell and the surrounding
17 concrete and also the sand pocket region here
18 towards the bottom.

19 While the reactor cavity is flooded, and
20 that would be this area here. This is the spent fuel
21 pool over here. While the reactor cavity is flooded
22 for refueling activities, Monticello has multiple
23 design features for vent leakage from entering or
24 accumulating in the air gap region and in the sand
25 pocket regions. There are three separate drain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paths that exist to channel leakage away from these
2 areas in question.

3 We have a seal barrier over the sand
4 pocket region and we also have a flow switch that
5 would alert operators to any leakage from the
6 bellows.

7 MEMBER ARMIJO: This is Sam Armijo.

8 I have a quick question: Is this unique
9 for this particular BWR 3? Are these features added
10 that other --

11 MR. PAIRITZ: Some of the BWR 3s have
12 them and some don't. I think it might be related to
13 who the AE was on the project. I'm not sure of that.

14 MEMBER ARMIJO: Okay.

15 MR. PAIRITZ: We'll move into the
16 refueling bellows area, otherwise known to some
17 people are a refueling seal.

18 We have the reactor pressure vessel
19 shell over here on this side. The first set of
20 bellows we have are the reactor vessel to drywell
21 bellows. We move over, we have the drywell shell
22 right here. We have the second set of bellows that
23 are between the drywell shell and the reactor
24 building concrete. These bellows are in scope for
25 license renewal. If these bellows were to leak, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first barrier we have to protect the air gap, which
2 is down here, would be this trough or channel that's
3 down here that's supposed to catch any leakage that
4 would come from that bellows.

5 And then you have an 8 inch pipe here
6 that eventually reduces to a 4 inch pipe and goes to
7 rad waste. That line also has a flow switch on it.
8 Instead of 3 gallons per minute, that gives an alarm
9 in the control room. So if they've got a leak here
10 that's 3 gallons per minute or greater, it would
11 alarm in the control room.

12 These bellows and center spool plate
13 have been inspected in the past with no significant
14 degradation noted at that time. That was in the
15 late '80s.

16 I think we'll go on to the next slide.

17 Continuing into the air gap region here,
18 we have a 4 inch drain pipe here. There's actually
19 4 of these, 4 four inch drain pipes.

20 MEMBER MAYNARD: I'm sorry.

21 MR. PAIRITZ: Yes.

22 MEMBER MAYNARD: Go back. You say a
23 setpoint at 3 gallons per minute. Now wouldn't
24 typically you'd expect to see none?

25 MR. PAIRITZ: We expect to see none,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correct.

2 MEMBER MAYNARD: Okay. I'm not familiar
3 with it, but 3 gallons a minute --

4 MEMBER SHACK: That's a lot of water.

5 MEMBER MAYNARD: You know, 2 gallons a
6 minute wouldn't set the alarm off and that's seems
7 to me like it'd be quite a bit of water.

8 MR. PAIRITZ: Well, it is set at three.
9 I can't address the design basis for the three right
10 now. I think basically it was there to address
11 gross failure of the bellows. But if we had any
12 leakage, I can show you were that would be detected.

13 MEMBER MAYNARD: Okay. So any leakage
14 would be detected?

15 MR. PAIRITZ: Yes. And I'll think we'll
16 get to that when we talk about this picture.

17 MEMBER MAYNARD: Okay. All right.

18 MR. PAIRITZ: Here we have the air gap
19 which extends up towards the bellows. We have 4 four
20 inch drain pipes that drain this air gap region if
21 water were to get in that region. We have 18 gauge
22 galvanized sheet metal cover the sand pocket region
23 that's sealed to the drywell shell and sealed to the
24 surrounding concrete. So any water that might
25 accumulate on this sheet metal cover should be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drained away by the 4 four inch drain lines.

2 Now these drain lines come into the
3 Torus room, some people might know it as reactor
4 building basement. They're open. They come down to
5 floor level. They're open. You're going to have
6 water on the floor if there's any leakage in this
7 air gap region because they empty. They don't go to
8 rad waste, they go right on the floor into the
9 reactor building.

10 MEMBER WALLIS: You are concerned about
11 corrosion. And what you need for corrosion is
12 oxygen, presumably. That's from the air gap.

13 MR. PAIRITZ: Correct.

14 MEMBER WALLIS: And you need some
15 moisture. But you don't need a flow of water. And
16 the drains take away a flow of water, but a
17 sufficient humidity in there with very small amount
18 of liquid on the surface could lead to corrosion.

19 I'm not quite sure why drain prevents
20 corrosion. You've got to really control the
21 humidity, don't you?

22 MR. PAIRITZ: Well, when the linear was
23 originally manufactured it was painted with a
24 primer. So it does have some protection on it from
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The humidity you get in there, I mean
2 the drain pipe was obvious to remove any liquid
3 water. If you had high humidity in there, I can't
4 say what the drain would do in that case, although I
5 don't think there's a motive force to -- you know,
6 this one we're running, operating, the drywell shell
7 is fairly warm. So any water should evaporate from
8 there and, hopefully, would come out the drains. I
9 mean, not as liquid water but as a vapor.

10 MEMBER WALLIS: What happens to the air
11 gap? Do you ventilate it in some way? It just sits
12 there, sits there?

13 MR. PAIRITZ: It sits there.

14 MEMBER WALLIS: Silent air. So if there
15 were oxygen in there, it would get used up if it
16 were corroding?

17 MR. PAIRITZ: If there were oxygen in
18 there --

19 MEMBER WALLIS: It would get used up
20 pretty --

21 MEMBER SHACK: Very little.

22 MEMBER WALLIS: Yes.

23 MR. PAIRITZ: Yes. These drain pipes
24 point straight down to the floor, too. You know, I
25 don't think you get a lot of air movement into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 air gap. Maybe during heat up and cool down, but not
2 during normal operation.

3 MEMBER WALLIS: Yes, but doesn't
4 moisture slowly come out of concrete and things like
5 that over a long period of time?

6 MR. PAIRITZ: Ray, can you answer the
7 concrete question?

8 MR. DENNIS: Yes, this is Ray Dennis.
9 I'm the civil structural lead.

10 The air gap, it's not an airtight
11 environment. There's many, many penetrations to the
12 air gap or piping penetrations that go into the
13 reactor vessel and drywell. So it's a free flow of
14 oxygen and it's continuously being replenished --

15 MEMBER WALLIS: There is an oxygen
16 supply, right?

17 MR. DENNIS: Right.

18 MEMBER WALLIS: And you're carrying away
19 the water vapor --

20 MR. DENNIS: If the water vapor is heavy
21 enough to condense and then be carried away by the
22 drains. But the environment in the air gap is
23 basically the same environment you'd find in the
24 reactor building at all times.

25 MEMBER WALLIS: I guess my -- my concern

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is with enough water to cause corrosion, which
2 doesn't necessarily drain out but just stays there.
3 That's probably the worst condition for making
4 corrosion, isn't it?

5 MR. PAIRITZ: I think Ray makes a good
6 point, though, when he mentions that we have
7 penetrations going through this air gap that would
8 help, not necessarily ventilate it, but prevent more
9 humidity than is already in the air from building
10 up.

11 MEMBER WALLIS: Have some control over
12 it.

13 MR. PAIRITZ: And again, I would point
14 out that drywell shell is going to be a lot warmer
15 than the ambient air.

16 MEMBER WALLIS: That helps you. That
17 helps.

18 MEMBER SIEBER: On the other hand I
19 don't hear any kind of a argument that says we're
20 certain enough that there isn't corrosion because of
21 these factors that would tell me that I don't need
22 to go and make a thickness measurement of the linear
23 plate. So it seems to me that that's one of the
24 things you ought to be doing.

25 MR. PAIRITZ: Well, we did do that in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 response to Generic Letter 87-05. We took over 50--

2 MEMBER SIEBER: Right.

3 MR. PAIRITZ: -- readings there and we
4 could not detect any degradation from the original
5 material specifications, and that was after 17 years
6 of operations.

7 MEMBER SIEBER: That was in '87?

8 MR. PAIRITZ: That's correct. '86 and
9 '87.

10 MEMBER SIEBER: Well, it's still an
11 issue because some plants have found problems.

12 MR. PAIRITZ: That's right.

13 MEMBER SIEBER: And it's probably
14 generic to this style of containment and this age
15 group. And I understand a generic letter is in the
16 process to ask you to look at it.

17 MR. PAIRITZ: Well, ISG. I don't know
18 anything about a generic letter.

19 MEMBER SIEBER: ISG. Yes, okay.

20 MR. PAIRITZ: The other, though, as
21 plants that have experienced this, some of them have
22 not had this design. I know that one design in
23 particular doesn't have the cover on the sand pocket
24 region, doesn't have the four inch drain pipe. They
25 just have the sand pocket drains here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes.

2 MR. PAIRITZ: There are some
3 differences.

4 CHAIRMAN BONACA: What are you trying to
5 do? I know you're trying to perform visual
6 inspections problem.

7 MR. PAIRITZ: Okay.

8 CHAIRMAN BONACA: Are you going to
9 perform any UT, I mean volumetric inspections?

10 MR. PAIRITZ: Not at this time. I will
11 tell you that these drains, both the air gap drains
12 and the sand pocket drains are inspected before we
13 flood up refueling and after the bellows are well
14 submerged looking for leakage from any of those
15 lines. And that's what we do right now. And that
16 is proposed action in the ISG also.

17 MEMBER MAYNARD: What has your
18 experience been? Have you found leakage at times or
19 have you never found any signs of leakage? What's
20 your history?

21 MR. PAIRITZ: We've never had any
22 leakage. Never had the three gallon per minute flow
23 switch go off. We've never seen any leakage from
24 the four inch drain pipe for the air gap region.
25 We've never seen any leakage from the 4 2 inch drain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lines in the sand pocket. However, in February of
2 1987 as part of the plant life extension program and
3 part of work that was going on for Generic Letter
4 87-05 they did find 3½ ounces water in one of the
5 four drain lines in the sand pocket. Now this drain
6 line comes out of the concrete. It has a 90 degree
7 elbow and then a one foot stand pipe pointing up
8 vertically. They noticed a little crusty material
9 on top of the sand. They investigated that, found
10 out that that was calcium carbonate. They removed
11 the sand from the stand pipe and at the bottom of
12 the stand pipe they found 3½ ounces of water.

13 They had that water analyzed by two
14 different labs. It was not radioactive. It did not
15 contain any materials that would be indicative of it
16 coming from the reactor cavity. And it was
17 considered to be water that had come from inside the
18 Torus room.

19 These stand pipes are open to the
20 atmosphere. If you were doing some work on top of
21 the Torus and accidentally sprayed some water or
22 sprayed a hose, you could theoretically put some
23 water in there. And 3 ounces, 3½ ounces isn't very
24 much.

25 And I also think the calcification at

1 the top of the surface there would indicate that the
2 water came in through the top, calcified the sand
3 and then sat in the bottom there.

4 So we don't believe that we've ever had
5 any leakage from the air gap or for the sand pocket
6 region.

7 MEMBER ARMIJO: Have you ever done
8 anything to confirm that that sand pocket region is
9 dry, or can you?

10 MR. PAIRITZ: Well, the other three
11 drain lines, they took the sand out of those stand
12 pipes. There was no water there.

13 The top of the stand pipe is at the same
14 elevation as the bottom of this drain right here.
15 So even if the stand pipe were full of water, the
16 level in the sand pocket would still be down here.
17 The stand pipe would have to be overflowing for
18 there to be any water building up into this area.

19 We did remove part of the concrete floor
20 inside the drywell and do UTs on this area. And,
21 again, we compared that to our original material
22 specifications and we can't detect any thinning
23 there.

24 CHAIRMAN BONACA: You did that, what, 19
25 years ago?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: 1986 and 1987.

2 CHAIRMAN BONACA: Now on your slide
3 number 16 you're saying that drywell shell is
4 managed by the primary containment is ISI, which
5 again advised to specifically address the ISG.

6 MR. PAIRITZ: Correct.

7 CHAIRMAN BONACA: How --

8 MR. PAIRITZ: The ISG recommends doing a
9 surveillance on your drain piping to verify that
10 you're not having any leakage. It talks about a
11 cover n the sand pocket, which we have. And using
12 the IWE program to verify no significant corrosion.
13 Of course, that's from the inside the drywell.

14 CHAIRMAN BONACA: It doesn't tell you
15 anything about what happens on the outside of the
16 wall. So you're left with a question about the past
17 -- projected future?

18 MR. PAIRITZ: Right. We have no reason
19 to believe that there is any water in those areas.

20 CHAIRMAN BONACA: The steel liner is
21 your containment boundary, right?

22 MR. PAIRITZ: That's correct.

23 Anyway, just to finish this slide, we do
24 have the 18 gauge galvanized sheet metal cover over
25 the sand pocket region. As I mentioned there are 4

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two inch drain lines that would drain any water from
2 the sand pocket region.

3 We talked about the stand pipes filled
4 with sand. I think that's all I want to cover on
5 this slide.

6 Now with regards to the proposed ISG
7 2006 01, we've talked about the UTs that we did in
8 response to Generic Letter 87-05. Again, we
9 compared those to our original materials
10 specifications and we can't detect any wall thinning
11 or degradation there.

12 Again, the air gap and sand pocket drain
13 outlets are visually inspected, as prescribed by the
14 ISG. The top of the sand pocket area is sealed with
15 the galvanized steel sheet metal. The drywell shell
16 is managed by the primary containment in-service
17 inspection program, the IWE program and we will
18 revise it to specifically call out those procedures
19 that already exist that inspect the drains.

20 MEMBER ARMIJO: Were those 1987 UT
21 inspection points, are they still accessible? Were
22 any provisions made to have them still accessible or
23 were they concreted over?

24 MR. PAIRITZ: Well, they took readings
25 up in the air gap region 2. Those are marked on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inside of the drywell.

2 MEMBER ARMIJO: I'm talking about sand
3 pocket.

4 MR. PAIRITZ: Jim, do you have any idea?
5 I mean, I know where we excavated. I don't know if
6 the grid is still there that they used. Ray Dennis,
7 please?

8 MR. DENNIS: Yes. This is Ray Dennis
9 again.

10 Rather than fill the holes completely in
11 with concrete, they filled them in with a sand type
12 material and then put basically a concrete plug over
13 them.

14 MEMBER ARMIJO: So they would be --

15 MR. DENNIS: They'd be relatively easy
16 to inspect again. It would just be a matter of
17 removing a few inches of concrete rather than
18 several inches.

19 MEMBER ARMIJO: Yes. That's great.

20 Because --

21 MR. PAIRITZ: But whether or not they
22 have the grid the work that they used to ensure that
23 you're looking at the exact same place I think is
24 more the question.

25 MR. DENNIS: Yes. These spots are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 readily identified in our program where they are.
2 Plus, they're relatively easy to pick out given
3 their surrounding area.

4 MEMBER ARMIJO: So it would be an ideal
5 measurement. You've got a 1987 measurement,
6 possibly a later measurement at pretty much the same
7 location without tearing up the whole plant to get
8 at it? It's probably more doable than other people.

9 MR. PAIRITZ: I can't say. I mean, it
10 could be done.

11 MEMBER ARMIJO: I don't want to put
12 words in your mouth.

13 CHAIRMAN BONACA: No. I would like to
14 hear at some point from the Staff, you know, what's
15 the logic for accepting. Here, more than anything
16 else I'm thinking about precedent. You know, we had
17 some decisions and recommendations for TVA, Browns
18 Ferry. And it doesn't seem to be a consistent
19 approach that we're taking on this issue.

20 MR. ASHAR: Dr. Bonaca, I am Hans Ashar
21 with Dresden with Division of Engineering, NRR.

22 While reviewing this particular
23 application before this, I had reviewed close to
24 about a dozen other Mark I containments. Every time
25 I look for the telltale signs as to what could have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 caused partial area of corrosion. We looked at the
2 Dresden/Quad for example. We saw telltale signs.
3 They have to have something done there.

4 We saw Browns Ferry, we felt that that
5 there has to be something other.

6 And all the questions that we asked to
7 the applicant in this case, we found almost negative
8 -- negative to the extent that there were no water
9 in the top of the plane near the -- in the upper
10 area of the earlier -- can you show me the earlier
11 sketch?

12 MR. PAIRITZ: Sure. Hold on. Yes.

13 MR. ASHAR: Upper area, there is a plane
14 from the drywell. They did not see any, that's what
15 they told us. Then we went to down, because the
16 water can go into the sand pocket area. And we saw
17 no way that water can seep into that area in the
18 large quantities that could corrode that particular
19 area.

20 So there are a number of telltale signs
21 that we look for. We ask questions on each one of
22 them and we found out that, hey, this particular
23 plant does not have this type of problem. And it
24 does not -- it's not effective in telling us
25 anything about it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I have written down a very thorough
2 evaluation on this particular area because I knew
3 that ACRS, as well as other individuals, will have
4 some questions on this particular area.

5 CHAIRMAN BONACA: Well, I think my main
6 question is we need to have a constant understanding
7 of the issue.

8 MR. ASHAR: Agreed.

9 CHAIRMAN BONACA: And consistent
10 approach.

11 MR. ASHAR: I Agree.

12 CHAIRMAN BONACA: I mean, we can't
13 possibly have a tentative, you know, approach to the
14 -- when you're telling me that you don't have
15 significant amount of water or a large quantity of
16 water, it doesn't tell me anything.

17 MR. ASHAR: There is no water problem.

18 CHAIRMAN BONACA: I mean, the point that
19 Dr. Wallis was making, all you need is humidity
20 there for corrosion, you know it's well taken.

21 So I'm struggling with the ISG and the
22 way it is being interpreted by the plant that way.
23 Because all you have is statements by the licensee
24 for the same kind of configurations. One licensee is
25 more insistent than other than defending that he has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 no water there, so therefore -- you know, he's
2 argumenting about something that cannot be seen.

3 And on the other hand that's a primary
4 containment function.

5 MR. ASHAR: I fully agree. I recognize
6 what you are saying. I'm not contradicting what you
7 are telling me. But what I'm trying to say is this:
8 That the question of relatedness, I understand there
9 is a form by which everybody is to follow. And when
10 we -- They went up to ISG. We said you are going to
11 talk about various things, okay, like the drain
12 pipes being cleared, there is a control on drain
13 pipes. They are going to examine the drain pipes.
14 There is a seal. Some of the plants do not have
15 that seal that they here, okay. That makes
16 difference as to the wetness in the sand pocket
17 area.

18 It has to be quite a bit wet in order to
19 have corrosion initiated and become something like
20 some of the other plants had. And this particular
21 plant does not have that type of telltale signs.

22 It was very difficult to put them
23 through some kind of a UT inspections if we don't
24 find any reason to believe that we have problems
25 with this plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Okay. Thank you.

2 MR. PAIRITZ: Well, that concludes the
3 drywell shell corrosion. If there aren't any more
4 questions right now, I'll move on to the shroud.

5 Concerning the shroud, I have a rollout
6 view here. The horizontal welds are labeled on the
7 right side, H1 through H12. We have the vertical
8 welds labeled throughout the center of the drawing.

9 To give you an idea of the are we're
10 talking about, here's a jet pump on the side.

11 The points I want to make here is our
12 inspection coverages have increased from about 50
13 percent up to about 75 percent of the welds over the
14 past ten years due to improvements in technology.

15 As Mr. Potter was saying earlier, our H3
16 weld here has indications on 27 percent of the
17 inspected region, and we are able to inspect 71
18 percent of that weld.

19 MEMBER SHACK: Now is this VT1 enhanced
20 or is some sort of UT inspection?

21 MR. PAIRITZ: I'll let Mr. Potter answer
22 that.

23 MR. POTTER: This is Dave Potter from
24 Monticello.

25 The 73 percent converge on the H3 weld

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was from UT inspection.

2 MEMBER SHACK: That's a creeping wave
3 kind of thing?

4 MR. POTTER: There's three transducers
5 that were used in the package, but I don't recall if
6 there were a creeping wave, a shear wave and what
7 angles they were used. The processed was qualified
8 in accordance with the PIP processes for crack
9 identification.

10 MR. PAIRITZ: And moving on to the H1
11 weld, 16 percent of that weld showed indication and
12 we were able to look at 75 percent of that weld.

13 And then the other horizontal welds that
14 were looked at it was less than 10 percent
15 indication on varying degrees of inspection area.

16 The inspection results and evaluation to
17 allow inspection frequency to remain at the maximum
18 allowed ten year interval for circumferential welds,
19 for our horizontal welds.

20 We have looked at three vertical welds
21 per the BWRVIP. The inspection frequency for these
22 welds is established by inspection coverage.

23 MEMBER SHACK: Do you happen to know
24 whether these vertical welds, you know do they hit
25 high fluence regions or do they happen to hit low

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence regions? It's kind of a random event?

2 MR. PAIRITZ: Mr. Potter?

3 MR. POTTER: This is Dave Potter from
4 Monticello.

5 The regions, as shown on the diagram,
6 the V3, V4, V1 and V2 are relatively high fluence
7 areas.

8 MEMBER ARMIJO: Just a quick question.
9 Since you've instituted hydrogen water chemistry
10 have you noticed any change in any of the growth
11 rate or the initiation of cracking in the shrouds?

12 MR. PAIRITZ: I'll let Mr. Potter
13 address that. He's the expert here.

14 MR. POTTER: Since we've instituted
15 hydrogen water chemistry at Monticello, we have
16 three inspections to our credit. One that was
17 performed in 1994, another performed in '96 and this
18 most recent one in 2005. The crack indications that
19 we've identified in all three of those inspections
20 have not demonstrated substantial crack growth. So
21 our assumption has to be is that the cracking
22 occurred before hydrogen water chemistry was
23 instituted.

24 MEMBER ARMIJO: How about initiation?

25 MR. POTTER: The initiation that we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seen, I wouldn't call it substantial. A lot of it
2 has to do with UT uncertainty and our coverage that
3 we've gotten from previous inspections.

4 Our '94 inspection we did not have a lot
5 of coverage. And as we've spoken to, or as Joe
6 spoken to a moment ago, we increased our inspection
7 coverage from 1996 all the welds were approximately
8 50 percent to 2005 where they're 75. So we're
9 actually, the cracks that we were seeing were
10 basically in the areas that we hadn't inspected
11 before.

12 MEMBER ARMIJO: Okay. Thank you.

13 MR. PAIRITZ: Well, that covers crack
14 growth.

15 We feel that the moderate hydrogen water
16 chemistry has effectively contributed to mitigating
17 crack growth on our shroud, and we will continue to
18 manage the shroud per BWRVIP guidance.

19 CHAIRMAN BONACA: Well, you do have
20 additional cracking that you are monitoring that
21 way. Are they internals? For example, on the tack
22 welds on the jet pumps set screws and so forth.
23 Those cracks, I mean you just simply monitor the
24 size of the crack and whether or not they're
25 propagating further?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: I'll defer to Mr. Potter
2 again?

3 MR. POTTER: Yes. This is Dave Potter
4 again.

5 The cracking that we've identified on
6 the jet pump set screws we periodically
7 reinvestigate to make sure that they are not
8 behaving in an abnormal fashion. However, the safety
9 concern of the jet pump's tack screws is minimized,
10 basically, due to the crack geometry and what the
11 purpose of those tack welds are. And that's
12 basically to keep the set screws from rotating out.

13 CHAIRMAN BONACA: Okay. All right.
14 That's the function. I didn't know that. I didn't
15 understand.

16 I have another question, by the way.
17 It's more curiosity. When in the application you
18 talk about the belt line nozzle and the fact that
19 the weld material is not known insofar as CU and
20 nickel content. Could you tell me about it?
21 Because there is a technique you're using. You're
22 averaging CU and nickel on 9 sister plants. And then
23 you're adding one standard deviation, if I remember.
24 That, I really wasn't familiar with the technique.
25 And maybe --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: I'll Michael Aleksey,
2 answer that, our TLAA person.

3 MR. ALEKSEY: Was your question with
4 regard to the N2 nozzle?

5 CHAIRMAN BONACA: Yes. Yes, that's
6 right. The belt line nozzle.

7 MR. PAIRITZ: The one the unknown
8 chemistry.

9 MR. ALEKSEY: For the N2 nozzle the
10 nickel content was a result of industry information
11 that we had accumulated for those types of nozzles.
12 And we also used information from the RVID database
13 to establish the chemistries of that nozzle.

14 CHAIRMAN BONACA: Yes. The reason why I
15 was intrigued I thought that was a process that has
16 been reviewed and approved. I mean, it uses hits
17 from 9 sister plants or similar plants.

18 MR. ALEKSEY: Yes.

19 CHAIRMAN BONACA: Averages it and then
20 adds one standard deviation. So is it a process
21 that the NRC is familiar with and is it a approved
22 process?

23 MR. ELLIOTT: I don't know. Excuse me.
24 This Barry Elliott.

25 I can't hear you, so I can't hear what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're asking.

2 CHAIRMAN BONACA: It's the belt line
3 nozzle I'm talking about.

4 MR. ELLIOTT: Okay. Yes. What happened
5 is the belt line nozzles -- they aren't in the belt
6 lines. They're slightly above the belt line.

7 CHAIRMAN BONACA: Yes.

8 MR. ELLIOTT: But the fluence has gone
9 up because of license renewal. Also, because of the
10 way they're calculating the --

11 CHAIRMAN BONACA: That's right.

12 MR. ELLIOTT: -- fluence. They're doing
13 a very conservative thing with the fluence here.
14 And so now these nozzles are getting above the
15 criteria which we say you have to evaluate.

16 So they had to go out and evaluate the
17 nozzles. They have chemistry for the nozzles. What
18 they didn't have is underradiated properties for the
19 -- because the nozzles were built a long time ago
20 and they didn't have full C harpy curves, from what
21 I remember. So they went out and they got what's
22 equivalent to that. And went through their other
23 nozzles in the BWR fleet made the same way, and they
24 used that data. And then they establish a confidence
25 interval for that data. And they used the 95

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percent confidence interval lower bound for their
2 upper shelf energy unirradiated.

3 And we have accepted similar things to
4 that.

5 CHAIRMAN BONACA: So this is a process
6 you accept?

7 MR. ELLIOTT: Yes, we accept that.

8 CHAIRMAN BONACA: Although, I mean
9 you're not certain that the percent of Cu and
10 nickel are identical? Nine sister plants, I mean
11 they were similar plants.

12 MR. ELLIOTT: Right.

13 CHAIRMAN BONACA: But you don't have
14 specific information about this plant?

15 MR. ELLIOTT: No. We don't have specific
16 information about this plant. But we feel that we
17 looked at how they were made, the nozzles were
18 fabricated and they were fabricated equivalent ways
19 and the properties should be about the same.

20 CHAIRMAN BONACA: By the same vendors?

21 MR. ELLIOTT: I don't remember if we had
22 the same -- I'm not sure about the vendors.

23 MR. MEDOFF: This is Jim Medoff.

24 What Barry is saying is true. We've
25 evaluated the VIP processes for the vessel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 materials. And it's based on weld fluxes, how they
2 were laid down. So they grouped all those type --
3 like a shielded metal arc welds, they gathered the
4 data for all that type of welds and then they came
5 up with their statistical analysis.

6 CHAIRMAN BONACA: Well, I was expecting
7 that there will be a reference to some BWR always
8 group activity to --

9 MR. MEDOFF: There is, VIP 86.

10 CHAIRMAN BONACA: -- to provide this
11 kind of -- I mean without any pedigree to this
12 package of information, I'm only left on this
13 averaging that is stated in a little footnote in the
14 application. So since I am not the specialist in
15 metallurgy, but I know the importance of Cu in
16 nickel in the welds.

17 MR. ELLIOTT: We had to get an estimate
18 of the upper shelf energy for these forgings. So the
19 only thing we look at is the fleet, what the whole
20 fleet has for forgings. And that's what they did.
21 And then we used a 95 percent lower confidence bound
22 to establish its properties. And we've done that in
23 other cases where we don't have properties. We used
24 the entire BWR fleet and then established low bound
25 properties for welds that don't have properties.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And in this case we did it for the forgings.

2 CHAIRMAN BONACA: I return to my
3 metallurgical colleagues here and say how
4 comfortable are you with all this?

5 MEMBER ARMIJO: Well, you know, I
6 thought I heard that they knew the chemistry but
7 they didn't Charpy data. And they created the
8 Charpy data by a comparison with the rest of the
9 industry and then used a lower bound that was pretty
10 conservative.

11 CHAIRMAN BONACA: I can remember that 10
12 years ago, 15 years ago we were -- anyway --

13 MEMBER SHACK: Yes. I mean, you know you
14 just can't go back and recreate that data.

15 CHAIRMAN BONACA: Absolutely.

16 MEMBER SHACK: So you try to take a
17 conservative answer and --

18 CHAIRMAN BONACA: Is it conservative,
19 that's always the question. And that's what we're
20 looking for.

21 MEMBER SHACK: It is quite likely to be
22 conservative.

23 MEMBER ARMIJO: I think it's
24 conservative.

25 CHAIRMAN BONACA: Okay. That's --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAIRITZ: Are we ready to move on?

2 CHAIRMAN BONACA: Yes, let's move on.

3 MR. PAIRITZ: Okay. The last topic I
4 will talk about is the steam dryer. The steam dryer
5 is in scope for license renewal at Monticello. It's
6 a square hood dryer design. It looks like this.

7 In 1998 we inspected the dryer and we
8 noted indication in the area of the 324 degree
9 jacking bolt tack weld. Is down here in the blowup
10 on the bottom right. It was analyzed and determined
11 not to be structurally significant.

12 In 2001 we again reinspected this area
13 and found no additional indications and no change in
14 the indication at the 324 degree location.

15 In 2005 we did a comprehensive
16 inspection on the dryer. We specifically looked at
17 areas of dryer failures at other sites, and we did
18 not find any indications are those areas.

19 We did find some acceptable indications
20 on dryer shell behind three of the lifting lugs and
21 on the right side of the guide rod channel 215
22 degrees. Right here. And then we found behind the
23 lifting lugs on the shelves some indications in
24 three out of the four lifting lugs. Again, these
25 were analyzed and confirmed to be not structurally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant.

2 We will be inspecting the dryer in 2007
3 again to confirm continued acceptability. And we
4 plan on managing the dryer in accordance with the
5 BWRVIP.

6 Dryer questions?

7 MEMBER WALLIS: How does it compare with
8 other dryers? The various dryer designs, some of
9 which have more problems than others, how does --

10 MR. PAIRITZ: I'll have Mr. Potter
11 answer the question.

12 MR. POTTER: Could you clarify your
13 question for me? Are you talking in general the
14 dryer design or --

15 MEMBER WALLIS: There are about four or
16 five different versions of this GE dryer, Quad
17 Cities, Dresden, Vermont Yankee and so on. And some
18 of them had more problems than others. And I just
19 wondered how yours fitted into this sort of spectrum
20 of different shapes and histories?

21 MR. POTTER: Okay. This is Dave Potter
22 from Monticello.

23 There is in essence right now four types
24 of dryers that are used in the industry. You might
25 even consider five depending on how you cut it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's the square hood design, which is
2 Monticello's design, which is similar to Vermont
3 Yankee's, Quad Cities' Unit 1 and 2, and Dresden
4 Unit 2 and 3.

5 Then the slanted hood dryers which a
6 great deal of plants use.

7 And then the last would be the curved
8 hood dryers.

9 Finally, the very last design would be
10 the new dryers that have been installed in the Quad
11 Cities and Dresden plants. So Monticello's dryer is
12 similar to that. The original Quad Cities Unit 1 and
13 2 and Dresden Unit 2 and 3 and the Vermont Yankee
14 dryers which did experience the failures.

15 Does that answer your question, sir?

16 MEMBER WALLIS: And you haven't seen the
17 same kind of thing that they've seen?

18 MR. POTTER: No. The failures that
19 we're seeing at Quad Cities and Dresden were flow
20 induced type vibration failures that were seen
21 basically on the plate -- this plate region right
22 here as well as this plate cover view and this plate
23 region right here or this seam weld. Those areas
24 were inspected at Monticello in 2005 and we did not
25 identify any cracking.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I think there are
2 differences between the units. For example thermal
3 megawatt output.

4 MEMBER SHACK: Core power density are a
5 lot--

6 MEMBER SIEBER: Core power -- well steam
7 flow.

8 MEMBER SHACK: Right.

9 MEMBER SIEBER: The steam header
10 diameter. And so some dryers are more susceptible
11 than others because of different environment. This
12 apparently is a milder environment than plants that
13 have shown more damage.

14 Do you have any idea what the steam
15 velocity is at the outlet of the reactor nozzles?

16 MR. POTTER: This is Dave Potter again.
17 To be absolutely honest with you I have looked at
18 that number and compared our numbers to the
19 industry. But from memory I can't recite the
20 velocity and feet per second.

21 MEMBER SIEBER: Can you say whether it's
22 higher or lower?

23 MR. POTTER: I can say that it is
24 definitely lower than -- this is Dave Potter again.

25 I can say that the steam line velocity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is definitely lower than the Quad Cities Unit 1 and
2 2 and Dresden 2 and 3 at their extended power uprate
3 conditions. And Vermont Yankee, I know we are very
4 close, but I don't recall whose velocity is higher.

5 MEMBER SIEBER: It sort of all ties
6 together, at least in my mind.

7 MR. PAIRITZ: Any more dryer questions?
8 If not, the last topic I'll cover is on the
9 commitment process. Monticello's made 60
10 commitments to enhance aging management. The
11 commitments are described in the Monticello license
12 renewal updated safety analysis report supplement.

13 All Monticello commitments are entered
14 into the corrective action program. And this ensures
15 that there is a owner and a due date. The process
16 was looked at several times during the audits and
17 inspections.

18 Any questions on the commitment process?

19 MEMBER SIEBER: Well, the due date is
20 probably when your license expires, right?

21 MR. PAIRITZ: Well, most of them are --

22 MEMBER SIEBER: Or they all become due
23 at once?

24 MR. PAIRITZ: -- prior to the period of
25 extended operation. There are a few that are before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that.

2 MEMBER SIEBER: Yes. The question is do
3 you have a schedule as to when you're going to do
4 each of the items that you have in your commitment
5 tracking system?

6 MR. PAIRITZ: Yes. We have put together
7 a level 1 type schedule as to when those will be
8 accomplished and be part of our implementation
9 effort.

10 MEMBER SIEBER: Do you have the
11 resources to do the work?

12 MR. PAIRITZ: Yes. We got people
13 working on implementation right now. A couple of
14 contractors, some of the people that were on the
15 team. And that will continue.

16 Finally we're at the end. Are there any
17 other general questions that we can answer.

18 MEMBER SIEBER: You mean you would like
19 more questions.

20 MR. PAIRITZ: I'm here to answer them.

21 MEMBER MAYNARD: A comment. I do
22 appreciate you including your backup slides in the
23 package. I do appreciate that.

24 CHAIRMAN BONACA: Any additional
25 questions for the applicant? None. Thank you for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. It was a pleasure.

2 MR. PAIRITZ: Thank you.

3 CHAIRMAN BONACA: And we'll ask the
4 Staff now to present the SER.

5 MR. ZIMMERMAN: Dan Merzke the Project
6 Manager for the Monticello review and Patricia
7 Lougheed will lead the Staff's presentation.

8 MR. MERZKE: All right. Good afternoon,
9 gentlemen. My name is Dan Merzke. I'm the Project
10 Manager for the Staff review of the Monticello
11 license renewal application.

12 Joining me today is Patricia Lougheed
13 from Region III. She's our inspection team leader.
14 Also in the audience is Peter Wen, who is our audit
15 team leader. And supporting all of us are the
16 technical reviewers in the audience to answer any
17 questions that I can't answer for you.

18 The introduction will be start off with
19 an overview. We'll give you the plant and the
20 application followed by a discussion of the results
21 of the scoping and screening results.

22 I'll turn the mike over to Patricia who
23 will discuss the results of the license renewal
24 inspections.

25 And then I'll take it back over and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 finish with the Section III results of the aging
2 management review and the time-limited aging
3 analyses.

4 The application was submitted to us by
5 letter dated March 16, 2005. The Monticello plant
6 is General Electric BWR 3 design with a Mark I steel
7 containment, as already discussed. 17075 megawatt
8 thermal rated with a 600 megawatt electric power,
9 and that includes a 6.3 percent power uprate
10 approved in 1998.

11 Current operating license expires
12 September 8 of 2010.

13 And the plant, as already discussed, is
14 located approximately 30 miles northwest of
15 Minneapolis.

16 The draft SER was issued in April 26,
17 2006 with no open unconformity items. It also
18 included three license conditions. They're the
19 standard three license conditions for all the
20 approved plants so far.

21 We already discussed, Jake mentioned
22 that there were 113 form RAIs issued, which is
23 significantly lower than standard review.

24 And I think Jake touched on the fact
25 that we considered it a pretty good quality

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. The applicant went back and did a
2 thorough review of historical RAIs from previous
3 applications and tried to address those issues up
4 front.

5 In addition, we had 260 audit questions
6 between the scoping screening methodology and the
7 GALL audits.

8 And approximately, and as discussed
9 earlier, about 95 percent consistency with the draft
10 GALL Report revision 1, which was issued in January
11 of 2005. When the final GALL was issued in
12 September 2005 we did a scrub of that to make sure
13 that everything was covered.

14 During the review we did find some minor
15 components which were brought into scope. And I'll
16 discuss those during the scoping and screening
17 section.

18 Continuing on with the overview, the
19 audits were conducted during June and July of 2005.
20 Regional inspections were conducted in January and
21 February of this year.

22 Section 2.1 covers the scoping and
23 screening methodology. During the scoping and
24 screening methodology audit the audit team reviewed
25 the current licensing basis for flood control

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measures and determined that storage steel plate and
2 floor hatches designed to be installed for flood
3 control were not included within the scope of
4 license renewal. The applicant initially did not
5 include components storage in a warehouse within the
6 scope of license renewal. After further evaluation
7 and an extended condition, the applicant brought
8 these components into the scope of license renewal.

9 In Section 2.2 the plant-level scoping,
10 the Staff determined that there were omissions of
11 systems or structures within the scope of license
12 renewal.

13 For Section 2.3, the mechanical systems,
14 the Staff reviewed 36 mechanical systems, which was
15 a 100 review.

16 During the scoping and screening review
17 the Staff was unable to determine the scoping
18 boundary for 17 areas in the boundary drawings. The
19 Staff requested that the regional inspection team
20 visually inspect these areas to ensure the scoping
21 boundaries were in accordance with 10 CFR 54.4(a).
22 The inspections resulted in a length of steam piping
23 with a steam trap in the emergency diesel generator
24 room being brought into scope. And I'll mention,
25 that one was brought into scope because basically it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was below the floor deck plating in the emergency
2 diesel generator room. And the applicant considered
3 the floor as the boundary. However, it was not a
4 robust boundary because you could see through the
5 deck plating down into the area underneath. Any
6 steam coming out of there was going to impact or
7 potentially impact the operating temperature of the
8 EDG room. So the applicant agreed to bring that
9 steam piping and steam trap within the scope of
10 license renewal.

11 In addition during another walkdown, one
12 of the floor drains in the sodium hydrochloride
13 building which penetrates the floor into the intake
14 structure was also identified as being needed to be
15 brought into scope.

16 Section 2.4 covered the containment
17 structures and supports. Staff found no omissions
18 of structures or supports within the scope of
19 license renewal during the review.

20 For Section 2.5 the review of scoping
21 for the electrical system identified a motor control
22 center which was found to be outside the scope of
23 license renewal. It supplied power to the tank
24 heater for a standby liquid control tank. Since
25 standby liquid control system mitigates an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anticipated transient without scram or ATWS event,
2 the Staff determined it should be brought into the
3 scope of license renewal in accordance with 10 CFR
4 54.4(a)(3). The applicant determined that the motor
5 control centers are active components so they were
6 screened in accordance with 10 CFR 54.12(a)(1).

7 During the regional inspection the
8 inspectors determined that 480 volt load center
9 breakers should be scoped in. The applicant
10 determined these are active components also, so they
11 were screened out in accordance with 10 CFR
12 54.21(a)(1).

13 To conclude the scoping and screening
14 summary, it was the staff's determination that the
15 applicant's scoping methodology meets the
16 requirements of 10 CFR 54.4 and the scoping and
17 screening results as amended included all systems,
18 structures and components within the scope of
19 license renewal and subject to an aging management
20 review.

21 I'd like to turn it over now to Patricia
22 Lougheed from Region II who will discuss the license
23 renewal inspections.

24 MS. LOUGHEED: Hello. I'm Patricia
25 Lougheed. I was a lead inspector for the license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 renewal inspection conducted at Monticello.

2 My slide is on page 6 -- well, the one
3 that's shown there. Basically gives you some of the
4 logistics information about our inspection.

5 One thing that I would like to note is
6 that on this inspection I did have a person, a
7 metallurgist who really looked into a lot of the
8 core internals of the BWRVIP program to make sure
9 that it was being implemented in accordance with
10 what was proposed for license renewal. And to make
11 sure because there was not an official commitment
12 right now that NRC regulates or this program. So it
13 was ensuring that it was going to be brought forward
14 into license renewal properly.

15 Going on to my next slide, Dan touched
16 briefly upon the scoping and screening area. We did
17 look at all the issues that were brought forward
18 from the audit inspection. It was interesting,
19 besides the two cases where there were items that
20 were brought into scope, there were also a number of
21 areas most particularly what the licensee called the
22 985 pump room where there were components that were
23 identified as being in scope that really did not
24 need to be in scope. And there were quite a few
25 discussions during our inspection to clarify whether

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those items really should have been an in scope or
2 not. So there were some removals of things from the
3 scope as well as some additions.

4 CHAIRMAN BONACA: For understanding
5 better the logistic. You already had in hand the
6 audit report?

7 MS. LOUGHEED: We had the audit report.

8 CHAIRMAN BONACA: So that really was a
9 big help already --

10 MS. LOUGHEED: Right.

11 CHAIRMAN BONACA: -- in determining what
12 is consistent or exceptions and enhancements.

13 MS. LOUGHEED: Right.

14 CHAIRMAN BONACA: And you could start
15 from that?

16 MS. LOUGHEED: Right. And there's
17 always what we do in the region and the inspections
18 is that we look at the boundaries. Not the things
19 that are definitely in scope, the safety systems or
20 things like that. We look at those where they have
21 nonsafety safety interfaces, where there's nonsafety
22 systems that are going to be in the vicinity of
23 safety systems. We looked at what the actual
24 barriers were to make sure that there actually was
25 separation. Because it was not very obvious on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 license renewal drawings.

2 CHAIRMAN BONACA: I had a question, and
3 that doesn't go to this application. It's more
4 general.

5 You know, when you do PRA you find that
6 you have a lot of safety related components and
7 others important as you thought they were. And you
8 also find that the few, or a minor population of
9 components which are nonsafety related are
10 critically important for certain sequences. That's
11 really coming from the insides of the PRA. But
12 there is no -- I mean, license renewal does not
13 apply to these components.

14 MS. LOUGHEED: That is true.

15 CHAIRMAN BONACA: Do you find that the
16 licensees however are aware of the importance of
17 those components and take care of them or --

18 MS. LOUGHEED: My impression, and I
19 can't say that this is necessarily that we looked at
20 it on Monticello specifically. But licensees where
21 they have components that their PRAs have shown them
22 to be risk significant, they tend to pay more
23 attention to them because of that.

24 CHAIRMAN BONACA: Yes.

25 MS. LOUGHEED: Simply a lot of times

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because it becomes a matter of economics more. You
2 keep those pieces of equipment operating well and
3 your risk, and therefore your chance of a shutdown
4 go down.

5 So even though they're not considered
6 important to safety, they are treated with more
7 significance than things that are not risk
8 significant at all.

9 CHAIRMAN BONACA: Good.

10 MS. LOUGHEED: And I'll also the little
11 caveat that I think that a lot of the reason that
12 some of the safety systems don't show up as being
13 risk significant is because of the defense-in-depth
14 concept. You know, when you putt redundancy upon
15 redundancy well from a PRA aspect --

16 CHAIRMAN BONACA: Right.

17 MS. LOUGHEED: -- that does drive down
18 the significance.

19 CHAIRMAN BONACA: Right. Yes.

20 MS. LOUGHEED: Basically our conclusion,
21 and I probably should say we did do a lot of
22 walkdowns including into some fairly high radiation
23 areas. Our metallurgist also spent a number of
24 hours reviewing videotapes of the vessel internal
25 inspections and various welding inspections, areas

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that obviously he would not have access to with the
2 plant at power. So we did look at quite a bit from a
3 physical aspect, not just relying on the paperwork
4 and things like that.

5 Overall, we found that with a few minor
6 exceptions the systems were appropriately scoped.
7 We felt that we concentrated on the ones that were
8 most suspect rather than the ones where we knew 100
9 percent was going to be thrown into scope.

10 The applicant did submit some
11 clarification because they were coming up to doing
12 their annual submittal for the license application
13 while it was under review. A lot of the things that
14 we had identified were brought forward into that and
15 were submitted in that way.

16 Going on, we also looked at aging
17 management. My slide says that we reviewed all 33
18 aging management programs, where I notice that the
19 applicant said that there were 36 programs. I'm
20 still scratching my head which three we missed. We
21 really spent a lot of time on this one partly
22 because of the team that I had and the abilities of
23 that team to go in and look at a number of systems.

24 We found that the aging management
25 programs were implemented as described. That the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enhancement and exceptions that were being proposed
2 were acceptable.

3 We did identify some minor
4 inconsistencies, and those were either captured in a
5 revision to the application or in the corrective
6 action program. However.

7 CHAIRMAN BONACA: We talked about the
8 containment liner?

9 MS. LOUGHEED: Right.

10 CHAIRMAN BONACA: What's your opinion?
11 I mean, you went there and looked at it.

12 MS. LOUGHEED: Monticello is not one of
13 the plants that I would worry in Region III about
14 containment liner problems. All right. There are a
15 couple of plants that I have concerns about their
16 containment liners, but Monticello is not one of
17 them.

18 CHAIRMAN BONACA: Okay. Thank you.

19 MS. LOUGHEED: Basically that's -- I
20 know you've read through the inspection report in
21 some detail. We didn't find anything in there
22 either scoping, screening or aging management which
23 we felt would cause any sort of a hinderance to the
24 license being renewed. Overall, we found Monticello
25 to be in very good condition.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: But I must say that
2 I'm very impressed by the inspection report and by
3 the information from the audit. And I think they're
4 quite insightful.

5 MEMBER SIEBER: I concur with Dr.
6 Bonaca's opinion. A very good report.

7 MEMBER MAYNARD: Yes, I agree. It looked
8 like you did a very thorough job.

9 I've got one question. One of the things
10 in the inspection report that came out, I don't
11 think it necessarily associated with the scoping
12 itself, but on the failure to dismiss and relief
13 request. Was that something that your inspection
14 team found or is that something that just occurred
15 while you guys were there?

16 MS. LOUGHEED: No. It was something our
17 inspection team found. I very definitely had a
18 very, very, very team. Especially in the
19 metallurgical area. And we used him to full
20 advantage reviewing a lot of areas that we would not
21 have been able to look at otherwise.

22 MEMBER MAYNARD: Good. Good.

23 MS. LOUGHEED: Going on, you want me to
24 do the current performance? Okay.

25 Monticello is one of our good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performance in Region III. They are in column 1,
2 which was licensee response problem column. We
3 don't have any crosscutting issues opened. We have
4 no major issues at Monticello at all right now. So
5 we are following the revised oversight process with
6 minimum baseline inspections. And we will continue
7 to do that.

8 You can see the screens coming up. We
9 are green in every area on performance indicators.
10 And if you move on to the inspection findings, w
11 really have a lot of areas that we're doing
12 inspections where we don't have findings, which is
13 where the grey comes in. It doesn't mean we're not
14 inspecting there, it means that we haven't found
15 anything. And the areas where we have found things,
16 they have all been green or a very low safety
17 significance.

18 CHAIRMAN BONACA: Very good. Thank you.

19 MR. MERZKE: Just for Patricia's
20 benefit, the 33 aging management programs were the
21 official aging management programs listed in the
22 application. The two timed-limited aging analysis
23 support programs were also considered to be aging
24 management program. So that was 35.

25 Number 36 was a commitment made by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applicant late to implement an E6 program for
2 electrical cable connections.

3 CHAIRMAN BONACA: I'm sorry. Which one
4 is the --

5 MR. MERZKE: It was GALL E6 program.
6 I'll address it in a little bit and we'll have a
7 little discussion, but --

8 CHAIRMAN BONACA: First of all, I want
9 to thank you for the --

10 MS. LOUGHEED: Yes. We did very close
11 to 100 percent on this one.

12 CHAIRMAN BONACA: Great.

13 MS. LOUGHEED: We found they were able
14 to support it and we were able to get it done within
15 the time constraints.

16 CHAIRMAN BONACA: Thanks again.

17 Additional questions for the inspection?
18 If not, we're going to take a break and get back
19 here at 25 after 3:00.

20 (Whereupon, at 3:07 p.m. off the record
21 until 3:30 p.m.)

22 CHAIRMAN BONACA: We are back into
23 session. And we are going to be reviewing now the
24 aging management review results.

25 MR. MERZKE: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'll move on to the discussion of the
2 Staff's review of the aging management program and
3 reviews now.

4 The Staff reviewed at the time 35 aging
5 management programs based on the application. There
6 were 36 overall. The 36 was a late commitment by the
7 applicant to implement the GALL E6 program, which
8 would be consistent with GALL. And I'll discuss
9 that a little bit more in the electrical section.

10 So overall there were 36 aging
11 management programs, 29 of which were existing
12 programs and 7 which will be new programs to be
13 implemented prior to the period of extended
14 operations.

15 Of those, 9 of them were consistent with
16 the GALL Report and 25 were consistent with the GALL
17 Report with exceptions and/or enhancements. There
18 were two plant specific aging management programs;
19 they were a bust duct inspection and system
20 condition monitoring programs.

21 I'm going to start this discussion with
22 I picked a few of the aging management programs out
23 which involves considerable amount of Staff review.
24 And I thought I'd go over the results of those.

25 The first one would be the ASME Section

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 XI In Service Inspection subsections IWB, IWC and
2 IWD program. It's an existing program which is
3 consistent with the GALL Report with exceptions.

4 The LRA stated that relief requests in
5 code cases were not considered exceptions to the
6 GALL Report. The audit team did not agree and
7 requested the applicant evaluate all code cases and
8 relief requests for aging management concerns.

9 The Staff position is that relief
10 requests are not acceptable for aging management
11 because they expire after ten years.

12 The applicant subsequently removed
13 reference requests from the application except for
14 one relief request which has been approved 21 months
15 into the period of extended operations.

16 There were three code cases associated
17 with this aging management program are identified to
18 be exceptions to the GALL Report. They're endorsed
19 by NRC in the Reg. Guide 1.147. They were N-307-2
20 which concerned ultrasonic testing for Class 1
21 bolting with center holes; N-526, which concerned
22 successive examinations when a flaw is detected,
23 and; N-613-N which concerned examine volume of weld
24 and nozzles.

25 The Staff found these acceptable because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're endorsed by the NRC in Reg. Guide 1.147.

2 The bolting integrity AMP was found to
3 be consistent with the Gall report with
4 enhancements. The program will incorporate guidance
5 from EPRI technical reports which include *Bolted*
6 *Joint Maintenance and Application Guide* and the *Good*
7 *Bolting Practices Handbook*

8 . Staff determine the guidelines
9 reflect industry practice and meet the
10 recommendations of the GALL Report.

11 The buried piping and tanks inspection,
12 an aging management program which is consistent with
13 the GALL Report with enhancements. These
14 enhancements are all detailed in the commitment
15 section of the SER.

16 The applicant has committed to perform
17 inspections every ten years. They will credit
18 inspections of opportunity when excavating.

19 The applicant also committed to
20 performing an internal inspection of the diesel fuel
21 oil storage tank every ten years in addition to the
22 external inspection.

23 Other enhancements include a review of
24 operating experience to determine the susceptible
25 locations and to perform further evaluation on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extended condition if pipe wall thickness shows a
2 susceptibility to corrosion.

3 CHAIRMAN BONACA: So let me understand
4 now for buried pipes they're going to do a
5 inspections, but if they do not have any inspection
6 in ten years, they'll do one?

7 MR. MERZKE: That is correct.

8 CHAIRMAN BONACA: Okay.

9 MR. MERZKE: Yes, sir.

10 CHAIRMAN BONACA: And that's consistent
11 with GALL, yes.

12 MR. MERZKE: Ultrasonic testing and
13 visual inspections completed in 1999 and 2003 showed
14 no degradation or aging effects.

15 BWR vessels internals program. It's
16 consistent with the GALL Report with exception and
17 enhancement. The exception was that the applicant
18 used the updated water chemistry guidelines of
19 BWRVIP-130, as the GALL recommended BWRVIP-29. The
20 Staff found this acceptable as it's an updated
21 version of the same guidelines, and that was issued
22 in 2004.

23 Enhancement to this program is to use
24 the BWRVIP guidelines for inspection, evaluation and
25 repair to the maximum extent possible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The applicant made a number of
2 commitments based on questions from the audit and
3 inspection teams. They include additional top guide
4 inspections beyond those required by BWRVIP-26 and
5 steam dryer per BWRVIP-139.

6 Regional inspectors identified a couple
7 of issues which resulted in commitments to inspect
8 in core monitoring dry tubes per General Electric
9 Service Information Letter 409 and spray core piping
10 welds in accordance with BWRVIP-18.

11 In addition, core plate hold down bolts
12 will be inspected in accordance with BWRVIP-25 which
13 requires either UT or enhanced visual inspection or
14 another inspection technique which would be reviewed
15 and approved by the NRC.

16 In lieu of inspections, the applicant
17 has committed to installing wedges to replace
18 lateral load resistance prior to the period of
19 extended operations if they're unable to complete
20 those inspections.

21 CHAIRMAN BONACA: For core spray piping
22 welds, if I remember, the issue was that they did
23 not identify the flow through the welds, through the
24 cracks that you may have.

25 MR. MERZKE: The issue was that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were not doing the inspection on the welds because
2 the welds were -- they have mechanical clamps
3 surrounding them which replace the structural
4 integrity of the welds. The inspection team looked
5 at it a different way. If the crack developed in the
6 weld, it would be a diversion path for core spray.
7 And in case of an accident, that core spray would be
8 diverted outside the shroud and unavailable and it
9 might impact P-clad temperature. So the applicant
10 decided that it would be prudent to bring those --
11 inspect in accordance with BWRVIP-18.

12 CHAIRMAN BONACA: Good.

13 MR. MERZKE: The flow accelerated
14 corrosion program. This is an existing program
15 which is consistent with the GALL Report. The
16 application originally stated that the trigger point
17 for conducting an engineering evaluation for
18 nonsafety related piping would be 60 percent nominal
19 wall thickness. Staff could find no technical basis
20 for this number, so the applicant committed to using
21 87.5 percent nominal wall thickness as a trigger
22 point for all piping susceptible to flow accelerated
23 corrosion. The applicant uses 87.5 percent nominal
24 wall thickness as a trigger point for evaluation for
25 safety related piping also.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 For inaccessible medium voltage cables
2 not subject to 10 CFR 50.49 environmental
3 qualification requirements. This is a new program
4 which will be consistent with GALL and implemented
5 prior to the period of extended operation.

6 The application originally indicated
7 that medium voltage cables that are not subject to
8 prolonged exposure to significant moisture due to
9 inspecting for water collection and cable manholes
10 and conduits do not require testing. The Staff
11 position was that testing should be in addition to
12 inspection for water collection. The applicant
13 committed to conduct the testing as well as to
14 inspect initially at least once every two years, and
15 that two years comes from their operating
16 experience.

17 CHAIRMAN BONACA: Now from reading the
18 application most of these cables are just simply
19 buried in the ground. I mean, so --

20 MR. MERZKE: they do have some conduit,
21 too, sir.

22 CHAIRMAN BONACA: Some of them?

23 MR. MERZKE: Yes.

24 CHAIRMAN BONACA: A few. So, I mean,
25 the first portion of this program only addresses

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those few. So there's nothing you can do about
2 that?

3 MR. MERZKE: Well, the applicant has not
4 detected any water in any manholes during the
5 inspection process. So they've not detected any
6 moisture.

7 This program is supposed to be
8 consistent with the GALL Report which will cover all
9 medium --

10 CHAIRMAN BONACA: Oh, I agree with that.

11 MR. MERZKE: Okay. Reflecting on the
12 fact, and I was wondering because tomorrow we're
13 going to have presentation on this issue for current
14 licensing value. And after feeling comfortable with
15 the fact that this program is going to inspect for
16 water in manholes I was startled by the reality that
17 most of these cables are really in the ground,
18 they're not in conduits. And so that portion of the
19 program doesn't do much for us.

20 MR. MERZKE: Right. I guess that's where
21 the testing comes in.

22 CHAIRMAN BONACA: Yes.

23 MR. MERZKE: The reactor head closure
24 studs programs. It's an existing program which is
25 consistent with the GALL Report. The application

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 did not identify any exceptions to GALL here. The
2 audit team review determined that the use of code
3 case N-307-2 was an exception to GALL. This code
4 case alters the portion of the stub which examined.

5 The Staff found the exception acceptable
6 because the examination will identify the relevant
7 aging effects cracking and corrosion as the high
8 stressed portion of the stud continues to be
9 examined.

10 Inspectors also identified installed
11 studs which exceeds 175 kilo pounds per square inch
12 tinsel strength, which is what's recommend in Reg.
13 Guide 1.65 to minimize the likelihood of stress
14 corrosion cracking.

15 The applicant considers all these
16 students susceptible to cracking and is implementing
17 the preventive measures of Reg. Guide 1.65. The
18 applicant continues to conduct ultrasonic testing
19 and surface examinations on a ten year interval. And
20 to date, no parent degradation has been identified.

21 For the aging management review results
22 there's 100 percent review done; 36 plant systems,
23 18 structure in four commodity groups. I just
24 highlighted a few areas here.

25 Section 3.3 in the auxiliary systems

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there was a significant discussion on elastomers.
2 The application originally identified AMRs for
3 elastomers subject to elevated temperatures,
4 ultraviolet or ionizing radiation. The applicant
5 claimed no aging effect for elastomers in a plant
6 indoor air environment. It was the Staff's position
7 that elastomers subject to an ozone environment
8 experienced degradation that needs to be managed.
9 The applicant amended their application to manage
10 aging of elastomers in an air environment using the
11 system condition monitoring program and the one time
12 inspection programs.

13 The cable spreading room Halon system
14 will be inspected and tested every 18 months. Life
15 to six months is recommended by the GALL Report.
16 The GALL is based on the NFPA recommendations, which
17 takes into consideration system failures across all
18 industry, not just do to aging effects. Plant
19 specific operating experience has demonstrated that
20 an 18 month inspection interval will detect aging
21 effects prior to loss of intended function. Staff
22 accepted this exception because the 18 month
23 surveillance interval is part of the NRC approved
24 fire protection program and thus forms of an element
25 of the plant's current licensing basis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Section 3.5 aging management for the
2 drywell shell, the Staff found the applicant's
3 program for managing aging effects to the drywell
4 shell acceptable and consistent with the proposed
5 staff license renewal ISG which was issued for
6 comment earlier this month.

7 The applicant follows the code
8 requirements specified by ASME Section XI,
9 subsection IWE. UT performed in the sand pocket
10 region in 1986 and 1987 detected no degradation.
11 The applicant instituted a leakage monitoring
12 program which detects for water leakage past the
13 refueling seal bellows which is in the scope of
14 license renewal. It also detects leakage in the
15 drywell air gap drains and the sand pocket drains.
16 Drains are verified open and no leakage detected
17 every refueling outage. In addition, there's an 19
18 gauge galvanized sheet metal cover sealed to the
19 vessel and surrounding concrete which covers the
20 sand pocket region. Drywell air gap drains drain
21 any water on top of the cover, as you saw in the
22 applicant's diagram.

23 MEMBER MAYNARD: When did this
24 monitoring program start?

25 MR. MERZKE: I believe it was a result

1 of the response to Generic Letter 87-05.

2 MEMBER MAYNARD: So it's been in place
3 since 1987? Is that correct?

4 MR. MERZKE: That's correct.

5 The Staff found this program acceptable
6 to managing aging of the drywell.

7 CHAIRMAN BONACA: You had a comment,
8 Sam, it was important all the --

9 MEMBER ARMIJO: Yes. I had a question
10 when the UT examine was done in 1987 there's four
11 drain lines, sand drain lines. And was a UT done in
12 between those where there might be a low point there
13 that wasn't drained in the sand pocket region or was
14 it done at the location where the drain lines are?

15 MR. MERZKE: I don't have an answer to
16 that. I think the applicant may.

17 MEMBER ARMIJO: Do you have an idea?
18 Could we find out sometime, on call or something?

19 MR. MERZKE: Okay. Any other questions?

20 CHAIRMAN BONACA: You have those
21 requests regarding the configuration of the drain
22 pipe and the fact that --

23 MR. MERZKE: Well, look, I start --

24 CHAIRMAN BONACA: -- the design to
25 accumulate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: Yes. The stand pipe
2 design, it's kind of strange to me why it even
3 exists. Why isn't it just cut off and if there's
4 anything in there, it drains out onto the floor.
5 You know, it's not the scope of the ACRS to do a
6 design, but it seems strange to me that that stand
7 pipe is an asset. I think it's necessary. I don't
8 know why you guys --

9 MR. MERZKE: You'll have to talk about
10 it.

11 MEMBER ARMIJO: You must like it for
12 some reason or somebody likes it.

13 MR. PAIRITZ: This is Joe Pairitz the
14 Project Manager for Monticello.

15 The stand pipe, I believe, was
16 originally designed that way because the drain is
17 full of sand and part of the stand pipe is full of
18 sand. I think it was meant to keep the sand from
19 migrating out and going all over the floor. You'd
20 constantly be sweeping up sand.

21 So I looked at it and said they must
22 have done that to keep the sand in, but that's my
23 personal opinion.

24 MEMBER ARMIJO: Thank you.

25 I don't think it would pore out. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think it'd just jam up in there. As long as the
2 water gets out.

3 MR. MERZKE: All right. Continue on for
4 aging management of in scope inaccessible concrete,
5 the applicant stated and the Staff verified that the
6 below grade environment is not aggressive. Periodic
7 testing of the ground water will be performed as
8 part of the structure's monitoring program.

9 Section 3.6 covered electrical and I&C
10 components. There were four commodity groups
11 reviewed; electrical penetrations, fuse holders,
12 nine EQ cables and connections and off-site power
13 and station blackout recovery paths.

14 The Staff noted that industry operating
15 experience shows loosening of metallic parts of the
16 cable connections. Requested that the applicant
17 demonstrate how this effect will be managed. In
18 response, the applicant committed to implement a new
19 aging management program consistent with the GALL
20 AMP E6 electrical cable connections not subject to
21 10 CFR 50.49 EQ requirements prior to entering the
22 period of extended operations.

23 This application was originally reviewed
24 under the original GALL, GALL Rev. 0. The E6
25 program was not part of that GALL. The applicant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has committed to basically implementing one of the
2 programs implemented in the latest GALL revision.

3 I'd like to move on and discuss the
4 timed-limited again analyses. The first table here
5 summarizes the upper shelf energy for the limiting
6 belt line components. The acceptance criteria for
7 upper shelf energy is greater than 50 foot pounds.
8 The applicant has demonstrated and the Staff has
9 verified that the upper shelf energy for the
10 limiting belt line components at Monticello will
11 exceed 50 foot pounds at the end of the period of
12 extended operations.

13 The next table summarizes the mean nil
14 ductility reference temperature for the limiting
15 circumferential and axial welds. The values for
16 both are calculated to be within acceptable limits
17 through the period of extended operation pursuant to
18 10 CFR 54.21(a)(1)(ii).

19 CHAIRMAN BONACA: A question I have,
20 okay, this is more learning on my part, but I found
21 for this plant a lot of equivalent margin analysis
22 and, you know, which we haven't seen often before.
23 Maybe it is because of BWR versus PWR, but typically
24 we have a screening process by which you say you
25 meet the screening criteria and you don't have to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any further analysis.

2 MR. ELLIOTT: Right.

3 CHAIRMAN BONACA: And here I saw a lot
4 of equivalent margin analysis. If it's a separate
5 issue, you might want to address both. In page 422
6 of the application when it speaks of reactor
7 pressure vessels circumferential weld properties and
8 then it presents a conditional failure probability
9 at 64 EFPY of 1.78 as an acceptance criteria. And I
10 haven't seen that.

11 MR. ELLIOTT: I can't hear you. But let
12 me just summarize.

13 We went through the licensee what they
14 had to do for the upper shelf energy. And it turns
15 out they have four plates in the -- I think it's
16 four plates in the belt line. And one of the plates
17 is in their surveillance program, so they actually
18 have Charpy data for that plate.

19 CHAIRMAN BONACA: Okay.

20 MR. ELLIOTT: The problem is the other
21 three plates they don't have enough Charpy data to
22 know what the upper shelf energy is. And this is
23 not something that's specific to them. There's a
24 lot of GE plants that have the same problem.

25 When these plants were originally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensed there was no requirement to do upper shelf
2 energy testing. You just had to test in the
3 transition region and you had to have a lower enough
4 transition temperature so that you had adequate
5 toughness. So they didn't do the testing on the
6 upper shelf energy. And this is typical of a lot of
7 GE plants.

8 So what GE did was they have a topical
9 report on this issue in which they say that if you
10 don't have specific values of upper shelf energy,
11 they have developed a methodology, equivalent margin
12 analysis methodology that if you have a certain
13 amount of irradiation embrittlement, you're with
14 their bounds of their analysis. So that's what they
15 were first attempting to do; to show that for these
16 plates they were within the bounds of GE and generic
17 analysis.

18 CHAIRMAN BONACA: Yes. Okay. So that's
19 likely that for GE plants we're going to see more of
20 this?

21 MR. ELLIOTT: Yes. For GE plants this
22 is very typical.

23 CHAIRMAN BONACA: But it is not really a
24 marginality of this vessel. It's more like it's
25 typical of the approach we're going to see for GE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plants, for boilers?

2 MR. ELLIOTT: Right.

3 CHAIRMAN BONACA: Well the other issue
4 is that cable on page 422 where they're speaking of,
5 sort of the, configuration of weld -- essentially
6 the calculation reference, NRC calculation where a
7 condition of failure probability as 64 EFPY is used
8 as a criteria.

9 MR. ELLIOTT: Yes.

10 CHAIRMAN BONACA: And that's 1.78 and
11 ten to the minus five. And I really surprised by
12 seeing this kind of criteria used.

13 MR. ELLIOTT: Are we talking about the
14 circumferential welds?

15 MR. MERZKE: Yes. It's the BWRVIP-05.

16 MR. ELLIOTT: Okay. We reviewed the
17 circumferential welds under the BWRVIP-05 program.

18 CHAIRMAN BONACA: Okay.

19 MR. ELLIOTT: And the purpose of that
20 review at the time was to eliminate the inspection
21 of the circumferential welds. And GE put out their
22 report, and we reviewed it. And we did our own
23 analyses to convince ourselves that what they were
24 saying was true. So we put out in our safety
25 evaluation of that topical report our own analyses.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes.

2 MR. ELLIOTT: And we took their
3 fluences.

4 CHAIRMAN BONACA: Yes.A

5 MR. ELLIOTT: And we extended it,
6 originals were 40 years. And we extended it to 64
7 effective full power years just to show how it would
8 impact the analyses. And we determined that even at
9 65 effective full power years they would still be
10 the criteria that we had established to eliminate
11 the inspection of the circumferential welds.

12 CHAIRMAN BONACA: That's the inspection
13 effect. Okay. Yes, that was on page 422 of the
14 application. Bill, you were looking at it.

15 All right. That was to eliminate the
16 inspection. Okay. All right. I think that you've
17 gotten what I needed.

18 MEMBER SHACK: I mean, they eliminate
19 the inspection mostly because they can't do it?

20 MR. ELLIOTT: No, no. They can't do a
21 100 percent.

22 MEMBER SHACK: They can't do a 100
23 percent, yes.

24 MR. ELLIOTT: But the reason we have
25 eliminated it isn't because of that. We find that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the axial welds are much more susceptible. If
2 something was going to happen, they're under a much
3 higher stress than the circumferential welds. And
4 so that the axial welds would be a precursor to what
5 would happen for the circumferential welds. So as
6 long as we inspect the axial welds, we're
7 comfortable that you don't need to inspect the
8 circumferential welds.

9 CHAIRMAN BONACA: Okay. Thank you.

10 MR. MERZKE: On to Section 4.3 the
11 application covering metal fatigue. The applicant
12 satisfactorily demonstrated that the cumulative
13 usage factor, CUF, for all components subject to
14 fatigue will not exceed 1.0 through the period of
15 extended operations. Components evaluated are
16 monitored by the applicant's fatigue monitoring
17 program, which the staff found acceptable.

18 Section 4.4 covers irradiation-assisted
19 stress corrosion cracking or IASCC. Components made
20 from austenitic stainless steel exposed to a neutron
21 fluence in excess of 5 times 10 to the 20th neutron
22 per centimeter squared considered it susceptible to
23 IASCC. These components include the top guide,
24 shroud and in core instrumentation, dry tubes and
25 guide tubes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 IASCC is managed by Monticello by the
2 ASME Section 11 ISI sub sections IWB, IWC and IWD
3 program, vessel internals implant chemistry
4 programs.

5 In 1999 the applicant implemented the
6 hydrogen water chemistry program to reduce the
7 oxygenated environment also reducing the
8 susceptibility to IASCC.

9 In addition to the examinations required
10 by the ISI program, the applicant committed to
11 conduct additional top guide inspections of the high
12 fluence locations using the enhanced visual
13 inspection technique.

14 Section 4.7 covers the environmental
15 qualification of electrical equipment. The Staff
16 reviewed the applicant's TLAA on environmental
17 qualification program and concluded that the
18 evaluation was acceptable in accordance with 10 CFR
19 54.21(c)(0)(ii).

20 Section 4.8 covered the stress
21 relaxation of rim hold-down bolts. The applicant
22 provided an analysis on the stress relaxation of the
23 core plate hold-down bolts, which the Staff
24 reviewed. The Staff found the initial evaluation
25 unacceptable because it relied on friction, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was not included in the generic analysis accepted in
2 BWRVIP-25. The Staff requested the applicant
3 provide an analysis which did not include friction.
4 Subsequent analysis was provided by General
5 Electric. It was comparative analysis between the
6 BWRVIP-25 loads and the Monticello specific loads.
7 The analysis determined that the bolt stresses at
8 Monticello were either bounded by the BWRVIP-25
9 analysis or within ASME allowables. The Staff found
10 the analysis acceptable pursuant to 10 CFR
11 54.21(C)(1)(ii).

12 To summarize the TLAAs, pursuant to 10
13 CFR 54.3 the Staff found the TLAA list adequate and
14 pursuant to 10 CFR 54.21(c)(1) the Staff found that
15 the analyses provided would be the remain valid for
16 the period of extended operations. They were
17 projected to the end of the period of extended
18 operations or that the effects of aging will be
19 adequately managed for the period of extended
20 operations.

21 And pursuant to 10 CFR 54.21(c)(2) there
22 are no plant specific exceptions.

23 In conclusion, the Staff has concluded
24 that there is reasonable assurance that the
25 activities authorized by the renewed license will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 continue to be conducted in accordance with the
2 current licensing basis. And that any changes made
3 to the MNGP current licensing basis in order to
4 comply with 10 CFR 54.29(e) or (a) are in accord
5 with the Act and the Commission's regulations.

6 Does anybody have any further questions?

7 CHAIRMAN BONACA: Any questions? No
8 questions. We thank you for that presentation. It
9 was very informative.

10 At this stage what I would like to do is
11 to, first of all, ask the audience if you have any
12 questions for the presenters. There are none.

13 What I would like to do is to go around
14 the table and get insights on two things. One, do
15 we need to have a interim letter. And a second
16 question that I have is views regarding the
17 application and the safety evaluation reports by
18 individual members. You know, what are the most
19 notable issues. I believe I'm scheduled for a brief
20 update to the full Committee tomorrow or the day
21 after. So I would like to know from you what input
22 I should provide.

23 So again, two questions: (1) Should we
24 have an interim letter, and; (2) what feedback
25 should we give to the full Committee on this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application. And also some views that you may have
2 on the application and the safety evaluation report.

3 So I'll start with you, Jack?

4 MEMBER SIEBER: Okay. The answer to
5 your first question is I don't see a need for an
6 interim letter.

7 My view of the application and the SER
8 and the audit and inspection report is that all
9 three documents were generally well done and
10 complete. I think the application was
11 comprehensive, even though the Staff did determine
12 in the area of scoping there were a few minor
13 corrections that needed to be made.

14 I think particularly impressive was the
15 inspection and audit report headed up by Region III.
16 Again, they have done an excellent job and it
17 results in including the licensee's effort to review
18 RAIs sent to other LER license renewal candidates.
19 Their requests for additional information and
20 include the answers in their application; I think
21 that saves a lot of effort for both the licensee and
22 the Staff. And I commend the licensee for doing
23 that.

24 And the result was an unusually low
25 number of RAIs. And I think the process more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 efficient. I think it reduces burden on all parties
2 involved. And I think shows the maturing of the
3 license renewal process.

4 The inspection and audit report, again,
5 was very thorough and well written. And basically
6 left no stone unturned. It was very clear to me what
7 steps the inspectors took to make their
8 determinations.

9 And so I think overall I would say that
10 it was a job well done.

11 In addition to looking at the
12 application, the inspection and audit report and the
13 SER, I also looked at other inspection reports
14 related to that plant on the NRC's website along
15 with their reactor oversight process, performance
16 indicators. And I was familiar years ago with the
17 performance of both of those northern states power
18 plants, Monticello and Perry Island. And it appears
19 based on what I could read and what I reviewed, that
20 they continue to perform well, and to me that's an
21 important factor.

22 So overall I was generally impressed
23 with the quality of both the licensee and the
24 Staff's reports. And I think the job was well done.

25 CHAIRMAN BONACA: Good. Thank you, Jack.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Appreciate it.

2 Bill?

3 MEMBER SHACK: I don't see any need for
4 an interim letter.

5 I'm still curious about this factor of
6 14 in the fluence. I mean, that just strikes me as
7 an extraordinary change in value that I can't
8 conceive of. And if somebody could email an
9 explanation of where it comes from --

10 MR. ZIMMERMAN: We'll do that. We'll get
11 that to you.

12 CHAIRMAN BONACA: Okay. Sam?

13 MEMBER ARMIJO: Yes. I don't want to
14 comment on the need for an interim letter. I don't
15 know enough about the process yet to talk about
16 that.

17 I think I agree with Jack's assessment
18 overall. I think a very nice job done by the Staff
19 and by the applicant.

20 I still have a nagging concern about the
21 drywell in that I'm not sure that the UT inspection
22 that was done was done in the worst location or the
23 most severe location. So I'd appreciate if either
24 the Staff or Niagara-Mohawk could tell where these
25 inspections were done before we put that issue to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bed. If it was done in the worst case location, I
2 think they've got plenty of margin in this plant.
3 BWR 3s have always been our really nice little
4 plants, low powered power density plants. And I
5 think the plant's been very well maintained. And I
6 think the plan to keep it that way is good.

7 So other than the issue n the --

8 CHAIRMAN BONACA: Well, let me just
9 point out that the issue on the interim letter. If
10 this was, for example, to be a significant issue for
11 which we have expectations, that would be a
12 motivation for writing an interim letter.

13 MEMBER ARMIJO: That's what I wanted to
14 ask. You know, maybe we just don't have the
15 information. But if it turned out, for example I
16 just have this concern that there could be a low
17 point where water's accumulated and stayed there for
18 a long time, and that wasn't the location where the
19 UT exam was done, it was done somewhere else. So
20 that's really my remaining concern.

21 MR. ZIMMERMAN: We'll look into that,
22 and we'll get that back to you through Tany. And
23 we'll talk to the licensee about that.

24 CHAIRMAN BONACA: Otto?

25 MEMBER MAYNARD: And you said Niagara-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mohawk, I don't think Niagara-Mohawk is going to get
2 you anywhere on --

3 MEMBER ARMIJO: Oh, no, no. Monticello.
4 I'm sorry. I said Niagara-Mohawk, I'm sorry. It's
5 still a BWR, I think.

6 MEMBER MAYNARD: Yes.

7 I see no need for an interim letter. I
8 agree with the previous comments on the overall
9 quality, scope and depth of the reports.
10 Especially complimentary of the inspection report
11 there.

12 And I believe that other Sam's specific
13 question on the location of these inspections, I
14 think that most of the issues that we may have
15 lingering a little bit on the shell is really more
16 of a generic question and issue that we need to come
17 to grips with than it is a Monticello specific as to
18 exactly what's required. It appears to me as though
19 they're doing exactly what the interim staff
20 guidance is requiring and have done that. So I think
21 it's more of a generic than a plant specific force.

22 CHAIRMAN BONACA: Okay. Thank you.

23 Yes, I share some of the views of the
24 rest of the Committee.

25 First of all, I was impressed by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 clarity of the application, and most of all the
2 inspection reports. I mean they were quite informed,
3 they provided a lot of information.

4 Regarding the liner, containment liner,
5 you know the presentation from the inspector leader
6 here gave some confidence. Because, I mean, they
7 probed the issue, they went back and looked at it.

8 I still believe, however, that it is
9 somewhat concern to me and I tend to agree with you,
10 Otto, that it is a generic issue right now. You
11 know we don't have a very clear basis for saying
12 Browns Ferry should inspect and Monticello should
13 not or doesn't need to. I mean I don't understand
14 yet what makes the big distinction there, okay. And
15 I think we have to clarify this issue.

16 In addition to that, I'm kind of
17 concerned about license renewal and all this
18 inaccessible components. I mean, the issue is not
19 only the liner. The issue is the cables we are going
20 to discuss tomorrow on this Generic Letter. The
21 issue is piping, which is buried under. And you
22 know these components are not going to operate
23 forever. You're going to have some incidents of
24 degradation tied to aging and I'm not sure that the
25 programs we have in place are going to address the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues in a complete fashion.

2 I know going back to the containment
3 liner, I mean I am puzzled by the guidance that we
4 have licensees by which we impose a requirement for
5 an inspection on one and we do not on some other. It
6 is all left to the judgment of the reviewer. I
7 think it's an important issue that we have to look
8 at.

9 If that was my plant and I have been 19
10 years without looking at it, I would commit to do an
11 inspection. Now does it meet however the
12 requirement of the rule? It sounds like it does.
13 So, you know, my sense is is maybe we don't interim
14 letter. The only purpose of an interim letter would
15 be for us to say to recommend that they have an
16 inspection done. And, you know, my sense is that
17 let's leave it as a generic issue.

18 And I think it will be interesting to
19 gain an understanding of this issue as we go forward
20 so that we have a better understanding of when we're
21 going to ask for an inspection and when we're not.

22 MR. ZIMMERMAN: In fact, tomorrow at
23 3:15 we're scheduled to come over here and brief you
24 on the ISG, so that will prompt further dialogue on
25 the issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Yes. Okay. Good.
2 And that brings it to the table anyway.

3 So outside of these comments, I mean I
4 think that again it sounds like this is a good
5 plant, has a good operating history. It seems to be
6 ready for moving on to --

7 MEMBER SHACK: Well, I'm impressed when
8 they found a number of SAMAs that would improve
9 their safety, they went out and implemented them.

10 CHAIRMAN BONACA: Yes.

11 My concluding statement, I agree with
12 the other comments of the members. Very low number
13 of RAIs, by the way. It is a real improvement in
14 the process. And I think we're getting to a maturity
15 of the license renewal process.

16 Okay. So you've got our comments.
17 We're not going to have an interim letter, at least
18 we're not going to recommend one to the full
19 Committee.

20 And I'm going to turn around and see if
21 there are any further questions or comments
22 regarding these applications from the public. If
23 are no further comments, this meeting is adjourned.

24 (Whereupon, at 4:10 p.m. the meeting was
25 adjourned.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

