

Official Transcript of Proceedings  
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards  
Plant Operations & Fire Protection  
Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, October 31, 2006

Work Order No.: NRC-1295

Pages 1-126

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

PLANT OPERATIONS AND FIRE PROTECTION SUBCOMMITTEE

MEETING

+ + + + +

TUESDAY,

OCTOBER 31, 2006

+ + + + +

The meeting was convened in Room T-2B3 of Two White Flint North, 11545 Rockville Pike, Rockville, Maryland, at 1:30 p.m., Dr. John Sieber, Chairman, presiding.

MEMBERS PRESENT:

- JOHN D. SIEBER                      Chairman
- GRAHAM B. WALLIS                  Vice Chairman
- OTTO L. MAYNARD                   Member
- THOMAS S. KRESS                   Member
- WILLIAM J. SHACK                   Member
- SAM ARMIJO                          Member
- SANJOY BANERJEE                   ACRS Member

ACRS STAFF PRESENT:

- ERIC THORNSBURY                   Designated Federal Officer

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

NRR STAFF PRESENT:

BOB RADLINSKI

CORNELIUS HOLDEN

SUNIL WEERAKKODY

PHIL QUALLS

DAN FRUMKIN

JOHN RIDGELY

NEI REPRESENTATIVE PRESENT:

JIM RILEY

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A-G-E-N-D-A

**Call to Order/Introductory Remarks . . . . . 4**

**Overview of Draft Regulatory Guide . . . . . 7**

Cornelius Holden

Sunil Weerakkody

Bob Radlinski

Phil Qualls

Dan Frumkin

**Committee Discussion . . . . . 104**

P-R-O-C-E-E-D-I-N-G-S

2:00 p.m.

CHAIRMAN SIEBER: The meeting will now come to order.

This is a meeting of the Plant Operations and Fire Protection Subcommittee. I'm John D. Sieber, Chairman of the Plant Operations and Fire Protection Subcommittee.

ACRS members in attendance are: Otto Maynard, Bill Shack, Tom Kress, and myself. And Graham Wallis is also here.

The purpose of this meeting is to discuss draft regulatory Guide DG-1170 Fire Protection for Nuclear Power Plants. We will hear presentations from representatives of the Office of Nuclear Reactor Regulation.

The Subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberation by the full Committee.

The rules for participation in today's meeting were announced as part of the notice of this meeting previously published the *Federal Register*.

We have receive no written comments or requests for time to make oral statements from members

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of the public regarding today's meeting.

2 A transcript of the meeting is being kept  
3 and will be made available as stated in the *Federal*  
4 *Register* notice. Therefore, we request that  
5 participants in this meeting use the microphones  
6 located throughout the meeting room when addressing  
7 the Subcommittee. Participants should first identify  
8 themselves and speak with sufficient clarity and  
9 volume so that they may be readily heard.

10 Now, we do have a member of the public on  
11 the telephone? Okay. Why don't you ask them if they  
12 can hear us to make sure the circuit is good.

13 PARTICIPANT: Can you hear us on the  
14 telephone?

15 PARTICIPANT: Yes, I can.

16 PARTICIPANT Okay. Thank you.

17 CHAIRMAN SIEBER: Okay. What I'd like to  
18 do is this regulatory guide we all got at least a CD  
19 version of it. It's 134 pages in length. And it  
20 makes very pleasant reading, if you're into that kind  
21 of thing. And it's sort of interesting to note that  
22 it contains basically a historical account of the  
23 evolution of fire protection from the earliest days of  
24 light water reactors until today. And in this version  
25 of the regulatory guide it looks forward to the new

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reactors.

2 The stage of approval that this document  
3 is in right now is that it is ready to go out for  
4 public comments. Is that not correct? And after the  
5 public comment period to the extent that there are  
6 comments, they will be resolved by the staff. We will  
7 then have an opportunity to review it again before it  
8 can be issued as final.

9 This guide is complex in that it has 174  
10 references to other documents. Seventy-two of those  
11 references are to codes and standards which are either  
12 referenced or endorsed herein. Eleven of them are  
13 right out of 10 CFR. And it includes two appendices,  
14 Appendix R and references an Appendix A. Eleven  
15 regulatory guides in addition to this one, 14 new  
16 regs, 4 branch technical positions, 5 SECY papers, 15  
17 Generic Letters, 22 information notices, 4 regulatory  
18 issue summaries, 8 memoranda of one sort or another  
19 and 8 miscellaneous documents including bulletins,  
20 inspection manual chapters and so forth.

21 So there is a lot of background. And  
22 while I did not look up each and every one of the 174  
23 references, I'm familiar with a lot. I did look up  
24 quite a few of them to make sure that the guide that  
25 they are proposing to issue for comments is consistent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with the references that they cite. And I have found  
2 that that in fact the case.

3 There are 134 pages in this guide, typed  
4 pages. And that's in the strikeout markup copy of  
5 that. Four of the pages, the equivalent of four pages  
6 of text have been deleted. That's about 3 percent of  
7 the document. Twenty pages of the text were added,  
8 and that's about 13 percent. And if I take the net of  
9 that, that's about 16 pages of new text. And there's  
10 basically just a couple of new subjects. One of those  
11 is the reference to new reactors and the second one is  
12 the use of risk information, which is Appendix B of  
13 this guide. It's the very last page.

14 When I was doing my review I went through  
15 and identified a number of issues that I think needs  
16 some discussion during this meeting. I provided a list  
17 of those issues to the Staff and asked them to work  
18 them into their presentation. And rather than me read  
19 you my list, I'm sure that you'll have questions of  
20 your own as we go through. And the Staff has promised  
21 one way or another to address my questions.

22 What I would like to do now is move  
23 forward and introduce Cornelius Holden, who is in the  
24 third day of his new position with the NRC.

25 MR. HOLDEN: Actually it's a day and a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 half.

2 CHAIRMAN SIEBER: Day and a half. I  
3 always double it, and that gives me insurance that  
4 you've met at least the minimum standard.

5 MR. HOLDEN: Thank you.

6 CHAIRMAN SIEBER: And, obviously from the  
7 Staff we have familiar friends who are associated with  
8 fire protection that we see on a regular basis. And  
9 therefore, I welcome all of you. And Corny, if you'd  
10 like to introduce your folks for me, please.

11 MR. HOLDEN: Thank you. I think that the  
12 ACRS would be better served by hearing from the Staff  
13 than from myself. So Sunil is here. He's the branch  
14 chief associated with fire protection, along with his  
15 staff. So I'll just turn it over to Sunil.

16 MR. WEERAKKODY: Yes. My name is Sunil  
17 Weerakkody. I'm the branch chief fire protection  
18 division of risk assessment, NRR.

19 To the match 1709 reg. guide we have a 28  
20 page presentation for you for this afternoon. Bob  
21 Radlinski sitting there with me over the last several  
22 months did nothing but, you know, update the reg.  
23 guide and the standard review plan new fire protection  
24 by compiling all the relevant information.

25 With that, I'm simply going to turn it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 over to Bob because he's going to walk you through,  
2 you know, how we updated the reg. guide and what the  
3 important points are.

4 MR. RADLINSKI: Okay. As we've discussed,  
5 the objective of the presentation this morning or this  
6 afternoon is to describe the changes that have been  
7 made to the Reg. Guide 1.189. We're also including a  
8 discussion or presentation on the changes to the SRP  
9 section, 9.5.1 for fire protection.

10 You may notice that the title of the reg.  
11 guide has changed. We've dropped the word "operating"  
12 because now it applies to new reactors.

13 And as Sunil mentioned to me earlier,  
14 another objective of the presentation is to get the  
15 Subcommittee acceptance for issuing the reg. guide,  
16 anyway at least, for public comment.

17 Okay. As the Chairman mentioned, he  
18 provided us with a list of topics that he wanted us to  
19 address today. This outline represents that initial  
20 list that he sent us.

21 The first item is to talk about the  
22 applicability of the various documents related to fire  
23 protection, Appendix R, the Standard Review Plan and  
24 the branch technical positions.

25 The second bullet is to provide a brief

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 history of fire protection regulations, if that's  
2 possible. The term "brief" and "history" of fire  
3 protection don't really go together very well, but  
4 I'll do my best on that.

5 And then the main objective is to describe  
6 the significant changes that have been made to the  
7 reg. guide. And then, again, the significant changes  
8 that are being made to the SRP Section 9.5.1. I'll  
9 also talk about whether or not there are any backfit  
10 implications and what our basis is for that. I'll  
11 also talk about why we don't need to do a backfit  
12 analysis or go through CRGR review. I'll talk about  
13 the guidance that we've added for the use of risk-  
14 informed methods for non-805 plants. And I'll talk  
15 about what our compliance expectations are for  
16 licensees for the new guidance.

17 And finally talk about the impact on  
18 inspections of the new guidance and the updates.

19 I'll also mention that for the second list  
20 of objectives that you sent us, I do have a set of  
21 slides for those. So it's not 28 slides, it's 42  
22 slides. We'll get to those, time permitting, I guess.

23 CHAIRMAN SIEBER: Okay.

24 MR. RADLINSKI: Okay. Getting into the  
25 details. Appendix R, as I'm sure most of you know,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are a set of fire protection regulatory requirements  
2 for plants that were licensed to operate prior to  
3 January 1, 1979. The qualifications associated with  
4 that regulation are in 10 CFR 50-48(b). 48(b) notes  
5 that not everything in Appendix R applies to the pre-  
6 '79 plants. There are specific portions of Appendix  
7 R that do apply as regulations. I don't know if you  
8 want to go into that level of --

9 CHAIRMAN SIEBER: There are three out of  
10 15 do apply.

11 MR. RADLINSKI: Right.

12 CHAIRMAN SIEBER: One is emergency  
13 lighting, the other one --

14 MR. RADLINSKI: Boil containment. And the  
15 other one is the post-fire safe shutdown referred to  
16 here described in section III.G.

17 CHAIRMAN SIEBER: And so you don't have to  
18 mention this.

19 MR. RADLINSKI: Okay. Okay. So that  
20 Appendix R.

21 The SRP is for the plants licensed to  
22 operate after January 1, 1979. In case anybody's  
23 wondering, no plants were licensed on January 1, 1979.

24 The SRP actually includes the same  
25 criteria that are in Appendix R, however they are not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 regulatory requirements. They're used as guidance for  
2 review of license applications for the post-'79 plants  
3 and for subsequent submittals from licensees.

4 And finally, there have been a series of  
5 branch technical positions following the Browns Ferry  
6 fire. Up until this latest update of the SRP the  
7 branch technical position was included as part of the  
8 Standard Review Plan section 9.5.1. We've decided  
9 that since the reg. guide has already included most or  
10 a lot of the information that's in the branch  
11 technical position, that we would just combine the two  
12 and remove the branch technical position from the  
13 Standard Review Plan and incorporate that into the  
14 update of the reg. guide. So now everything that was  
15 in the branch technical position is covered in the  
16 reg. guide update.

17 CHAIRMAN SIEBER: Now just so I understand  
18 it, the Standard Review Plan is not a regulation.

19 MR. RADLINSKI: That's correct.

20 CHAIRMAN SIEBER: And it does not even  
21 have the status of a reg. guide. This is for the  
22 Staff to use to review the fire protection program for  
23 an individual licensee, is that correct?

24 MR. RADLINSKI: That's correct. It's  
25 primarily an internal document. But, of course, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 licensees get it, they see it and hopefully they fall  
2 in line with the guidance or whatever.

3 CHAIRMAN SIEBER: Well, a smart licensee  
4 would follow the Standard Review Plan to make the  
5 review easy.

6 MR. RADLINSKI: Right. In addition, part  
7 of the Standard Review Plan are the acceptance  
8 criteria for doing a review. And one of the acceptance  
9 criterion is the Reg. Guide 1.189. So indirectly the  
10 guidance in Reg. Guide 1.189 is applied to a licensee.

11 CHAIRMAN SIEBER: Now Appendix R at its  
12 time did represent a backfit, right? You didn't have  
13 lube oil protection at the time?

14 MR. RADLINSKI: Right. Right.

15 CHAIRMAN SIEBER: On the other hand, the  
16 backfit rule wasn't in force then either, right?

17 MR. RADLINSKI: I don't know.

18 CHAIRMAN SIEBER: And so once you make a  
19 finding that it's in the interest of the public health  
20 and safety, then you can impose that by regulation.  
21 And so everything that we have today is merely  
22 suggesting one way to comply with things that are  
23 already on the books with a couple of exceptions?

24 MR. RADLINSKI: Right.

25 CHAIRMAN SIEBER: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. RADLINSKI: That we consider to be  
2 acceptable.

3 CHAIRMAN SIEBER: Okay.

4 MR. RADLINSKI: That was all I was going  
5 to say about the applicability of those three  
6 different documents. Are there any questions.

7 MEMBER SHACK: Branch technical position,  
8 what is it, it's legal status?

9 CHAIRMAN SIEBER: Nothing.

10 MEMBER SHACK: Nothing. It's less than a  
11 SRP.

12 MR. RADLINSKI: Well, it's about the same  
13 level of an SRP, I'd say. Maybe we've elevated the  
14 status of it by relegating it to the reg. guide. But  
15 it's still not a regulation. It's not a requirement.

16 MEMBER MAYNARD: I think we'll probably  
17 get into more discussion on that in a little bit. But  
18 by wrapping those into the reg. guide, it is --

19 CHAIRMAN SIEBER: Well, this is one reason  
20 why I went through the litany of what's referenced and  
21 what's endorsed. Because by using this reg. guide  
22 they have wrapped in a lot of documents that have  
23 detailed instructions as to how to do things,  
24 including underwriters' laboratory standards, believe  
25 it or not.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. RADLINSKI:

2 MEMBER MAYNARD: Now I'll attempt a brief  
3 history of fire protection regulatory.

4 In the beginning there was GDC 3 in  
5 Appendix A of 10 CFR 50. It's very high level  
6 requirements, regulatory requirements for a nuclear  
7 plant fire protection program. It said that  
8 structure, systems and components important to safety  
9 must be designed and located to minimize the  
10 probability and effects of fire explosions. It also  
11 said that noncombustible and heat resistant materials  
12 shall be used wherever practical. And that fire  
13 detection and suppression systems shall be provided to  
14 minimize the adverse effects of fires for structures,  
15 systems and components important to safety.

16 VICE CHAIRMAN WALLIS: When you do these  
17 slides in the future, would you not have this shadowy  
18 bluey NRC thing in the background? It's distracting.

19 MR. RADLINSKI: Oh, the watermark you  
20 mean?

21 VICE CHAIRMAN WALLIS: Yes.

22 MR. RADLINSKI: Every time we do these  
23 presentations we use a different format, so it'll  
24 probably not be there next time anyway.

25 VICE CHAIRMAN WALLIS: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. RADLINSKI: All right. And important  
2 to safety, by the way, is one of the issues on your  
3 second list, Dr. Sieber. So we'll be talking about  
4 that later.

5 Also for the last bullet when GDC 3 was  
6 issued there were no instructions or detailed  
7 implementation guidance provided with that.

8 Then in 1075 with the Browns Ferry fire  
9 everything changed, of course. That fire demonstrated  
10 that there was a need for more specific fire  
11 protection requirements and guidance from the Staff,  
12 as well as a need for a detailed reassessment of every  
13 plant's fire protection program.

14 In May of 1976 as a result of the Browns  
15 Ferry fire NRC issued the first branch technical  
16 position. It was Conversion System Branch, 9.5.1. And  
17 that provided technical guidance for plant's fire  
18 protection programs and also requested plants to  
19 perform a fire hazards analysis and post-fire safe  
20 shutdown analysis.

21 That particular branch position was  
22 applied to plants that were issued a construction  
23 permit after July 1, 1976.

24 And then in 1980 the NRC issued the fire  
25 protection rule, 10 CFR 50.48 for the first time as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 well as Appendix R, which was 48(b), as I mentioned  
2 before. And that was to address a number of  
3 contentious issues related to fire protection that had  
4 been identified up to that point.

5 Now the fire protection rule applies to  
6 all plants. But as I noted previously, Appendix R  
7 only applied to plants with construction licenses  
8 prior to January 1, '79, and then only three of the 15  
9 major items that were in Appendix R were requirements  
10 for those pre-'79 plants. And we've identified those  
11 three.

12 So next slide.

13 Then in April of 1986 the Staff issued  
14 Generic Letter 86-10 which provided Staff positions  
15 for compliance with Appendix R. It's kind of an  
16 interpretation of what we really meant by Appendix R.

17 Also 86.10 introduced a new concept of  
18 standard license condition for fire protection. And  
19 what the standard license condition did for any plant  
20 that chose to adopt it, is give them the flexibility  
21 to self-approve changes to their fire protection  
22 programs based on an acceptance criteria of no adverse  
23 effect on safe shutdown.

24 Moving along to the late '90s, the Staff  
25 began to see a lot of LERs associated with circuit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issues, post-fire and safe shutdown circuits. They  
2 became a focal point and was an issue and around 1997.  
3 And as a result of discussions with the industry and  
4 a recognition that there was not a clear understanding  
5 of what the requirements were and there appeared to be  
6 a lot of different approaches used by different  
7 plants, the Staff or the NRC decided to implement  
8 enforcement discretion. And then ultimately they  
9 suspended inspections, fire protection inspections of  
10 circuit related issues.

11 MEMBER MAYNARD: One thing I think needs  
12 to be clarified a little bit. You talk about a number  
13 of LERs being submitted. As I recall, most of those  
14 LERs were submitted after some generic letters and  
15 other communications came out about what the NRC's  
16 expectations were that required some reviews and  
17 licensees, a number of them reported things to make  
18 sure they didn't get put into a position where they  
19 may have a failure to report on something.

20 I don't think they necessarily found or  
21 identified new things, but a lot of that resulted from  
22 reviews related to generic communications coming out  
23 from the NRC.

24 So, it's just a little perspective on why  
25 the LERs came out.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. RADLINSKI: Okay. Based on  
2 discussions that the Staff had with the industry, the  
3 industry agreed to work with the NRC to try to resolve  
4 these issues and come to some sort of agreement on how  
5 the plant should proceed. As part of that program,  
6 the industry decided to perform live cable fire tests  
7 to determine the likelihood or probability of hot  
8 shorts causing multiple spurious actuations.

9 Up until that point before they performed  
10 these tests, the industry had the belief that these  
11 were basically incredible events. That multiple  
12 spurious actuations probably had such a low  
13 probability that they didn't need to be considered for  
14 safety. However, the tests which the report came in  
15 2001 showed it just the opposite. There actually is  
16 under certain circumstances certain types of materials  
17 of cable jacketing and cable insulation, multiple  
18 spurious actuations could in fact occur. They could  
19 occur in high probability and also more importantly,  
20 they could occur in rapid succession. Okay. It was  
21 not the long period of such a time in between  
22 actuations.

23 So as a result of those tests and as a  
24 result of the plan to restart circuit analysis, the  
25 Staff issued a number generic communications to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reflect both the test results and also to clarify what  
2 our expectations were with respect to post-fire safe  
3 shutdown circuit analyses.

4 CHAIRMAN SIEBER:

5 MEMBER MAYNARD: When I read the draft  
6 reg. guide, I got the impression that the rules as  
7 they evolved in the guidance documents and so forth  
8 really came about because of three factors. One of  
9 them a few events, a few fire events, Browns Ferry the  
10 most significant of those. And secondly the tests.  
11 And there's a wide variety of tests like thermal-lag,  
12 there's a variety of barrier tests where barriers were  
13 found to not perform as advertized. And also the  
14 circuit testing that actually just finished last year,  
15 to my knowledge, right?

16 MR. RADLINSKI: Which they're probably  
17 doing additional cable fire testing --

18 CHAIRMAN SIEBER: Yes, right. Well, you'll  
19 never be done testing, as I see it.

20 MR. RADLINSKI: Right.

21 CHAIRMAN SIEBER: Everything that fails  
22 there comes a new substitute and then you test that,  
23 and some of those pass, some fail. And we'll be doing  
24 this for the rest of our lives.

25 And I guess the third factor that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 influenced where the regulations went were analysis  
2 that were done. There's been a lot of improvement in  
3 analytical capability, fire modeling, that didn't  
4 exist 20 years ago. And because of that we know more  
5 about the conditions inside fire zones and fire areas  
6 than we ever did before. And that shapes some of the  
7 rules.

8 So that's really what the background of  
9 all of this seems to me to be, that's where it came  
10 from.

11 MR. RADLINSKI: Yes.

12 CHAIRMAN SIEBER: And every time you would  
13 come out with an unexpected result, here comes another  
14 LER, right? And so that's basically how the process  
15 worked. And unfortunately what happens is that you  
16 make the rule before you experience the phenomenon and  
17 then the phenomenon doesn't trip the rule, you got to  
18 change the rule and come up with new guidance.

19 MR. WEERAKKODY: Just because it's an  
20 important point, let me clarify it a little bit.

21 When the rule is written we don't know all  
22 the physical phomania and details, but if you look  
23 at the rules who is good enough to cover all that? In  
24 fact, if you look at the rule it says the licensee  
25 should consider open circuits, hot shorts, you know

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 things that aren't even in critical.

2 CHAIRMAN SIEBER: Right.

3 MR. WEERAKKODY: So it does give us the  
4 envelop. So the question was, you know, how important  
5 some of these things are. And that's what the 2001  
6 tests revealed.

7 I don't want to come across as if we are  
8 the changing rule with new information. The rule is  
9 there, the rule is steady. But our focus of  
10 inspections, that type of thing, does change.

11 CHAIRMAN SIEBER: Okay. And I do have a  
12 specific question that I would like to ask. In the  
13 guide we all know that mitigating systems are classed  
14 as category 1A in the QA program and they keep all  
15 kind of documents, you're required to perform tests,  
16 you're required to surveil it, it has to meet certain  
17 standards. And the regulatory guide and the rule calls  
18 out instances where safety regs systems structures and  
19 components are involved. But also in the guide you use  
20 the term "important to safety." Both safety related  
21 and important to safety are defined in the glossary.  
22 But if you would read the definition of what important  
23 to safety is, it's something related to the  
24 protection of the health and safety of the public,  
25 which I don't recall in any plant that I've been in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 where you had a QA category of important to safety.

2 And so how do you pick out what's  
3 important to safety? Is that just in the eye of the  
4 inspector or the eye of the licensee? It's not in any  
5 list. The first time it was used was by Harold Denton  
6 back right after TMI.

7 MR. WEERAKKODY: I want if Phil Qualls of  
8 the Fire Protection Staff, he's one person who has  
9 been with the agency for 30 years, most of his time on  
10 fire protection as an inspector. So he kind of lived  
11 through this history. So let me ask Phil to answer  
12 that question.

13 CHAIRMAN SIEBER: Okay.

14 MR. QUALLS: Yes, I went through a lot of  
15 this history.

16 Can you hear me?

17 CHAIRMAN SIEBER: Yes.

18 MR. QUALLS: Okay. The terms important to  
19 safety, safety related. If you start with the  
20 regulation, Regulation 50-48(a) requires plants to  
21 have a program that satisfies criterion 3 of Appendix  
22 A.

23 CHAIRMAN SIEBER: Right.

24 MR. QUALLS: Of GDC 3. GDC 3 is an effect  
25 to minimize the effects of fires and explosions on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 systems structure and components important to safety.

2 CHAIRMAN SIEBER: Right.

3 MR. QUALLS: So the next layer, 10 CFR  
4 50.48(b) defines Appendix R as one such program to  
5 satisfy GDC 3.

6 CHAIRMAN SIEBER: Right.

7 MR. QUALLS: But if you go to Appendix R  
8 it discusses safety related and important to safety  
9 and it defines them as used in Appendix R as applying  
10 to all safety functions. And then it refers to safe  
11 shutdown applies to hot shutdown and cold shutdown  
12 functions.

13 CHAIRMAN SIEBER: Yes.

14 MR. QUALLS: So it applies to all safety  
15 functions, not limited to safe shutdown function per  
16 Appendix R, but to let's say radioactive release or  
17 containment functions would be other safety functions.  
18 And that's why when you look at the way an Appendix A  
19 -- an Appendix R program combined the old program or  
20 the Standard Review Plan, what you'll find is a  
21 program that satisfies. Does more than just protect  
22 your capability to achieve shutdown. You'll see  
23 protection for diesels. You might see sprinkler system  
24 in a rad waste building, which has no effect on safe  
25 shutdown. Because they're important to safety in that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they're protecting other safety functions.

2 CHAIRMAN SIEBER: Well, but that to me  
3 seems pretty loose.

4 MR. QUALLS: It is pretty loose.

5 CHAIRMAN SIEBER: Yes. And for example,  
6 if you go to look at most plants program, they do have  
7 a safety related list, a Q list that says special  
8 treatment requirements apply to each and every  
9 component in that test.

10 In addition to that, every plant that I've  
11 been at had a Category F list which was fire  
12 protection related equipment; stand pipes, division  
13 valves, hoses and nozzles and diesel fire pump, and  
14 you know --

15 MR. QUALLS: That's very true. Because  
16 Category --

17 CHAIRMAN SIEBER: But neither one of those  
18 is important to safety. Important to safety is another  
19 category that I don't recall being on any list  
20 anyplace, nor having any special treatment  
21 requirements.

22 MR. QUALLS: I have to agree with you.  
23 The only place I know of a definition actually is in  
24 the Appendix R verbiage, which says it applies to all  
25 safety functions. But that's a general and loose use

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of a term.

2 CHAIRMAN SIEBER: Well, the difficulty is  
3 you now have regulatory guidance that says you got to  
4 do things for components, structure systems and  
5 components that are important to safety and you don't  
6 know what they are. Or the plant doesn't know what  
7 they are.

8 MEMBER MAYNARD: I think there's a comment  
9 behind you there.

10 MR. RILEY: Jim Riley from NEI.

11 Just a quick statement regarding this  
12 fire, this cable fire testing.

13 The industry would like to request that we  
14 use some caution when we use the results of those  
15 tests to come up with conclusions. It's our position  
16 that that test was conducted specifically to look for  
17 spurious actuations, and therefore may not really  
18 represent actual plant conditions.

19 We raised this a letter we sent regarding  
20 potential generic letter on circuit analysis. And I  
21 don't want to go into details right now on the thing,  
22 but just since the point came up, I think it's worth  
23 mentioning that there are some question about how you  
24 might want to use the results of that test come up  
25 with conclusions in this regard.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And we'd like to point to what we heard  
2           you guys say regarding, I believe it's called the  
3           cable fire tests -- CARROLL fire test, excuse me, that  
4           will be going into some evaluations of what happens to  
5           cables in fire conditions. And we ought to make sure  
6           we know exactly what we're dealing with from a  
7           realistic point of view before we make any strong  
8           conclusions.

9           MR. RADLINSKI: Okay. Thank you.

10          CHAIRMAN SIEBER: Okay. Thank you. Your  
11          point is duly noted.

12          MR. WEERAKKODY: And I think the  
13          Subcommittee has, we got at a later time give you the  
14          factual information about whether the tests were  
15          representative or not. So I suggest we move.

16          CHAIRMAN SIEBER: Well, in any event  
17          getting back to the importance of safety you can see  
18          why I have a concern, you know.

19          MR. QUALLS: It's not well defined.

20          CHAIRMAN SIEBER: Yes, it's not well  
21          defined. And so what is and what isn't important to  
22          safety is sort of in the eye of the beholder. You  
23          know, it's like Reg. Guide 1.197 if it's in your  
24          SAMGs, then it's part of the system.

25          MR. QUALLS: Excuse me. Those were the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 words we were kind of stuck with in criterion 3.

2 CHAIRMAN SIEBER: I know, and that's  
3 unfortunate because that's not the only thing that's  
4 like that in this fire protection business.

5 MR. QUALLS: Well most of the people I  
6 work with have been reluctant to establish new  
7 definitions for terms like that. So it's still  
8 relatively undefined. But what we did and actually  
9 what does exhibit is a program where we might not  
10 define equipment important to safety, we have defined  
11 a program to protect the fire areas for things like  
12 diesels, you know, what the program requirements for  
13 fire barriers, for fire doors. And, you know, we have  
14 defined fire areas and a program to protect such  
15 equipment while we may not know what that equipment  
16 is.

17 CHAIRMAN SIEBER: Yes. But I keep  
18 thinking in terms of the inspector who has the  
19 regulation and who is looking at the plant and its  
20 records trying to reconcile does this plant meet the  
21 regulations, and it's not clear.

22 MR. QUALLS: What I can speak clearly from  
23 is an inspection standpoint, because I did that for a  
24 lot of years.

25 CHAIRMAN SIEBER: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. QUALLS: What an inspector will do is  
2 look at the approved program. What all licensees have  
3 is a licensed condition that says you shall implement  
4 and maintain the approved fire protection program, and  
5 then it references the letters and such that  
6 constitute that approved program.

7 And what an inspector will do will look at  
8 the approved program and compare it to what he sees in  
9 the plant. And if what he sees in the plant does not  
10 meet the approved program, that's where we start  
11 getting into violations and the like.

12 CHAIRMAN SIEBER: Right.

13 MR. QUALLS: But he looks at the program,  
14 not necessarily at the equipment in the field.

15 CHAIRMAN SIEBER: I'm pretty well  
16 convinced we aren't going to solve this problem here.

17 MR. FRUMKIN: Well, this is Dan Frumkin of  
18 the Staff.

19 I think in Appendix R 3(f) is a discretion  
20 of detection. And in that section it says -- it  
21 doesn't use the words important to safety. IT says  
22 safety related equipment, which is well defined, and  
23 fire safe shutdown equipment, which is also well  
24 defined.

25 CHAIRMAN SIEBER: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FRUMKIN: And I think if you take  
2 those two pieces of safety shutdown and safety  
3 related, at least for practical purposes that is a  
4 good bounding of what is important to safety.

5 CHAIRMAN SIEBER: I would tend to agree  
6 with you, but it's not written down anyplace, right?  
7 And that's the issue.

8 On the hand, we're not going to solve this  
9 today. I just wanted to let you know that it's an area  
10 of confusion for me. Next time you go and revise this  
11 you may want to think a little bit more about it and  
12 make a change. But I don't see it as holding us up  
13 from getting public comments, if that's the only  
14 issue.

15 So thank you. And go ahead with your  
16 presentation.

17 MR. RADLINSKI: Okay. In addition to the  
18 circuit issues that were being addressed, in the late  
19 '90s the Staff or the Commission actually encouraged  
20 the Staff to start looking risk-informed approached to  
21 fire protection.

22 In March of '98 the NRC proposed to the  
23 Commission that the Staff would work with NFPA and the  
24 industry in general to develop to a performance-based  
25 risk-informed consensus standard for fire protection

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for nuclear plants. And if that worked out and the  
2 standard acceptable, then we would write a rule to  
3 endorse it.

4 So that work. And the NRC published 50-  
5 48(c) in 2004 which endorsed NFPA 805, which allowed  
6 licensees to voluntarily adopt the risk-informed  
7 performance-based fire protection program.

8 In addition, following that we issued Reg.  
9 Guide 1.205 which essentially endorsed the industry  
10 guidance document for transitioning to 805 and  
11 maintaining an 705 type program in the IO 402. And  
12 the reg. guide, as I mentioned, the reg. guide endorse  
13 that with some qualifiers.

14 And I think that's it. Yes. Next slide.

15 Okay. So that was the history, brief as  
16 I could make it. Any questions about any other aspects  
17 of the history of fire protection? Anything that I  
18 missed that someone wants to talk about. Okay.

19 Again, as you mentioned, there's a very  
20 detailed history in the reg. guide. It's still there.  
21 It's been brought up to date. So you like that sort  
22 of thing, it's good reading.

23 CHAIRMAN SIEBER: Yes. Good reading,  
24 actually.

25 It's actually as part of the reg. guide as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 well.

2 MR. RADLINSKI: Yes. Okay.

3 So now let's get into talking about the  
4 changes that are being made to the reg. guide for this  
5 latest revision. I'm going to summarize the changes  
6 in this list and then I'll go into more detail of each  
7 of the bullet items in subsequent slides.

8 First of all, we've had a guidance, an  
9 acceptance criteria for new reactor fire protection  
10 programs. We've added new guidance based on recently  
11 issue generic communications. Two in particular are  
12 two RISs, one having to do with a safe shutdown  
13 circuit issues and the other having to do with  
14 operator manual actions.

15 In addition to that, we've added new  
16 guidance on post- fire safe shutdown circuit analysis  
17 and multiple spurious actuations. And this bullet  
18 refers to the generic letter that has not been issued  
19 yet. It's with the Commission right now for a notation  
20 vote. But in the meantime, the guidance that's  
21 included in that generic letter is in this revised  
22 draft of the reg. guide.

23 We also replaced 86.10. We're proposing to  
24 replace 86.10 evaluation for new reactors with  
25 reverting back to density 50.59 as the appropriate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 process for licensees to evaluate changes to their  
2 programs and to determine whether they can be self-  
3 approved or not.

4 We've added guidance on the use of fire  
5 PRA and fire modeling. This pretty much follows the  
6 same guidance that's in Reg. Guide 1.205 for 805  
7 plants.

8 And finally, we've added and clarified and  
9 reclarified some of the fire protection terms, term  
10 definitions in the glossary to the reg. guide.

11 MEMBER MAYNARD: Could we go about the  
12 third from the last bullet there.

13 MR. RADLINSKI: I'm going to go into all  
14 these in more detail if you want to wait. But that's  
15 --

16 MEMBER MAYNARD: Okay. I just want to  
17 bring out significant changes for new reactors versus  
18 the operating reactors. Are you going to get into  
19 that?

20 MR. RADLINSKI: Yes.

21 MEMBER MAYNARD: Okay.

22 MR. RADLINSKI: Okay. The guidance that we  
23 added for new reactors: fire protection programs  
24 included enhanced fire protection criteria approved by  
25 the Commission. There are like three SECYs, I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 believe, that describe what they refer to as enhanced  
2 fire protection that they expect all the new reactors  
3 to comply with.

4 Two major components of that. One is that  
5 they must postulate a fire that wipes out an entire  
6 redundant train in a given fire area, assuming no  
7 access to the area during or after the fire and then  
8 being able to demonstrate that the plant can be safety  
9 shutdown as a result of that fire.

10 The other is to look at the potential for  
11 smoke and heat migration from one fire area to another  
12 and the potential impacts on the redundant train. And  
13 prevent any adverse effects on safe shutdown.

14 We also added a discussion on the  
15 applicability of industry codes. There area number of  
16 NFPA codes out there right now, some of which are  
17 issued, some not. There's an NFPA 804 which is a  
18 deterministic-based fire protection program code. And  
19 it has been issued. It has been referred to as a basis  
20 for design for ES BWR and possibly AP 1000. I'm not  
21 sure.

22 But NFPA 806 is in preparation, it hasn't  
23 been issued yet. We've seen it and made comments on  
24 it. But it's not final. And that is going to be  
25 applied to a risk-informed performance-based fire

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 protection program for new reactors.

2 We've also included a discussion for new  
3 reactors passive plant shutdown definition. Okay. And  
4 I'll talk about that in more detail in a later slide.

5 Fire protection program implementation as  
6 well, just basically the schedule for a new reactor as  
7 it goes through construction and start-up, at what  
8 point we would anticipate or expect the programmatic  
9 aspects of the fire protection program to be  
10 implemented.

11 Okay. In the update to the reg. guide we  
12 make some recommendations for new reactors since the  
13 new reactors are being designed from scratch. It's not  
14 the same situation we had back in '75/'76 after the  
15 Browns Ferry fire where lots of the plants were  
16 already well under construction, had been designed,  
17 some were operating. This is a case where we're  
18 starting with a clean slate. The industry knows what  
19 are expectations are for fire protection. So in that  
20 vein we make recommendations that  
21 alternative/dedicated shutdown systems should not be  
22 used to any great degree. Obviously for a control room  
23 fire you'd have to have some provisions for that. But  
24 outside of the control fire, we would not expect to  
25 see the use of that 3G3 type approach for new

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reactors.

2 Another feature of current plant fire  
3 protection programs, operator manual actions. We  
4 would expect that there would be a minimal reliance on  
5 the use of operator manual actions both during and  
6 after a fire.

7 And finally, what we call local raceway  
8 fire barrier systems, fire wraps for a cable tray in  
9 a fire area to claim that it's separated from its  
10 redundant train.

11 What we've seen so far in the design  
12 certifications are complete separation by a 3 hour  
13 firewall, so we really don't expect to see much of  
14 this. There may be situations where they just can't  
15 provide a complete separation.

16 CHAIRMAN SIEBER: Yes. I think there's a  
17 point that should be noted at this time. We're now in  
18 the process of issuing this regulatory guide and  
19 probably in a few months it will be in effect. On the  
20 other hand, we've certified a couple of reactor  
21 designs already. And basically what you're saying is  
22 rather than rely on fire barriers for a cable raceway  
23 systems, you want architectural provisions. In other  
24 words, stationary walls and things like that that are  
25 permanent, but the designs for the AP 1000 and the AP

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 600 certified designed, ES BWR, all the architectural  
2 drawings are done. And this seems to be to me like a  
3 number of things. You know, you had trouble with  
4 Appendix R because the plant was built before the  
5 rules were made. And had problems with the various  
6 technical position the same way. And now we're  
7 starting it again. They're designing plants. The  
8 plants are designed, they're certified, you can't  
9 change them. And now we're writing the rules for them.  
10 And to me we got it backwards.

11 MR. RADLINSKI: Well, I guess, now I don't  
12 see that as a particular problem.

13 What I've seen, I reviewed the ES BWR. I  
14 didn't review AP 1000. And they're committed to having  
15 their four trains and are committed to separating  
16 those four trains by hour fire barrier walls.

17 CHAIRMAN SIEBER: Okay.

18 MR. RADLINSKI: The use of fire -- a wrap  
19 around a cable tray is more an issue of how you route  
20 your raceway.

21 CHAIRMAN SIEBER: Yes.

22 MR. RADLINSKI: Okay? And I don't think  
23 anybody has routed raceway to that detail yet. So I  
24 don't think that's going to be a backfit. I mean --

25 CHAIRMAN SIEBER: That's probably true,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but it's not guaranteed, you know. We don't know  
2 where they are in the state of the design really,  
3 unless you work for that organization.

4 MR. RADLINSKI: Right.

5 CHAIRMAN SIEBER: And it seemed to me  
6 that's how things got messed up, you know, 30 years  
7 ago.

8 MR. RADLINSKI: Right.

9 CHAIRMAN SIEBER: The same kinds of issue.

10 MR. RADLINSKI: Okay. I worked with  
11 Bechtel for 35 years and based on my experience they  
12 haven't routed the cable yet.

13 CHAIRMAN SIEBER: Yes. Let's hope it's  
14 not tripping the field.

15 MR. WEERAKKODY: One of the things I  
16 wanted these, even though we're updating the reg.  
17 guide now on this scale, several years ago, I think  
18 about 4 or 5 years ago, we did an update to the  
19 Standard Review Plan to basically incorporate the in-  
20 house guidance that the Commission SECYs basically  
21 came out and said they should be more separated. So  
22 really even AP 1000 I don't know if there's anybody in  
23 the Staff who has reviewed the AP 1000, I think they  
24 meet all these separation requirements that we are  
25 talking about today.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER ARMIJO:  Yes.  What about the ABWR?  
2                   That was certified many, many years ago.

3                   MR.  WEERAKKODY:  I don't know.  Does  
4                   anybody here -- Dan, do you happen to know anything on  
5                   BWR?

6                   MR.  FRUMKIN:  Yes, this is Dan Frumkin  
7                   again.

8                   What we're doing with this update to the  
9                   reg. guide and the SRP is basically documenting the  
10                  SECYs that were published in the early '90s.  So the  
11                  first SECY was SECY-90-016 and approved the ABWR, I  
12                  believe, in 1994.  So this high level guidance was in  
13                  place and those separation of trains without raceway  
14                  barriers and so forth was basically how it was being  
15                  designed.  To use the words of the SECY it had to be  
16                  designed in accordance with III.G.1, which is separate  
17                  trains and separate areas.

18                  I'll give you the CE-80+, the ABWR and I  
19                  think 600, AP 600 will all quote this SECY.  They all  
20                  include that statement about III.G.1.  So this  
21                  architectural separation was included in all of those  
22                  designs.

23                  CHAIRMAN SIEBER:  Well, I guess at this  
24                  date there isn't anything we can do about it, other  
25                  than I'm motivated to keep this moving forward because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 I think that the time is either close or past when it  
2 should have been on the street.

3 MR. RADLINSKI: And they'll have an  
4 opportunity when they apply for their COL, if they  
5 don't comply with this, to comply through mediation.

6 CHAIRMAN SIEBER: Yes. The later you wait,  
7 you know, you can say well after they start up and run  
8 a couple of years, then we'll sock it to them. I  
9 don't think that works well either.

10 MEMBER MAYNARD: Well, you could run into  
11 some issues with a certified design that that comes in  
12 at the COL and now you expect something different. I  
13 think that's analogous, yes.

14 CHAIRMAN SIEBER: You can't do that.  
15 Because even the licensee isn't allowed to change  
16 anything or the certification's null and void and you  
17 start all over again.

18 MEMBER MAYNARD: Right. But raceway  
19 routing is not part of the certified design. That's  
20 not --

21 CHAIRMAN SIEBER: Well, in the AP 1000  
22 they haven't decided where the pipes were going to go  
23 yet, and that usually gets firmed up before the  
24 routers get firmed up.

25 MEMBER MAYNARD: That's right. Exactly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Yes. Yes.

2 CHAIRMAN SIEBER: Well, something to think  
3 about.

4 MEMBER MAYNARD: Well, there's other thing  
5 in this reg. guide, though, that go beyond just  
6 architectural separation type issues, too.

7 CHAIRMAN SIEBER: Yes.

8 MEMBER MAYNARD: So we're talking about  
9 that, but there's other things that might have an  
10 impact.

11 CHAIRMAN SIEBER: Okay.

12 MR. RADLINSKI: Okay. Another methodology  
13 that's used by current plants, some current plants to  
14 avoid the possible problems with hot shorts and  
15 spurious actuations is to go to a self-induced station  
16 blackout.

17 CHAIRMAN SIEBER: Yes.

18 MR. RADLINSKI: So that your possibility  
19 of hot shorts is minimized or reduced dramatically.  
20 Again, that's something we're recommending in the --

21 CHAIRMAN SIEBER: You'd like not to do  
22 that?

23 MR. RADLINSKI: Not to do it, right. We  
24 wouldn't expect a new reactor to need to do that.

25 CHAIRMAN SIEBER: It's like a passive

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plant; how do you get gravity to be the strongest  
2 force?

3 MR. RADLINSKI: Right.

4 CHAIRMAN SIEBER: You blow down everything  
5 else, right?

6 MR. RADLINSKI: And also we address fire  
7 protection for nonpower operations, which has not been  
8 a big issue for existing plants. But during plant  
9 outage, maintenance. This is mainly fire prevention.  
10 Okay.

11 And as I mentioned before, we're  
12 incorporating the guidance that's already been issued  
13 under generic communications. The first one is RIS  
14 2005-30, which clarified some circuit issues,  
15 terminologies, any and all it refers to and what's  
16 associated circuits that terminology, how that should  
17 be used. So that guidance just taken right out of the  
18 RIS and rolled into the reg. guide.

19 Another one of the generic communications  
20 that we're incorporating in the reg. guide update is  
21 2006-10. Again, as I mentioned before, that's  
22 operator manual actions. That was issued recently. It  
23 basically says that you can't credit operator manual  
24 action as a substitute for III.G.2 protection where  
25 you have redundant trains in the same fire area

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 without an exemption, obviously.

2 CHAIRMAN SIEBER: Now, you had an operator  
3 manual action rulemaking in progress. That's been  
4 withdrawn, right?

5 MR. RADLINSKI: That's correct. Right. The  
6 RIS was a response to the elimination of the  
7 rulemaking or the cancellation of the rulemaking.

8 CHAIRMAN SIEBER: All right.

9 MR. RADLINSKI: All right. As I mentioned  
10 before, the generic letter on multiple spurious  
11 actuations is with the Commission for a notation vote.  
12 And it was reviewed by the ACRS. It was reviewed by  
13 CRGR. They agreed that it was not a new staff  
14 position. Therefore, we felt it was appropriate to  
15 include the guidance from that generic letter in the  
16 reg. guide update whether or not the generic letter is  
17 issued ultimately.

18 MEMBER MAYNARD: A clarification. CRGR.  
19 The ACRS did not address the backfit issue. The ACRS  
20 said that since it had been reviewed by CRGR that the  
21 ACRS didn't review it?

22 MR. WEERAKKODY: That's correct. Yes.

23 MEMBER MAYNARD: Okay.

24 MR. RADLINSKI: Okay. This next issue is  
25 probably the only thing that I can consider to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 somewhat controversial or that will be of real  
2 interest to the Committee. But 50.59. As I mentioned  
3 before, or as you all know, it's the regulation that  
4 applies to plant changes and --

5 CHAIRMAN SIEBER: Changes and experiments.

6 MR. RADLINSKI: -- whether or not you  
7 self-approve a change. 86.10, as I mentioned before,  
8 introduces concept of an acceptance criteria of no  
9 adverse effect on safe shutdown. Okay. But initially  
10 when 86.10 was published it also said that it has to  
11 be in accordance with 50.59 as well.

12 CHAIRMAN SIEBER: Yes.

13 MR. RADLINSKI: Okay. So you have this new  
14 acceptance criteria plus 50.59. Well, the industry  
15 wasn't real happy with that and they were successful  
16 in persuading the NRC to exclude fire protection from  
17 the 50.59 rule in 2000. So as we go into the new  
18 phase, the new reactors the Staff believes that we  
19 should go back to 50.59. We think it's appropriate.  
20 We always thought it was appropriate that the fire  
21 protection branch was not in favor of separating from  
22 fire protection from 50.59 when it was done originally  
23 in 2000.

24 This would apply to new reactors only.  
25 We're not trying to backfit this to existing reactors.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I guess you call it a new staff position in one sense,  
2 but since there's no backfit implication, no one's  
3 licensed a plant yet, no one, obviously, has a plant  
4 change process on the books. So it's-

5 DR. BANERJEE: So what does this imply,  
6 50.-59 conforming? What would it do?

7 MR. RADLINSKI: Well, first of all, it  
8 benefits. It brings the fire station back in line  
9 with everything else. Okay. There now is no special  
10 category, separate category that applies just to fire  
11 protection.

12 DR. BANERJEE: But why did the industry  
13 object at that time to it?

14 MR. WEERAKKODY: Let me.

15 MR. RADLINSKI: If someone else wants to  
16 comment on that, though.

17 MR. WEERAKKODY: If you look at the fire  
18 protection the license condition 86-10, it basically  
19 tells the licensee that they could make changes to  
20 their program as long as they show that that  
21 particular change does not pose an adverse effect.

22 Okay. And when you look at the 50.59 language it's  
23 somewhat similar. You know, you basically say you  
24 could make changes to your plant procedures designs as  
25 long as the-- you know, I can't remember the rest of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the terms.

2 So there was apparent redundancy in the  
3 two things. So I would say NRC was easily persuaded  
4 to drop the application of 50.59 because we have this  
5 other oversight capability through the license  
6 commission.

7 Now the reason we are proposing this, you  
8 know, to put this in context, you know, we've been  
9 managing fire protection changes with the license  
10 conditions when the rest of the program are managing  
11 50.59. So we are kind of going forward treating the  
12 license condition for 50.59. So it's not like we are  
13 saying for the new reactors you got to have the  
14 license condition with the word adverse effect and  
15 50.59.

16 What the Commission said was when the  
17 Commission came back and said recently that if the  
18 license condition is important to you guys, put it  
19 into the rule, qualify it. And we're going back to  
20 the Commission and saying, you know, as opposed to  
21 putting the new license condition for fire protection,  
22 we would much rather be treated like any other program  
23 under 50.59.

24 DR. BANERJEE: Well, I don't still  
25 understand why NEI objected to it at that time.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WEERAKKODY: They objected because  
2 NEI--

3 DR. BANERJEE: Just for redundancy?

4 MR. WEERAKKODY: Yes. Redundancy.

5 MEMBER MAYNARD: You know, why do two?  
6 Why do two evaluations of two different programs for  
7 the same thing.

8 MR. WEERAKKODY: You know there are  
9 reasons--

10 DR. BANERJEE: So they eliminated the  
11 other one, right?

12 MR. RADLINSKI: Well, they felt that the  
13 new adverse effect was much more flexible and give  
14 them much more flexibility for self-approving. That's  
15 my own personal opinion. 50.59 is much more specific.

16 CHAIRMAN SIEBER: Yes.

17 MR. RADLINSKI: You have a whole list of  
18 criteria and it replaces a new -- not greater than  
19 minimal impact whereas new adverse effect on safe  
20 shutdown has never really been clearly defined, okay.  
21 So the industry has the flexibility to come up with  
22 their own definition of that and apply it to each  
23 license as they determine security. It's more  
24 flexibility.

25 MR. WEERAKKODY: Yes. And I would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 slightly couch it differently. The word "adverse  
2 effect," it's not also, just like "important to  
3 safety," is defining regulation. So on one hand it  
4 gives flexibility, on the other hand it creates  
5 uncertainty.

6 MEMBER MAYNARD: Actually it gives  
7 flexibility to both the regulator and the licensee and  
8 in the end the regulator wins out on that flexibility.

9 MR. WEERAKKODY: True.

10 CHAIRMAN SIEBER: Let me ask a question.  
11 Now for new reactors you're going to revert to 50.59.  
12 Does that mean that you will not use the Generic  
13 Letter 86.10 for new reactors?

14 MR. RADLINSKI: That's correct.

15 CHAIRMAN SIEBER: Okay.

16 MEMBER MAYNARD: They would not to the  
17 standard license condition aspect of it.

18 MR. RADLINSKI: Right.

19 MR. WEERAKKODY: Yes, we would not -- we  
20 are proposing to get rid of the license condition,  
21 yes.

22 CHAIRMAN SIEBER: Well, 50.59 asks three  
23 basic questions. It's more complicated now than it  
24 used to be. But, you know, as you create a new  
25 accident there's a probability of an accident

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 increase, you know those kinds of questions. And they  
2 really don't match fire very well, in my view. I  
3 mean, you have to be creative in order to put a fire  
4 issue into 50.59. You can do it, but there is an  
5 advantage of using just one system for changes to the  
6 plant, you know. Because you already have an  
7 organizational structure to do it, you have people  
8 assigned that know how to write these things and how  
9 to do the analysis. And I guess it really doesn't  
10 make a lot of difference what system you use. But two  
11 is clearly not good. Two systems.

12 MR. RADLINSKI: And for what it's worth,  
13 this is going out for public comment. Depending upon  
14 the comments we get, we may change our position.

15 MR. WEERAKKODY: Yes. We are very open to  
16 constructive dialogue on this with the industry.

17 CHAIRMAN SIEBER: Yes. Well, okay.  
18 Moving on.

19 MR. RADLINSKI: All right. Okay.

20 Use of fire PRA and fire modeling. There  
21 was quite a bit of guidance in Reg. Guide 1.205 for  
22 plants that are adopting an 805 license. There's no  
23 reason why that same guidance shouldn't apply to  
24 plants that are not about doing 805, but want to use  
25 the methodologies that we've allowed as part of 1.205.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Is that reg. guide issued  
2 at the moment?

3 MR. RADLINSKI: 1.205?

4 DR. BANERJEE: Yes.

5 MR. RADLINSKI: Yes, that's been issued.

6 DR. BANERJEE: There are approval  
7 methodologies?

8 MR. RADLINSKI: Yes. I'm sorry two  
9 methodologies?

10 DR. BANERJEE: Approved methodologies.

11 MR. RADLINSKI: Approved. Yes. Right.

12 Well, I should qualify that. We've  
13 identified a list of fire models, okay, that we  
14 consider to be acceptable.

15 DR. BANERJEE: Yes. I was at this meeting  
16 which I heard them -- I thought we hadn't approved  
17 that yet.

18 MR. RADLINSKI: Well, but for the fire PRA  
19 we are saying that we want to see what your fire PRA  
20 methodology is. The NRC wants to be able to review  
21 that. Okay.

22 We're also saying it should go through a  
23 peer review, okay, based on the current level and  
24 different standards that the industry has in place for  
25 peer reviews. And if those standards aren't adequate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and the NRC has the option of doing the peer review  
2 itself.

3 So that's the type of guidance that,  
4 again, there's no reason why it shouldn't apply to a  
5 license who hasn't adopted 805 but yet wants to use  
6 the same methodologies.

7 DR. BANERJEE: These are for the  
8 environmental effects of fire, it's not for the  
9 propagation of the fire, right?

10 MR. RADLINSKI: Well, the fire modeling  
11 would be for both. But --

12 DR. BANERJEE: Well, if I understood it  
13 the propagation was based on an experimental database  
14 because it couldn't be predicted by models. And only  
15 the affect of the fire on concentration fields,  
16 temperatures and so on were predicted by the models.  
17 So the actual propagation, say the panel fire,  
18 whatever it is, came out of just an experimental  
19 database at some point.

20 If I'm wrong --

21 MR. WEERAKKODY: No.

22 CHAIRMAN SIEBER: No. The fire PRA does  
23 different things.

24 DR. BANERJEE: Yes.

25 CHAIRMAN SIEBER: Actually fire modeling

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 presumes you already have an ignition source --

2 DR. BANERJEE: Right.

3 CHAIRMAN SIEBER: -- and combustible  
4 material and you have a defined space with a certain  
5 ventilation factor.

6 DR. BANERJEE: It has a heat related--

7 CHAIRMAN SIEBER: And that tells you how  
8 hot it's going to get, how fast it's going to spread,  
9 what happens to the oxygen level, you know, we'll say  
10 megawatt hour energy generation rate. Whereas as the  
11 fire PRA says what's the chance of me even getting an  
12 ignition source? What's the chance of having a  
13 transient combustible here? You know, and looks at  
14 all these things as probabilities without necessarily  
15 -- or what's the probability that my sprinkler system  
16 is going to work, or the detectors will respond in  
17 time. That's something you can calculate. But those  
18 are the kinds of things you're modeling in a fire PRA.  
19 And that tells you where you ought to put your  
20 attention.

21 MR. RADLINSKI: And also if you remember  
22 the discussions we had before. The first modeling is  
23 more of an input to the PRA, the risk analysis. And  
24 fire modeling by itself is not an acceptable method of  
25 demonstrating that everything is okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Yes, you can use it, but you still could  
2 do a risk analysis on top of it.

3 MEMBER SHACK: But there were two parts of  
4 the fire model. And most of the things we were  
5 discussing before assumes you had source term.

6 MR. RADLINSKI: Yes.

7 MEMBER SHACK: Which I think is what  
8 Professor Banerjee was referring to. The source term  
9 was a given and then you did the rest of the fire  
10 model after that. But in the real world you have to  
11 come up with the source term, too.

12 MR. RADLINSKI: Right.

13 MEMBER SHACK: And so there's errors in  
14 both of those. You know, we've done a god job now with  
15 the errors given the source term, but you still have  
16 your other problem of the source term.

17 CHAIRMAN SIEBER: Yes. In fire modeling  
18 you're really to calculate things like do the wires  
19 fail or do the sprinklers go off or does the heat  
20 detector work; that kind of stuff.

21 DR. BANERJEE: Now what isn't there, at  
22 least from what I saw, was the interaction between  
23 various things and as we call up the source term,  
24 because that's in some way fixed. And it's emulated  
25 by, say, setting fires in validation. I mean, people

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have used fuel, for example, of some sort, burn  
2 something and got the source term. But it's not  
3 really, say, a cable fire that's providing the source.  
4 You know, that's not the sort of experiment that's  
5 been done.

6 That's been done quite separately. So  
7 there are no interactions like with the ventilation,  
8 sprinkler or whatever.

9 Did you understand --

10 MR. WEERAKKODY: I understand, Professor  
11 Banerjee. I feel like I don't want to relive the  
12 presentation on NUREG- 18.24.

13 DR. BANERJEE: Yes. I don't want to get  
14 into the--

15 MR. WEERAKKODY: Yes, because it's going  
16 to exceed my technical capabilities.

17 DR. BANERJEE: This seems sort of a  
18 sideline too.

19 MR. WEERAKKODY: Yes. But I think we rely  
20 on the  
21 Office of Research to deal with those tools. And they  
22 keep improving them. And the question is at any given  
23 time are we comfortable enough with the knowledge of  
24 uncertainties to go forward.

25 And I know I was here for the 18.24 and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what I said at that time was that yes, these have  
2 uncertainties. There's a number of unknowns,  
3 questions. But we can manage to make reasonable  
4 decisions.

5 DR. BANERJEE: Yes. I think that's a true  
6 statement.

7 MR. WEERAKKODY: Yes. Okay.

8 MR. RADLINSKI: All right. I think we've  
9 covered all the bullets on this except perhaps the  
10 last one. And we did add a reference to NUREG/CR-6850  
11 and also to the draft ANS standard on fire PRA as  
12 being acceptable for PRA methodologies.

13 CHAIRMAN SIEBER: I had a question about  
14 fire models. We had a presentation where we went  
15 through a bunch of fire models. It was a new reg and  
16 it was a V&V program.

17 MR. WEERAKKODY: Yes. Yes.

18 CHAIRMAN SIEBER: This standard says you  
19 can use those within it's prescribed ranges and  
20 applicability and claim credit for the V&V that the  
21 agency and its partner, EPRI, has done or you can do  
22 your own. You can have your own model.

23 What will the agency do to validate any  
24 attempt by a licensee or a group of licensees or  
25 anybody to validate and verify new modeling techniques

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that aren't in that group of five that the agency has  
2 already done? What will you do?

3 MR. WEERAKKODY: I don't --

4 CHAIRMAN SIEBER: You say that it's  
5 permissible provided you meet all these constraints.  
6 I wondered how you could do it?

7 MR. WEERAKKODY: I got to start by saying  
8 it's highly unlikely that when we have five V&V  
9 modeled out there, the industry is going to the sixth  
10 one. But let me answer the question.

11 If they do, the regulations tell us that  
12 it may not be acceptable to us and we may not accept  
13 it.

14 I can talk in general. The typical process  
15 we do to approving methods is using the topical  
16 courses, okay. They could submit the method, pay us to  
17 review it and get it reviewed and accepted.

18 So that's why I said why would anybody  
19 want to go that expensive uncertain route when there's  
20 five certain routes.

21 CHAIRMAN SIEBER: Well, maybe they don't  
22 like the answer they got out of the five models they  
23 have.

24 MR. WEERAKKODY: Well --

25 CHAIRMAN SIEBER: That's why you go to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sixth.

2 MR. WEERAKKODY: Well, I think in fire  
3 protection if you have to, at least from a regulatory,  
4 NRR's perspective, if you're at a point where you have  
5 sharpened your pencil with five models and you need a  
6 sixth model, we would take the position that we don't  
7 have reasonable assurance that you are better of being  
8 a -- I mean, we see -- I mean what we do on the NRR is  
9 we have in the fire protection program a couple of  
10 fire modeling experts. So when the inspectors have  
11 issues like this and they are in that challenging  
12 border they come to us, and we give them guidance on  
13 a case specific basis.

14 CHAIRMAN SIEBER: But I could see why  
15 somebody would want to come up with a model of their  
16 own. You know, if you had a room full of thermal  
17 plastic cable insulation, for example, and your fire  
18 model said the temperature got too high and this stuff  
19 comes to mush and you get all kinds of shorts and  
20 grounds, you would like to have either not have the  
21 fire or have a model that says temperature never gets  
22 that high.

23 MR. WEERAKKODY: It could be an expensive,  
24 risky proposition for the licensee to go that route.

25 CHAIRMAN SIEBER: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WEERAKKODY: But they might in fact  
2 based on the popular experiences. Those are the  
3 circumstances where they would basically withdraw  
4 their request and do a MOD.

5 DR. BANERJEE: In any case I suppose you  
6 could turn to NIST who seems to be supplying you with  
7 a lot of the expertise in this area.

8 CHAIRMAN SIEBER: Yes, that's one of the  
9 model sets.

10 MR. WEERAKKODY: We would go to the Office  
11 of Research, who might in turn go to NIST, yes.

12 DR. BANERJEE: Yes.

13 MR. WEERAKKODY: Yes, we wouldn't on  
14 complex issues like that, NRR will basically ask  
15 Office of Research to support us.

16 CHAIRMAN SIEBER: All right. Any other  
17 questions on this? If not, why don't we move on.

18 MR. RADLINSKI: Okay. And then the last  
19 significant change we made to the reg. guide was to  
20 add some additional definitions and clarify some of  
21 the existing definitions for clarification terms that  
22 we consider not to be well defined currently. Those  
23 definitions are based on regulatory requirements,  
24 staff positions and common usage.

25 Now, I say "common usage," they also have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to be in accordance with regulatory requirements.  
2 Something that's just in common usage by the industry  
3 that the NRC doesn't agree with would not become a  
4 definition that we would include in the reg. guide.

5 Some of the newly defined or clarified  
6 terms include any and all that related to circuit  
7 analyses, emergency control stations, fire protection  
8 system, mitigate, one at a time, operation manual  
9 action, post-fire safe shutdown circuits, redundant  
10 train system and success path.

11 CHAIRMAN SIEBER: When you talk about  
12 mitigate in terms of fire protection you're really  
13 talking about putting the fire out?

14 MR. RADLINSKI: No. Actually it's more of  
15 looking at spurious actuations that cause some  
16 function to occur that you don't want to occur.

17 CHAIRMAN SIEBER: Yes.

18 MR. RADLINSKI: So that you have to go out  
19 and mitigate the possible consequences of that.

20 CHAIRMAN SIEBER: Like cut off the power  
21 supply?

22 MR. RADLINSKI: Right.

23 CHAIRMAN SIEBER: Okay.

24 MR. RADLINSKI: Yes.

25 CHAIRMAN SIEBER: Yes. I wondered a little

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bit about that because, you know, when you look  
2 through all these fire models there isn't any model  
3 that I know of anyplace that tells you how many  
4 sprinklers will put the fire out.

5 MR. RADLINSKI: Yes.

6 MEMBER MAYNARD: Mitigation is aimed more  
7 at protecting the plant transient from getting out of  
8 hand.

9 MR. RADLINSKI: Right. Mitigate the bad  
10 things that happen in the event of the fire so that  
11 you can safely shut the plant down.

12 CHAIRMAN SIEBER: Okay.

13 MR. RADLINSKI: Okay. Now let's move on to  
14 the Standard Review Plan. As I mentioned earlier, we  
15 took the branch technical position detailed guidance  
16 out of the SRP and put it into Reg. Guide 1.189.

17 We expanded the review guidance for new  
18 reactors.

19 We had reference to there's going to a new  
20 SRP section for 805 plants that's in preparation right  
21 now. The review guidance for 805 plants is not  
22 currently in this update that we've been discussing  
23 today, the SRP section.

24 We provided very similar guidance to  
25 what's in the reg. guide for fire modeling and PRA

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 methodologies.

2 We expanded review guidance for license  
3 renewal applications. There was already some guidance  
4 in the SRP. We've just added onto that. And also  
5 added, brought up to the date the reference section to  
6 include any new references that were included in the  
7 last version.

8 MEMBER MAYNARD: A quick question. I need  
9 to go back. Reg. Guide 1.189, if and when it gets  
10 issued, does that become a requirement for existing  
11 plants?

12 MR. RADLINSKI: No.

13 MEMBER MAYNARD: The leading branch  
14 technical position and incorporating it into 1.189,  
15 where does that leave some of the current plants that  
16 would not have --

17 MR. RADLINSKI: Well their standard, their  
18 fire protection license basis could include compliance  
19 with that branch technical position or a commitment --

20 MEMBER MAYNARD: I guess it's more of a  
21 legal questions than anything else.

22 MR. RADLINSKI: Right.

23 MEMBER MAYNARD: If you delete a branch  
24 technical position --

25 MR. RADLINSKI: We're not deleting it from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the plant license basis.

2 MEMBER MAYNARD: Okay.

3 MR. RADLINSKI: It's still there.

4 MEMBER MAYNARD: Okay.

5 MR. RADLINSKI: And they still have to  
6 comply with it.

7 MEMBER MAYNARD: So you're not deleting it  
8 as much as no longer apply --

9 MR. RADLINSKI: Moving it from one place  
10 to another and it still applies.

11 MEMBER MAYNARD: Okay

12 MR. RADLINSKI: We wouldn't be that nice.

13 What to say about this? I've already  
14 said. We deleted the branch technical position. A lot  
15 of the guidance that was in the branch technical  
16 position was overlapping with what was in the Reg.  
17 Guide 1.189. So we just made it simpler so that  
18 everything is one place. And most of the other SRPs  
19 don't have branch technical positions with them. So  
20 it's bringing the fire protection SRP more in line  
21 with the others.

22 New review guidance for new reactors. We  
23 provide risk insights for new reactor fire protection  
24 programs. There's a section on a bulletized list of  
25 features of new reactors that make them a lot less

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 risky from the standpoint of fire and how the fire  
2 contributes to the overall plant safety then existing  
3 plants. So we added that to the SRP, which is for  
4 reviewer guidance so that the reviewer can keep that  
5 in mind as they do their reviews.

6 We also added additional guidance for  
7 review of ITAAC, the combined license applications and  
8 the programmatic features of the fire protection  
9 program.

10 We added review interfaces within NRC  
11 between the fire protection branch and other related  
12 branches.

13 We referenced the current draft guide, the  
14 1145 which is for COL applications as applicable.

15 And we expanded the guidance for reporting  
16 evaluation findings, which is the standard section in  
17 the SRP sections. We just elaborate on what's required  
18 in those sections.

19 We also added the new references that are  
20 now applicable to new reactors that weren't included  
21 in the last version of the review plan. We added  
22 guidance for fire protection systems that provide  
23 backup to safety related systems. Okay. These are  
24 just like any SPWR where the fire protection is relied  
25 upon to provide a backup source of make up water to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the shutdown cooling systems. Okay. It's fairly high  
2 level guidance, but we identified the potential there  
3 and provide some guidance.

4 We've identified alternative designs that  
5 have been accepted by the Staff. AP 1000, NES PWR  
6 both took some exception to the guidance or the  
7 criteria in Reg. Guide 1.189. For example, for the  
8 fire protection provided in the main control room.  
9 1.189 says you should provide fire suppression  
10 protection underneath the raised floor of the control  
11 room. Both of these standard designs took exception to  
12 that and the Staff accepted that exception with the  
13 proviso that it be based on the fire hazard analysis.  
14 meaning that if it turns out that there a lot of  
15 combustibles under that floor, then they've got to  
16 reconsider that exception. But based on what we know  
17 of new reactors versus current reactors, we don't  
18 anticipate a lot of cabling underneath the control  
19 room floor. So we felt that suppression systems were  
20 not all that important.

21 CHAIRMAN SIEBER: It would be a gaseous  
22 suppression system?

23 MR. RADLINSKI: Well the licensees are  
24 reluctant to use that where you have an occupied area.  
25 It's --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SIEBER: I don't understand that.  
2 You got to ring the bell.

3 MR. RADLINSKI: I would think they would  
4 use a mist system, which would probably be better.

5 CHAIRMAN SIEBER: Maybe it's in the  
6 control room.

7 DR. BANERJEE: Mist or halon, or what  
8 would they --

9 MR. RADLINSKI: No, water mist.

10 DR. BANERJEE: Water mist.

11 MR. RADLINSKI: A very fine high pressure-  
12 -

13 CHAIRMAN SIEBER: Wear your boots.

14 VICE CHAIRMAN WALLIS: They have shorter  
15 raincoats everywhere.

16 CHAIRMAN SIEBER: Right.

17 MR. RADLINSKI: It shouldn't be any  
18 terminations there, it should just be cable.

19 And provide guidance review of fire  
20 protection systems protecting areas that do not  
21 contain safety related structure systems and  
22 components. ES PWR, the diesel generators they say  
23 they're not safety related, they're not required for  
24 safe shutdown. Okay. But yet they're a significant  
25 fire hazard. So we felt it was appropriate to have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some sort of guidance for the reviewer to look at what  
2 level of fire protection is provided in those areas.

3 CHAIRMAN SIEBER: Well, generally  
4 nonsafety related areas of the plant you end up with  
5 fire protection features in those areas anyway because  
6 the insurance company makes you put them in.

7 MR. RADLINSKI: Right. Right.

8 CHAIRMAN SIEBER: And they have their own  
9 inspector.

10 MR. RADLINSKI: Right.

11 CHAIRMAN SIEBER: And their inspector is  
12 just as tough as your inspector.

13 MR. RADLINSKI: True.

14 CHAIRMAN SIEBER: Yes, because they do  
15 work together.

16 MR. RADLINSKI: Right. But we didn't want  
17 to rely on that, assume that that was necessarily the  
18 case.

19 CHAIRMAN SIEBER: Yes. But you should not  
20 care if somebody's warehouse burns down. Insurance  
21 companies should care and the licensee should care.

22 MR. RADLINSKI: Right. But we only care if  
23 that fire could cause an exposure fire that could  
24 affect adjacent and make shutdown.

25 CHAIRMAN SIEBER: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. RADLINSKI: I mean that's basically  
2 what the guide does. That's all.

3 There was an Appendix A that addressed  
4 supplemental fire protection review criteria for  
5 shutdown, decommissioned reactors. We took that out  
6 because it's covered in Reg. Guide 1.191. There's no  
7 reason to have it in both places. So that was  
8 eliminated.

9 CHAIRMAN SIEBER: Yes, but you have a  
10 section in here that talks about shutdown and  
11 decommissioning?

12 MR. RADLINSKI: Yes, we do. There's a  
13 whole--

14 CHAIRMAN SIEBER: But it's woven into the  
15 text.

16 MR. RADLINSKI: Yes. But there was a whole  
17 appendix that just basically repeated everything that  
18 was in the reg. guide. So we took that out.

19 Again, updated the guidance on the use of  
20 fire modeling and probabilistic methodologies for non-  
21 NFPA 805 plants. It's a lot of repetition. It's in  
22 both places, really, the reg. guide and the SRP  
23 because we felt it's quite important. You know, an  
24 important feature to --

25 CHAIRMAN SIEBER: You're going to deal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with that appendix on PRA, fire PRAs later?

2 MR. RADLINSKI: Yes.

3 CHAIRMAN SIEBER: Go into detail and talk  
4 about it?

5 MR. RADLINSKI: I'll talk about that  
6 later.

7 And in reference to the new SRP section  
8 that I mentioned before, that's going to be for 805  
9 plants and we expanded a review guidance for license  
10 renewal applications. There was already an appendix  
11 for that, we just added some additional guidance based  
12 on what we've learned from the last time we issued the  
13 SRP.

14 CHAIRMAN SIEBER: Okay.

15 MR. RADLINSKI: Okay. That ends the  
16 discussion on the changes, identifying the changes to  
17 both the reg. guide and the SRP. Back to the list of  
18 issues that Dr. Sieber wanted to talk about. Wanted to  
19 talk about, the first one being backfit implications.  
20 Okay.

21 From our perspective there are no new  
22 staff positions applicable to existing reactors  
23 included in the update of either the SRP or the reg.  
24 guide. Okay.

25 I, mentioned adding the clarifications, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 regulatory clarifications for circuit issues and  
2 things like that. Those have all been issued before.  
3 They've all gone through the CRGR. So we're not  
4 adding anything that would be a backfit, would have  
5 backfit implications to an existing plant or a new  
6 staff position.

7 CHAIRMAN SIEBER: Let me ask a question in  
8 general. I agree with you that I really didn't see  
9 any backfits in there. But if you write a regulation  
10 that's very general in nature, sort of a generic  
11 regulation, then you write some kind of a regulatory  
12 guide or other guidance document that says here's the  
13 way you should interpret this regulation and here's  
14 the kind of things you should do. And then after you  
15 issue that, comes an event. And the event looks like  
16 it's covered by the regulation, but it's different  
17 than what you described in the last regulatory  
18 guidance that you issued.

19 If you revise the regulatory guidance to  
20 include issues that arose in the new event and  
21 therefore result in a broader interpretation of the  
22 regulation, is that a backfit or not?

23 MR. WEERAKKODY: It is.

24 MR. RADLINSKI: Yes. Yes, it is.

25 MR. WEERAKKODY: If a plant has committed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to comply with the regulation using a particular reg.  
2 guide, and if in that reg. guide a particular term is  
3 defined such-and-such, and then you change it to give  
4 a different meaning, it is a backfit. But there's  
5 another case.

6 Sometimes the regulations are kept very  
7 general and some issues are not specifically designed  
8 in the reg. guide. Okay. Now some new information  
9 comes in and the Staff goes out and say, you know,  
10 clarifies something that has not been committed to by  
11 a licensee. Then it doesn't necessarily considered a  
12 backfit.

13 CHAIRMAN SIEBER: Well, let me give you an  
14 example just to make sure I got it right.

15 MR. WEERAKKODY: Yes.

16 CHAIRMAN SIEBER: Let's say that you have  
17 a regulation that says you have to consider hot shorts  
18 and grounds and open circuits. But you haven't really  
19 done any testing yet and you have a fire someplace  
20 that you got a couple of spurious actuations, you  
21 know, one here and then 10 minutes later another one  
22 over here. And so you wrote regulatory guidance that  
23 says you got to analyze this and have a way to  
24 mitigate it.

25 And then you go and do some cable testing.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And you find out the whole cable tray goes bad on you,  
2 it cracks, the insulation melts, you got hot shorts,  
3 grounds, open circuits coming out your ears all at the  
4 same time. And you say I got a change to the  
5 regulations, I got to change the way of analysis, I  
6 got to change the way to interpret this in order to  
7 have it match the situation that evolved when I was  
8 testing it. Is that a backfit?

9 MR. RADLINSKI: But you're not changing  
10 the regulation. You're adding more --

11 CHAIRMAN SIEBER: No, you aren't.

12 MR. RADLINSKI: -- detail to it and you're  
13 adding another level of detail to the regulation.

14 CHAIRMAN SIEBER: So that's not a backfit?

15 MR. WEERAKKODY: No.

16 MR. RADLINSKI: You haven't changed the  
17 regulation.

18 MEMBER MAYNARD: I would disagree with  
19 that. And it really depends on some of the specific  
20 examples. That most of the regulations are not as  
21 clear. I mean, there's a little bit of bigger picture  
22 in the regulations.

23 CHAIRMAN SIEBER: Yes. epoxy

24 MEMBER MAYNARD: The bottom line if you  
25 take a look at the history on the backfit, take a look

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 at the justification for it and take a look at the  
2 rule itself, it says that basically even though it's  
3 something that is covered by the regulations, that if  
4 later you find out that something had previously been  
5 considered less than credible is now credible, you  
6 still have to go through the backfit analysis.

7 CHAIRMAN SIEBER: You do?

8 MEMBER MAYNARD: Yes.

9 MR. WEERAKKODY: I -- let me --

10 CHAIRMAN SIEBER: Well, the Staff says  
11 you're done.

12 MR. WEERAKKODY: No. I gave you a kind of  
13 -- let me stay away from -- because if there is an  
14 issue, that's under Commission deliberation right now.  
15 And I could repeat some of the stuff we said at the  
16 CRGR meeting if you want us to. But--

17 CHAIRMAN SIEBER: No. All I want to do is  
18 to have you answer the question. Would you go do a  
19 backfit analysis or not based on those circumstances  
20 as I told you and you know?

21 MR. WEERAKKODY: The specific  
22 circumstances you described first, under those  
23 constraints, yes it is a backfit. And I want to make  
24 it clear. The rule there. There is a reg. guide and  
25 it defines particular terms.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SIEBER: Yes.

2 MR. WEERAKKODY: And a licensee says I  
3 plan to meet your rule using this reg. guide.

4 CHAIRMAN SIEBER: Yes, operator manual  
5 actions he's going to --

6 MR. WEERAKKODY: Now if we go and  
7 redefine, it's a clear backfit. And I could go into  
8 this discussion because I've been following issue and  
9 listen to presentations by Vincent & Straun.

10 Really, you know, you get into the legal  
11 question now what is a Staff position. Okay. And  
12 that's not defined.

13 CHAIRMAN SIEBER: Yes. Yes. That's right.

14 MR. WEERAKKODY: Because no regulation  
15 defines what a Staff position is. And even if you  
16 speak to a lawyer from the industry, they would say  
17 that, yes, that's an issue. You know, the fact that  
18 it's not will define it's an issue. But because the  
19 Staff has the oversight responsibility, eventually  
20 when there are questions on that, the Staff can  
21 basically say, you know, make some judgments on that.  
22 And then that's in general where things are.

23 But, again, I would much rather, you know,  
24 because really we are waiting for some feedback from  
25 the Commission. So I would rather not, you know.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER MAYNARD: And I think, you know,  
2 there will be debates over what is and what's not a  
3 backfit for some. But I think the Staff is too  
4 reluctant to do a backfit analysis. Rather than  
5 argument about it, I think it would be better to do  
6 one. Because if you can't pass the criteria for it, if  
7 it's really not of significant benefit to justify  
8 doing the change and stuff, you probably shouldn't be  
9 doing it.

10                   CHAIRMAN SIEBER: Well, the backfit rules  
11 to me is pretty clear as to the burden the Staff has  
12 to meet. In order to impose a backfit where the cost  
13 benefit doesn't show it effective, cost effective.

14                   MR. WEERAKKODY: Again, the OGC lawyer is  
15 not here. But if you look at the compliance exemption  
16 of the backfit rule, if a particular issue needs to be  
17 applied to comply with the regulation, then that  
18 should be proceeded. Because while the final -- that  
19 legal folks tell us is if you have regulatory  
20 requirements you can't say well it's a regulatory  
21 requirement but the licensee doesn't have to meet it  
22 because it doesn't add value to safety. Okay.

23                   Now, there are judgments made in terms of  
24 how you want to -- what we going to pursue, what we  
25 want to enforce. But there is no lawyer who tells me

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       hey open circuits don't happen, so therefore you don't  
2       have to consider it because that's spelled out in the  
3       regulation.

4                   It's a dilemma, but I don't think they  
5       are-- you say that at every instance that the Staff  
6       has to go and do core damage frequency calculation and  
7       show a great than 10 to the minus 5 benefit, that  
8       would not be a correct interpretation of the -- I'll  
9       just leave it at that. This is not area expertise.  
10      I've been learning it from the lawyers.

11                   CHAIRMAN SIEBER: Generally speaking we do  
12      not spend a lot of our time doing backfit analysis or  
13      checking on the Staff's backfit analysis. On the  
14      other hand, occasionally there comes an issue where it  
15      becomes of interest to us because it determines  
16      whether you issue a rule or a reg. guide or something  
17      like that or not.

18                   MEMBER MAYNARD: Agreed. Well, it also  
19      impacts where both the Staff --

20                   CHAIRMAN SIEBER: I would like something  
21      more clear cut than the issues that seem to be coming  
22      up --

23                   MEMBER MAYNARD: It also depends on where  
24      the staff and the licensee end up spending their  
25      management and money and stuff. A lot of times there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are better things from a safety standpoint to be done.  
2 So I think the backfit process is important.

3 I think NEI I think has probably a comment  
4 behind you.

5 MR. RILEY: Thank you. Jim Riley again.  
6 And I'll keep this short, too.

7 Let's just suffice it to say the industry  
8 does not agree with the Staff's position on whether  
9 this is a backfit or not. And we're looking forward  
10 to a chance to comment on this reg. guide and engage  
11 the Staff on a relative position on whether this is or  
12 isn't.

13 But you're right. This isn't the venue to  
14 discuss it right now, but we would really like an  
15 opportunity to do so in the future.

16 CHAIRMAN SIEBER: Yes. Actually, I wanted  
17 to discuss it to the extent that I understand what's  
18 happening. And I think we've done that in this area.  
19 And that gives us plenty of motivation to put the rule  
20 out for comment.

21 MR. RIDGELY: John Ridgely, from the  
22 Office of Research.

23 I'd like to go back to basics.

24 CHAIRMAN SIEBER: Okay.

25 MR. RIDGELY: The basics is licensees have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to meet the regulation. A regulatory guide is one  
2 means that have been found acceptable by the Staff to  
3 meet those regulations. If a reg. guide now is found  
4 at some future date to be inappropriate, for whatever  
5 reason, and a now licensee has relied upon that reg.  
6 guide to meet the regulation, then the general  
7 practice is to go back to the license and say well,  
8 you know, this regulation is no longer an acceptable  
9 way of meeting -- I mean, this reg. guide is no long  
10 an acceptable way of meeting the regulation. So how do  
11 you meet the regulation if you are not going to rely  
12 on that reg. guide?

13 CHAIRMAN SIEBER: Go withdraw the reg.  
14 guide.

15 MR. RIDGELY: Well, that would be the  
16 precursor to withdrawing the reg. guide, for example.  
17 But if something were to be changed and you needed  
18 added to it because of new information, then you could  
19 follow the same process again. So the reg. guide  
20 would then would not necessarily be a backfit or  
21 changing it because it's just one acceptable means of  
22 meeting the regulation.

23 CHAIRMAN SIEBER: Okay. Thank you.

24 Moving on.

25 MR. RADLINSKI: Okay. The third bullet

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we're still in backfit implication. The third bullet  
2 area, as I've said before, that existing plants do not  
3 need to comply with the updated reg. guide. It would  
4 be strictly voluntary.

5 The imposition of 50.59 on new reactors,  
6 even though you might consider it a new Staff  
7 position, it's not a backfit as we've said since no  
8 licenses have been issued as yet.

9 Okay. Backfit analysis and CRGR review.  
10 Let's see, we probably covered all this. No backfit  
11 analysis has been performed.

12 The original Reg. Guide 1.189 took the  
13 similar approach, again, since it was a voluntary  
14 implementation. Licensees had the option of  
15 voluntarily implementing it or complying with it. It  
16 wasn't considered appropriate or necessary to have a  
17 backfit analysis.

18 And then I've just quoted what statements  
19 were made in the original reg. guide with respect to  
20 the backfit analysis.

21 CHAIRMAN SIEBER: Okay. I think this is  
22 would be a, since we're changing subjects right here,  
23 this would be a time to take a short break. I think  
24 15 minutes would be good. If we can come back at 10  
25 minutes until 4:00 and we'll start right here on page

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 25.

2 And we're more than halfway done.

3 (Whereupon, at 3:38 p.m. off the record  
4 until 3:54 p.m.)

5 CHAIRMAN SIEBER: I think we'll all now  
6 come to order.

7 MR. RADLINSKI: All right. The next topic  
8 is use of risk-informed methods for non-805 plants.  
9 Remember that the SRP updates that we're talking about  
10 today and the reg. guide both refer to non-805 plants  
11 only. Okay. There's a separate reg. guide for 805  
12 plants, there will be a separate SRP section for 805  
13 plants.

14 Other that, these three bullets that we've  
15 already talked about that made the reference to reg.  
16 guide 1.174 we identify the acceptance criteria and  
17 the guidance that plants should use, should follow in  
18 the event that they want to use risk-informed methods  
19 for an exemption request or whatever.

20 Was there something additional that you  
21 wanted to talk about?

22 CHAIRMAN SIEBER: I think you ought to go  
23 through things like qualifying the -- you don't have  
24 to full fire PRA in order to use risk information to  
25 support specific applications under this regulatory

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 guide.

2 MR. RADLINSKI: That's true.

3 CHAIRMAN SIEBER: On the other hand, you  
4 have to have pieces of the fire PRA in order to take  
5 advantage of this and those pieces require some  
6 qualifications of your method. I think you could  
7 discuss what those qualifications of methods are.

8 MR. RADLINSKI: Okay. And I do that in one  
9 of my later slides.

10 CHAIRMAN SIEBER: All right.

11 MR. RADLINSKI: All right. Next slide.

12 Okay. Compliance expectations. I think  
13 we've talked about most of these. Again, it's a  
14 voluntary acceptance for the guidance. For an existing  
15 plants there's no requirement that they comply.

16 MEMBER MAYNARD: Real quick on that. Were  
17 plants going for extended power or not extended power  
18 but for --

19 CHAIRMAN SIEBER: License renewal.

20 MEMBER MAYNARD: -- license renewal

21 MR. RADLINSKI: Yes.

22 MEMBER MAYNARD: How does this impact  
23 those going for license renewal?

24 MR. RADLINSKI: It will be used as a basis  
25 for the review, okay. We can't impose it. We can't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 say it's a requirement that you must meet. But we can  
2 question why they are not meeting the guidance, the  
3 acceptance criteria in these documents.

4 CHAIRMAN SIEBER: I guess the most  
5 important thing in the section that you wrote is the  
6 fact that you have to include items structure systems  
7 and components that are not active as part of the  
8 scoping for the license renewal process.

9 MR. RADLINSKI: Right. Subject to the  
10 aging management program.

11 CHAIRMAN SIEBER: Yes. And to me that's  
12 probably the key issue is to make sure that the reg  
13 things are in scope and the draft regulatory guide  
14 does address that. It addresses the need to do it. It  
15 doesn't tell you how to do it.

16 MR. WEERAKKODY: I do agree with you said  
17 they were. What they're doing, the license renewal  
18 space is when you do an application, we go print out  
19 the licensing basis of the plant. And that's a  
20 compilation of their safety evaluation we proposing  
21 fire protection. That's our guide. Not the reg. guide.

22 MEMBER MAYNARD: And one other thing in  
23 reading this clearly for the existing plants it talked  
24 about I think plants prior to '79 had to get an  
25 exemption --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. RADLINSKI: For the three aspects of  
2 Appendix R that they're required --

3 MEMBER MAYNARD: And with this they would  
4 still be required to get an exemption. I'm just not  
5 real clear on that.

6 MR. WEERAKKODY: That's correct. Because  
7 they still be subject to the rule III.G for Appendix  
8 R. They were backfits to those. That doesn't change  
9 the reg. guide either.

10 MEMBER MAYNARD: Okay. But it's only if  
11 they decide to adopt this Reg. Guide 1.189 that they  
12 would have to ask another exemption or --

13 MR. WEERAKKODY: I don't see why anybody  
14 would, okay.

15 MEMBER MAYNARD: All right.

16 MR. WEERAKKODY: In fact, you know, Phil,  
17 you will correct me if I'm wrong, even become Reg.  
18 Guide 1.189 I don't know of any plans we have  
19 committed. So, and that's been in place in for several  
20 years. But if -- a higher answer is if they're  
21 changing their program and if they're effecting III.G,  
22 then they need to come for an extension.

23 MEMBER MAYNARD: Okay. would you expect  
24 any of the current plants now to commit to the Reg.  
25 Guide 1.189?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WEERAKKODY: I don't.

2 MEMBER MAYNARD: Or this version of it?

3 MR. WEERAKKODY: I don't know.

4 MEMBER MAYNARD: Well, basically this is  
5 just being done for the new plants?

6 MR. RADLINSKI: Going forward an exemption  
7 request is sent in, a license amendment request, the  
8 reviewer will use this guidance if it applies for that  
9 particular exemption or license amendment as just a  
10 baseline for comparison, just to evaluate whether the  
11 Staff believes what they're proposing is acceptable.

12 MR. WEERAKKODY: Yes. It's more like  
13 raises a flag. If I'm an inspector, if I'm a reviewer  
14 and if I find that a particular plant doesn't meet a  
15 particular criteria, that's kind of like raising a  
16 flag, you know, I should look at this a little bit  
17 further. But they should not be making a final  
18 determination on the compliance without looking at  
19 that plant's licensing basis, which is the compilation  
20 of their Safety Evaluation Reports.

21 Is that correct, Phil? Okay. Yes, Phil  
22 Qualls is basically my consultant. He's been here for  
23 like 25 years or so.

24 MR. RADLINSKI: And the last bullet with  
25 respect to new reactor, we do expect them to comply

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with the updated versions of the SPR and the reg.  
2 guide. But, again, it's not a regulation. It's just  
3 one acceptable approach. But it'll be used as our  
4 basis for whether or not we consider their program  
5 acceptable.

6 CHAIRMAN SIEBER: One of the areas that I  
7 suspect that you might discuss when we talk about your  
8 compliance expectations is the area of exemptions.  
9 For example, when you initiated the operator manual  
10 action rulemaking, the idea there was to provide a  
11 codified rule that would allow one to judge when,  
12 where and to what extent operator manual actions would  
13 be allowed, thus avoiding the requirement to seek  
14 exemptions.

15 MR. WEERAKKODY: That's correct.

16 CHAIRMAN SIEBER: Now the rule is  
17 withdrawn and so exemptions are required.

18 MR. WEERAKKODY: That's correct.

19 CHAIRMAN SIEBER: And then there's  
20 statements in this regulatory guide to the effect that  
21 if you have a fire protection program that has been  
22 reviewed by the Staff and the Staff wrote an SER. And  
23 in the FPP licensee or an applicant identified areas  
24 where an exemption from a rule is required and the  
25 Staff in their SER agrees with it, that's not good

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 enough to be considered the exemption. They have to  
2 turn around again and apply for the exemption, but can  
3 state that the SER says it's okay as their basis that  
4 it is okay. And could you tell us a little bit more  
5 about that process? Because my impression during the  
6 operator manual action exercise is that we had was  
7 that you were anticipating literally hundreds of  
8 requests for exemption, and that's why you wanted to  
9 put in the rule. And so now the rule's withdrawn and  
10 you're not again anticipating lots of exemption  
11 requests?

12 MR. WEERAKKODY: Yes. Anticipating I have  
13 one in-house, okay. And, you know, we might get more  
14 but --

15 CHAIRMAN SIEBER: Well, when the  
16 inspectors get out there and start tramping things  
17 down, you'd be surprised how many you might get.

18 MR. WEERAKKODY: Actually, you know, we  
19 basically said to the licensee this, I think 2½ years  
20 or so to sort of get well, so to speak.

21 CHAIRMAN SIEBER: Right.

22 MR. WEERAKKODY: So they are in the stage  
23 of, you know, planning their corrective action. So we  
24 would get some exemptions.

25 MR. RADLINSKI: But just clarification on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 operator manual action that's mentioned in an SER  
2 requiring exemption did not come from the fire  
3 protection branch. This came up in a public meeting  
4 back in March.

5 CHAIRMAN SIEBER: Okay.

6 MR. RADLINSKI: An OE stood up and OGC  
7 concurred and said if it's not in compliance, it  
8 doesn't matter what it says in your SER, it has to go  
9 through the exemption process. Submitting an SER or an  
10 SAR and writing an SER is not the same process. It's  
11 not to the same level as the exemption process,  
12 therefore it doesn't count. But --

13 CHAIRMAN SIEBER: So it's filed in a  
14 different place. So if you want to know what the  
15 basis, the licensing basis is, usually you don't go to  
16 the SERs, you go to all the applications and exemption  
17 requests and things like that.

18 So I sort of figured out what was going on  
19 there. On the other hand, the licensee gets to do  
20 everything twice.

21 MR. RADLINSKI: Well, we did say in the  
22 RIS that we wrote for operator manual actions that it  
23 would probably be like a pass-through. If you had to  
24 --

25 CHAIRMAN SIEBER: Yes, I gathered that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 That's the way it's written up.

2 MR. RADLINSKI: If you have an SER that  
3 says your operator manual operations are okay, all we  
4 have to do is refer to that that SER --

5 CHAIRMAN SIEBER: Right.

6 MR. RADLINSKI: -- and typically, you  
7 know, the Staff is more like --

8 CHAIRMAN SIEBER: Yes. The basis?

9 MR. RADLINSKI: Right.

10 CHAIRMAN SIEBER: Just for the basis part  
11 of it?

12 MR. WEERAKKODY: Yes.

13 MR. RADLINSKI: Right. They still have to  
14 go through --

15 CHAIRMAN SIEBER: Okay. That's basically  
16 what I wanted to get on the record with regard to  
17 that. Okay. Thank you.

18 MR. WEERAKKODY: May I go to the next one?

19 MR. RADLINSKI: Yes, the next one.

20 Not much to say about the inspection plan.  
21 These updates are not going to change the inspection  
22 interval. They're going to have time, resources spent  
23 on fire protection inspections. The current  
24 inspection plans are adequate. They'll cover the  
25 updates as well as the current versions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   So was there something in particular you  
2 wanted to ask about the inspection?

3                   CHAIRMAN SIEBER: No.

4                   MR. RADLINSKI: Other than that, okay.

5                   And that brings us to the conclusion of  
6 the first set of bullets. So basically the updates  
7 provide guidance for new reactor fire protection  
8 programs. We feel none of the changes have backfit  
9 implications. Risk-informed methods can be used for  
10 both existing and new reactors. Compliance is  
11 expected for the new reactors. Updates provide  
12 guidance for inspectors and Staff reviews for future  
13 submittals. And there's no change to current  
14 inspection plans.

15                  CHAIRMAN SIEBER: All right.

16                  MR. RADLINSKI: I'd also like to point out  
17 that as part of the process of getting the documents  
18 prepared, at least the reg. guide prepared for public  
19 comments, they've gone through OGC. Both of them, the  
20 SRP and the reg. guide have now been reviewed by OGC.  
21 And we got a whole raft of comments, but they're all  
22 editorial, except for one. And that one has to do with  
23 the use of the term "must/shall" versus "should."  
24 Okay.

25                  It's generally understand in a reg. guide

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you don't say somebody shall do something or they must  
2 do something, it's one acceptable approach they say  
3 should.

4 We used must and shall in two different  
5 cases. In some cases we used it because it was a  
6 paraphrase of a regulatory requirement. And OGC  
7 agreed, yes, that's okay. Okay.

8 The other case we used it is the approach  
9 that we used in Reg. Guide 1.205 for 805 plants. And  
10 it had to do with our review of PRA methodologies and  
11 use of acceptable or NRC accepted fire models. We say  
12 you must use an NRC accepted fire model or if you  
13 don't, you need to submit it. You must submit a PRA  
14 and it must be submitted to a PRA review. Okay?

15 OGC feels that we don't have a regulatory  
16 basis or a legal basis for using must and should in  
17 those cases.

18 CHAIRMAN SIEBER: Okay.

19 MR. RADLINSKI: It's still under  
20 discussion.

21 CHAIRMAN SIEBER: Okay.

22 MR. RADLINSKI: But other than that, it  
23 was all editorial from OGC.

24 Okay.

25 CHAIRMAN SIEBER: Well, the old saying is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that lawyers are the ones who know how to spell and  
2 engineers are the ones who know how to add and  
3 subtract.

4 MR. RADLINSKI: The first bullet item on  
5 your second list was safety related versus important  
6 to safety. I think Phil covered pretty much what  
7 Appendix R says. IT says important to safety and  
8 safety related apply to all safety functions. Okay.  
9 So either one apply to all the safety functions  
10 including radiological safety, safe shutdown. Okay.

11 Appendix R also says the phrase "safe  
12 shutdown" applies to both hot and cold shutdown  
13 functions. In this case it would be post-fire  
14 shutdown.

15 In the context of fire protection  
16 shutdown, safe shutdown applies to functions that are  
17 required to be performed during and after postulated  
18 fires to achieve and maintain safe shutdown.

19 And finally, the systems required for  
20 mitigation of consequences following a design basis  
21 accident that are not required for post-fire safe  
22 shutdown need not be protected from exposure fire  
23 damage. That's in Appendix R.

24 CHAIRMAN SIEBER: In other words, you  
25 don't have to assume that you had a design basis

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 accident and a fire at the same time.

2 MR. RADLINSKI: Right. Correct.

3 CHAIRMAN SIEBER: Okay.

4 MR. RADLINSKI: And protect against both.

5 CHAIRMAN SIEBER: Now this is a pretty  
6 good slide, but when I look at your glossary in the  
7 reg. guide and the definition that's there, I think it  
8 would help if that definition referred to Appendix R  
9 where there's additional detail as to what important  
10 to safety really means. Because I'm not aware of a  
11 list of equipment where you can say these are  
12 important to safety in the context of fire protection.

13 MR. RADLINSKI: I think we agree there  
14 isn't one.

15 CHAIRMAN SIEBER: There is not one?

16 MR. RADLINSKI: Yes.

17 CHAIRMAN SIEBER: Okay. And so to me  
18 that's an area of confusion. I think that you either  
19 should define it better or refer to a place in the  
20 regulations where it is defined so that everybody ends  
21 up knowing what SCCs you're talking about and  
22 everybody comes up with the same list.

23 MEMBER MAYNARD: Well it's better to  
24 define it and get that resolved up front. Because it  
25 is going to be an issue in a front end getting

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 resolved after the fact and probably in a less  
2 controlled manner.

3 CHAIRMAN SIEBER: Well, you're going to  
4 resolve it at every licensee.

5 MEMBER MAYNARD: That's right. And it may  
6 not be consistent either.

7 CHAIRMAN SIEBER: That's right. And that  
8 would be a recommendation.

9 MR. WEERAKKODY: Yes. I think going  
10 forward like especially in applications with new  
11 reactors, I do agree. I think we have to careful is  
12 if something has not been defined clearly up to date,  
13 now if you try to define it, you know, that correct  
14 some implications of, you know, backfit. But going  
15 forward, yes.

16 DR. BANERJEE: But these would be  
17 different for different reactor concepts, right?

18 CHAIRMAN SIEBER: It depends on the  
19 definition.

20 DR. BANERJEE: Yes. ES BWR or EPR or AP  
21 1000, they'd be different.

22 MR. WEERAKKODY: That's correct. But,  
23 again, I think that is a good idea and I don't know,  
24 Bob, since we are putting this reg. guide for public  
25 comment, you know, for new reactors if you can make

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 more specific and get public feedback? Have you  
2 defined --

3 MR. RADLINSKI: To identify a list of them  
4 --

5 MR. WEERAKKODY: Not to sort -- that would  
6 be trying to be too specific. But I think we ought to  
7 take back as an action.

8 CHAIRMAN SIEBER: I would suggest that the  
9 alternatives that I have is to write you a letter and  
10 say don't issue this for public comment until you fix  
11 that.

12 The other thing we could do is you could  
13 take it as an action item and consider along with  
14 public comments and then when you incorporate all this  
15 stuff, all the public comments and --

16 MR. WEERAKKODY: And come back to you.  
17 Yes, we would much highly appreciate it because --

18 CHAIRMAN SIEBER: Well, I see some sense  
19 of urgency, at least in my own mind as to why you want  
20 to get this work done.

21 MR. WEERAKKODY: Yes.

22 CHAIRMAN SIEBER: And to add a couple of  
23 months of playing around to me is not accomplishing  
24 that goal. On the other hand, I think it's something  
25 that needs to be resolved. And a convenient way to do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it is treat it when you're treating the public  
2 comments. And when you come back --

3 MR. WEERAKKODY: That's right.

4 CHAIRMAN SIEBER: -- we can look at what  
5 it is you've done, see if it satisfies our concerns  
6 and provided the rest of us have a concern.

7 MR. RADLINSKI: Okay.

8 CHAIRMAN SIEBER: And do it that way.

9 MR. WEERAKKODY: Yes.

10 CHAIRMAN SIEBER: That's most efficient,  
11 least amount of paper and at the same time likely to  
12 get a good result.

13 DR. BANERJEE: I guess it's going to be  
14 important to define the boundaries of what you mean by  
15 important to safety and safety related. So first  
16 thing needs to be to say how do you set these  
17 boundaries as to what you consider important to safety  
18 and what you don't. Because no explicit definition  
19 needed in that.

20 MR. WEERAKKODY: Okay.

21 DR. BANERJEE: Because it's so vague right  
22 now.

23 MR. WEERAKKODY: Okay. We will.

24 MR. RILEY: Just a word on this important  
25 to safety issue. I think there's a lot of us in here

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with gray hair that probably remember going through  
2 this issue, what, 20 years ago, I think. And I guess  
3 my mind's failing me and I don't remember where we  
4 ended up on it. But I would suggest we go back and  
5 look at where we ended up on it and not try and  
6 recreate the wheel here. Because, boy, this one a lot  
7 of angst was spread out on this issue before. And we  
8 ought to start off where we ended up there. And I  
9 wish I could remember where, but I'm going to be  
10 looking for.

11 CHAIRMAN SIEBER: It's at least 25 years  
12 ago.

13 MEMBER MAYNARD: Yes. Early mid-'80s I  
14 know for sure it was.

15 CHAIRMAN SIEBER: IT was before TMI. But  
16 I think the first mention before TMI.

17 MR. WEERAKKODY: Okay.

18 CHAIRMAN SIEBER: Thank you.

19 And as part of your fire protection  
20 program each licensee has a description of how they  
21 plan to do the safe shutdown, what equipment they're  
22 going to use, what systems.

23 MR. WEERAKKODY: Right.

24 CHAIRMAN SIEBER: And that's part of the  
25 plan because if you don't have that, you don't know

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 what to protect, how to deal with it. So that gives  
2 you a start as to what important to safety is. But  
3 the definition right now and its use in this reg.  
4 guide doesn't take you by the hand to that point, and  
5 it should.

6 Okay. What's the next one besides  
7 important to safety?

8 MR. RADLINSKI: Alternative shutdown.

9 CHAIRMAN SIEBER: Okay.

10 MR. RADLINSKI: I've just repeated the  
11 definition that's in the reg. guide update here.  
12 Basically what it's saying is if it's not feasible to  
13 provide the separation required by III.G.2 in Appendix  
14 R, then you go to III.G.3.

15 CHAIRMAN SIEBER: Right.

16 MR. RADLINSKI: And you go on alternate  
17 shutdown.

18 CHAIRMAN SIEBER: Okay.

19 MR. RADLINSKI: Dedicated shutdown is the  
20 subtle difference. That's a system that you actually  
21 install separate from your normal plant systems.  
22 That's dedicated to providing that train-- fire  
23 damage, again, where you don't comply with III.G.2 or  
24 can't comply with III.G.2.

25 CHAIRMAN SIEBER: Yes. I think an example

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of that is the installation of yet another train of  
2 auxiliary feedwater for PWRs.

3 MR. RADLINSKI: Right.

4 CHAIRMAN SIEBER: Which in some plants is  
5 known as your Appendix R pump.

6 MR. RADLINSKI: And in general, the  
7 regulatory requirements and the guidance for both  
8 alternative and dedicated shutdown are the same.

9 CHAIRMAN SIEBER: But they're two  
10 different concepts, alternative and dedicated are two  
11 different things.

12 MR. RADLINSKI: They are. But -- well, I  
13 can describe the system here. Once you install the  
14 system, then it's become a permanent part of the  
15 plant, you know, you can still dedicate it.

16 CHAIRMAN SIEBER: Yes, right.

17 MR. RADLINSKI: I have no trouble with it.

18 CHAIRMAN SIEBER: Yes, you can use it for  
19 something else.

20 MR. RADLINSKI: I think, Phil, do you want  
21 to--

22 MR. QUALLS: Well, I'm not sure. This is  
23 Phil Qualls.

24 I'm not sure I understand if there's a  
25 question or what --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SIEBER: No. I don't think  
2 there's anything that we need to redefine here. It's  
3 just that there is a subtle difference between the two  
4 concepts.

5 MR. RADLINSKI: Right. And I'm not sure  
6 it makes a difference. Like you say, it --

7 CHAIRMAN SIEBER: It doesn't in --

8 MR. RADLINSKI: The regulations and the  
9 guidance apply to both --

10 CHAIRMAN SIEBER: As far as treatment is  
11 concerned, it makes no difference.

12 MR. RADLINSKI: Right. Right.

13 MR. QUALLS: Right. It's just the  
14 regulation defines them a little bit. You know, there  
15 is a definition in Appendix R that discusses  
16 alternative and dedicated shutdown.

17 CHAIRMAN SIEBER: Yes. And I don't think  
18 that we need to put additional words here in order to  
19 clarify that, because it won't change the way it's  
20 treated. Okay.

21 MR. RADLINSKI: Okay. The next slide,  
22 electrical circuit failure analysis. The fundamental  
23 requirement for safe shutdown as a result of a fire is  
24 that any electrical circuit whose fire induced failure  
25 to prevent safe shutdown you could directly or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 indirectly, for example by spurious actuation, should  
2 be addressed in the post-fire safe shutdown circuit  
3 analyses to be protected if it needs to be protected  
4 or not. Okay.

5 Protection should be provided in  
6 accordance with the regulatory requirements to provide  
7 reasonable assurance and safe shutdown, i.e, III.G.2,  
8 III.G.3.

9 I did want to point out that there is an  
10 industry guidance document, NEI 0001 which is a very  
11 extensive description or set of guidance criteria for  
12 doing a post-fire shutdown analysis. The Staff has  
13 reviewed the document. We've accepted it as  
14 appropriate for doing a safe shutdown analyses for  
15 both deterministic licenses and risk-informed  
16 licenses.

17 Was there anything else on that issue?

18 Success path. We have a definition for  
19 that. The minimum set of structures, systems  
20 including power, instrument and control circuit and  
21 instrument sensing lines and components that must  
22 remain free of fire damage and were to achieve and  
23 maintain safe shutdown in the event of a fire. It's  
24 synonymous with the post-fire safe shutdown train free  
25 of fire damage. It includes electrical circuits, again

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 whose fire induced failure could prevent safe  
2 shutdown, either directly or indirectly.

3           Okay. Spurious actuations. If we define  
4 spurious operation as the undesired operation of  
5 equipment resulting from a fire that could effect the  
6 capability to achieve and maintain safe shutdown.  
7 This is the original definition that's in Reg. Guide  
8 1.189 right now. We haven't changed that. It be  
9 provided additional guidance based on a generic  
10 communications that any and all must be considered to  
11 occur and they may occur in rapid succession.

12           The assumption that there will be  
13 sufficient time to mitigate individual spurious  
14 actuations before another occurs does not meet  
15 regulatory requirements. It is in the generic letter,  
16 and must be demonstrated by a licensee who claims that  
17 this is the case.

18           So if your analysis is based on the  
19 assumption that one happens at a time, I'm going to go  
20 out and fix it, I'm going to mitigate the consequences  
21 of that spurious actuation before I need to look at  
22 the next one, that does not meet regulatory  
23 requirements. It's not supported by the cable fire  
24 testing that was done by the industry.

25           CHAIRMAN SIEBER: One of the things that's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 important in this regard which the reg. guide does  
2 cover is the proper coordination of breakers and  
3 fuses. You have fire damage to cables, you would  
4 prefer that the coordinating scheme be such that you  
5 trip off that cable as opposed to tripping off a whole  
6 division of equipment.

7 MR. RADLINSKI: Right.

8 CHAIRMAN SIEBER: And that's adequately  
9 covered in here, but it's an important aspect of this  
10 analysis to me.

11 MR. RADLINSKI: Okay. Operator manual  
12 actions. Actions performed by operators to manipulate  
13 components and equipment from outside the main control  
14 room to achieve and maintain post-fire safe shutdown  
15 and hot shutdown not including repairs. We've added  
16 the clarifier than manual operation of valves,  
17 switches, circuit breakers is allowed to operate  
18 equipment and isolate systems as an operator manual  
19 action.

20 CHAIRMAN SIEBER: Yes. There is additional  
21 requirements in the rules about the operator's ability  
22 to get there and to see something after he gets there.  
23 In other words, that's where Appendix R's reference to  
24 emergency lighting really has an important piece to  
25 it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. RADLINSKI: Right.

2 CHAIRMAN SIEBER: And if the fire is  
3 blocking access to the equipment you have to operate,  
4 then that equipment is not operable, can't be used as  
5 part of the safe shutdown path.

6 MR. RADLINSKI: Right.

7 Next slide is also an operator manual  
8 actions. It's repeating what's in the RIS on operator  
9 manual actions, accrediting operator manual actions  
10 with III.G.2 protection, must be approved via an  
11 exemption process. It's not acceptable unless it's  
12 approved.

13 You mentioned detection suppression. Use  
14 of operator manual actions does not necessarily  
15 obviate detection and suppression. Okay. I don't  
16 think there's any question among the Staff or the  
17 industry that protection is essential.

18 CHAIRMAN SIEBER: Yes. Otherwise you don't  
19 know which is going to work.

20 MR. RADLINSKI: And you got to know you  
21 got a fire. Okay.

22 CHAIRMAN SIEBER: Yes. You don't know it's  
23 not going to work.

24 MR. RADLINSKI: Suppression detection is  
25 a no= brainier.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Suppression has been highly contested. The  
2 Staff considers that to be part of the defense-in-  
3 depth. Okay. Even though you've got an operator manual  
4 action, even though we might accept it as an exemption  
5 -- if it's appropriate. I mean, if you have the  
6 amount of combustibles that would justify having a  
7 suppression system, it's part of your defense-in-depth  
8 and therefore it should be there.

9           CHAIRMAN SIEBER: Okay.

10           MR. RADLINSKI: Okay. Well, let's see,  
11 fire protection for license renewal. We talked a  
12 little bit about this. The ones I've seen, most of  
13 them with everything in the fire protection system has  
14 been identified as being in scope, but yet you're only  
15 looking at the passive components, the long-lived  
16 components that aren't typically part of your  
17 maintenance program. Examples of a fire protection  
18 components which are passive and long-lived include  
19 fire barrier assemblies, sprinkler heads, fire  
20 suppression system piping and valve bodies, fire  
21 protection tanks, pump casings and fire hydrant  
22 casings.

23           Just one point of clarification. The smoke  
24 and heat detector would not be considered -- they are  
25 considered action components and therefore they're not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 considered a part of the AMR.

2 CHAIRMAN SIEBER: You discuss the use of  
3 elevated tanks as a means of providing fire water. It  
4 seemed to me that it said that you had to have two  
5 sources, two tanks, is that correct?

6 MR. RADLINSKI: If you have tanks, you  
7 need to -- right.

8 CHAIRMAN SIEBER: And at a half million  
9 gallons each?

10 MR. RADLINSKI: Two 100 percent, right.

11 CHAIRMAN SIEBER: That's why people buy  
12 pumps instead? It's a lot of money to spend on tanks.

13 MR. RADLINSKI: Whether they're elevated  
14 or not, you would still need two.

15 CHAIRMAN SIEBER: Yes, I know.

16 MR. RADLINSKI: Yes, it's a lot of water.

17 CHAIRMAN SIEBER: They're big tanks, yes.

18 MR. RADLINSKI: The passive shutdown  
19 plants are using that water for other purposes,  
20 though.

21 CHAIRMAN SIEBER: Yes.

22 MR. RADLINSKI: Anything else on license  
23 renewal?

24 CHAIRMAN SIEBER: No.

25 MR. RADLINSKI: That's pretty

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 straightforward. Okay.

2 New versus existing, which regulations,  
3 which guidance apply to each. The first category  
4 there is for regulations and guidance that's  
5 applicable to both new and existing reactors. 10 CFR  
6 50.48(a) the fire protection rule that applies to  
7 both. The new reg. guide will apply to both existing  
8 and new reactors. When I say apply to existing  
9 reactors, that's we'll apply it to exemption requests  
10 as we've discussed. But it will not be backfit to  
11 existing reactors.

12 SRP 9.5.1, as I've said, that's going to  
13 cover both existing and new reactors. And I mentioned  
14 Generic Letter 86-10, even though there are other  
15 generic letters that are applicable, but 8-10 is a big  
16 one that provides a lot of clarification for Appendix  
17 R implementation of fire protection requirements. So  
18 that's still going to be applicable to both new  
19 reactors and existing reactors.

20 Regulations and guidance that are  
21 applicable only to new reactors, of course 10 CFR 50  
22 Part 52. Part 52 for ESPs and sign verification and  
23 COLs.

24 CHAIRMAN SIEBER: Yes. What's the ESP  
25 permitting process that relates to fire?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. RADLINSKI: I don't think there's  
2 anything in there.

3 CHAIRMAN SIEBER: I wondered why it was on  
4 your slide.

5 MR. RADLINSKI: Just because that's what  
6 52 is about.

7 CHAIRMAN SIEBER: Oh, okay. You don't  
8 even need a water source because if you don't have  
9 fire water, you can't cool the reactor anyway. So you  
10 wouldn't build one there.

11 MR. RADLINSKI: Yes. I don't believe  
12 there's anything in the ESP relating to --

13 CHAIRMAN SIEBER: Well, the other thing  
14 that I can think of is the provisions that you had for  
15 wild fires. The regulations speak to don't have your  
16 plant built where you have wild fires around your  
17 plant because it has an impact on the plant.

18 MR. RADLINSKI: Right. But that's part of  
19 your construction fire protection.

20 MR. WEERAKKODY: We don't really do ESP.  
21 The fire protection program only looks at PCDs and  
22 COLs.

23 CHAIRMAN SIEBER: Okay.

24 MR. RADLINSKI: All right. The second  
25 bullet is just referring to the enhanced fire

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 protection that we talked about for new reactors. And  
2 as we talked earlier, 50.59 we're proposing to apply  
3 that to new reactors only.

4 I've got some notes here. Let's see, new  
5 reactors must meet current relations for post-'70  
6 plants plus the enhanced fire protection requirements.

7 NFPA 804 is the deterministic fire  
8 protection program standard NFPA. ES PWRs have  
9 committed to that. I'm not sure about AP 1000. That  
10 standard has been issued, by the way.

11 Regulations guidance have not been  
12 developed for performance-based risk-informed fire  
13 protection program for new reactors yet. Okay. NFPA  
14 806 in preparation. That will cover new reactors that  
15 want to use the risk-informed performance-based  
16 program.

17 And finally -- or finally, but the  
18 regulations that apply only to existing plants  
19 50.48(b), which was the Appendix R portion of the fire  
20 protection rule, that's still applicable to pre-'79  
21 plants to the extent that we discussed before.

22 48(c) the NFPA 805 rule, again, that's  
23 voluntary, so that will apply to some and not to  
24 others.

25 The new SRP section that's being developed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for future or for 805 plants is going to be a future  
2 SRP. That does not apply to new reactors.

3 Right, Dan?

4 MR. FRUMKIN: That's good. Yes.

5 MR. RADLINSKI: Yes. And then, of course,  
6 805 is tied in with 50.48(c), so if the licensee  
7 adopts 48(c), then they'll comply with 805.

8 And then finally the regulations for  
9 decommissioned plants, it's still the same. It's 10  
10 CFR 50.48(f).

11 Okay. You wanted to talk about passive  
12 plant safe shutdown. As I guess everyone's aware that  
13 the design conditions for safe shutdown for a passive  
14 plant are not the same as they are for other plants.  
15 They're required to achieve a maintain a reactor  
16 coolant temperature of 420 degrees or below for non-  
17 LOCA events. So fire to non-LOCA events, so that would  
18 be the criteria for post-fire.

19 Now any systems that are required to  
20 achieve and maintain that level of safe shutdown would  
21 be protected by the fire protection program.

22 And then systems that bring the reactor to  
23 cold shutdown or to refueling condition are not safety  
24 related. However, as we've mentioned some plants are  
25 using the fire protection system as backup to provide

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cooling water to maintain the plant in safe shutdown.

2 VICE CHAIRMAN WALLIS: Can you explain the  
3 first bullet here?

4 MR. RADLINSKI: First bullet.

5 VICE CHAIRMAN WALLIS: This boiling point  
6 of water. Is that on which side and --

7 MR. RADLINSKI: First bullet or second  
8 bullet?

9 VICE CHAIRMAN WALLIS: First bullet. The  
10 boiling point of water business in the top there.

11 MR. RADLINSKI: Yes.

12 VICE CHAIRMAN WALLIS: Cannot produce  
13 temperature radical below the boiling point of water.

14 MR. RADLINSKI: At pressure.

15 VICE CHAIRMAN WALLIS: At the pressure on  
16 the primary side?

17 MR. RADLINSKI: Right.

18 VICE CHAIRMAN WALLIS: So it's got to be  
19 boiling on the primary side?

20 CHAIRMAN SIEBER: That's how you get the  
21 movement of heat, just boiling it off, right.

22 MR. RADLINSKI: Yes. I mean, that's the  
23 principle of the passive cooling.

24 CHAIRMAN SIEBER: Convection won't do it.  
25 Boiling convection.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WALLIS: And the heat sink  
2 is where?

3 MR. RADLINSKI: It's a closed system with  
4 the heat sink. It's circulating through a heat  
5 exchanger.

6 VICE CHAIRMAN WALLIS: Because usually  
7 when you make the water colder you get better heat  
8 transfer. So it's going to be more than mysterious  
9 thing. But presumably it has to do with how the whole  
10 system works and circulates and all that stuff.

11 MR. RADLINSKI: Yes, I don't -- I can't --

12 VICE CHAIRMAN WALLIS: Too big  
13 explanation for you and for me to understand.

14 MEMBER MAYNARD: I think the heat sink is  
15 basically to protect the current design with the sumps  
16 and stuff. You know, you're basically as it steams  
17 out of the core --

18 VICE CHAIRMAN WALLIS: You're boiling it  
19 off.

20 MEMBER MAYNARD: -- yet it condenses in  
21 containment and that you're pumping that water back  
22 in.

23 VICE CHAIRMAN WALLIS: Well, that's not  
24 really heat transfer occurring. It's boiling it off.

25 CHAIRMAN SIEBER: And you're actually

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cooling the water that's in that loop.

2 VICE CHAIRMAN WALLIS: But you're boiling  
3 it off. It's not as if you're doing it in order to  
4 get a heat transfer. That's what's strange. It's for  
5 heat transfer to occur, it has to boil. That's really  
6 strange.

7 CHAIRMAN SIEBER: Well, you have no mode  
8 of power.

9 CHAIRMAN SIEBER: You boil it off, right?

10 CHAIRMAN SIEBER: So you boil it off.

11 VICE CHAIRMAN WALLIS: Well, it isn't heat  
12 transfer that's occurring. You're just boiling it off  
13 and condensing it somewhere else.

14 MEMBER SHACK: Heat is being transferred  
15 in the process.

16 VICE CHAIRMAN WALLIS: It's not. It's  
17 steam that's being transferred.

18 CHAIRMAN SIEBER: Well, heat and steam.

19 MEMBER MAYNARD: You've transferred heat.

20 VICE CHAIRMAN WALLIS: But the point is  
21 it's being boiled off, is that right? It's being  
22 boiled off. It's not a heat exchange, per se.

23 CHAIRMAN SIEBER: It is.

24 MR. FRUMKIN: This is Dan Frumkin. And  
25 I've just been following some of these designs a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 little bit.

2 The heat exchange is going on at the top  
3 of the containment for the AP 1000 and the ES BWR. So  
4 the steam is boiling off. And then as it hits the top  
5 of the containment--

6 VICE CHAIRMAN WALLIS: This is as it comes  
7 back around again.

8 MR. FRUMKIN: -- it either condenses with  
9 the ABWR based on atmosphere of the big tank on the  
10 top or through heat exchanger with the ES BWR.

11 VICE CHAIRMAN WALLIS: Right. And then  
12 comes back around.

13 MR. FRUMKIN: But we do need the driving  
14 heat in order to get to the top of containment.

15 VICE CHAIRMAN WALLIS: Okay.

16 CHAIRMAN SIEBER: Okay. Thank you.

17 MR. RADLINSKI: All right. Moving on to  
18 risk information, which I think is probably the last  
19 topic.

20 As we've said before, licensees have not  
21 adopted 50.48(c) the 805 rule. And licensees preparing  
22 new reactor fire protection programs may apply the  
23 methodologies PRA and fire modeling to evaluations of  
24 a fire protection program change.

25 CHAIRMAN SIEBER: How many licensees have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 committed to 805 at this point?

2 MR. RADLINSKI: Forty-two.

3 MR. WEERAKKODY: Forty-two reactor units,  
4 not licensees. Forty-two reactor units. Forty-two  
5 out of 103.

6 CHAIRMAN SIEBER: Almost half.

7 MR. WEERAKKODY: Close to half, yes.

8 MR. RADLINSKI: And we've said the NRC  
9 should review and approve the proposed methodologies,  
10 should or must, and that's not resolved yet, including  
11 acceptance criteria before the implementation of any  
12 plant change based on this methodology.

13 VICE CHAIRMAN WALLIS: There's something  
14 wrong with, I'm sorry, the thing you were saying  
15 before. If you reduced it below the boiling point of  
16 water, then you've cooled it and you don't need to  
17 cool it anymore. So the whole thing is really sort of  
18 peculiar.

19 MR. RADLINSKI: I just cut and pasted  
20 that. I apologize.

21 VICE CHAIRMAN WALLIS: Not much to do with  
22 fire, anyway.

23 MR. RADLINSKI: No. Okay. According to 10  
24 CFR 52.47(a)(v) a new reactor application must include  
25 a design specific PRA. Okay. That's overall plant.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 The point is that the regulation says that it's an  
2 overall plant PRA, okay.

3 So going to the next page detailed fire  
4 PRA are not necessarily required for new reactor.  
5 Okay. However, if the CRL references a certified  
6 design and that certified design does have a detailed  
7 fire PRA, then that licensee must adopt that fire PRA,  
8 make it its own and maintain it and proceed on that  
9 basis. Okay.

10 CHAIRMAN SIEBER: He has no choice?

11 MR. RADLINSKI: Right.

12 MEMBER ARMIJO: Is there any certified  
13 design that has such a fire PRA.

14 MR. RADLINSKI: That was my next. You  
15 didn't give me a chance.

16 MEMBER ARMIJO: Okay.

17 MR. RADLINSKI: So so far the ones that  
18 I'm aware of, AP 1000, ES BWR both have detailed fire  
19 PRAs. Okay. So any COL that's based on AP 1000  
20 certified design or ES BWR certified design is going  
21 to have a fire PRA and they must maintain it. And as  
22 we --

23 MEMBER MAYNARD: That's almost an  
24 incentive to not have a fire PRA for a new design.

25 VICE CHAIRMAN WALLIS: That's right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER MAYNARD: You know, I understand  
2 the desire to do this, but I'm not sure I understand  
3 why it's okay to not have one to start with, but once  
4 -- you have to maintain -- it's almost a disincentive.

5                   You don't have to answer that. It seems  
6 to odd to me.

7                   MEMBER KRESS: I don't think we're going  
8 to certify it unless it's got a fire PRA.

9                   VICE CHAIRMAN WALLIS: If that's the case,  
10 then it's a moot point.

11                  CHAIRMAN SIEBER: Turns it into an  
12 incentive.

13                  MR. RADLINSKI: Okay. The third bullet is  
14 right out of Reg. Guide 1.205 when we talk about what  
15 constitutes a fire PRA. It encompasses all levels and  
16 types of PRAS ranging from a simplified bounding  
17 analysis to a detailed analysis that would be in  
18 accordance with NUREG-68.50. Okay.

19                  VICE CHAIRMAN WALLIS: As long as you  
20 don't use the word "qualitative," you're okay.

21                  MEMBER SHACK: Well, yes. I would say that  
22 seems like Catch 22. You're just not going to get out  
23 of it. But you're going to have to have at least  
24 five, and that's a fire PRA.

25                  MEMBER KRESS: That's right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: It's got the first bullet.  
2 But I guess a detailed fire PRA.

3 MEMBER KRESS: Yes. That's different.

4 MEMBER SHACK: That gets you --

5 CHAIRMAN SIEBER: Right.

6 MR. RADLINSKI: And again --

7 MEMBER KRESS: It's not necessarily  
8 required.

9 MR. RADLINSKI: Carry over from 205 is  
10 that a fire PRA should receive a peer review.

11 VICE CHAIRMAN WALLIS: Oh, yes.

12 CHAIRMAN SIEBER: Okay. That looks like  
13 you've come to the end of your slides.

14 MR. RILEY: It's the NEI guy again, Jim  
15 Riley.

16 Just a couple of final thoughts if I can  
17 leave them with you and thank you for the opportunity  
18 to share some of these with you.

19 I've already expressed some of this with  
20 you guys, so I'm not going to go into any kind of  
21 detail, but we still have some concerns about what the  
22 backfit analysis says about manual actions and circuit  
23 analysis.

24 One thing that strikes me as we kind of  
25 look at how this presentation went on, you can say

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that a reg. guide has one acceptable way to meet a  
2 regulation and therefore putting in that doesn't  
3 necessarily mean it's a backfit. But the problem is  
4 that when you don't use it, you have to justify what  
5 you're doing as being roughly equivalent to what's in  
6 the reg. guide. So it's kind of round about way to  
7 still require -- to still put a requirement out there  
8 even though it isn't. So just a thought on that.

9 A concern that -- when I'm looking at the  
10 new reg. guide, I'm not sure exactly what it's doing  
11 with respect to fire PRA and NFPA 805 plants. But  
12 since Sunil and his folks are way involved in what's  
13 going on with the pilot plants, I don't think there  
14 will be a problem there. But I wasn't sure from the  
15 way it was presented exactly how this reg. guide was  
16 going to start laying out expectation for fire PRAs,  
17 et cetera. Because we don't want to get ahead of  
18 what's going on with NFPA 805 transition in the power  
19 plants. And I'm assuming that the reg. guide isn't  
20 going to put us into that kind of position where it  
21 lays out expectations before we've had a chance to  
22 work them through in the power plant process. So --

23 CHAIRMAN SIEBER: One page.

24 MR. RILEY: Okay.

25 CHAIRMAN SIEBER: And if everybody does

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 their job right, you'll get to read it pretty soon.

2 MR. RILEY: Yes. Okay. Just a thought on  
3 that.

4 CHAIRMAN SIEBER: Okay.

5 MR. RILEY: Just again questions about  
6 cable fire testing important to safety. You've all  
7 been talking about it. We appreciate that  
8 conversation and like to keep our minds open on where  
9 we're going and what can be concluded out of the cable  
10 fire testing, and where we're going with important to  
11 safety.

12 And then one final thing, and I think it's  
13 an administrative thing. At one point in your  
14 discussion I thought you were saying that this new  
15 reg. guide is not applicable to plants that are going  
16 NFPA 805 and Reg. Guide 1.205, yet one of your bullets  
17 seemed to indicate that it was for existing plants.  
18 Maybe that's just my 00

19 MR. RADLINSKI: No. Reg. Guide 1.205 is  
20 the applicable guide.

21 MR. RILEY: I would think so. I think the  
22 slide where you talked about what was applicable to  
23 existing plants listed 1.189 in there and some of the  
24 existing plants will be NFPA 805. So, like I said,  
25 it's just a clarification issue.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. RADLINSKI: Yes. I couldn't put all  
2 the qualifiers.

3 MR. RILEY: Okay. All right.

4 Thank you for the opportunity.

5 CHAIRMAN SIEBER: Okay. Thank you. We  
6 appreciate those comments.

7 I think it explicitly states in here that  
8 you're either NFPA 805 plant or not.

9 MR. RADLINSKI: It does.

10 CHAIRMAN SIEBER: One or the other.

11 VICE CHAIRMAN WALLIS: Right.

12 MEMBER SHACK: But the viewgraph was  
13 confusing because it said they were applicable to  
14 existing plants, where they're both applicable to  
15 existing plants and just not at the same time.

16 MR. RADLINSKI: Right.

17 CHAIRMAN SIEBER: Yes. One of the issues  
18 is that the industry has a disadvantage. They don't  
19 have this, it's pre-decisional. So they sort of have  
20 to guess as to what's in it and look at the slides and  
21 presume the worse.

22 Do any members have additional questions?

23 VICE CHAIRMAN WALLIS: Well, what we're  
24 asked to do here to approve it for going out to public  
25 comment, is that right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN SIEBER: Yes. I see that we have  
2 ahead of us a couple of choices. We need to write a  
3 letter, and the letter should either say send it out  
4 for public comments and continue on with the process  
5 or fix something that we think needs fixed before it  
6 goes out for public comments. And those are the two  
7 choices that we have.

8 What I'd like to do now is just briefly  
9 have each of the members here in attendance give me  
10 advice as to which way they want to go. Do you think  
11 we ought to tell the Staff they ought to send it out  
12 for public comments or if you want something changed  
13 before it goes out, tell me what it is that you don't  
14 like. And maybe I can start with Bill.

15 MEMBER SHACK: Well, I'm not a fire  
16 protection person. So, you know, I think I'll defer.

17 I found it an interesting thing. To me it  
18 seemed mostly a compilation of just pulling together  
19 everything that had been out there as far as guidance.  
20 These issues about backfit and such will be settled,  
21 I think, in a different arena.

22 CHAIRMAN SIEBER: Litigation.

23 MEMBER SHACK: Litigation. And, you know,  
24 so that aside, then so I see no real problem with  
25 putting it out for public comment myself.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: Yes. I see it the same  
2 way, Bill, except your comment to the Staff could take  
3 account of the recommendations that you were making.  
4 Consider that sort of like public comment.

5 CHAIRMAN SIEBER: Yes, I think they can  
6 deal it with them. Otherwise, it's going to take a  
7 couple of months to--

8 MEMBER ARMIJO: Yes, do it again.

9 CHAIRMAN SIEBER: -- go through all this  
10 process again. And we get a chance to check their  
11 paper. And so if it isn't there, then we can make a  
12 fuss.

13 Dr. Wallis?

14 VICE CHAIRMAN WALLIS: Yes, I would put it  
15 out for public comment.

16 CHAIRMAN SIEBER: Okay.

17 VICE CHAIRMAN WALLIS: I think it covers  
18 a lot of things, a lot of things which have been  
19 covered before and as Bill said, are being pulled  
20 together. I didn't see any show stopper or something  
21 I wanted to change.

22 CHAIRMAN SIEBER: I think, just picking up  
23 on your comment, I think it's important that this is  
24 one of the most complex areas of regulation that I  
25 know of. Lots and lots -- hundreds of documents apply

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to this. Plants in different categories and different  
2 kinds of treatment. And maintaining the roadmap  
3 through this process is to me extremely important.  
4 And I think the reg. guide does that because, you  
5 know, it's complex and you need to know what category  
6 you're in for a lot of different situations in order  
7 to be able to run an effective program and to achieve  
8 the right result.

9 Dr. Kress?

10 MEMBER KRESS: I see no reason why it  
11 should go out for public comment.

12 CHAIRMAN SIEBER: Otto?

13 MEMBER MAYNARD: I think it should go out  
14 for public comment. I appreciate the Staff's  
15 discussion. I appreciate the comment from NEI. And I  
16 think we need to highlight a couple of points that  
17 you've brought up and others have brought up in here.  
18 But I think the main thing it needs to go out for  
19 public comment. And that we can see those and --

20 CHAIRMAN SIEBER: How about doing me a  
21 favor? Write down what you think ought to be  
22 highlighted. I actually have a letter that follows  
23 your recommendation, for some strange reason. If you  
24 want to add something to it, it would be easier to do  
25 it before we start arguing about it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER MAYNARD:  Yes.  The only thing that  
2                   I would necessarily highlight, maybe two things.  One  
3                   is on the definition of important to safety.  And the  
4                   fact that we discussed that and that's something that  
5                   may need clarification after public comment and stuff  
6                   that comes in.

7                   And the other is we need to talk about  
8                   whether we need to make it clear or not.  At this  
9                   point I don't think we're making a conclusion whether  
10                  this is or is not a backfit.  And that I think could  
11                  be comments that receive back.  I don't know if you  
12                  have to put that in the letter, but --

13                  CHAIRMAN SIEBER:  I think it's premature.  
14                  And, first of all, that's not our prime function.

15                  And secondly, I think that everybody has  
16                  to really make a case that it's really almost a legal  
17                  case that has to be made as to whether the backfit  
18                  rule applies or not.

19                  I would like to see the Staff and the  
20                  industry go through its process before we jump in  
21                  there and try to make decisions for everybody.  
22                  Because right now we don't have enough information  
23                  from either party to decide whether it's a backfit or  
24                  not.

25                  MEMBER MAYNARD:  I agree.  And I don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 think it has to be in the letter. I just want to make  
2 sure that we don't imply by sending the letter out  
3 that we're saying it's not a backfit --

4 CHAIRMAN SIEBER: And I agree.

5 MEMBER MAYNARD: And it may not need to be  
6 put in there at all. I just don't think --

7 CHAIRMAN SIEBER: Well, it's in the  
8 transcript now, so I think it'll be clear enough.

9 MEMBER MAYNARD: I think that's fine. I  
10 think mission accomplished there.

11 CHAIRMAN SIEBER: Okay. That sort of gives  
12 the Staff an idea of where we're headed. And I will  
13 work on that.

14 I certainly appreciate the effort that you  
15 went to to make the presentation first. But more  
16 importantly, in developing the guide in the first  
17 place. It's a job pretty well done.

18 MR. RADLINSKI: Thank you.

19 CHAIRMAN SIEBER: You accomplished a lot  
20 of goals that I think that were important in  
21 promulgating a list. And it's a very complex issue.  
22 And in order to make a complex issue relatively easy  
23 to understand takes talent. And that talent shows.

24 So if there -- oh -- do you have a  
25 comment?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: I am just an observer.

2 VICE CHAIRMAN WALLIS: He's going to TP  
3 everything now.

4 CHAIRMAN SIEBER: You could make me work  
5 all night. Do you have any comment?

6 DR. BANERJEE: No.

7 CHAIRMAN SIEBER: Okay. Thank you, Dr.  
8 Banerjee.

9 With that, then I would like to thank the  
10 Staff for the work that you've done and your  
11 presentation today.

12 When you give a presentation to the full  
13 Committee it ought to be a brief version of this one.  
14 I think that this covers the main points.

15 MEMBER KRESS: And leave the blue  
16 background out.

17 CHAIRMAN SIEBER: Pardon?

18 MEMBER KRESS: And leave the blue --

19 CHAIRMAN SIEBER: My eyes are so bad that  
20 I couldn't even see it. epoxy

21 MEMBER KRESS: You couldn't see it.

22 VICE CHAIRMAN WALLIS: Yes, leave that  
23 blue out.

24 CHAIRMAN SIEBER: So in any event, I think  
25 it is appropriate that we adjourn the meeting now. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thank you very much.

2 (Whereupon, at 4:51 p.m. the meeting was  
3 adjourned.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25