

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY**  
**COMMISSION**

Title:                   Advisory Committee Reactor Safeguards  
                              Subcommittee on Power Uprates

Docket Number:   (not applicable)

Location:            Rockville, Maryland

Date:                 Tuesday, April 25, 2006

Work Order No.:    NRC-982

Pages 1-396

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

MEETING OF THE SUBCOMMITTEE ON POWER UPDATES

+ + + + +

BEAVER VALLEY POWER STATION EXTENDED POWER UPRATE

+ + + + +

TUESDAY, APRIL 25, 2006

+ + + + +

The subcommittee meeting convened at the Nuclear Regulatory Commission, Two White Flint North, Room T-2B3, 11545 Rockville Pike, at 8:30 a.m., Richard B. Denning, Chair, presiding,

SUBCOMMITTEE MEMBERS PRESENT:

RICHARD B. DENNING, Chair

SANJOY BANERJEE

ACRS Consultant

THOMAS S. KRESS

OTTO L. MAYNARD

JOHN D. SIEBER

GRAHAM B. WALLIS

ACRS STAFF PRESENT:

RALPH CARUSO

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1     FIRSTENERGY STAFF PRESENT:

2             A.R. BURGER

3

4             FENOC

5             MATT CERRONE

6

7             Westinghouse

8             DON DURKOSH

9

10            FENOC

11            KEN FREDERICK

12

13            FENOC

14            DAVID FINK

15

16            Westinghouse

17            CHUN FU

18

19                    Westinghouse

20            NORM HANLEY

21

22            Stone &amp; Webster

23            JOSH HARTZ

24

25            Westinghouse

**NEAL R. GROSS**COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 GREG KAMMERDINER FENOC  
2 BRETT KELLERMAN  
3 Westinghouse  
4 JAMES LASH  
5  
6 FENOC  
7 MARK MANOLERAS  
8  
9 FENOC  
10 CHRIS MCHUGH  
11  
12 Westinghouse  
13 BRIAN MURTAGH  
14  
15 FENOC  
16 MAHESH PATEL  
17  
18 FENOC  
19 JACK PENKROT  
20  
21 Westinghouse  
22 PETE SENA  
23  
24 FENOC  
25 GEORGE STORLIS

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

FENOC

MIKE TESTA

FENOC

DENNIS WEAKLAND

FENOC

NRR STAFF PRESENT:

TIMOTHY COLBURN

RICHARD LOBEL

JIM MEDOF

SAMUEL MIRANDA

JOHN PARILLO

PAT PATNAIK

LYNN WARD

1  
2  
3  
4  
5  
6  
7  
8  
9  
10

A-G-E-N-D-A

1

2 **Opening Remarks**, R. Denning . . . . . 4

3 **Background**, T. Colburn (NRR) . . . . . 7

4 **Introduction and Overview of EPU**, J. Lash (FENOC) 10

5 P. Sena (FENOC) . . . . . 19

6 **Plant Changes**, M Manoleras (FENOC) . . . . . 29

7 **Fuel and Core**, A.R. Burger (FENOC) . . . . . 54

8 **Safety Analysis** K. Frederick (FENOC)) . . . . . 74

9 **Safety Analysis**, S. Miranda (NRR) . . . . . 165

10 **Safety Analysis**, K. Frederick (FENOC) . . . . . 213

11 **Safety Analysis**, L. Ward (NRR) . . . . . 289

12 **Containment Analysis**, R. Lobel (NRR) . . . . . 330

13 **Dose Analysis and AST**, J. Parillo (NRR) . . . . . 363

14 **Materials & RV Integrity**, D. Weakland (FENOC) . 368

15 **RV and Boundary Materials**, J. Medoff (NRR) . . 386

16

17

18

19

20

21

22

23

24

25

P-R-O-C-E-E-D-I-N-G-S

8:32 a.m

CHAIRMAN DENNING: The meeting will now come to order. This is a meeting of the Advisory Committee on Reactor Safeguards Subcommittee on Power Upgrades. I'm Richard Denning, Chairman of the Subcommittee.

Subcommittee members in attendance are Tom Kress, Otto Maynard, Jack Sieber, Graham Wallis who is virtually at the moment, but will be physically here later and our consultant Sanjoy Banerjee, who also seems to be virtually here.

The purpose of this meeting is to discuss the extended power upgrade application for the Beaver Valley Power Station. The Subcommittee will hear presentations by and hold discussions with representatives of the NRC Staff and the Beaver Valley Power Station licensee, FirstEnergy, regarding these matters.

The Subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberation by the full Committee. Ralph Caruso is the designated federal official for this meeting.

The rules for participation in today's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433



1 meeting have been announced as part of the notice of  
2 this meeting previously published in the *Federal*  
3 *Register* on April 12, 2006.

4 A transcript of the meeting is being kept  
5 and will be made available as stated in the *Federal*  
6 *Register* notice.

7 It is requested that speakers first  
8 identify themselves and speak with sufficient clarity  
9 and volume so that they can be readily heard.

10 We have received any requests from members  
11 of the public to make oral statements or written  
12 comments.

13 We think that the agenda that we're going  
14 through today and tomorrow is quite well balanced  
15 towards addressing the principal interests and  
16 interests of the Subcommittee. We know that the power  
17 uprates will result in some eating into safety  
18 margins. WE need to know where that's occurring and  
19 become convinced that the margins are still adequate.

20 This is a very quantitative Committee. The  
21 Staff's review of the application must be  
22 comprehensive, our view must in many sense be in many  
23 aspects be more focused. We'd like you to spend  
24 minimal time on the aspects of plant safety that are  
25 not effected by the uprate. The nice thing about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 having the safety analysis results today is that there  
2 is always tomorrow to ask you to come back and give us  
3 more detail.

4 You'll notice our room has been modified  
5 somewhat over the last couple of weeks. I hope that  
6 everything's going to work okay. I know the screen  
7 isn't perfect, but we will proceed.

8 Now I would like to turn the meeting over  
9 to Mr. Colburn of the NRC Staff to begin.

10 MR. COLBURN: Thank you, Mr. Denning.

11 My name is Tim Colburn. I am a Senior  
12 Project Manager in the Division of Operating Reactor  
13 Licensing in the Office of Nuclear Reactor Regulation.  
14 I'm assigned to the Beaver Valley Power Station, Units  
15 1 and 2.

16 During the next two days presentations  
17 will be made by the Staff and the licensee concerning  
18 background information related to the application,  
19 plant changes associated with the application and fuel  
20 and core design changes, safety analysis including  
21 methodology used for conducting those safety analysis,  
22 discussion of non-LOCA events and large break LOCA.

23 The Staff and licensee will conduct  
24 discussions of the safety analysis.

25 The safety analysis discussion will also

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 include discussions by licensee and the Staff on small  
2 break LOCA, long term cooling and boron precipitation,  
3 containment over pressure credit and dose analyses.

4 The Staff will also provide a discussion  
5 of the containment analysis associated with the  
6 conversion from sub-atmospheric to atmospheric  
7 conditions and its dose analysis and implementation of  
8 the alternative source term.

9 CHAIRMAN DENNING: I think you can just  
10 arrow down, Tim, if you want to there.

11 MR. COLBURN: The Staff and the licensee  
12 will also discuss the materials and reactor vessel  
13 integrity issue associated with the safety evaluation  
14 for the power uprate.

15 On day two a discussion of the balance of  
16 plant issues associated with the power uprate, flow  
17 accelerate corrosion, vibration, corrosion erosion and  
18 risk evaluation will be conducted by both the Staff  
19 and the licensee.

20 Operations and testing associated with the  
21 power uprate including human factor issues, power  
22 ascension testing and the licensee test plan for  
23 basically what amounts to a two phrase implementation  
24 of the testing will be discussed. And then conclusions  
25 of the licensee and the Staff.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The licensee had several license amendment  
2 applications that they had submitted prior to the  
3 power uprate which were needed to support the power  
4 uprate review. These included:

5           Steam generator allowable value setpoint  
6 changes, which were to eliminate concerns the Staff  
7 had with measurement uncertainty;

8           A containment conversion license amendment  
9 application to convert the Beaver Valley Power Station  
10 1 and 2 containments from sub-atmospheric to  
11 atmospheric conditions;

12           Best estimate LOCA methodology approval  
13 for the large break LOCA analyses;

14           Steam generator replacement for Beaver  
15 Valley Power Station Unit 1 only. Replace the previous  
16 steam generators with the Model 54F steam generators;  
17 and

18           Implementation of the relaxed axial offset  
19 control methodology for both units.

20           These amendments have all been approved  
21 and all have been implemented for Unit 1.

22           Implementation of some of these will be for Unit 2 in  
23 the fall of 2006 outage.

24           The licensee's submittal originally was  
25 sent in on October 4, 2004. It had numerous

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 supplements. The licensee had submittals on February  
2 23rd and June 14 of 2005 which were necessary to  
3 consider the application a complete application. The  
4 Staff issued its acceptance review of the licensee's  
5 application in July of 2005 and indicated that it  
6 would be reviewing the application for basically  
7 within a one year time frame.

8 The licensee's application requested an  
9 increase in reactor power from the current 2689  
10 megawatts thermal to 2900 megawatts thermal. This is  
11 approximately an 8 percent increase in power and is  
12 considered an extended power uprate.

13 The Staff plans to issue its safety  
14 evaluation and amendment on or about the end of June  
15 2006. The licensee plans to implement the extended  
16 power uprate for Unit 1 within 120 days of receipt of  
17 the approval. And for Unit 2 in a phased approach  
18 concluding with the completion of balance of plant  
19 upgrades including a turbine upgrade in the spring of  
20 2008.

21 What I'd like to do now is turn the  
22 presentation over to the licensee's site Vice  
23 President Mr. Jim Lash for his opening remarks.

24 MR. LASH: First off, my name is Jim Lash.

25 CHAIRMAN DENNING: No. Hold on just a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 second.

2 MR. LASH: Okay. First off, my name is  
3 Jim Lash, site Vice President of Beaver Valley Power  
4 Station.

5 Good morning, Mr. Chairman and  
6 distinguished members, ACRS consultants. This morning  
7 I'd like to provide a brief introduction and some  
8 background to the Beaver Valley power uprate. Our  
9 decided outcome is to provide you with sufficient  
10 information and answer all relevant questions  
11 regarding the Beaver Valley power uprate so that you  
12 can form appropriate decisions and recommendations to  
13 the NRC Commissioners.

14 We've built this presentation to cover a  
15 number of areas effected by the uprate in areas that  
16 we believe are of interest to the Committee in  
17 fulfilling the desired outcome of these proceedings.

18 We have a full agenda of items to cover in  
19 the next two days, and that is shown here on this  
20 slide.

21 I'd like to introduce the presenters from  
22 FENOC. Other than myself will be Pete Sena will  
23 provide an overview. He is the Director of Engineering  
24 at Beaver Valley.

25 Mark Manoleras on plant changes. He is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Design Engineering Manager at Beaver Valley.

2 A.R. Burger will do reactor fuel and core  
3 design. He is a supervisor of core design.

4 Ken Frederick will address safety  
5 analysis. He is a nuclear safety analyst.

6 Dennis Weakland materials and reactor  
7 vessel integrity. He's a fleet material  
8 representative.

9 Mike Testa the mechanical plant VOP. He's  
10 the EPU Project Manager.

11 Risk evaluation Colin Keller, who is the  
12 supervisor of the PRA group at Beaver Valley.

13 And finally the operations and testing  
14 aspects of this project will be Don Durkosh, who is a  
15 senior reactor operator.

16 Each presenter will describe their area of  
17 expertise and introduce any subject matter experts  
18 that they'll use during the course of their  
19 presentation and at the time of their presentation.

20 In addition to the presenters we have  
21 subject matter experts here from Beaver Valley as well  
22 as some contractors, organizations supporting us,  
23 Westinghouse and Stone & Webster.

24 The balance of my comments will briefly  
25 focus on the history of Beaver Valley, the extended

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 power uprate time line, the peer units experienced  
2 with power uprate and the oversight of our power  
3 uprate project.

4 Okay. Beaver Valley units are three loop  
5 Westinghouse PWRs that achieved commercial operations  
6 in 1976 for 1776 Unit 1 and 1987 for Unit 2. The  
7 original core licensed power was 2652 megawatts  
8 thermal or 2660 megawatts thermal NSSS power. And  
9 both units have currently implemented a 1.4 percent  
10 uprate to 2689 megawatt thermal or 2697 megawatt  
11 thermal NSSS power. This uprate credited the improved  
12 feedwater flow measurements implemented in the fall of  
13 2001.

14 CHAIRMAN DENNING: Let me ask you just a  
15 couple of questions related to the differences between  
16 the two designs. Obviously there's a long distant  
17 time differential between when the two were started.  
18 But even before we get into the steam generator  
19 replacement there are some fairly significant  
20 differences. And you have, I gather, separate  
21 simulators for the two. Can you give me just a little  
22 feeling as to what the principal differences are just  
23 at this point prior to?

24 MR. LASH: Well, they're principally the  
25 same design, however there is a time difference

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 between the implementations of those units so there is  
2 a difference in some aspects of the systems for both  
3 units.

4 CHAIRMAN DENNING: Yes.

5 MR. LASH: We do qualify operators  
6 independently for those two units, so we have dual  
7 simulators to maintain a bank of SROs qualified  
8 personnel for each unit. We're not dual licensed on  
9 the plant.

10 The specific design aspects I think we'll  
11 get into in the safety analysis and how we've treated  
12 those differences later on with some of the other  
13 presenters.

14 CHAIRMAN DENNING: Yes. But the operators  
15 are licensed to operate just one or the other unit?

16 MR. LASH: That is correct?

17 CHAIRMAN DENNING: And do some of them  
18 learn how to do both or --

19 MR. LASH: We have had personnel licensed  
20 on both units. For example, Pete Sena who will follow  
21 me was licensed on both Unit 1 and Unit 2.

22 CHAIRMAN DENNING: But any particular time  
23 they're dedicated towards one or the other?

24 MR. LASH: Predominately the SROs are  
25 qualified and maintain a license, an active license,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 only on a single unit.

2 CHAIRMAN DENNING: Thanks.

3 MR. LASH: A time line of Beaver Valley.  
4 This is a recent time line starting in 1998. The  
5 first item I'd point out there is that FirstEnergy  
6 Nuclear Operating Company was formed in December of  
7 1998. And that operating company has now matured to a  
8 fleet organization and is staffed to support all  
9 functional areas at the three nuclear stations Beaver  
10 Valley, Davis-Besse and Perry.

11 FENOC Corporate is currently charged with  
12 providing governance and oversight of all station  
13 activities.

14 Beaver Valley was purchased by FirstEnergy  
15 from Duquesne Light & Power Company in late 1999  
16 through an asset swap of fossil fire units for the  
17 nuclear station.

18 In early 2000 FENOC implemented a full  
19 potential program for Unit 1 and Unit 2 with a key  
20 objective of managing design margins and increasing  
21 the electrical output of both units. The EPU project,  
22 which is a subset of this potential program, has  
23 updated the station's analyses to include the selected  
24 final design of the Unit 1 steam generators, which  
25 were already referenced as the Model 54, which were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 recently installed during the last outage at Unit 1.  
2 We'll talk about that briefly in a moment.

3 In total, the EPU project and its  
4 supporting projects, steam generator replacement,  
5 containment conversion, best estimate LOCA and others  
6 that will be referred to this morning span a period of  
7 6 years. As a result of the project, Unit 1 and Unit  
8 2 have established a revised baseline of supporting  
9 plant analyses that will be used to manage design  
10 margins for the remaining life of both units. This is  
11 in keeping with the original premises of the parent  
12 full potential program that I spoke of earlier.

13 I previously mentioned the recently  
14 completed outage at Unit 1. Let me briefly touch on  
15 the scope and significant accomplishments of that  
16 outage.

17 This is a picture of our containment. You  
18 can see that we replaced all three steam generators in  
19 this outage. By the way, this outage completed April  
20 19, last Wednesday at 2018. And Unit 1 has achieved  
21 100 percent power, full power operation on Sunday at  
22 1400 hours and it remains at 100 percent power.

23 So during the outage we replaced the steam  
24 generators and the reactor vessel head with a modified  
25 simplified design, and the major accomplishments in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 these replacements is obviously the elimination of the  
2 Alloy 600 aspect of materials that were associated  
3 with the older components.

4 Now shown here, because it's not in  
5 containment, is the main unit generator rotor was  
6 replaced. It has a short. We replaced it. And the  
7 main unit generator itself was rewound.

8 Now there were many other activities, but  
9 I won't go through all of those.

10 I would point out that the average time  
11 frame to do a steam generator outage first time for a  
12 station is about 82 days. Beaver Valley accomplished  
13 this outage in 65 days. And I believe that to be a  
14 very positive indication of both the strength of the  
15 organization as well as the level of planning and the  
16 preparedness for that outage.

17 The larger power uprate which we're  
18 referred to and why we're here today, 8 percent was  
19 initiated in mid-2000 and used an initial scoping  
20 phase to determine the best approach and the optimum  
21 targeted licensed power level. As a result of the  
22 scoping evaluation, a target power level of 2900  
23 megawatts thermal or 2910 megawatts thermal NSSS was  
24 selected.

25 As you can see, that target aligns us very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 well with our peer three loop Westinghouse units that  
2 have already previous uprated. We benchmarked closely  
3 these units, both their approach to uprate and their  
4 operating history since its implementation. We feel  
5 that collectively using the experience of these  
6 stations gives us confidence in the approach we have  
7 chosen. Specific examples of benchmarking in  
8 implementation would be the use, for example, of the  
9 specification for Model 54 steam generators used at  
10 Farley Station and now at Beaver Valley. And the  
11 phased approach to implementing the uprate, which we  
12 will be discussing in greater detail later on in the  
13 presentation.

14 MR. CARUSO: Have you ever considered  
15 doing the stretch uprate?

16 MR. LASH: No, we have.

17 MR. CARUSO: I mean, I don't know if  
18 you've ever --

19 MR. LASH: We've never discussed it.

20 MR. CARUSO: Never discussed that?

21 MR. LASH: Next slide, please.

22 In the area of oversight, executive and  
23 senior management oversight of the project has been in  
24 place since its inception. The site leadership team  
25 has been closely involved, and this team includes the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 site Vice President, myself, the Plant Manager and  
2 Engineering Director.

3 A FENOC executive leadership team has also  
4 provided oversight and this includes our Senior Vice  
5 President of Engineering currently Dan Pace who bring  
6 unique experience in operating activities from his  
7 previous role at Entergy.

8 Oversight of the engineering and licensing  
9 process that supports this uprate has been directly  
10 performed through implementation of the mentioned  
11 boards, committees and assessments. And an example of  
12 the independent assessment you find at the bottom  
13 there would be the NPR Associates for a review of our  
14 uprate supplemental.

15 That completes my introductory comments.  
16 And if there are no other questions, I will turn over  
17 the presentation to Pete Sena, the Director of  
18 Engineer for Beaver Valley. Thank you.

19 MR. SENA: Good morning. Again, I'm Pete  
20 Sena. I am the Director of Engineering at Beaver  
21 Valley. My previous position at Beaver Valley was as  
22 the Operations Manager and also as a senior reactor  
23 operator at both units. So I did hold a senior reactor  
24 operator license, active license for both units  
25 simultaneous. So I'd take a stand working both units

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one at a time, so I do have a unique perspective as  
2 far as the differences between the two units. And  
3 when we come into questions with respect to some of  
4 those specifics during the presentation, I can speak  
5 to it. And also we have one of our shift managers  
6 here, George Storlis, who is also licensed in both  
7 units, however at a different times. So we will be  
8 able to provide the Chairman with additional detail as  
9 you request.

10 I will speak to principally the  
11 preparations for the uprate, the general criteria, the  
12 project team and the technical reviews. And before I  
13 do so, I do want to comment that we at Beaver Valley  
14 did attend the previous Subcommittee meeting that  
15 Ginna participated in. We found that to be extremely  
16 helpful as we prepared for our presentation, and we  
17 have tailored our presentation we believe to what the  
18 Committee desires. We will focus heavily on our  
19 safety analysis so you can understand the margins that  
20 remain following the uprate. We will be going into  
21 great detail on our LOCA and our limiting non-LOCA  
22 transients, such as a loss of feedwater and  
23 uncontrolled rod withdrawal accident. So as we go into  
24 those details, I think you'll appreciate what margins  
25 do remain.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 All right. As you can see from this next  
2 slide there were several amendments that have prepared  
3 Beaver Valley for the power uprate. And again, the  
4 uprate project was a full potential project initiated  
5 back in the year 2000. Just that some of these  
6 amendments will be touched on as we go through the  
7 presentation, but I would like to speak to several of  
8 them right here.

9 The positive moderator temperature  
10 coefficient was previously approved and implemented  
11 back in the year 2002. So what that has enabled us to  
12 do is to gain operating experience on startup with a  
13 slightly positive MTC throughout the years now that  
14 we've had several cycles of operation. I personally  
15 was the first SRO to perform a reactor startup with  
16 that slightly positive MTC.

17 Now that experience and the lessons learned have  
18 been captured and formalized for subsequent crews and  
19 subsequent startups.

20 Also the alternate source term, we will speak  
21 about that again in the future, but we did selectively  
22 apply AST to several accidents such as a fuel handling  
23 accident LOCA, rod ejection. And what this permitted  
24 Beaver Valley to do was to eliminate or retire circle  
25 systems, and one in particular would be what's called

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the control room air model pressurization system  
2 which, Mr. Sieber, you may remember that that has  
3 challenged the plant in the past with an inadvertent  
4 actuation which had resulted in a dual unit shutdown,  
5 a tech spec 303 shutdown. So there were several  
6 benefits towards that selected implementation.

7 Finally, containment conversion and best  
8 estimate LOCA, those amendments were previously  
9 approved by the NRC in the first quarter of this year.  
10 On the containment conversion, there is an industrial  
11 safety benefit that the site has realized with respect  
12 to more frequent and safer containment entries at  
13 power to allow for inspection of various components as  
14 we see fit.

15 CHAIRMAN DENNING: What did you lose on  
16 that in terms of -- you know, it's never been  
17 absolutely clear to me why they were sub-atmospheric  
18 and what the perceived benefits were of that and how  
19 this might impact it.

20 MR. SENA: What I'd like to do is defer  
21 that because we have an entire presentation on the  
22 containment conversion and we're going to go through  
23 that in great detail.

24 CHAIRMAN DENNING: Okay.

25 MR. SENA: A couple of things, though. We

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 did not change the containment design pressure of 45  
2 pounds. We did not change the structural design  
3 temperature of 280 pounds. But there are several  
4 aspects that were a benefit to the plant. For  
5 example, the increased initial pressure provides  
6 additional back pressure for the loss of coolant  
7 accident. However, but we still need to meet our  
8 designed pressure of 45 pounds. So we will go into the  
9 detail on that particular amendment.

10 MEMBER SIEBER: Maybe before you soot away  
11 from that, the idea early on was to be able to build  
12 a smaller containment, spend less money on concrete  
13 and rebar. And if you started out at a sub-  
14 atmospheric pressure, the presumption was that you  
15 would not reach as high in ultimate pressure. On the  
16 other hand, the containment was built as a large dry  
17 strong containment and the sub-atmospheric really  
18 didn't change things all that much.

19 One of the advantageous, though, is you  
20 get increased head to the sump because you're starting  
21 at higher pressure, which could assist in the  
22 recirculation phase of a LOCA accident.

23 I have a question about the positive  
24 moderator temperature coefficient. It's quite common  
25 to have a positive moderator temperature coefficient

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 when the plant is cold. I presume that you're still  
2 positive when the plant is hot early in core life?

3 MR. SENA: It's --

4 MEMBER SIEBER: And that goes away  
5 sometime probably a third of the way through core  
6 life?

7 MR. SENA: At about 30 percent power.  
8 We're really starting off with zero feedback, around  
9 a zero moderator temperature coefficient upon initial  
10 criticality and the initial power ascension. Once you  
11 come up to around 30 percent power and increase power,  
12 it then starts --

13 MEMBER SIEBER: It goes the other way?

14 MR. SENA: -- inching it in the positive  
15 direction.

16 MEMBER SIEBER: Oh, okay. And does that  
17 stay throughout the life of the cycle?

18 MR. SENA: Well, again throughout the  
19 cycle the same. As --

20 MEMBER SIEBER: At burndown it changes?

21 MR. SENA: -- you bring up the boron --  
22 right. Then you're progressing towards a more  
23 traditional negative MTC.

24 MEMBER SIEBER: Right.

25 MR. SENA: To maybe minus 4 or minus 5.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: The increased pressure,  
2 does that lead to increased temperature in the sump  
3 water?

4 MR. SENA: I'll tell you what we're going  
5 to do is we're going to go through specifically the  
6 need for containment overpressure during our  
7 presentation.

8 DR. BANERJEE: Right.

9 MR. SENA: We currently at Unit 1 do  
10 credit containment overpressure and will continue to  
11 credit overpressure. And the onset of the accident,  
12 Mike, what's our initial steam temperature about 280  
13 degrees?

14 MR. TESTA: This is Mike Testa, the  
15 Project Manager at Beaver Valley.

16 Pardon, could you repeat?

17 MR. SENA: The initial temperature for the  
18 assumptions for containment overpressure, for  
19 containment sump temperature?

20 MR. FREDERICK: You want to answer. I'm  
21 here. This is Ken Frederick.

22 When the initial pumps start, the sump  
23 temperature is around 260 degrees.

24 DR. BANERJEE: And what would have been in  
25 the sub-atmospheric case?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: It's roughly the same.  
2 I'll show you some slides later that show you how that  
3 changes.

4 DR. BANERJEE: So you say it doesn't  
5 change?

6 MR. FREDERICK: It goes up a few degrees,  
7 not much. The initial pressure change does not really  
8 impact the transient conditions and some of that's due  
9 to some methodology changes that we've incorporated in  
10 its analysis.

11 DR. BANERJEE: Okay. You'll speak of this  
12 in detail, right?

13 MR. FREDERICK: Yes.

14 MR. SENA: Yes. We have a specific  
15 presentation talking specifically towards containment  
16 over pressure.

17 Finally on the best estimate LOCA again,  
18 that was recently approved. Both containment and  
19 conversion and best estimate LOCA were both approved  
20 first quarter of this year and have been implemented  
21 at Unit 1 upon the completion of the Unit 1 outage.

22 At Unit 2 we have a full outage, those two  
23 amendments will be implemented on the completion of  
24 the Unit 2 outage.

25 CHAIRMAN DENNING: Was that essentially to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be able to accommodate the uprate?

2 MR. SENA: Yes, it was.

3 All right. The best estimate LOCA that  
4 we're speaking of is not the ASTRUM methodology  
5 utilized by Ginna, but the more traditional  
6 COBRA/TRAC. And we will discussing best estimate LOCA  
7 in a future presentation. But it is the same  
8 methodology used by Gravewood, Byron.

9 Next slide, please.

10 Again, is the key elements of the uprate.  
11 I think I've spoken to these already with respect to  
12 the containment conversion and best estimate LOCA.  
13 And, again, we will go into great detail on analyses.

14 Next slide.

15 And the message about this slide is simply  
16 that we at Beaver Valley did not forge new ground  
17 here. We followed the same methodology used by other  
18 utilities in their uprate. There are no new or  
19 unlicensed industry methodologies being applied here.

20 Next slide.

21 As Mr. Lash said, this was a Beaver Valley  
22 led project. The ownership remained with us at the  
23 site. We did have corporate oversight, corporate  
24 oversight and governance. But, again, the ownership  
25 remained with our experienced site personnel.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We provided overall project management and  
2           direction. But, again, we had significant support from  
3           our teammates, from Westinghouse and Stone & Webster.  
4           And, again, many are here today in support and are  
5           various subject matter experts that we may call upon  
6           throughout the presentation.

7           Next slide.

8           Again, we at Beaver Valley, even though we  
9           did have vendor support, we reviewed and approved the  
10          design inputs and performed detailed owner acceptance  
11          of each vendor calculation.

12          Finally, I do want to make a comment in  
13          recognition of the NRC Staff. The NRC review and  
14          challenges and various RAIs were very detailed, very  
15          challenging and did result in a better project here  
16          today. And in particular, the Staff audits that were  
17          performed either at Westinghouse or at Beaver Valley  
18          in the area of PSA, safety analysis and radiological  
19          assessment did significantly help us to come to  
20          closure on many open items and also significantly  
21          streamlined the review process. So we do appreciate  
22          that from the NRC.

23          Next I'd like to introduce Mark Manoleras.  
24          Mark is the Manager of Design Engineering at Beaver  
25          Valley. Mark will be looking at the plant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 modifications that we had done and plan to do at  
2 Beaver Valley.

3 Thank you.

4 MR. MANOLERAS: Thank you, Pete.

5 My name is Mark Manoleras. I'm the Design  
6 Engineering Manager at Beaver Valley. I've been the  
7 Design Engineering Manager since 2002. My  
8 department's responsibility has been the oversight and  
9 performance of the modification packages and the  
10 safety analysis associated with the uprate.

11 At this time I'd also like to mention in  
12 the back, Mahesh Patel. Mahesh Patel is my lead  
13 electrical engineer. He will be here to support the  
14 second part of my presentation.

15 Next slide, please.

16 I'd like to discuss three areas today.  
17 I'd like to discuss the plant modifications that were  
18 performed to support the safety analysis for the power  
19 uprate. Many of these modification packages were  
20 performed to satisfy initial conditions in the safety  
21 analysis. I will touch on the modification package,  
22 discuss it briefly and we will discuss each  
23 modification in great detail when we come up to the  
24 safety analysis section.

25 I'd also like to spend a few minutes to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 talk about the electrical system summary. The  
2 electrical system summary we will spend some time on  
3 it. There was very minor changes associated with the  
4 electrical system associated with the power uprate.  
5 So we will touch on it in my portion of the  
6 presentation.

7 And we will also discuss the use of  
8 operating experience. The operating experience that  
9 we touched on during the project.

10 Next slide, please.

11 As you see, this is the start of a list of  
12 our plant modifications that were performed for the  
13 power uprate. I will discuss each modification and  
14 then I will identify its status whether it had been  
15 implemented at Unit 1 or Unit 2.

16 The first modification is replacement of  
17 our charging/safety injection pump rotating  
18 assemblies. This modification extends our pump runout  
19 flow limit and it improves high head margin and it  
20 improves small break LOCA margin.

21 At Unit 1 we have replaced all three of  
22 our charging pumps. At Unit 2 we have currently  
23 replaced two of those three pumps, and currently are  
24 planning to replace our third pump prior to our Unit  
25 2 outage, which will implement some of the amendments

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that you saw previously.

2 The next modification package I would like  
3 to discuss is the addition of fast acting feedwater  
4 isolation valves at Unit 1. These valves reduce  
5 containment pressure following a mainstream line break  
6 inside containment. And they also provide redundant  
7 isolation capability for feedwater isolation events.  
8 These feedwater isolation valves are already existing  
9 at Unit 2.

10 I'd also like to discuss briefly the  
11 addition of aux feed cavitating venturies at Unit 1.  
12 These venturies minimize mass input to containment and  
13 reduce aux feed flow on a feedline break and maintain  
14 minimum flow to the intact steam generator. These  
15 cavitating venturies already exist at Unit 2.

16 We also added a reactor cavity drainage  
17 port at Unit 1 to facilitate post-accident drain to  
18 improve NPSH performances as pump draw from the sump.  
19 We intend to install that reactor cavity drainage port  
20 at Unit 2 in our next outage.

21 We eliminated our quench spray cutback  
22 feature and it's not longer required due to the  
23 containment analysis at Unit 1. This quench spray  
24 cutback does not exist at Unit 2.

25 Additionally, we replaced our steam

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 generators at Unit 1 and that includes the narrow  
2 range level transmitters. We increased the narrow  
3 range span. And we'll talk about that in great detail  
4 in the non-LOCA analyses that follow.

5 DR. BANERJEE: Why was it necessary to put  
6 those auxiliary cavitating venturies?

7 MR. MANOLERAS: Yes. What we did that for  
8 was we wanted to make sure that we minimized the mass  
9 input to containment following that feedline break. We  
10 wanted to do that. Basically reduce the mass addition  
11 to the containment following a feedline break.

12 DR. BANERJEE: And that came about because  
13 of the uprate?

14 MR. MANOLERAS: That's correct. Basically  
15 part of the containment analyses.

16 MR. TESTA: Yes. This is Mike Testa again  
17 from Beaver Valley.

18 As Mark said, Unit 2 plant already had  
19 that feature, had cavitating venturies installed in  
20 the auxiliary feedwater system.

21 When we looked at Unit 1 we wanted to  
22 again, as Mark said, help support the revised mass and  
23 energy release to the containment for feedline break  
24 and a steamline break. And it also helps to protect  
25 the pumps from run off condition. So early on in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 project we decided to install those cavitating  
2 venturiers and then credit those in the mass and energy  
3 release for the containment analysis.

4 DR. BANERJEE: I guess a more general  
5 comment is I see a list of things you're doing, but I  
6 don't have a clear picture of why you do them. And  
7 does this come out later on or --

8 MR. MANOLERAS: Yes. Actually, when we  
9 get to the safety analysis section of the presentation  
10 we will identify which modification packages satisfy  
11 which initial conditions of those analyses.

12 DR. BANERJEE: Anyway, if you could just  
13 briefly mention the why, that would be very helpful.

14 MR. MANOLERAS: Okay. I will do that.

15 DR. BANERJEE: Why do you replace the  
16 steam generator? Maybe it's obvious, but we'd like to  
17 know.

18 MR. MANOLERAS: Yes. For example, our  
19 Unit 1 steam generators were the oldest steam  
20 generators in the country. We basically had very  
21 limited tube plugging margin there. So we installed  
22 new steam generators. The generators that we  
23 installed actually do not have any tubes plugged. So,  
24 obviously, that was the reason that we did that Unit  
25 1. That's an example.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Okay.

2 MR. MANOLERAS: Okay. Next slide, please.

3 We replaced our high pressure turbine at  
4 Unit 1 with a turbine with all reaction design. At  
5 Unit 2 we're going to do that also. We basically  
6 needed to do that to basically maximize our megawatt  
7 capacity; that's why we did that.

8 At Unit 1 we already installed stakes in  
9 our main condenser to eliminate any vibration issues.  
10 We intend to install those stakes in the Unit 2  
11 condenser so we do not have any flow induced vibration  
12 issues there.

13 MEMBER SIEBER: What's the tube material  
14 at Unit 2 condenser.

15 MR. TESTA: It's stainless.

16 MEMBER SIEBER: Stainless. Yes. Is the  
17 original.

18 MR. TESTA: Yes.

19 DR. BANERJEE: And the steam generator  
20 tubes?

21 MR. TESTA: Steam generator tubes?

22 MEMBER SIEBER: 690 for Unit 1, 600 for  
23 Unit 2

24 MR. MANOLERAS: 600. And we go into great  
25 detail. We have a materials presentation. We'll go

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 into great detail on that.

2 At Unit 1 we did not have to replace our  
3 cooling tower fill. We had adequate cooling tower  
4 fill. We did not have to replace that.

5 At Unit 2 we put in a high efficiency  
6 fill.

7 MEMBER SIEBER: You may want to tell what  
8 cooling tower fill is.

9 MR. MANOLERAS: Basically this is the  
10 material in the cooling tower that helps I guess the  
11 heat exchange capacity or capability of that cooling  
12 tower. So the fill material will allow the  
13 dissipation of heat in the cooling tower, I guess is  
14 the best way to describe it.

15 DR. BANERJEE: Why does it do that?

16 MR. TESTA: Again, this is Mike Testa.

17 For the cooling tower on the circ water  
18 side of the cooling tower, basically you pump the  
19 water into the tower and the water will rain down,  
20 basically, in effect over this fill. And the fill it  
21 helps to aerate, in effect break up the water and help  
22 aerate it. That way when you bring the natural draft  
23 of the tower through it, it'll help remove heat.

24 MEMBER SIEBER: In Unit 1 it looks like  
25 venetian blinds.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Huh?

2 MEMBER SIEBER: In Unit 1 it looks like  
3 venetian blinds and the water cascades down through it  
4 and the air is going through at right angles.

5 I take it that all the asbestos that was  
6 in there is now gone?

7 MR. MANOLERAS: That's correct.

8 DR. BANERJEE: Then the last point raise  
9 set pressure, is that just for the cycle or what?

10 MR. MANOLERAS: No. We intend to make a  
11 permanent change. We've actually made that change. We  
12 raised that setpoint to the MSR reheater relief  
13 valves. We did some analyses, BOP analyses that  
14 identified that we would have limited margin error. So  
15 we went out and we retested and reset our MSR relief  
16 valve setpoints.

17 DR. BANERJEE: Margin to what?

18 MR. TESTA: This is Mike Testa again.

19 As Mark said, we redid the heat balance  
20 for the power uprate and we looked at the operating  
21 pressure at the MSR. The operating pressure in effect  
22 went up about 10 pounds. Okay. We had relief valves  
23 that were set originally at 250 psig. And then  
24 because of the uprate and they increased in operating  
25 pressure of about 10 pounds, we modified the relief

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 valves to relieve at 260. So in other words, the  
2 operating pressure went up 10 pounds. We raised the  
3 set pressure 10 pounds.

4 MEMBER SIEBER: So you're still way under  
5 the design pressure?

6 MR. TESTA: Yes. Yes. Yes.

7 DR. BANERJEE: Do these relief valves  
8 latch open or do they close as the power goes back and  
9 forth, the pressure?

10 MR. TESTA: They basically have a set  
11 pressure. They will pop at that set pressure.

12 DR. BANERJEE: Right. And then--

13 MR. TESTA: And then they'll release and  
14 then reset.

15 DR. BANERJEE: At some other pressure?

16 MEMBER SIEBER: Will, you blow down for  
17 probably 5 percent.

18 MR. TESTA: Yes.

19 MEMBER SIEBER: It will close and then if  
20 the pressure goes up again, it'll open again at the  
21 original set pressure.

22 DR. BANERJEE: It doesn't factor?

23 MR. TESTA: No, does not.

24 MEMBER SIEBER: Hopefully.

25 MR. TESTA: Again, we've already done

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 this. We have operating experience on Unit 2 in the  
2 past spring outage. We've already done that  
3 modification. And we've had no issues, no problems  
4 with that.

5 MEMBER SIEBER: The pressure is not high  
6 and there's a lot of volume there, so --

7 MR. TESTA: Yes.

8 MEMBER SIEBER: -- it shouldn't change.

9 MR. MANOLERAS: The next slide, please.

10 We increased the CD of our main feedwater  
11 control valves. At Unit 1 we replaced the control  
12 valve trim. At Unit 2 we are replacing the feed reg  
13 valves. We did that basically to improve their  
14 operating range and also to help stabilize our steam  
15 general level control.

16 MEMBER SIEBER: What kind of trim did you  
17 put in Unit 1 feed reg valves? It originally had what  
18 they called the hush trim, which was about the third  
19 mod.

20 MR. TESTA: This is Mike Testa.

21 We put in hush trims on Unit 1.

22 MEMBER SIEBER: That's what was in there.

23 MR. HANLEY: This is Norm Hanley from  
24 Stone & Webster. Repeat your question, please

25 MEMBER SIEBER: Ten or 15 years ago it had

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 hush trim in it and there was a lot of problems with  
2 the valve on ability to control the low flows. The  
3 valve was modified several times, all three of them  
4 were. I'm wondering what you did recently?

5 MR. HANLEY: The recent change really  
6 didn't modify the trims that you have in there now.  
7 It just increased the CV. The operating experience  
8 with the latest set of trims was well. So we didn't go  
9 into a redesign of the trim. It was just get us more  
10 CV so we'd get a better operating range.

11 DR. BANERJEE: Well, how did you get a  
12 better CV?

13 MR. HANLEY: Yes. We went back to the  
14 vendor. The original valves, I think, had a large of  
15 CV, about 1100. And right now we've got 1050 in  
16 there. So the valve could accommodate. So the vendor  
17 designed the CV to give us 1050 maximum and allowed us  
18 a good operating range during the power uprate. The  
19 values should operate between 75 and 80 percent open  
20 during the uprate.

21 MEMBER SIEBER: It seems to me the way  
22 that the plant was originally built those valves were  
23 throttled quite a bit. Since it has electric feed  
24 pumps instead of turbine drive feed pumps, turbine  
25 driven feed pumps have basically a constant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 differential across the reg valve. With electric  
2 pumps at low loads there's a big pressure drop there.  
3 It's very hard on the valves; that's why the valves  
4 were modified several times to try to tone down the  
5 energy dissipation. After the hush trim was  
6 installed, that was pretty much the end of the feed  
7 reg valve problem.

8 MR. HANLEY: In fact, we just installed  
9 them in Unit 1 and we did a start up and the valve  
10 behaved very well during start up.

11 CHAIRMAN DENNING: Be sure to speak into  
12 the mike.

13 MR. HANLEY: All right.

14 MR. SENA: This is Pete Sena.

15 Just one item, Mr. Sieber, that the  
16 operating crew from this last start up at Unit 1 did  
17 comment that the feed reg valve control was the best  
18 they had seen at low power operations for start up.  
19 There were no anomalies.

20 MR. MANOLERAS: Okay. Jim had already  
21 discussed the replacement of the rotor and the rewind  
22 of the starter.

23 We additionally modified our heater drain  
24 control valves at both units to increase operating  
25 range and improve capacity. And we replaced our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 instrument replacements for main steam and feedwater  
2 flow for the higher flow ranges that we'll discuss  
3 later in the safety analysis presentation.

4 CHAIRMAN DENNING: Before you move on to  
5 that, I do have a little digression. And that is  
6 regards to sump blockage. At some point, I presume in  
7 the near future, you're going to be making changes or  
8 can you tell us what the status is of that?

9 MR. MANOLERAS: Sure.

10 CHAIRMAN DENNING: And what the character  
11 of the changes will be and when they'll occur.

12 MR. MANOLERAS: Sure. We currently have  
13 about 120 square foot sumps. We're going to be  
14 expanding those sumps by a factor of at least 10. We  
15 are going to put much larger passage strainers in at  
16 Unit 1 and Unit 2. We intend to install the passive  
17 strainer system at Unit 1 in the upcoming outage and  
18 at Unit 1 in our next outage. We will also install  
19 that passage system at Unit 1.

20 We are currently doing the analysis  
21 associated with the strainer design, putting them in  
22 the actual mix of the insulation and boric acid, the  
23 mix, doing the testing of our strainer design to make  
24 sure that all the assumptions that we put into the  
25 analysis are put as far as DP across the strainers and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 whatnot. So we're going right down the path of the  
2 GSI-191 requirements.

3 CHAIRMAN DENNING: So the change for Unit  
4 2 it will occur prior to the power uprate, is that  
5 true?

6 MR. MANOLERAS: It's going to be installed  
7 in our next outage, the physical modifications to the  
8 sump, which our next outage is when we intend to begin  
9 our escalation and our power uprate.

10 CHAIRMAN DENNING: Whereas in Unit 1, of  
11 course, it would follow?

12 MR. MANOLERAS: Unit 1 we intend to  
13 perform a mid-cycle uprate and our next refueling  
14 outage before we went to the full power uprate, we  
15 would have the new sump in.

16 CHAIRMAN DENNING: Yes. And what kind of  
17 thermal insulation do you currently have?

18 MR. MANOLERAS: We have several types of  
19 thermal insulation. We have a metal-reflective. The  
20 majority of our containment we do have metal-  
21 reflective. We also have a material it's called, it's  
22 abbreviated name is CALSIL. It's a material that is  
23 like a plaster of Paris type of material that  
24 encapsulated with --

25 CHAIRMAN DENNING: We're familiar with it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MANOLERAS: Okay. So we have some of  
2 that.

3 And we have several other types of  
4 insulation also.

5 DR. BANERJEE: Do you have NUKON?

6 MR. MANOLERAS: Pardon me?

7 DR. BANERJEE: NUKON?

8 MR. MANOLERAS: NUKON? That's a term that  
9 I am not familiar with. So I don't want to say that  
10 we don't, but it's not a prevalent use of material in  
11 our containment.

12 CHAIRMAN DENNING: You don't have a  
13 fiberglass?

14 MR. MANOLERAS: Fiberglass?

15 CHAIRMAN DENNING: Fiberglass? Fiberglass  
16 mats in any places.

17 DR. BANERJEE: Fibrous material?

18 MEMBER SIEBER: Yes, they're like blankets

19 MR. MANOLERAS: Yes. We don't have  
20 significant quantities of any fibrous material. We  
21 would have very limited fibrous material, maybe in an  
22 application like around a loop stop valve where we  
23 would have -- and I'm talking very, very small  
24 quantities of that where we would have some space  
25 limitations. Like we would pack it in around a valve,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but it would be in very small quantities. And what  
2 we're going to do is in each refueling outage we're  
3 going target and take a hard look at that material to  
4 see if we can get it out of there and replace with  
5 metal reflective.

6 DR. BANERJEE: What are you insulating  
7 your steam generators with?

8 MR. MANOLERAS: The replacement steam  
9 generators? We replaced the CALSIL associated with  
10 those steam generators and put metal reflective in  
11 during this last outage in every area that we could.

12 DR. BANERJEE: All the new steam  
13 generators will have metal reflective?

14 MR. MANOLERAS: That's correct.

15 MEMBER SIEBER: Unit 1.

16 MR. MANOLERAS: In Unit 1

17 CHAIRMAN DENNING: At Unit 1.

18 MR. MANOLERAS: When we replaced our steam  
19 generators -- to make sure we're very clear. At Unit  
20 1 when we replaced our steam generators we put in  
21 metal reflective insulation and we took out those  
22 materials that have been identified in that GSI-191.

23 CHAIRMAN DENNING: Will there be a future  
24 replacement of steam generators at Unit 2 or how much  
25 margin do you still have there?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MANOLERAS: We have significant tube  
2 plugging margin at Unit 2. I'm sure that in our long  
3 range plan that's something that we'll look at. But at  
4 the present time we have not targeted that  
5 replacement. We have significant margin at Unit 2.

6 CHAIRMAN DENNING: And plant life  
7 extension is still to come?

8 MR. MANOLERAS: That's correct. We are  
9 currently working on what we term to be a license  
10 renewal submittal.

11 DR. BANERJEE: How do you control pH?

12 MR. MANOLERAS: Our chemical addition  
13 system we currently use an additive. It's sodium  
14 hydroxide, NaOH.

15 DR. BANERJEE: Do you have any aluminum in  
16 the containment?

17 MR. MANOLERAS: Yes, we do. We keep track.  
18 We have a very detailed program to keep track of  
19 aluminum in containment so that we don't have, for  
20 example, hydrogen generation is always a big concern.  
21 So we have a very detailed program to keep track of  
22 any aluminum that we place in containment. We have  
23 very small quantities of aluminum in containment. We  
24 know where it's at.

25 DR. BANERJEE: Well, will you address

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 these issue related to the sump and the change from  
2 sub-atmospheric to atmospheric pressure and all that  
3 sort of thing? Is there going to be a talk on this  
4 sometime?

5 MR. MANOLERAS: You know, there's actually  
6 a very detailed presentation that we've put in on the  
7 containment conversion submittal.

8 DR. BANERJEE: And will it be done,  
9 something?

10 MR. MANOLERAS: It will be done this  
11 morning, I believe, or early in the afternoon. And I  
12 believe we actually brought a slide to show our  
13 conceptual design for our new sump strainer. We  
14 actually have a picture of our sump strainer that we  
15 are currently designing.

16 MEMBER SIEBER: But the conversion of the  
17 containment to an atmospheric containment is already  
18 approved and implemented?

19 MR. MANOLERAS: That's correct. That  
20 license amendment has been approved and it has been  
21 implemented at Unit 1.

22 MEMBER SIEBER: Okay. Before you jump  
23 into the electrical system, when I was reading through  
24 the application in the SER, particularly the marked-up  
25 tech specs, I stumbled across a place where you are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 eliminating the negative rate trip?

2 MR. MANOLERAS: That's correct.

3 MEMBER SIEBER: What's that have to do  
4 with EPU or anything else, or did you figure that was  
5 just a good chance to get rid of something you didn't  
6 like?

7 MR. MANOLERAS: Well, you hit right on the  
8 head. The negative rate trip was not used in our  
9 plant safety analysis. Additionally, there was an  
10 owners group program to eliminate that trip. We took  
11 this opportunity to implement that. That will reduce  
12 surveillance burden for us at the station.

13 MEMBER SIEBER: Yes. The reason why it was  
14 in there originally, though, was in case you dropped  
15 a rod that the plant would trip before you started  
16 operating with a big imbalance in the core. There was  
17 a reason to do that. Did you change your operating  
18 procedures to tell the reactor operator to trip the  
19 plant when it gets to that condition?

20 MR. DURKOSH: This is Don Durkosh from  
21 Operations.

22 Yes, we have immediate operator actions  
23 for any dropped rod.

24 MEMBER SIEBER: Okay.

25 MR. DURKOSH: If we have more than one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 dropped rod, we immediately trip the reactor.

2 MEMBER SIEBER: More than one?

3 MR. DURKOSH: More than one, that's  
4 correct. More than one.

5 MEMBER SIEBER: So what kind of offset do  
6 you get if you just drop one rod all the way in in a  
7 critical area, do you know? Has anybody done those  
8 calculations? That's why we had the trip so you  
9 wouldn't have to do the calculation.

10 MR. MURTAGH: This is Brian Murtagh from  
11 Design Engineering.

12 The Westinghouse WCAP that evaluated the  
13 elimination of the negative rate trip essentially,  
14 from what I remember, it was if you evaluated the most  
15 reactive rod worth and that were to trip, you would  
16 still not be tripping on negative rate. So because we  
17 do not credit that in the safety analysis, that's why  
18 it was eliminated.

19 MEMBER SIEBER: Okay. But that's  
20 different for every cycle. The Westinghouse WCAP was  
21 done for the envelop of cores that you could design  
22 and could put into that kind of a plan. I take it  
23 during the reload safety evaluation that's analyzed  
24 again?

25 MR. PENKROT: This is Jack Penkrot from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Westinghouse.

2 We do evaluate the dropped rod.

3 MEMBER SIEBER: Okay.

4 MR. PENKROT: For all the values up to  
5 1,000 pcm. Whenever the negative rate trip was  
6 eliminated, we increased the span that we evaluated  
7 from zero to 500 to zero to 1,000. We're able to show  
8 that peaking factors are adequate to handle any  
9 dropped rod.

10 MEMBER SIEBER: Do you know the number and  
11 the date of the WCAP so I could read it?

12 MR. PENKROT: I don't have that  
13 information.

14 MEMBER SIEBER: Well, could you get it?

15 MR. PENKROT: Oh, yes. Sure.

16 MEMBER MAYNARD: This trip has been  
17 eliminated at a number of plants. In fact, for most  
18 plants most rods, a single rod, wouldn't give you the  
19 negative rate trip anyway. But you have procedures  
20 for recovering that rod --

21 MEMBER SIEBER: Yes, I know.

22 MEMBER MAYNARD: -- that limit. You can't  
23 just pull it right back out and go to operating. So  
24 you do have an off normal procedure that controls the  
25 recovery from that to keep you within your safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis.

2 MEMBER SIEBER: I'd still like to read the  
3 WCAP.

4 I was just trying to figure why it was  
5 stuck in with all this other stuff as opposed to  
6 standing out there by itself because it really is not  
7 related to EPU or the containment change or alternate  
8 source term or anything else. It's just out there.

9 MR. MURTAGH: Mr. Sieber, this is Brian  
10 Murtagh again.

11 I can certainly get you that WCAP, a copy  
12 of the WCAP.

13 MEMBER SIEBER: Well, we probably have it.  
14 If the Staff's approved it, it's here. All I need is  
15 the number. It'll be in our file.

16 MR. MURTAGH: Okay. We'll do our best to  
17 try to find that number.

18 MEMBER SIEBER: If you want to give it to  
19 me, that's even better. You know, I'm in love with  
20 paper. You know, I get tons of it every week.

21 CHAIRMAN DENNING: Thank you.

22 MR. MANOLERAS: Yes. I believe Chris --

23 MR. MCHUGH: Chris McHugh from  
24 Westinghouse.

25 I have that number on my laptop. I'll

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 look it up and give it to you in a couple of minutes.

2 MEMBER SIEBER: Thanks.

3 MR. MANOLERAS: Thank you, Chris.

4 Any further discussion before I move on to  
5 electrical system?

6 We added the slide here to discuss the  
7 electric system impacts, the actual system impacts  
8 because of the power uprate were actually extremely  
9 minimal. I brought Mahesh Patel, as I mentioned  
10 before, in case any questions are beyond me and we'll  
11 have Mahesh answer those.

12 Our initial electrical system design is  
13 robust. We basically took a look at all of our  
14 electrical components. We looked at our Unit 1  
15 transformer. We did not have to do any upgrades to our  
16 Unit 1 transformer.

17 Our Unit 2 transformer we had to upgrade  
18 that cooling system. And we did upgrade that cooling  
19 system. We have several cycles of operation now with  
20 that transformer and that cooling system. And the  
21 modification packages that we did make basically had  
22 their intended results. So our cooling system for our  
23 transfer has been upgraded.

24 Our isophased bus duct, one of the issues  
25 is OE and the industry looked as isophased bus duct

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 temperatures. We went out and did extensive  
2 maintenance our bus duct cooling systems at both units  
3 to make sure that the material condition of those  
4 cooling systems -- material condition was there. We  
5 did not require any modification packages to those  
6 cooling systems.

7 We did install temperature indicators in  
8 those cooling systems so that we can do operator  
9 rounds and ensure that the bus duct cooling system  
10 meets its performance.

11 We obviously have operating limits on our  
12 grid voltage, which we did not have to change in  
13 reactive loads to look at post-trip voltages on our  
14 buses. We did not have to make any modifications to  
15 any of those limits because of the uprate.

16 Our grid we did detailed grid stability  
17 studies and Beaver Valley can both receive and accept  
18 trips on the grid without any impact. And we did not  
19 effect our 4-hour station blackout coping study  
20 because of the uprate.

21 MEMBER SIEBER: In Unit 1 are you  
22 replacing the main unit transformer or are you going  
23 to use the one that's still there?

24 MR. MANOLERAS: We're going to use the  
25 existing transformer.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: You know that that had  
2 faults in it a couple of times?

3 MR. MANOLERAS: We have had to replace  
4 that transformer. We had an inadvertent spraydown of  
5 that transformer several years ago and it was  
6 replaced, as you remember.

7 MEMBER SIEBER: Well, the replacement  
8 transformer, the internal impedance was such that it  
9 represented an unusual condition on the grid. I  
10 presume that you know that.

11 MR. MANOLERAS: Yes, we do.

12 MEMBER SIEBER: But it called into  
13 question the breaker capacity if you had to trip that  
14 transformer free from the grid interrupting capacity.

15 MR. MANOLERAS: Mahesh Patel.

16 MR. PATEL: Yes. This is Mahesh Patel.

17 When we had a fault on the original  
18 transformer, we had it built with a little bit higher  
19 than the previous transformer. And we evaluated the  
20 breaker capacity and that reduce the fault coming from  
21 the system. And that makes the breaker capacity. And  
22 the newer transformer is rated is 1058 MBA at 65  
23 degree temperature rise.

24 MEMBER SIEBER: Okay. Thank you.

25 MR. MANOLERAS: The next slide, please.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           Yes. In this last slide I'd like to just  
2 go over some of the industry OE and things we looked  
3 at. Each specific presenter will discuss the specific  
4 OE in his area.

5           We looked at, obviously, vibration issues.  
6 We talked about staking the condenser. We looked at  
7 things like the turbine control system running with  
8 valves wide opened. We looked at the isophase bus duct  
9 cooling capacity and transformer cooling. And Jim  
10 discussed earlier we installed the leading edge  
11 technology -- the leading edge flow meter for  
12 measurement uncertainties.

13           Each presenter will discuss OE in his  
14 particular area.

15           If there are no additional questions, I  
16 would like to introduce A.R. Burger, our fuels  
17 analyst.

18           MR. BURGER: Thank you, Mark.

19           Good morning.

20           As Mark indicated, my name is A.R. Burger.  
21 I'm currently the supervisor of core design and  
22 physics support. And I'm responsible currently for  
23 the design oversight for not only Beaver Valley, but  
24 also the Perry and also Davis-Besse unit.

25           I have supporting person Jack Penkrot.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 He's a Westinghouse core designer. He's done core  
2 design for both Beaver Valley units for quite a few  
3 years.

4 To give you a little background, I started  
5 out in '82 as a reactor engineer down at Beaver  
6 Valley. Starts physics testing at Unit 2 and power  
7 central testing. Moved on to the fuel procurement and  
8 contract administration in the '90s. And '98 to 2004  
9 I became the core design, reload design coordinator  
10 for Beaver Valley interfacing with all the contract  
11 administration in implementing the core designs. And  
12 currently I'm in the supervisor position.

13 I've been involved in EPU since the  
14 inception back in 2000 and so we've preparing in the  
15 core design area for that.

16 What I'm going to touch upon is the fuel  
17 design and the core design aspects.

18 This represents the current design that we  
19 have Beaver Valley. It's called the robust fuel  
20 assembly. It's the same array, 17 by 17 as the  
21 previous, which was a Vantage 5H that we had prior to  
22 the RSA. We maintained the enrichment, the geometric  
23 fuel geometry, the cladding, the loading of the  
24 uranium, axial blanket height; all that has remained  
25 the same.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The changes with the RFA that we've put  
2           in, we have six cycles operating history on the RFA.  
3           We implemented back at Unit 1 starting with cycle 15  
4           in 2001 and that Beaver Valley introduced in cycle 10  
5           2002. We did that for several reasons, one being the  
6           uprate coming. We saw that coming and so we wanted to  
7           get in to look at the RFA design. There's  
8           intermediate flow mixers on the top three spans. That  
9           will give you GMD margin that we would implement to  
10          give us for the uprate.

11                   MEMBER SIEBER: You have to change the  
12          pressure drop across the core?

13                   MR. BURGER: Yes.

14                   MEMBER SIEBER: By how much?

15                   MR. BURGER: There was a couple of pounds  
16          difference.

17                   MEMBER SIEBER: That's pretty much.

18                   MR. BURGER: And that's why you have a  
19          transition core penalty in that time. We've now got  
20          fuel, RFAs in the entire core so we have a whole core  
21          of that. We don't have any transition penalty and  
22          things like that going on.

23                   MEMBER SIEBER: Well, you have flow  
24          distribution problems when you have a mixed core.

25                   MR. BURGER: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SIEBER: On the other hand it seems  
2 to me the core flow went up instead of down in your  
3 list of parameters. And I would expect it would have  
4 gone down with this kind of fuel by a little bit.

5                   MR. BURGER: Well, they're going to go  
6 into that in the safety valve section.

7                   MEMBER SIEBER: The pressure drop across  
8 the steam generators, the new steam generators, is  
9 less, right? Is that true? Less than the Model 51s?  
10 54 is less DP than Model 51, is that true?

11                  MR. BURGER: Excuse me. Could you repeat  
12 the question, please?

13                  MEMBER SIEBER: Is the pressure drop  
14 across the new steam generators, the Model 54, less  
15 than the pressure drop across the old steam  
16 generators, which is Model 51?

17                  MR. HALL: Yes. This is Jeff Hall,  
18 Westinghouse.

19                  That's correct. The Unit 2 generators are  
20 Model 51.

21                  MEMBER SIEBER: So you end up with higher  
22 DP across the core, lower DP across the steam  
23 generators and an overall slight increase in flow for  
24 the whole system?

25                  MR. HALL: That's correct.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Okay. You just moved the  
2 DPs around? Okay. Thanks.

3 CHAIRMAN DENNING: But of course they  
4 would be different for Unit 1 and Unit 2 then?

5 MEMBER SIEBER: Yes, they are right now  
6 because they haven't replaced steam generators in Unit  
7 2.

8 MEMBER MAYNARD: Well, you'll also be  
9 operating at a little bit different RCS temperature,  
10 won't you, for your uprated condition?

11 MEMBER SIEBER: Well, yes. And that comes  
12 about because of the change in flow and the change in  
13 materials and the change in surface.

14 MR. BURGER: You have the 576.2 plus or  
15 minus a couple of degrees of where we're at currently  
16 for the uprate.

17 MEMBER SIEBER: Right.

18 MR. BURGER: And they'll go into that in  
19 the safety analysis section where we're targeting to  
20 go for two and a half for each unit.

21 MEMBER SIEBER: And your hot leg trip is  
22 what? 617, something like that? They would normally  
23 be operating at about 610 or 611 on the hot leg?

24 MR. BURGER: On the hot leg, yes.

25 MEMBER SIEBER: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: This is Ken Frederick.

2 Yes, that's correct, Jack. We'll go over  
3 that later in my slides.

4 MEMBER SIEBER: Well, it sounds like it's  
5 the same as Ginna. Same core parameter set.

6 MR. FREDERICK: In terms of the  
7 temperatures, yes, it's very similar.

8 DR. BANERJEE: Was there any DNB testing  
9 done on a prototype bundle or something?

10 MR. BURGER: Yes, there were supposedly  
11 tests done for the RFA by Westinghouse when they  
12 originally came out with them in 2002 and 2001. The  
13 RFA has actually been out in the industry for quite a  
14 few years.

15 MEMBER SIEBER: Yes.

16 MR. BURGER: There's 33 plants operating  
17 with the RFA fuel design.

18 DR. BANERJEE: What are these mixes like  
19 that give you better performance?

20 MR. BURGER: They just provide extra flow  
21 mixing --

22 DR. BANERJEE: What are these mixes?

23 MR. BURGER: They're just an extra grid  
24 that's put between the upper grid span. You'll notice  
25 they're a little bit thinner than the standard grid

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and, again, they're must meant to get flow mixing into  
2 the assembly so that that's all they're there for.  
3 They provide a little bit more structural integrity  
4 for the assembly also, a little bit more stiffer  
5 assembly.

6 MEMBER MAYNARD: They just have little  
7 pads in them that kind of redirect flow and mix the  
8 flow right?

9 MR. BURGER: Mix the flow right.

10 MEMBER SIEBER: In a mixed core there are  
11 some grids that don't contact the adjacent fuel  
12 assembly grid. So from the seismic standpoint it's  
13 meaningless.

14 MR. BURGER: Yes. There is no impact on  
15 the seismic parameters.

16 DR. BANERJEE: And these tests were done  
17 in a flow loop they had with heaters?

18 MR. BURGER: That's right.

19 DR. BANERJEE: Electrical heaters?

20 MR. BURGER: I believe they were, yes. The  
21 VIPRE loop that they use for Westinghouse.

22 MR. CARUSO: Yes.

23 MEMBER SIEBER: Yes.

24 MR. CARUSO: Westinghouse has a test loop  
25 that they run down in Columbia.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BURGER: VIPRE loop down there that  
2 they run.

3 MEMBER SIEBER: Yes. They've been doing  
4 that for years.

5 What correlation are they on now? It used  
6 to be --

7 MR. BURGER: We'll go into that. There's  
8 a WRB-2M correlation that they'll be using for the RFA  
9 and we'll be implementing that with the uprate. Right  
10 now we're not utilizing it. But when we uprate, we'll  
11 implement the WRB-2M. And, again, they'll go into  
12 that in the safety analysis.

13 MEMBER SIEBER: And here you can't have a  
14 mixed core to implement that correlation?

15 MR. BURGER: Right. We were going to  
16 implement an older design, put it in there. We have to  
17 go and use the other correlations which are still  
18 applicable.

19 MEMBER SIEBER: Right.

20 MR. BURGER: When we originally did the  
21 analysis back in 2000 we were going to have a mixed  
22 core, but it's delayed enough that we now have a full  
23 core of RFAs, so we won't need that.

24 MEMBER SIEBER: Well, you have to go to  
25 the most conservative correlation that you have.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. BURGER: Right.

2 DR. BANERJEE: So the increased power is  
3 accommodated by --

4 MR. BURGER: Why don't we go to the next  
5 slide and that will show.

6 DR. BANERJEE: This increase in DNB?

7 MR. BURGER: We'll let into it, after this  
8 one. This one will show you that the DNB margin and  
9 we're going to use the WRB-2M correlation, as I  
10 mentioned, for the IFMs being in there. The RFA also,  
11 as I mentioned, provides a better grid design for  
12 grid-to-rod fretting issues. Beaver Valley and the  
13 industry had had issues with grid-to-rod fretting and  
14 so we went to that RFA design early on for fuel  
15 failures to get rid of those.

16 We also at that time, there was issues  
17 with incomplete rod insertion in the industry. So the  
18 RFA provides a slightly increased the I2 giving a  
19 stiffer assembly and more margin --

20 MEMBER SIEBER: A larger diameter guide,  
21 too?

22 MR. BURGER: Yes. The IB stayed the same  
23 and the OD increased slightly.

24 MEMBER SIEBER: Okay. And I take the  
25 grid-to-rod fretting you're using the -- you have two

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       dimples and two springs made out of Zircaloy. And  
2       those springs as the become irradiated, they relax.

3               MR. BURGER: Right. Correct.

4               MEMBER SIEBER: To the point where they  
5       aren't springs anymore?

6               MR. BURGER: Yes. They redesigned those  
7       assemblies so they had more contact surface area with  
8       the springs. And we have not had any grid-to-rod  
9       fretting with those assemblies and we have three  
10       cycles of operation. So they basically have gone  
11       through a full lifetime of those.

12              MEMBER SIEBER: That wasn't really an  
13       issue at that plant anyway.

14              MR. BURGER: What? At Beaver Valley?

15              MEMBER SIEBER: Yes.

16              MR. BURGER: Yes. We had grid-to-rod  
17       fretting issues with the 5H, yes.

18              MEMBER SIEBER: Oh, okay.

19              MR. BURGER: Yes. We had fuel failures  
20       associated with that.

21              DR. BANERJEE: But to get the increased  
22       power out, does the surface area in contact with the  
23       coolant increase or not?

24              MR. BURGER: No. We'll go to the next  
25       slide. What we'll do is we did conceptual core designs

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for the uprate conditions. We did that both with the  
2 Westinghouse codes, the ANC codes. We also run in-  
3 house down at our offices. Basically to get the  
4 increased power out we're going to go from equilibrium  
5 to core cycles of 18,800, 20,200.

6 We have had cycles up above 20,200 just  
7 because of the way the outages were scheduled. Beaver  
8 Valley Unit 2 cycle 10 was 20,400. So we have had  
9 cores where there's much energy as we'll be doing for  
10 the uprates.

11 Basically your linear heat generation  
12 rate's going to go up. So the fuels all stayed the  
13 same on the surface area and everything else. Just  
14 put --

15 DR. BANERJEE: So your heat flux goes up?

16 MR. BURGER: Right. And it's in the same  
17 vein as the others that we mentioned earlier, kilowatt  
18 p er foot is in that same range --

19 DR. BANERJEE: So what allows you to get  
20 more heat out of the same surface area fuel?

21 MEMBER SIEBER: Higher temperature.

22 MR. BURGER: Higher temperature. Yes.

23 DR. BANERJEE: No, no. I mean from the  
24 point of view of limits?

25 MR. BURGER: Our peaking factors will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 remain the same.

2 MEMBER SIEBER: You got closer to the  
3 point of 200.

4 DR. BANERJEE: What?

5 MR. BURGER: The peaking factors were to  
6 remain the same. What we did was to get more margin on  
7 the fuel is we put in the IFM, so that gives DNB  
8 margin and --

9 DR. BANERJEE: So you get your DNB margin  
10 by doing better mixing?

11 MR. BURGER: Right. In the hottest --

12 DR. BANERJEE: And this is a fairly well  
13 understood process?

14 MR. BURGER: Yes.

15 DR. BANERJEE: How much increase in DNB do  
16 you get?

17 MR. BURGER: About a 20 percent increase.

18 DR. BANERJEE: Remarkable. And what about  
19 the LOCA limits?

20 MR. BURGER: We'll go into that later in  
21 the safety analysis and they'll actually show you the  
22 markups of where the DNB margin limit, where the  
23 correlation is, how much safety margin in. And we'll  
24 go into that in the safety analysis.

25 DR. BANERJEE: So basically you have the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 same surface area fuel, the same subdivision and  
2 you're getting 10 percent more power?

3 MEMBER SIEBER: Yes.

4 DR. BANERJEE: By doing something to the  
5 DNB limit and the LOCA limits?

6 MEMBER SIEBER: Well --

7 DR. BANERJEE: Is that a correct  
8 statement?

9 MEMBER SIEBER: Well, there's a couple of  
10 effects going on. The other thing that gets effected  
11 is the number of rods that have an increased peak clad  
12 temperature during a LOCA, and usually with an  
13 improved core design the approach to the 2200 degrees  
14 doesn't change very much, but the number of rods who  
15 make that approach does change because you're  
16 flattening the power distribution.

17 MR. BURGER: Right. And you'll see that,  
18 as we said, there's going to be 64 more feet  
19 assemblies. So to get that extra power out, you'll  
20 need more feed assemblies to go into the core. So  
21 that's where you're getting extra power; you're going  
22 to spread that power out over --

23 MEMBER SIEBER: That's where you get the  
24 neutrons from.

25 DR. BANERJEE: You're not increasing the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 surface area of the fuel? You're just bringing in  
2 fresher fuel?

3 MR. BURGER: Right. Distribute the burnup  
4 along the assembly --

5 DR. BANERJEE: So that means you get a  
6 high heat flux, too, right? So the issue really, and  
7 hope you'll address is, is to understand how you can  
8 get more power out of the same fuel, basically the  
9 same fuel surface area. Maybe it's by sharpening the  
10 pencils and doing a few experiments, but we want to be  
11 convinced that this is really not. Maybe other people  
12 have done that, but you would have to do it at some  
13 point.

14 MR. FU: Okay. This Chun Fu, Westinghouse,  
15 thermal hydraulic design.

16 So basically you have IFM, it enhance your  
17 mixing an in an analysis area we have WRB-2M  
18 correlation, which give you 20 percent or even a  
19 little more than 20 percent in the margin. So you  
20 will see that.

21 DR. BANERJEE: Yes, we'll look at it. And  
22 the basis for it.

23 CHAIRMAN DENNING: This is probably an  
24 irrelevant question, but why didn't you decide to go  
25 to higher burnups?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BURGER: Higher burnups?

2 CHAIRMAN DENNING: Yes.

3 MR. BURGER: The average actually  
4 discharge we're putting in four more assemblies.  
5 You'll spread the burnup among those. So the average  
6 discharge on the assemblies will remain about the  
7 same. So you'll just put that burnup on more  
8 assemblies. But you really, the overall will be in  
9 the 50,000.

10 CHAIRMAN DENNING: What's your refueling  
11 cycle then?

12 MR. BURGER: We're on 18 month refueling  
13 cycles.

14 CHAIRMAN DENNING: You're on 18 month  
15 refueling cycle?

16 MEMBER SIEBER: These are cycle burnups as  
17 opposed to assembly burnups?

18 MR. BURGER: Discharge assembly will be in  
19 the 50,000 --

20 MEMBER SIEBER: Right.

21 CHAIRMAN DENNING: That's what I didn't  
22 understand.

23 MEMBER SIEBER: Which is a moderate. It's  
24 sort of in the middle of where everybody's running.

25 MR. BURGER: Right. Yes. And there's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 other plants that are operating at 5.69 and 2900 and  
2 they're in the similar area.

3 MEMBER SIEBER: Right.

4 MR. BURGER: Next slide.

5 Our current maximum riching is 5 weight  
6 percent. We currently put in a split four of usually  
7 495 right now and 46 enrichment, so it'll be no change  
8 to the maximum enrichment that we'll see.

9 With  $T_{avg}$  remaining approximately the same  
10 plus or minus 2 degrees of the current, you don't see  
11 a whole lot of change in the flux profile on the  
12 assemblies.

13 Again, we're operating with a full core of  
14 RFA, full units so we won't have any transition four  
15 penalties impacted.

16 And another item that we implemented was  
17 separate from the EPU was RAOC. That was basically to  
18 give more operating flexibility to the Operations.  
19 They were doing that separately but when we went to  
20 the EPU we also incorporated EPU conditions into the  
21 RAOC curves that we came up with.

22 We've now implemented RAOC, start up of  
23 Unit 1 here is with RAOC. So they're operating right  
24 now with RAOC at the current --

25 MEMBER SIEBER: That's already been

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 approved?

2 MR. BURGER: Yes, it's been approved.  
3 Right. And we're actually operating it for the first  
4 cycle right now.

5 MEMBER SIEBER: There are a number of  
6 other plants that have already have this.

7 MR. BURGER: Right. And you have a tech  
8 spec out of that one.

9 MEMBER SIEBER: Usually on the maximum  
10 enrichment it's the spent fuel pool that governs how  
11 high you can go.

12 MR. BURGER: Yes. We're currently at five  
13 weight percent for both units.

14 MEMBER SIEBER: Okay. Do you take burnup  
15 credit?

16 MR. BURGER: At Unit 1 we have Borel in  
17 the Unit 1 fuel pool and so there's distinct regions  
18 for that of where the fuel goes.

19 Unit 2 we have Borelfex. We're not  
20 crediting the Borelfex in there. So we credit the  
21 soluble boron in there. And we're trying to get a  
22 rerack in there for Unit 2 to get rid of the Borel.  
23 Also, to get more room in the spent fuel pool. And  
24 that analysis will be done in the late 2009/2010 area.

25 MEMBER SIEBER: Do you have enough extra

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 spaces to wait that long?

2 MR. BURGER: Apparently we can go that  
3 long. We have submittal later this year for spent  
4 fuel criticality analysis to maybe get a better  
5 checkerboard pattern out of that and maximize those  
6 areas in the pool.

7 MEMBER SIEBER: Well, the checkerboard  
8 pattern ought to spread out the deposition of heat  
9 modes, too.

10 MR. BURGER: Right. Exactly.

11 MEMBER SIEBER: For obvious reasons.  
12 Okay.

13 MR. BURGER: And that's all I had in the  
14 fuel and core design area.

15 CHAIRMAN DENNING: I think there is  
16 something we want to pursue just a little bit here.  
17 Because obviously we're on a tight time schedule  
18 related to when we're going to have our full  
19 Committee. And I see an issue here related to the  
20 change in the DNB correlation associated with that  
21 mixing. And I can see Sanjoy is ready to jump onto  
22 this issue.

23 I'm wondering how quickly could we get  
24 some information on the validation of this revision to  
25 the DNB model? And presumably Westinghouse has some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 results.

2 MR. BURGER: Yes. That's already been  
3 previously approved the correlation. And it's already  
4 in use.

5 CHAIRMAN DENNING: Okay. So that's the  
6 other element I wanted to --

7 MEMBER SIEBER: I think there's a WCAP on  
8 that one.

9 MR. BURGER: Yes, there's a WCAP out there  
10 for the WRB-2M right. And then we're applying it now  
11 with the use of the VIPRE code and --

12 MEMBER SIEBER: Maybe we could just get a  
13 copy of the WCAP?

14 MR. CARUSO: I can give you a copy of the  
15 WCAP.

16 MEMBER SIEBER: Oh, okay.

17 DR. BANERJEE: And it's been applied to  
18 this specific fuel?

19 MR. BURGER: Five or six years ago, yes.

20 DR. BANERJEE: To this specific fuel  
21 design?

22 MR. BURGER: Yes.

23 DR. BANERJEE: And at these ratings?

24 MR. BURGER: Yes.

25 DR. BANERJEE: Where?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes, before they sell it  
2 they usually have the correlation and have it  
3 approved.

4 MR. CARUSO: The plants are using this  
5 that have not done the uprate. Haven't done uprates.  
6 They just use it to increase margin to improve their  
7 fuel performance. There's a lot of reasons why they  
8 would want to use that are --

9 DR. BANERJEE: So I think we could just  
10 review what's being done right now.

11 MR. CARUSO: I think I can get a copy. I  
12 know the guy who did the review.

13 DR. BANERJEE: Review the review?

14 MR. CARUSO: We could talk about that  
15 offline. But that's not hard to get for you.

16 DR. BANERJEE: Okay.

17 CHAIRMAN DENNING: Okay. Very good. Thank  
18 you very much.

19 We're now going to take a 15 minute break  
20 and we start up again at five after 10:00.

21 (Whereupon, at 9:52 a.m. off the record  
22 until 10:09 a.m.)

23 CHAIRMAN DENNING: Okay. We're now back  
24 in session. And we're going to start up with Mr.  
25 Frederick on safety analysis.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: I wanted to thank the  
2 Committee for allowing us the opportunity to come and  
3 talk to you.

4 As the slide says, my name is Ken  
5 Frederick I'm the lead safety analyst at Beaver  
6 Valley. By background I've worked at Beaver Valley  
7 for 27 years, most of that time has been spent in the  
8 engineering department, only a few years in the  
9 operations.

10 For the last five years I've been assigned  
11 to the uprate project and also the other projects that  
12 we mentioned here, the containment conversion and the  
13 best estimate LOCA.

14 Next slide.

15 Just to give you a brief objective for  
16 what we consider the safety analysis of the plant.  
17 First of all, we want to demonstrate that we have  
18 compliance with all the regulatory limits and the  
19 acceptance criteria . And also we want to show that  
20 Beaver Valley has adequate safety margins at the EPU  
21 conditions.

22 Next slide.

23 So basically we'll be talking about the  
24 specific analysis areas that are listed here as well  
25 as some of the methodologies and the setpoint changes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and design parameters associated with the EPU  
2 conditions.

3 This slide shows the design parameters for  
4 the uprate condition as well as the current  
5 operations. Basically here we're showing that the mass  
6 flow through the reactor essentially is unchanged.  
7 The thermal design flow, which is the tech spec value  
8 which is in volumetric units gallons per minute stays  
9 the same. So in order to get increased power out of  
10 the core, we have to increase the enthalpy rise across  
11 the core. So you see an increase in the hot leg  
12 temperature and a slight decrease in the cold leg  
13 temperatures.

14 CHAIRMAN DENNING: And the difference  
15 between EPU low and EPU high is what?

16 MR. FREDERICK: We've analyzed a range for  
17  $T_{avg}$ . The low temperature being 566.2 and the upper  
18 end is 580 degrees.

19 CHAIRMAN DENNING: And you would expect at  
20 different times to be operating throughout that range  
21 depending upon what was?

22 MR. FREDERICK: Yes, we have target  
23 values. And you want to pull up the backup slide?

24 This slide shows the target values that  
25 we're intending to operate at, although we could

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 revise the  $T_{avg}$  parameter in that range that we have  
2 the analyzed, 566.2 to 580.

3 For Unit 1 you can see  $T_{avg}$  as compared to  
4 the current operation will go up a little less than 2  
5 degrees. And the hot leg temperature will go up about  
6 4 degrees.

7 And this is basically what we targeted and  
8 we've optimized our turbine, our replacement high  
9 pressure turbine for this steam pressure for the EPU  
10 condition. Again, depending on our new generators,  
11 our new replacement generators operate. And they do  
12 seem to match up pretty well with the pre-EPU estimate  
13 there of 822 psia. They're pretty much right on that.  
14 So we probably won't be needing to make any  
15 adjustments in  $T_{avg}$  but if --

16 MEMBER WALLIS: What do you mean psia?

17 MR. FREDERICK: Pardon me?

18 MEMBER WALLIS: Did you adjust for  
19 atmospheric everyday? Don't you measure psig?

20 MR. FREDERICK: Yes. We actually measured  
21 810 psig is what we're seeing out of the replacement  
22 generators.

23 Move on to the next slide it shows the  
24 Unit 2 target values. In Unit 2 we're actually  
25 intending to reduce  $T_{avg}$  a couple of degrees. And the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 intent here is to try and maintain the hot leg  
2 temperature at approximately where we are now, which  
3 is at 609. That will minimize any impacts on the  
4 materials.

5 MEMBER MAYNARD: Now Unit 2 is the one  
6 that still has the 600 --

7 MR. FREDERICK: Yes.

8 MEMBER MAYNARD: Is that the main reason  
9 you're trying to keep the --

10 MR. FREDERICK: That's correct.

11 MEMBER SIEBER: Unit 2 has 600? Okay.

12 MR. FREDERICK: And again, a  $T_{avg}$  results  
13 in a reduced steam pressure here. So when we replace  
14 our high pressure turbine in Unit 2, we'll be  
15 targeting a lower steam pressure for the optimum  
16 design in that turbine.

17 In the area of safety setpoints, we have  
18 made a couple of changes to reactor trip setpoints.  
19 Primarily these are the delta T trips, the  
20 overpressure and over temperature delta T trips.

21 We've reduced the primary setpoint for  
22 these trips. If you're familiar with the trips, that's  
23 the  $K_1$  and  $K_4$  terms.

24 We've also added some filters on the  
25 equations, the functional equations. I can pull up a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 slide. You're looking puzzled, so we'll pull it up  
2 here.

3 MEMBER WALLIS: I'm puzzled.

4 MR. FREDERICK: This is the actual  
5 equation that models this trip. And again, that's all  
6 done electronically.

7 The  $K_1$  term for the OT delta T trip and  
8 the  $K_4$  term for the OPR, the primary trip and then the  
9 rest of the terms there are basically lag and lead  
10 functions and also some adjustments based on actual  
11 temperature and pressure conditions.

12 MEMBER WALLIS: How long are these times  
13 typically that are in the --

14 MR. MURTAGH: This is Brian Murtagh.

15 The filtering is about 6 seconds for the  
16  $T_{avg}$  and delta T filters. All the other time  
17 constraints are typically for the lead lag function  
18 would be 30 over 4. Tile 1 and tile 2 would be tile  
19 130, tile 24.

20 MR. FREDERICK: Does that answer your  
21 question?

22 MEMBER WALLIS: Yes. I was just going to  
23 get an order of magnitude of the tiles to see what  
24 sort of times you're dealing with.

25 MR. FREDERICK: Right. The filters,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 again, were added essentially to give us additional  
2 operating margin so we don't see inadvertent trips  
3 from temperature spikes and that type of thing.

4 MEMBER WALLIS: To wipe out the bouncing  
5 array?

6 MR. FREDERICK: The noise, right.  
7 Correct. And with the reduced trip setpoint and the  
8 additional filters we're not really losing any  
9 operating margins.

10 Some other --

11 DR. BANERJEE: Does this sort of take out  
12 some specific frequency component and above? When  
13 looking at this equation I can't tell anything. So  
14 what is the frequency cut off --

15 MR. FREDERICK: Brian?

16 MR. MURTAGH: Well, if you were to look at  
17 it in terms of a low pass filter --

18 DR. BANERJEE: Yes.

19 MR. MURTAGH: -- then the cut of frequency  
20 would be the inverse of one over 6 seconds, say.

21 DR. BANERJEE: One over 6 seconds?

22 MR. MURTAGH: Yes.

23 DR. BANERJEE: Why 6 seconds? Why not 10,  
24 why not 3?

25 MR. MURTAGH: Well, I believe probably as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 much as you increase the filtering, you're going to  
2 have to decrease the setpoints. Okay. So it's an  
3 optimization of how you want the circuit to function.  
4 You know, it's a trade off between that protects part  
5 of it --

6 MEMBER WALLIS: If it's too long, then you  
7 don't respond quickly enough.

8 MR. MURTAGH: Right.

9 MEMBER WALLIS: And if it's too short, you  
10 respond to every little transient.

11 MR. MURTAGH: And if it doesn't respond  
12 quickly enough, you'll have to reduce the set point.

13 DR. BANERJEE: So is this judgment call?  
14 Is it a judgment call or is it an optimization?  
15 Optimization assumes there's a function you're trying  
16 to maximize, right?

17 MR. MURTAGH: Yes. I believe the code for  
18 it is OptiMax code -- OptoX code used by Westinghouse.

19 DR. BANERJEE: What is it you're trying to  
20 optimize?

21 MR. DURKOSH: This is Don Durkosh.

22 What I wanted to point out was the time  
23 constants here. These were established many years ago  
24 at Westinghouse and they were optimized based on the  
25 plant design. And for the most part these constants

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have stayed pretty much the same and have been used by  
2 just about all Westinghouse plants.

3 As part of this project all they did was  
4 they looked at this and they tried to optimize. As  
5 Ken pointed out, what they did was they lowered the  
6 steady state trip value of small mount and by doing  
7 that they were able to add a small time delay so that  
8 if a particular noise event occurred, it wouldn't  
9 bring that channel into a partial trip condition. So  
10 it's just a small trade off as steady state versus a  
11 transient change.

12 DR. BANERJEE: So how small was this?  
13 What was small here?

14 MR. DURKOSH: Well, I don't have the  
15 numbers memorized, but I did talk to the Westinghouse  
16 and-- DR. BANERJEE: Rough terms.

17 MR. DURKOSH: Basically these values are  
18 representative of what other plants have. They are  
19 not out of line.

20 MEMBER KRESS: Don't you need some sort of  
21 measure of the normal oscillations to do this  
22 optimization?

23 DR. BANERJEE: What does that mean in  
24 delta T? I can't tell that with the ratio?

25 MR. DURKOSH: Well, let's take the first

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bullet here.

2 DR. BANERJEE: Yes.

3 MR. DURKOSH: At steady state conditions  
4 for  $K_1$ , 1.259. What that means is if loop delta T got  
5 up to 25.9 percent above nominal, it would actuate.  
6 So we've lowered that value a little bit. We've  
7 reduced the steady state trip value from 25.9 percent  
8 to 24.2 percent at Unit 1. And we traded that margin  
9 off against just delaying the signal and the length of  
10 the signal that requires actuation.

11 DR. BANERJEE: By how much? It would be  
12 nice to have real numbers instead of percentages  
13 because I can't tell what they are looking at them.  
14 Whether there's a degree, 10 degrees, 5 degrees; what  
15 is the number?

16 MEMBER WALLIS: Well, I guess our interest  
17 would be --

18 MR. DURKOSH: The number for --

19 DR. BANERJEE: How many seconds, how much  
20 average --

21 MR. MURTAGH: The  $K_1$  number means for your  
22 at nominal delta T that you have measured at 100  
23 percent power. If you reach a 124 percent of that  
24 value, you will trip.

25 DR. BANERJEE: Right. But you know the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 normal operating temperature --

2 MR. FREDERICK: The nominal delta T is  
3 about 60 degrees.

4 DR. BANERJEE: Sixty degrees?

5 MR. FREDERICK: Right.

6 DR. BANERJEE: So you've reduced that by  
7 how many degrees?

8 MR. FREDERICK: The trip?

9 MR. MURTAGH: The trip will be 124 percent  
10 of the nominal value.

11 MR. FREDERICK: Well, 2 percent of 60 is  
12 roughly one degree.

13 DR. BANERJEE: This is my head, I need a  
14 calculator.

15 MR. FREDERICK: It's roughly 1 degree  
16 delta.

17 DR. BANERJEE: Okay. One degree. And the  
18 time?

19 MR. FREDERICK: I'm not sure. Brian, do  
20 you know what the time change was? In addition to the  
21 filter, what does it --

22 MR. MURTAGH: Well, there's no direct  
23 correlation between filtering and --

24 MEMBER WALLIS: The only thing that  
25 matters to me really is the impact of these things on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the plant.

2 DR. BANERJEE: Yes. So one degree change  
3 is a small change, but that has given you a big change  
4 in the time available?

5 MR. MURTAGH: Has that given you a big  
6 change?

7 DR. BANERJEE: How much?

8 MR. MURTAGH: The time delay is going to  
9 be built into the safety analysis where the function  
10 is no longer credited as an immediate trip. It would  
11 be assumed to be delayed in a safety analysis.

12 DR. BANERJEE: By how much?

13 MR. FREDERICK: If I understand what  
14 you're asking, we'll get that number for you.

15 DR. BANERJEE: You know, I just want to  
16 get a feel for does 1 degree change in this give you  
17 twice as much time or is it --

18 MR. FREDERICK: Yes, I understand.

19 DR. BANERJEE: -- five percent, or  
20 nothing?

21 MR. FREDERICK: We'll have to get back to  
22 you on that.

23 MEMBER SIEBER: Well, there's an inherent  
24 time delay anyway.

25 DR. BANERJEE: If it's small, it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 irrelevant. Yes.

2 MEMBER SIEBER: That's because of the  
3 instrument response.

4 DR. BANERJEE: Yes.

5 MEMBER MAYNARD: But it's still a trade  
6 off, but you're not approaching any limits anymore.  
7 You're trading off the point at which it trips or a  
8 time. It's still within that time. It can't exceed  
9 any of your safety analysis requirements or anything.  
10 So it's not changing a limit that you're going to get  
11 to.

12 MEMBER SIEBER: Right.

13 DR. BANERJEE: Anyway, appreciate having  
14 the time.

15 MEMBER WALLIS: And I think our main  
16 message should be it changes to what? What's the  
17 adverse consequence because we haven't said anything  
18 about the consequence here.

19 MR. FREDERICK: Right. Yes, the delta T  
20 trips are primarily DNBR protection trips --

21 MEMBER WALLIS: So the thing is by  
22 changing this, have you reduced the DNBR margin  
23 significantly? That's what really we should look at?

24 MR. FREDERICK: Yes.

25 MEMBER WALLIS: Maybe you could tell us--

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. FREDERICK: Yes, well we'll talk about  
2 that in some detail later.

3 MEMBER WALLIS: We'll get to that, I  
4 presume.

5 MR. FREDERICK: Right. Right.

6 MEMBER WALLIS: You heard about how we  
7 probed the last applicant on this question?

8 MR. FREDERICK: Yes. Yes.

9 MEMBER WALLIS: Thank you.

10 MR. FREDERICK: Okay. Let me go back to  
11 the original slide here.

12 Other protection system changes. We've  
13 changed the low steam generator level trip for Unit 1,  
14 and that's associated with changes in the instrument  
15 span for that replacement generator. Has a larger,  
16 narrow range span.

17 Again, as we talked about before, we were  
18 eliminating the flux rate trip. And that, again, was  
19 a generic approved, not associated with EPU, but  
20 included.

21 The containment set point changes were  
22 associated with containment conversion. Those have  
23 already been implemented. We've raised the setpoint  
24 since we've increased the normal operating pressure.

25 And we also at that time, we revised the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 low level RWST recirc setpoint. And that was --

2 MEMBER WALLIS: You went from a reduced  
3 pressure containment to an atmospheric, is that what  
4 happened?

5 MR. FREDERICK: That's correct.

6 MEMBER WALLIS: Why did you do that?  
7 Maybe you've explained that already, but why?

8 MR. FREDERICK: Yes, we can talk about it  
9 later. But primarily the reason is --

10 MEMBER SIEBER: To make old guys breath  
11 easier, right?

12 MR. FREDERICK: That is a very key factor,  
13 yes. We have an aging workforce and wearing 40 pound  
14 biopacks in containment is certainly not very  
15 comfortable. So it does add a --

16 MEMBER WALLIS: An aging workforce is  
17 what--maybe we should pressurize this room.

18 DR. BANERJEE: Oxygenate.

19 MR. FREDERICK: Consideration of personnel  
20 safety and we also see some other benefits in the  
21 analysis from the increased pressure. And we'll talk  
22 about that later.

23 DR. BANERJEE: What is the RWST level low-  
24 low setpoint lowered? What is the implication of  
25 this?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SIEBER: I'm sure safety injection  
2 is --

3                   MR. FREDERICK: The setpoint is where  
4 transfer from injection mode to recirc mode. And by  
5 lowering that setpoint we end up with more water in  
6 the sump whenever we do that transfer so that  
7 increased the NPSH margin for primarily the low head  
8 safety injection pumps.

9                   DR. BANERJEE: Do you have a problem with  
10 NPSH margin?

11                  MR. FREDERICK: Yes, we're pretty close to  
12 the limit.

13                  DR. BANERJEE: Is that why you're doing  
14 that?

15                  MR. FREDERICK: That was one of the  
16 reasons, yes.

17                  DR. BANERJEE: And the water is hotter  
18 because your containment is at a higher pressure now?

19                  MR. FREDERICK: Yes. It is slightly  
20 higher. And we'll talk about some of that in the  
21 containment portion of the --

22                  MEMBER SIEBER: Yes, that shouldn't be by  
23 much, though.

24                  MR. FREDERICK: Yes.

25                  Next slide, please.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We have changed some of the control system  
2 setpoints. Again, these were just setpoint changes,  
3 none of the control schemes were function changes in  
4 the plant.

5           Pressurizer level is something that's  
6 programmed to  $T_{avg}$  so that the maximum or the normal  
7 operating level is a function of what  $T_{avg}$  we're  
8 operating at. So raising  $T_{avg}$  a couple of degrees will  
9 increase pressurizer level by a couple of percent of  
10 full power.

11           MEMBER SIEBER: Well the controller will  
12 do that, but you program it to make it happen, right?

13           MR. FREDERICK: Yes. There is a little  
14 rescaling involved. But, yes.

15           MEMBER SIEBER: I take it you've analyzed  
16 the response of the pressurizer for various transients  
17 and accidents to show that it is still of adequate  
18 size?

19           MR. FREDERICK: Yes. We've analyzed for  
20 the full range of accidents and also margin to trip  
21 analyses.

22           MEMBER SIEBER: Okay.

23           MR. FREDERICK: The more normal  
24 occurrences. And we'll talk about it --

25           MEMBER SIEBER: And the change you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 making is not that great, so it shouldn't have a big  
2 impact on the pressurizer size.

3 MR. FREDERICK: Right. Right.

4 MEMBER SIEBER: Okay.

5 MR. FREDERICK: We're also changing some  
6 of the steam dump. This is essentially the turbine  
7 bypass system. The control setpoints there are  
8 optimized to operate for the EPU condition.

9 Steam generator level again for Unit 1  
10 with the replacement generator, we have to increase  
11 the setpoint for normal water level. Essentially it  
12 stayed the same where we were before because of the  
13 increased span on the tape settings.

14 DR. BANERJEE: I didn't get that last  
15 point. Why did you have to increase the --

16 MR. FREDERICK: The replacement steam  
17 generators, they have a 212 inch span for the narrow  
18 range. The old ones had about 144 inch range. So to  
19 get to the same level now we're at 65 percent, which  
20 before we were at 44 percent. So it's just a change  
21 based on the span.

22 Next slide.

23 MEMBER SIEBER: These slides that have the  
24 little boxes like this one to the right, that's a  
25 backup slide?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: That's correct.

2 MEMBER SIEBER: Are they in this book some  
3 place?

4 MR. FREDERICK: No, they're not. We do  
5 have copies available.

6 MEMBER SIEBER: I think we would need the  
7 copies of the slides that you show?

8 MR. CARUSO: I have those. I'll print them  
9 up for you. I have an electronic copy of this.

10 MEMBER SIEBER: Oh, okay.

11 DR. BANERJEE: If you have an electronic  
12 copy of all this --

13 MEMBER SIEBER: Why don't you just give us  
14 the electronic copy and --

15 DR. BANERJEE: So then we just may get the  
16 electronic copy from you rather than this.

17 MR. CARUSO: Sure.

18 MR. FREDERICK: This slide basically  
19 outlines the methodologies that we used for the safety  
20 analysis. And it also shows what the current  
21 methodologies were. So for large break LOCA we are  
22 changing from the Westinghouse BASH methodology, which  
23 was Appendix K method, to the BE LOCA methodology,  
24 which uses the COBRA/TRAC code.

25 And as we mentioned previously, this is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the original BE LOCA methodology approved in 1996 when  
2 we started this program, ASTRUM, which is what Ginna  
3 used, wasn't approved at that time. So we're not using  
4 that.

5 DR. BANERJEE: Do you do these  
6 calculations yourself or somebody else does it?

7 MR. FREDERICK: Westinghouse has performed  
8 these calculations for us.

9 DR. BANERJEE: I see.

10 MEMBER SIEBER: You have access to their  
11 codes, though, right?

12 MR. FREDERICK: I have access to LOFTRAN,  
13 but not the LOCA codes. Just the non-LOCA.

14 DR. BANERJEE: So you sort of contract  
15 them to do this work?

16 MR. FREDERICK: That's correct.

17 DR. BANERJEE: And how much audit  
18 capability do you have of what's going on there?

19 MR. FREDERICK: We have reviewed all of  
20 the calculations that were done for the uprate. In  
21 other words --

22 DR. BANERJEE: You don't have a copy of  
23 the code to test out or anything like that?

24 MR. FREDERICK: Well, again, in the case  
25 of non-LOCA I do have a copy of the LOFTRAN code which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I do run. I don't have a copy of NOTRUMP or  
2 COBRA/TRAC. Our review is basically limited to making  
3 sure that they use the inputs that we specify and  
4 making sure the output looks reasonable.

5 As I mentioned, large break we have  
6 changed to BE LOCA. The small break still uses  
7 NOTRUMP, which is the Westinghouse small break  
8 approved methodology.

9 MEMBER WALLIS: Now you've changed to best  
10 estimate method. Did you try to use BASH on the power  
11 uprate?

12 MR. FREDERICK: No, we did not.

13 MEMBER WALLIS: Because I was wondering if  
14 you would be over the limit if you used it? Did you  
15 use BE LOCA because you have to because otherwise  
16 you'd--

17 MR. FREDERICK: It was a decision that we  
18 made to regain some margin which would help us out  
19 with the --

20 MEMBER WALLIS: It's so conservative. It  
21 looks like it would drive you over the limit if you  
22 gain power too much.

23 MR. TESTA: Ken, if I can input here. I'm  
24 Mike Testa, I'm the Project Manager at Beaver Valley.

25 When we first set out on this project with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the extended power uprate, you know, we were going to  
2 do an extensive reanalysis. And part of that is we  
3 wanted to bring the design up to the later design  
4 codes. So that was an opportunity for us. We knew we  
5 had to redo the LOCA analysis and we choose to go to  
6 the BE LOCA methodology.

7 MEMBER WALLIS: And my question really was  
8 if you'd used BASH, because I'd like to compare the  
9 new with the old when you give us, say, 2190 degrees  
10 or something.

11 MR. TESTA: Yes. We did not run--

12 MEMBER WALLIS: And maybe the temperature  
13 actually goes down with the new prediction method  
14 because it's because of the method, rather than the  
15 physics.

16 MR. FREDERICK: Yes. But we did not run  
17 that.

18 MEMBER WALLIS: But I think we'll get into  
19 that later, perhaps.

20 DR. BANERJEE: Was there industry  
21 experience with something equivalent to BASH that  
22 suggested you should do BE LOCA?

23 MR. FREDERICK: Certainly the BE LOCA was  
24 known to provide better results just because of the  
25 methodology --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: There were lower --

2 MEMBER SIEBER: That's correct. Yes.

3 DR. BANERJEE: Lower results? Better we  
4 don't know for sure.

5 MEMBER WALLIS: From the point of view of  
6 safety, better is higher.

7 DR. BANERJEE: Better results?

8 MEMBER SIEBER: Lower results.

9 MEMBER WALLIS: Because then you could  
10 back off.

11 MEMBER SIEBER: Well, there is a typical  
12 for BE LOCA in an SER which would -- I don't know  
13 whether that --

14 MR. FREDERICK: This version of BE LOCA  
15 was actually approved in 1996 and a lot of other  
16 plants have been using it.

17 DR. BANERJEE: Yes, but --

18 MEMBER SIEBER: You may want to look at  
19 that topical in the SER to determine what the  
20 equivalence, if any, there is. Because there probably  
21 isn't much of an equivalence because one uses an  
22 extreme boundaries of everything whereas BE LOCA is  
23 best estimate with uncertainty. Get a different  
24 answer.

25 MR. CARUSO: I believe the Committee has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 written a letter on this method.

2 MEMBER SIEBER: I suspect they have.

3 MEMBER WALLIS: Well, it came up with the  
4 last applicant that they had used the Appendix K  
5 method. I think they went over 2200 degrees. BE LOCA  
6 put them way below. So it makes a big difference.

7 MEMBER SIEBER: Yes.

8 DR. BANERJEE: But going back, I just want  
9 to be -- have any of these other uprates that were  
10 listed which are somewhat similar to these used  
11 something equivalent to BASH in doing that, do you  
12 know?

13 MR. FREDERICK: I don't know. I'm sure  
14 that some of the older uprates would have used BASH  
15 because that was what the licensed code was at that  
16 time.

17 Matt, do you have any --

18 MR. CERRONE: Yes. Hi. My name is Matt  
19 Cerrone with Westinghouse.

20 All recent uprates are all done with best  
21 estimate methods for the large break accident.

22 DR. BANERJEE: When was the last one done  
23 with BASH?

24 MR. CERRONE: I don't know.

25 DR. BANERJEE: Was there one done with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 BASH?

2 MR. CERRONE: I can't imagine. I mean, my  
3 experience would have it that -- basically all my  
4 experience with Westinghouse was whenever we would  
5 move to a new product or especially with uprates, the  
6 best estimate technology using COBRA/TRAC is the  
7 methodology of choice because it is capable of  
8 modeling the phenomena that's expected out of these  
9 codes for large break accidents these days.

10 DR. BANERJEE: Now just to follow this.  
11 The BASH number for the unuprated plant were  
12 acceptable, I take it? Now, this 10 percent increase  
13 must then give some problem with BASH, otherwise why  
14 would people go running to the best estimate.

15 MR. FREDERICK: I do have a slide later  
16 that shows the BASH results with current power level.

17 MEMBER WALLIS: I take it we're going to  
18 get into each of these in detail later on?

19 MR. FREDERICK: That's correct.

20 MEMBER WALLIS: Okay.

21 MEMBER KRESS: When you do the large break  
22 LOCA did you take advantage of the new break size that  
23 NRC is flirting with?

24 MR. FREDERICK: No, we did not.

25 MEMBER KRESS: You used the actual large

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 double winded --

2 MR. FREDERICK: Yes, double winded  
3 rupture.

4 MEMBER SIEBER: When you did the  
5 calculations for the alternate source term in your  
6 containment parameters, you used the latest DKE curve?  
7 Does BELOCA use the same DKE curve or the earlier  
8 versions that the Appendix K used?

9 MR. FREDERICK: BE LOCA methodology uses  
10 the 79 curve with 2 sigma, not the 71.

11 MEMBER SIEBER: Okay. That's the later?

12 MR. FREDERICK: That's correct.

13 For non-LOCA events we've changed the DNBR  
14 calculation methodology from THINC to VIPRE. LOFTRAN  
15 is still used for the thermal hydraulics.

16 In the containment area again, as part of  
17 the containment conversion submittal which was  
18 recently approved, we have gone to MAAP-DBA.  
19 Previously we used a Stone & Webster code named  
20 LOCTIC, called LOCTIC.

21 And again, in dose assessment area we have  
22 implemented -- we have gone to a full implementation  
23 of the alternative source term and we're also using  
24 ARCON 96 now for on-site --calculations.

25 Essentially this is just a list of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 non-LOCA events that we've analyzed or evaluated.  
2 These are categorized by the Standard Review Plan  
3 categories. I'm not going to read them all. You can  
4 look at them there. The next couple of slides here.  
5 In total there's 18 events in the non-LOCA area that  
6 were again looked at for EPU and these have new  
7 analyses associated with them.

8 MEMBER WALLIS:

9 You're going to give us a table of results  
10 somewhere?

11 MR. FREDERICK: Yes, we'll get into that.

12 For condition II events which comprises a  
13 majority of the non-LOCA events, the acceptance  
14 criteria are meet the DNBR limits, heat generate rate  
15 has to remain within the acceptable limits. The RCS  
16 and the secondary pressures need to stable to 110  
17 percent of the design. And the event cannot progress  
18 to a more series level 3 or level 4 event.

19 DR. BANERJEE: Does this also apply for  
20 steam line breaks?

21 MR. FREDERICK: Yes. Well, steam line  
22 break, as we'll see, is actually a condition IV event.  
23 But when we analyze it we use condition II criteria.  
24 So it does apply, yes.

25 MEMBER WALLIS: Now you've seen these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 slides before. Is something wrong with the screen  
2 here? Is that why it doesn't look good?

3 DR. BANERJEE: Yes.

4 MEMBER WALLIS: Why did the NRC, we  
5 designed this room and give us a far worse screen than  
6 we had before.

7 MEMBER KRESS: That's a good question.

8 MEMBER WALLIS: I think we should put that  
9 on the record.

10 CHAIRMAN DENNING: I don't think we're  
11 going to demand that you answer that.

12 MEMBER WALLIS: Well, I just want to make  
13 sure it's not just me. I mean, when you get --

14 MEMBER KRESS: It's not just you. Rest  
15 your eyes.

16 MEMBER WALLIS: It's a good slide.

17 MR. FREDERICK: Next slide.

18 The first acceptance criteria we're going  
19 to talk about is the DNBR limits. As we mentioned  
20 earlier, DNBR is calculated using approved  
21 correlations. For Beaver Valley we use three  
22 correlations, WRB-1. WRB-2M and W-3. And the  
23 application of these is essentially controlled by what  
24 conditions they're approved for and also what the  
25 operating conditions are for the analysis. And we'll

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 get into some examples later.

2           Primarily WRB-2M is used because that is  
3 specifically for the RFA fuel, which we use, and for  
4 the high temperature regions of the fuel with the  
5 mixing vanes.

6           Something else that's used here is called  
7 revised design thermal design procedure. And that is  
8 a methodology, again an NRC approved method which  
9 takes the uncertainties on power, flow, temperature  
10 and pressure and combines those into essentially a  
11 penalty that's applied to the DNBR limits. And we'll  
12 see that again on the next slide.

13           One thing to mention here is that at  
14 Beaver Valley, primarily because of the change to WRB-  
15 2M and the RFA fuel we actually have 21 percent margin  
16 between what we use as a safety analysis limit and the  
17 actual design limits for the fuel. And essentially  
18 that margin is retained to give the core designer some  
19 flexibility in the reload process so that if an issue  
20 comes up or a penalty that needs to be applied and  
21 they have the flexibility to do that without having to  
22 go back and redo all the safety analysis.

23           So if you look at the next slide, this  
24 kind of gives you a picture of how the limits are  
25 developed. On the left is the DNBR ratio. And on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 right is the corresponding limit. So 1.0 obviously is  
2 critical heat flux.

3 The correlation limit is actually a tech  
4 spec value and it reflects the uncertainty in the  
5 correlation that corresponds to the 95/95 confidence  
6 level.

7 From there we go up to 1.22, which is what  
8 we get when we add in the uncertainties associated  
9 with the initial conditions in the core for power  
10 flow, pressure and temperature.

11 And finally, the 1.55 is what we're using  
12 as the safety analysis limit. So in between the 1.22  
13 and the 1.55 essentially is margin which is retained  
14 by the thermal hydraulic people in the --

15 MEMBER WALLIS: Now the previous applicant  
16 used 1.38.

17 MR. FREDERICK: That's correct.

18 MEMBER WALLIS: So it seems there's a lot  
19 of flexibility in what you choose to use.

20 MR. FREDERICK: Yes. That limit is  
21 something that is somewhat negotiated between the fuel  
22 designers and the safety analysis people within  
23 Westinghouse in this case.

24 MEMBER WALLIS: So should we give you high  
25 marks for having a high DNBR? More safety,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 presumably.

2 MR. FREDERICK: Yes. The limit is set  
3 high primarily because in the past we had transition  
4 core penalties which have since gone away since we're  
5 into all RFA fuel at this point. But we haven't  
6 changed the limit.

7 MEMBER WALLIS: I wasn't here earlier. Are  
8 you changing the fuel when you do the uprate?

9 MR. FREDERICK: No.

10 MEMBER WALLIS: Not at all?

11 DR. BANERJEE: But it's all RFA fuel?

12 MEMBER SIEBER: I guess the more important  
13 question when you talk about margins is do you have  
14 somebody in your organization who is the keeper of  
15 margins? For example, you know there are things you  
16 can do when you refuel the reactor if you don't put in  
17 the flow limiting devices, that changes the core flow  
18 significantly and trades margin around. And if you  
19 don't have a single person who is watching what the  
20 condition of the core and all the modifications to the  
21 plant and changes in operating procedures, you may be  
22 giving up margin that you would rather have someplace  
23 else, or maybe two people taking a bite out of the  
24 same margin unbeknownst to one another.

25 MR. FREDERICK: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Do you have somebody that  
2 does that?

3 MR. FREDERICK: Well, primarily that's me,  
4 yes. We're very aware --

5 MEMBER SIEBER: Do you do a good job of  
6 that?

7 MR. FREDERICK: I think so.

8 MEMBER SIEBER: You want to write that  
9 down?

10 MR. FREDERICK: I'm very aware of where  
11 our margins lie, particularly in terms of accident  
12 analysis, results, PCTs for LOCA events and DNBR  
13 margins. Those values are associated are actually  
14 published every time we do a reload safety analysis.  
15 So we understand what the margins are and we provide  
16 the majority of the inputs for the reload evaluation.  
17 So there's margins that have to move around or to  
18 trade off operating margins. And we're part of that  
19 process and we're aware of it.

20 MEMBER SIEBER: And so are you on the on-  
21 site safety committee?

22 MR. FREDERICK: No, I'm not.

23 MEMBER SIEBER: But you are the keeper of  
24 the margin.

25 MR. FREDERICK: Our on-site safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 committee--

2 MEMBER SIEBER: Do you have somebody in  
3 your organization who is on that committee?

4 MR. FREDERICK: We do.

5 MEMBER SIEBER: Okay. Since you're the  
6 keeper of the margin --

7 MR. FREDERICK: He sits right across from  
8 me, so --

9 MEMBER SIEBER: Okay.

10 MR. MANOLERAS: Yes, Jack. And this Mark  
11 Manoleras.

12 We do sit on the Core Reload Safety  
13 Process. We have a sign-off on that, a design  
14 engineering manager and Ken. We have a sign-off on  
15 that Core Reload Safety Process. We have a direct  
16 input to that process.

17 MEMBER SIEBER: Okay. Yes, what I concern  
18 myself with is sometimes there are subtle little  
19 changes in the operation and maintenance of the plant  
20 that can change these margins.

21 MR. BURGER: Yes. This A.R. Burger again.

22 What we do in the core design process, we  
23 have a reload project team. Ken will be part of that.  
24 We have operations training, chemistry, design  
25 engineering. What we'll do is look at that on each

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reload and decide: (a) what changes are being made in  
2 the plant with other items that are out there and then  
3 we'll determine where we can put our DNB margin based  
4 on what's going on in each reload.

5 MEMBER SIEBER: And the refueling  
6 supervisor is part of that?

7 MR. BURGER: Yes.

8 MEMBER SIEBER: Okay.

9 MR. FREDERICK: Can I move on? Okay.

10 This is a table that shows the results for  
11 events which primarily are looked at for DNBR as one  
12 of their limits. And as you can see here, some of the  
13 events use correlations other than WRB-2M. For  
14 example, the first one is a rod withdrawal from  
15 subcritical so the correlation essentially does not  
16 apply in that power range, so we used W-3 and WRB-1  
17 which are applicable at that condition.

18 Also for the hot zero power steamline  
19 rupture we used W-3 for that. For similar reasons it's  
20 not a full power event.

21 CHAIRMAN DENNING: And the reason on the  
22 first one, the RCCA bank withdrawal was acceptable is  
23 you believe the 1.65 on the W-3 more than the WRB-1 or  
24 what's --

25 MR. FREDERICK: Actually, Chun, maybe you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can explain this. But both of those are used in  
2 various regions of the --

3 MR. FU: This is Chun Fu, Westinghouse.

4 The used of WRB-1 correlation is because  
5 for this rod withdrawal from subcritical the similar  
6 condition is out of the applicable range of WRB-2M  
7 correlation. But we did confirm, you know, that DNB  
8 criteria is met with WRB-1 correlation.

9 MR. FREDERICK: I think he was asking why  
10 we used both W-3 and WRB-1.

11 MR. FU: Both W-3 correlation, you know,  
12 WRB-1, WRB-2M correlation is applicable only for the  
13 mixing in grid spans. So we still use W-3 for the  
14 first span just from the inlet to the first mixing  
15 grid. So W-3 is always correlation.

16 MR. FREDERICK: So it's the position on  
17 the fuel rod where --

18 MEMBER WALLIS: So this doesn't indicate  
19 two different results from two correlations for the  
20 same place?

21 MR. FREDERICK: That's correct.

22 MEMBER WALLIS: It's different places,  
23 right?

24 MR. FREDERICK: Yes.

25 As you can see here the limiting case in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 terms of DNBR margin is the rod withdrawal of power  
2 event. And we're going to talk about that in some more  
3 detail here in a little bit.

4 CHAIRMAN DENNING: How does the positive  
5 moderator coefficient impact some of these as far as  
6 if you had zero moderator coefficient versus the small  
7 positive? Is it measurable in terms of the DNBR as to  
8 what result you get?

9 MR. FREDERICK: Chun, could you answer  
10 that?

11 MR. FU: I don't know --

12 MR. McHUGH: This is Chris McHugh from  
13 Westinghouse.

14 The positive moderator temperature  
15 coefficient does show up in the analysis if you have  
16 a heat up event and you analyze the zero MTC versus a  
17 small positive, you will see a difference in the  
18 results.

19 To correlate that to a change in DNBR  
20 would be a function of which event you're talking  
21 about.

22 CHAIRMAN DENNING: But for example in this  
23 bank withdrawal of power, is that --

24 MR. McHUGH: In the bank withdrawal at  
25 power --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: It would be part of it.

2 MR. McHUGH: It would be a small penalty,  
3 yes.

4 MR. FREDERICK: As I mentioned earlier,  
5 the steamline ruptures are actually condition IV  
6 events but we do analyze them to the DNBR --

7 MEMBER WALLIS: Now there seem to be fewer  
8 items in this table than there were on pages 33536?

9 MR. FREDERICK: Yes. Again, these are  
10 primarily the events which challenge the DNBR limits.

11 MEMBER WALLIS: We have to assume that the  
12 other ones are milder?

13 MR. FREDERICK: Either they're not  
14 analyzed for DNBR because of the nature of the event  
15 would not cause DNBR to decrease or they're just not  
16 anywhere near limiting.

17 MEMBER WALLIS: But how do you evaluate  
18 something like uncontrolled boron dilution? Are you  
19 going to tell us that or --

20 MR. FREDERICK: Chris, can you answer  
21 that?

22 MR. McHUGH: We do an uncontrolled boron  
23 dilution calculation. We take the active mixing  
24 volume, the initial and critical boron concentrations  
25 and calculate a time that it takes to dilute it and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 lose shutdown --

2 MEMBER WALLIS: You say that the operators  
3 have enough time to take action?

4 MR. McHUGH: Right. We conclude that they  
5 have in excess of 15 minutes.

6 MEMBER WALLIS: You don't calculate any  
7 kind of adverse effect. You just assume it's avoided?

8 MR. McHUGH: Right.

9 MR. FREDERICK: Next slide.

10 CHAIRMAN DENNING: One more thing, and  
11 that is pre EPU what did the RCCA bank withdrawal look  
12 like.

13 MR. FREDERICK: I have that on that slide  
14 when we talk about that event.

15 CHAIRMAN DENNING: Okay.

16 MR. FREDERICK: One of the other key  
17 criteria for the condition II events in the RCS or  
18 primary and secondary pressure. This shows the primary  
19 pressure limits in terms of how they correspond to the  
20 ASME service level stress limits. So, for example,  
21 starting at the bottom there at 2250 is our normal  
22 operating pressure. The design pressure system is  
23 2485 psig. For service level B, which is used for  
24 condition II events, the ASME stress limit is 1.1  
25 times the allowable stress. Conservably, that's just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 taken to mean a 110 percent of the design pressure  
2 even though if you looked at every component, you may  
3 be able to exceed 110 percent of design.

4 Similarly for level C we use a  
5 conservative criteria for locked rotor of 120 percent.  
6 Locked rotor is a condition IV event.

7 For ATWS the approach taken there was to  
8 actually go and look at all the components. And the  
9 limit arrived at in that manner was 3200 psig. So  
10 that is the limits applied to ATWS events.

11 MEMBER WALLIS: Again, these pressures  
12 aren't all to be engaged because that's what the  
13 vessel fields, isn't it?

14 MR. FREDERICK: That's correct.

15 MEMBER WALLIS: The vessel doesn't know  
16 anything about absolute pressure.

17 MR. FREDERICK: The analyses --

18 MEMBER WALLIS: If you put it in a  
19 different containment --

20 MEMBER SIEBER: Do you happen to know the  
21 number where you would actually get a failure of the  
22 vessel?

23 DR. BANERJEE: You could have a vacuum.

24 MEMBER WALLIS: Never been tested, has it?

25 MR. FREDERICK: Yes. I don't know that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 number, Jack. 3200 was based on --

2 MEMBER SIEBER: It's like three times 25,  
3 right?

4 MR. FREDERICK: Yes.

5 MEMBER SIEBER: Twenty-five hundred?

6 MEMBER WALLIS: Seven thousand psi or  
7 something like that?

8 MEMBER SIEBER: Yes, something like that.

9 MEMBER WALLIS: Because it stretches bolts  
10 before that.

11 MEMBER SIEBER: Well, I would be heading  
12 out of town if it was going up there.

13 MR. FREDERICK: This table shows the  
14 results from the events which challenge the over  
15 pressure limits. As you can see here, loss of load is  
16 a limiting event for condition II events. At 2747 for  
17 Unit 1 --

18 MEMBER WALLIS: That's pretty close, isn't  
19 it? That's pretty close.

20 MR. FREDERICK: Yes. We're going to talk  
21 about that event in more detail soon.

22 MEMBER WALLIS: No uncertainty? This is  
23 just one spot calculation, best estimate?

24 MR. FREDERICK: No. This is a very  
25 conservative analysis, and that's what we're going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 demonstrate.

2 MEMBER WALLIS: That's why it's okay.

3 MR. FREDERICK: This also shows locked  
4 rotor, which again is below the 120 percent limit and  
5 the ATWS analyses for both units.

6 DR. BANERJEE: What were these limits  
7 before the uprate?

8 MR. FREDERICK: The limits have not  
9 changed.

10 MEMBER WALLIS: No, but what were your  
11 values?

12 DR. BANERJEE: I mean the peak primary  
13 pressure values?

14 MR. FREDERICK: I do have that for the  
15 limiting case here. The loss of load I don't have that  
16 value.

17 MEMBER WALLIS: You sat in on the last  
18 presentation?

19 MR. FREDERICK: Yes.

20 MEMBER WALLIS: Where I asked for a table  
21 comparing before and after?

22 MR. FREDERICK: Again, we do have that for  
23 all the limiting cases that we're talking about.

24 MEMBER WALLIS: It gives us some  
25 perspective on what's going on.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: Yes.

2 DR. BANERJEE: Loss of load may be ATWS  
3 and locked rotor, only of significance of right there,  
4 the rest of them --

5 MEMBER SIEBER: ATWS is a service level D  
6 event.

7 DR. BANERJEE: Yes.

8 MEMBER SIEBER: And loss of load is a  
9 service level B event

10 MR. FREDERICK: That's correct.

11 MEMBER SIEBER: They're different limits,  
12 right?

13 DR. BANERJEE: Yes, they have the same  
14 pressure limits as well, right?

15 MEMBER SIEBER: Right.

16 MR. FREDERICK: Right.

17 DR. BANERJEE: But it would be interesting  
18 to see what it was before.

19 MR. FREDERICK: What the results were  
20 before?

21 DR. BANERJEE: Yes, compared to now. I  
22 mean before and after.

23 MR. FREDERICK: Okay. I think we have  
24 those. Do we have those, Chris, before?

25 MEMBER WALLIS: Yes. If they're not ready

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this morning, you could flash them up this afternoon.

2 MR. MCHUGH: Right.

3 MR. FREDERICK: Yes.

4 MEMBER WALLIS: Now what limits your power  
5 uprate? Is it secondary side or is it some of the  
6 safety limits? Why don't you go to higher power  
7 uprate? Is it safety limits that limit you?

8 MR. TESTA: This is Mike Testa again,  
9 Beaver Valley.

10 When we first started the project and as  
11 we showed in the beginning presentation, we looked at  
12 where the industry was operating the Westinghouse 3  
13 loop PWRs. And we basically are aligned with them. So  
14 when we looked at the power level, we went to 2900  
15 NSSS power, core power and that aligned us with the  
16 other --

17 MEMBER WALLIS: So you looked at similar  
18 plants and what they can do?

19 MR. TESTA: And then of course then we  
20 looked at the modifications that we needed to perform  
21 on the balance of plant side to achieve that.

22 MEMBER SIEBER: How much it --

23 MEMBER WALLIS: But conceivably if you've  
24 gone to higher power, you might get a 2750 something  
25 loss of load.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN DENNING: Well, I have a relevant  
2 question to that, and that is what -- it's not chance  
3 that the pressure has come to 2747/2746 right there.  
4 Have you modified something like a setpoint or  
5 something like that that brings you there? What is it  
6 that --

7 MR. FREDERICK: Yes. One of the key inputs  
8 to this analysis is the tech spec limit on the  
9 tolerance for the setpoint for the safety valves. And  
10 in the case of Unit 1 we increased that from one  
11 percent to a three percent tolerance. And Unit 2  
12 increased from 1 to 1.6. So it does drive the results  
13 much closer to the limit. And we'll talk about that a  
14 little later.

15 MEMBER WALLIS: You will talk about that?

16 MR. SENA: And this is Pete Sena, Director  
17 of Engineer.

18 Again, Dr. Wallis, our goal here was to go  
19 through the non-LOCA transients, take out the two most  
20 limiting transients and then go into great detail so  
21 you can see what margins do remain. That's what's Ken  
22 is going to get to next.

23 MEMBER WALLIS: Thank you. That makes  
24 sense. That's sort of thing we asked for last time.  
25 So thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: This slide looks at some  
2 of the other more unique criteria. Pressurizer filling  
3 is a concern essentially for progression. If we fill  
4 the pressurizer, then the chances are we could evolve  
5 into a small break LOCA which we don't want to happen.  
6 So we look at that for some of the analysis which  
7 challenged the overfill.

8 As you can see there, in the limiting case  
9 the spurious SI, we do actually fill the pressurizer  
10 and we'll have a more detailed discussion on that  
11 event and what we've looked at to convince ourselves  
12 that that's okay.

13 Margin to hot leg saturation or no boiling  
14 in the hot leg is a criteria that's applied for  
15 feedline break, which again is a condition IV event.  
16 So this is a conservative criteria for that event.  
17 And as you can see there, we have a margin to the hot  
18 leg boiling.

19 MEMBER WALLIS: Loss of control you're  
20 worried about, not popping something in the  
21 pressurizer?

22 MR. FREDERICK: I'm sorry?

23 MEMBER WALLIS: The relief valve opens on  
24 the pressurizer and then it fills up?

25 MR. FREDERICK: Yes. The concern there is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 if you're passing water through a safety valve it's  
2 not really designed for --

3 MEMBER WALLIS: All right. But it can pass  
4 with this water?

5 MR. FREDERICK: Yes.

6 MEMBER WALLIS: Right. But you lose  
7 control, that's what you're worried about. You lose  
8 pressure control?

9 MR. FREDERICK: Well, our concern would be  
10 that the valve might stick open --

11 MEMBER WALLIS: It does happen.

12 MR. FREDERICK: -- which would reduce  
13 pressure, yes. Yes.

14 MEMBER SIEBER: You have some other  
15 problems, too. You have this huge water slug going  
16 down the discharge line to the --

17 MR. FREDERICK: Yes, it would also  
18 challenge the --

19 MEMBER SIEBER: -- to the PRT, which is  
20 not a good thing.

21 MEMBER MAYNARD: You have separate power  
22 operated type relief valves and code safeties?

23 MR. FREDERICK: Yes, we have power  
24 operated relief valves as well as code safeties.

25 MEMBER MAYNARD: So the idea would be that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 those would open up, use those before the code  
2 safeties lifted, primarily?

3 MR. FREDERICK: That's correct. Yes.

4 MEMBER MAYNARD: Yes.

5 MR. FREDERICK: The last even there shown  
6 is the rod ejection where fuel stored energy limit the  
7 acceptance criteria. And as shown there, we meet that  
8 limit.

9 Next slide, please.

10 Again, this is a detailed discussion on  
11 the loss of load event. Basically provide a flavor  
12 for the level of conservatism --

13 MEMBER WALLIS: That BTU, what is that in  
14 calories per gram.

15 CHAIRMAN DENNING: Calories per gram?

16 MR. FREDERICK: Pardon me?

17 MEMBER WALLIS: Usually it calories per  
18 gram that we see. What is it?

19 CHAIRMAN DENNING: BTU per pound on max  
20 fuel stored energy. Do you know what that is  
21 conversion into calories per gram.

22 MR. FREDERICK: 260 or so.

23 MEMBER WALLIS: Or less?

24 MR. FREDERICK: Chris, if you want to look  
25 it up, it's in the licensing report on that computer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there, I believe.

2 MEMBER WALLIS: Okay. We can do that.

3 CHAIRMAN DENNING: We can probably handle  
4 this conversion, but given half an hour.

5 DR. BANERJEE: And more oxygen.

6 MR. FREDERICK: Again, we're going to talk  
7 about loss of load transients in detail here. And the  
8 purpose is to give you an idea of the level of  
9 conservatism that these analyses are done to.

10 And this event produces the highest  
11 primary and secondary pressure of the condition II  
12 events. And the results from either a loss of load  
13 off the generator or a turbine trip that is caused by  
14 other inputs.

15 The reactor protection for this event, we  
16 have essentially five trips there that provide  
17 protection. Two aren't credited; the high water level  
18 trip and the pressurizer. That's just a conservatism  
19 in the analysis. And the reactor trip on turbine trip  
20 which is essentially the most direct trip for this  
21 event, that's not credited because that is not  
22 considered a qualified trip since it comes out of the  
23 turbine building, which is a non-seismic building.

24 We do actually run two cases for this loss  
25 of load, one to look at DNBR and one to look at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pressure. We're not going to talk about the DNBR case  
2 here. It's not close to being limiting.

3 In the analysis we, of course, bias all  
4 the input initial condition parameters to give us the  
5 worst results. Initial pressurizer pressure and level  
6 and the RCS power flow and temperatures; these are all  
7 biased in the actual run as opposed to done separately  
8 as we do for DNBR cases.

9 Also, we bias the reactivity feedback and  
10 we use manual rod control for this analysis.

11 CHAIRMAN DENNING: These are all realistic  
12 conditions, but it's just that you happened to pick  
13 them all in combination in their worst --

14 MR. FREDERICK: That's correct. Their  
15 initial control system setting, for example,  
16 pressurizer level at 53 percent, 7 percent is added on  
17 to that for uncertainty. So that's our initial  
18 condition for this analysis.

19 We don't take any credit for any of the  
20 control systems. Now essentially there's four control  
21 system that would come into play here. You know,  
22 condenser steam dumps. We also have atmospheric steam  
23 dumps on the secondary side. On the primary side we  
24 have pressurizer pressure control through the spray.  
25 And we also have power operator relief valves which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would normally open up to 100 pounds below the code  
2 safeties.

3 For the code safety modeling we do use the  
4 maximum setpoint allowed by the tech spec. In the  
5 case of, for example, Unit 1 that is the setpoint plus  
6 3 percent, which is our allowed tolerance or that  
7 changes part of the EPU package.

8 Also in the valve modeling there's delays  
9 model in the opening and that accounts for the time  
10 that it takes to purge the water out of the loop seal.  
11 In some cases, for example Unit 1 there's an opening  
12 time associated with the valve. It's a target rock  
13 valve. And there's also an additional shift put on  
14 the setpoint based on the loop seal being present on  
15 Unit 2.

16 The actual total impact of these changes  
17 represents about a 200 pound increase above what they  
18 would normally lift if we didn't include all these  
19 conservatism.

20 Next slide.

21 This just gives you a very rough estimate  
22 of the timing of the event. Essentially there's a  
23 delay between the initial event and when the actual  
24 trip begins of .5 seconds, which is very conservative  
25 and then there's an additional two seconds before the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rods drop. And when the safety valves open is when we  
2 get peak pressure, and that occurs at 8 seconds.

3 And this plot basically just shows you the  
4 pressure transient. Again, we're seeing from the  
5 initial condition up to the peak it's about a 500  
6 pound increase in pressure. And again, at 8 seconds  
7 when the valve opened, the pressure drops.

8 DR. BANERJEE: What code was used, just  
9 for my own?

10 MR. FREDERICK: LOFTRAN.

11 MEMBER WALLIS: Extraordinary accurate  
12 code, as you can see.

13 DR. BANERJEE: Huh?

14 MEMBER WALLIS: Extraordinary accurate  
15 code.

16 DR. BANERJEE: Right. Right. A  
17 significant figure.

18 MR. FREDERICK: This slide shows you the  
19 pre-EPU results. For Unit 1 that's a good comparison  
20 because the same safety valve tolerance was used for  
21 both cases, the 3 percent. So you see about a 15 pound  
22 increase in the peak pressure associated with EPU.

23 On Unit 2 we actually lowered the  
24 tolerance so actually you see the numbers dropping  
25 there a pound or so.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           If we do a more realistic analysis, and we  
2           have, which credits control systems, we actually see  
3           a peak pressure much lower of about 2340 absolute. And  
4           at that pressure we don't actually even lift any of  
5           the safety valves on either side, primary or  
6           secondary, or the pore for that matter.

7           If you go to the backup slide, and this is  
8           a plot of that particular analysis both for pre-EPU  
9           and EPU. And essentially they look identical. There  
10          was no real impact of EPU in terms of the peak  
11          pressure that we see in this analysis.

12          DR. BANERJEE: Well, why is that? What's  
13          the physics?

14          MR. FREDERICK: Essentially the control  
15          systems --

16          DR. BANERJEE: Safety valves are the same,  
17          right?

18          MR. FREDERICK: Yes. And you're not even  
19          opening safety valves here. So it's just a matter of  
20          the control system acting the same and giving you the  
21          same response out of the system.

22          DR. BANERJEE: But what does the control  
23          system do here?

24          MR. FREDERICK: The control system opens  
25          up the turbine bypass, the condenser steam dump

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 system. And that keeps the primary system from  
2 heating much, I mean as much as you would normally  
3 see. And also --

4 DR. BANERJEE: Does it open the bypass  
5 earlier or something just to shave the peak off? What  
6 is happening? I'm trying to understand why the two are  
7 so close to each other in spite of the fact that you  
8 have 10 percent more power?

9 MR. FREDERICK: Right.

10 DR. BANERJEE: So what's the physics?

11 MR. FREDERICK: Yes. Well, the power  
12 doesn't really enter into it much at this point. Yes,  
13 it does cause a general heat up and so --

14 DR. BANERJEE: And that causes --

15 MEMBER SIEBER: That's small.

16 DR. BANERJEE: -- total pressure to peak?

17 MR. FREDERICK: Well, after the reactor  
18 trip and then once the valves open, then it turns  
19 around all these --

20 DR. BANERJEE: Do the valves open earlier  
21 in the --

22 MR. SENA: Again, this is Pete Sena,  
23 Director of Engineering.

24 I think the difference between the two  
25 analysis is that the original analysis takes no credit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 for any control systems so the steam dump systems do  
2 not operate at all. And in the realistic analysis  
3 we've done here we are taking credit for the operation  
4 of those systems.

5 DR. BANERJEE: So the pre-EPU doesn't take  
6 credit for the --

7 MR. FREDERICK: Pete, he's asking --

8 DR. BANERJEE: All right. There has to be  
9 a good reason?

10 MR. SENA: Well, the pre-EPU and the post-  
11 EPU analysis use the same --

12 DR. BANERJEE: It's done differently?

13 MR. SENA: No, no. They use the same  
14 modeling. Why don't you go back, Ken, for the pre and  
15 post-EPU

16 DR. BANERJEE: Then the question is why  
17 does it?

18 MEMBER WALLIS: I think because it's  
19 controlled.

20 CHAIRMAN DENNING: It's controlled.

21 MEMBER WALLIS: It's because it's  
22 controlled. It's the same.

23 DR. BANERJEE: Something opens earlier,  
24 right?

25 CHAIRMAN DENNING: Or bigger or more.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Controlled means they have  
2 to control the flow on a valve or something.

3 MEMBER WALLIS: It might open more, the  
4 control.

5 MEMBER SIEBER: It doesn't open more. I  
6 think --

7 DR. BANERJEE: It might open earlier.

8 MEMBER SIEBER: -- the differences between  
9 these two curves are so subtle that you really can't  
10 pick them out.

11 MR. FREDERICK: Yes, I would say that they  
12 are not exactly the same, but on here they look pretty  
13 close.

14 MEMBER WALLIS: Because they look exactly  
15 the same.

16 MR. FREDERICK: And, again, we haven't  
17 changed the control system so we'd expect it to  
18 operate.

19 DR. BANERJEE: Right. So what are the  
20 control events here? Like what's happening?

21 MR. FREDERICK: You have the loss of load  
22 times zero.

23 DR. BANERJEE: Right. And then there's  
24 some trip?

25 MR. FREDERICK: And the reactor trips, in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this case on turbine trip but there's a 2 second delay  
2 model.

3 DR. BANERJEE: But both of them trip at  
4 the same time?

5 MEMBER SIEBER: No.

6 DR. BANERJEE: Why not?

7 MR. FREDERICK: Well, the condenser steam  
8 dumps this and responds to the trip signal. And also  
9 it's based off of a delta T. Essential it looks at  $T_{avg}$   
10 and where  $T_{avg}$  should be post-trip,  $T_{ref}$  we call it.  
11 And that delta drives the valve. So that program in  
12 the system isn't changing, so it's essentially  
13 maintaining the RCS conditions in a very similar  
14 manner so you see a very similar result here.

15 MEMBER SIEBER: But the heat up is  
16 slightly faster so the system operates slightly  
17 quicker?

18 MR. FREDERICK: Yes. I mean it's a  
19 proportional --

20 MEMBER SIEBER: I mean you could pick it  
21 out here.

22 MR. FREDERICK: -- band. So if the system  
23 demands more, the values will open faster and more.

24 DR. BANERJEE: I know what you're saying  
25 probably makes some sense, but what I'm really trying

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to understand is when you show the curve, like this  
2 curve here, this curve is the result of a very complex  
3 set of -- relatively complex set of control actions.

4 Now between the pre-EPU and the post --

5 MR. FREDERICK: That curve does not  
6 actually use any of the control systems.

7 DR. BANERJEE: Okay. Take one which does.  
8 Let's say --

9 MR. FREDERICK: This one does.

10 DR. BANERJEE: Yes, this one. So that  
11 there are several control actions taking place. And  
12 the fact that the two curves look so similar is  
13 because there could be subtle differences. But the  
14 fact they look so similar is due to control actions  
15 taking place at different times in the two.

16 MEMBER SIEBER: Slightly different times.

17 MR. FREDERICK: The valves could be  
18 opening faster because that's what they're programmed  
19 to do.

20 DR. BANERJEE: Yes.

21 MR. FREDERICK: They look at an error  
22 signal.

23 DR. BANERJEE: Well, whatever it is.

24 MR. FREDERICK: And if the error signal is  
25 higher, than the valves will open faster and further.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: And once they're open,  
2 they're the same in the pattern.

3 DR. BANERJEE: Ten percent more power is  
4 produced in the other, right?

5 MR. FREDERICK: That's correct.

6 DR. BANERJEE: So it has to go somewhere?

7 MR. FREDERICK: That's correct.

8 MR. FREDERICK: So something must open  
9 faster?

10 MEMBER SIEBER: Yes.

11 DR. BANERJEE: There's no other way.

12 MR. FREDERICK: Yes.

13 DR. BANERJEE: Right. Okay. So that's, I  
14 guess, what doesn't come out clear.

15 MEMBER WALLIS: That's what turns things  
16 around?

17 DR. BANERJEE: Yes. So what doesn't come  
18 across is what are the actions which are turning  
19 things around here? What's happening? So in one case  
20 things are happening faster; that's why it's  
21 happening.

22 MR. FREDERICK: Yes. The actions that are  
23 occurring, again, the control system is trying to  
24 drive  $T_{avg}$  down to the no load value, post-trip.

25 DR. BANERJEE: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: And the system responds  
2 based on the delta. You know, where  $T_{avg}$  is versus  
3 where I want it to be. So if in the case of EPU that  
4 delta is higher initially, then the valves will open  
5 faster and further so that you would see the same type  
6 of response --

7 MEMBER WALLIS: The system is actually  
8 programmed to produce a curve like this?

9 MR. FREDERICK: That's correct.

10 MEMBER WALLIS: By control.

11 MR. FREDERICK: Yes.

12 MEMBER WALLIS: That's why the two curves  
13 are the same.

14 MR. FREDERICK: Yes.

15 DR. BANERJEE: So what would be sort of  
16 valuable to know is how much more rapidly do these  
17 control actions have to occur in the second case. The  
18 curves look the same but the control actions are  
19 occurring faster or something is happening, otherwise  
20 they wouldn't.

21 MR. FREDERICK: Right. Yes. I'd say it's  
22 a very small difference. This whole peak occurs within  
23 8 second.

24 DR. BANERJEE: One second makes a  
25 difference, right, and 8 seconds --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes, but it's 50 seconds  
2 just for that first --

3 MEMBER WALLIS: Depressurization.

4 MEMBER SIEBER: -- pressure peak and drop.  
5 So that's a long time compared to the response time of  
6 the control system itself, which is on the order of 6  
7 to 10 seconds.

8 CHAIRMAN DENNING: Is pressurizer spray  
9 having any impact here as well? I mean we've focused  
10 on kind of the relief, but is it -- I know that you  
11 don't credit it in the other analysis, but is that one  
12 of the control functions that's impacting the  
13 similarities here?

14 MR. FREDERICK: I'm not sure. Chris, can  
15 you answer that

16 CHAIRMAN DENNING: Okay. I think we can  
17 on.

18 MR. FREDERICK: Okay.

19 MEMBER SIEBER: I think the big thing is  
20 a lot of heat removal through the turbine bypass  
21 valves.

22 DR. BANERJEE: Right.

23 MEMBER SIEBER: That's the big --

24 DR. BANERJEE: That has to open a bit  
25 faster?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes. Maybe a couple of  
2 seconds.

3 DR. BANERJEE: Yes. I wanted to know how  
4 much.

5 MEMBER SIEBER: Yes.

6 DR. BANERJEE: In 8 seconds? Is it 6  
7 seconds versus 8 seconds?

8 MEMBER SIEBER: It's hard to pick off that  
9 graph.

10 DR. BANERJEE: Right.

11 MEMBER MAYNARD: Well, the rate is going  
12 to depend on how much a discrepancy between --

13 MEMBER SIEBER: How big the delta is, yes.

14 MR. FREDERICK: Actually, just a couple of  
15 weeks ago we had a loss of load event on Unit 2. And  
16 we captured some of the data from that, the pressure  
17 data.

18 MEMBER WALLIS: You arranged it to happen?

19 CHAIRMAN DENNING: Yes, you didn't do this  
20 just for us?

21 MR. FREDERICK: No.

22 DR. BANERJEE: What's that slide number?

23 MR. FREDERICK: It's a backup slide. It's  
24 not in your book.

25 DR. BANERJEE: This is one we must have,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 right?

2 MR. FREDERICK: I'll get that for you.

3 MEMBER SIEBER: Ralph says he has it.

4 MR. FREDERICK: You see here again the  
5 LOFTRAN prediction with the control cases. Generally  
6 overall the modeling responds pretty well to the  
7 actual event, the difference here being the initial  
8 spike. And that's primarily because of the LOFTRAN  
9 analysis assumes a 2 second delay from the time the  
10 turbine trips until the reactor trips. And that's  
11 what's making that. So in reality when we had this  
12 event, we didn't see any pressure increase at all.

13 Just to give you an overall flavor, you  
14 know, our safety analysis says that pressure is going  
15 to go up 500 pounds. This is an actual event.

16 MEMBER WALLIS: The LOFTRAN can be off by  
17 what? Quite a bit.

18 MEMBER SIEBER: Fifty pounds.

19 MEMBER WALLIS: Seventy pounds or  
20 something?

21 MEMBER SIEBER: Fifty pounds.

22 MR. FREDERICK: We modeled the event  
23 exactly as it happened. We were confident that we  
24 would get very similar results.

25 DR. BANERJEE: No, no. But it's much

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 better you did it this way, really. Because if it  
2 agreed too well, then we'd just think you tuned it.

3 MR. FREDERICK: That ends my discussion on  
4 loss of load. We're going to move on and talk about  
5 rod withdrawal power unless there's any other  
6 questions.

7 Again, the rod withdrawal power is the  
8 limiting event in terms of the DNBR. And this event  
9 can be initiated by either a malfunction in the rod  
10 control system or an operator error.

11 As you can see, there's numerous reactor  
12 protection trips.

13 MEMBER WALLIS: So how many rods are  
14 withdrawn? How many rods are involved in this?

15 MR. FREDERICK: Is it one bank, Chris?

16 MEMBER WALLIS: One bank?

17 MR. MCHUGH: We don't do it that way. We  
18 do it by inserting reactivity into the core and we do  
19 a range of reactivity insertion --

20 MEMBER WALLIS: Okay.

21 MR. MCHUGH: -- from 110 pcm per second  
22 all the way down to nearly nothing. We don't  
23 explicitly model a certain number of rods. We model  
24 it in terms of reactivity.

25 MR. FREDERICK: But that bounds

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 essentially one bank at maximum speed.

2 MR. MCHUGH: Yes.

3 MEMBER WALLIS: Well, I'm just trying to  
4 figure out what kind of operator error could produce  
5 this. Is he limited to withdrawing one bank and so  
6 on.

7 MEMBER SIEBER: Well, you're normally set  
8 to withdraw or insert a bank at a time. But if  
9 there's a malfunction or an error, it's probably going  
10 to be one bank

11 MEMBER WALLIS: But an operator who had  
12 some malfunction in his head, presumably withdraw a  
13 lot of rods.

14 MEMBER SIEBER: I don't think he can do  
15 that.

16 MEMBER WALLIS: He can't do that?

17 MEMBER SIEBER: He can pick out what bank.  
18 You can circle all the rods.

19 MR. SENA: Again, this is Pete Sena.

20 For operator action, only one rod bank can  
21 be withdrawn at a time unless you're in the overlap  
22 region where two banks can be moving simultaneously.

23 MEMBER WALLIS: So you bounded what's  
24 possible?

25 MR. SENA: That's correct.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Yes.

2 MR. FREDERICK: Some of these trip  
3 functions also generate rod withdrawal blocks in the  
4 system, but those are not credited as part of this  
5 analysis.

6 As Chris mentioned, we do a range of  
7 reactivity insertion rates and we also analyze this at  
8 three distinct power levels, as shown there. In  
9 total, there's about 90 cases that are run.

10 Again, this is a very conservative  
11 analysis. Initial conditions are biased, again to  
12 give us the worst case results in terms of DNBR.

13 MEMBER WALLIS: Now Chernobyl happened 20  
14 years ago tomorrow. And I guess what they did was  
15 they put a lot of reactivity into their reactor. A  
16 tremendous amount.

17 CHAIRMAN DENNING: But not by rod  
18 withdrawal.

19 MEMBER WALLIS: Not by rod withdrawal?

20 CHAIRMAN DENNING: No. No. They did it --

21 MEMBER KRESS: They did it by moderator.

22 CHAIRMAN DENNING: Moderator.

23 MEMBER KRESS: Negative coefficient. Not  
24 moderator. Coolant.

25 MEMBER MAYNARD: Starting from a very low

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 power.

2 MEMBER KRESS: Yes, it was extremely low.

3 MR. FREDERICK: Again, the conservative  
4 values for trip functions as well as initial  
5 conditions and reactivity feedback reviews. The  
6 highest worth rod is actually assumed to be stuck out  
7 of the core.

8 One thing to note is that at Beaver Valley  
9 we have actually eliminated the capability to pull  
10 rods in the automatic mod. So when our rod control  
11 system is in automatic, the rods cannot be withdrawn.  
12 So it just eliminates some potential for this event to  
13 happen.

14 Slide, please.

15 Difficult to see here, I guess, but the  
16 curve here basically shows you a plot of what the DNBR  
17 result is versus the range of reactivity insertion  
18 rates that we've analyzed for both minimum and maximum  
19 feedback. Essentially you see the limiting case here,  
20 the 1.57 result. We're actually at a very low  
21 reactivity insertion rate. Essentially the lower  
22 rates cause the system to respond slower so you tend  
23 to get a worse result in that case.

24 The table shows the pre-EPU and the EPU  
25 result. Essentially there was very insignificant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 change in the result. Primarily that is due to the  
2 fact that we've changed the correlation from the old  
3 correlation to the WRB-2M in which we gained some of  
4 the margin. Again, that's associated with the real  
5 effect of the RFA fuel and the intermediate flow  
6 mixers. So essentially we gained a margin back that  
7 the power uprate would have used here for this event  
8 by changing the fuel pipe.

9 And again, I just want to mention that the  
10 1.55 limit that's applied to this event and the other  
11 ones, we also have 20 percent of margin in that limit.  
12 So it's a conservative analysis and we have margin.

13 CHAIRMAN DENNING: Not to imply you have  
14 the old fuel in there, but you've said before it's  
15 something like a 20 percent effect on DNBR, the mixing  
16 that's occurring there?

17 MR. FREDERICK: Yes.

18 CHAIRMAN DENNING: So that if you had done  
19 the power uprate with old fuel, you would have had  
20 something like 1.37 or is that over estimating what  
21 the impact would be? Okay. Suppose you had done  
22 power uprated but you had old fuel in there --

23 MR. FREDERICK: Right.

24 CHAIRMAN DENNING: -- would you have  
25 gotten about a 1.37 here? Is that your assumption?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: Chris, can we predict  
2 that?

3 MR. MCHUGH: I can look that up. I think  
4 we actually made those runs. Because we had planned  
5 to do the power uprate before we had a complete  
6 transition to RFA fuel. I believe I have that on my  
7 laptop.

8 CHAIRMAN DENNING: Okay.

9 MR. MCHUGH: We were going to limit  
10 peaking factors on the burnt fuel, and so it wouldn't  
11 have been a direct --

12 CHAIRMAN DENNING: There would have been  
13 other things that could have done --

14 MR. MCHUGH: Right.

15 CHAIRMAN DENNING: -- that it would have  
16 reduced the --

17 MR. MCHUGH: Correct.

18 DR. BANERJEE: Is it 20 percent  
19 difference, the new fuel in rough terms?

20 MR. MCHUGH: Twenty percent margin was  
21 what they gained by adding the IFM grids to the RFA  
22 fuel. So, yes, it was about a 20, 21 percent increase  
23 in DNB margin from the old fuel to the new.

24 DR. BANERJEE: Magic.

25 CHAIRMAN DENNING: Magic.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BURGER: Yes. If we were to have the  
2 old B5H design in there, the peaking, like Chris said,  
3 would have been a lower limit that we do have, because  
4 you don't have those IFMs and so they would have been  
5 the limiting assembly in the core.

6 MEMBER WALLIS: And all good engineering  
7 seems like magic to the layman.

8 DR. BANERJEE: I think Jeff Hewitt might  
9 disagree on this one.

10 MR. FREDERICK: Okay. The next event that  
11 we're going to talk about in some detail is the  
12 spurious SI or invertent DCCS. Again, this is another  
13 condition II event, which is initiated by either a  
14 malfunction in the system which trips the SI signal or  
15 perhaps some error in doing some testing of the  
16 systems.

17 The SI or the safety injection signal will  
18 generate a reactor trip and a subsequent turbine trip.  
19 DNBR for this event really isn't challenged because  
20 you're adding cold borated water into the system.

21 The primary concern here is filling the  
22 pressurizer, which again can enlist the valves and  
23 actually water through the safety valves.

24 Again, this is a very conservative  
25 analysis and we have actually done better estimate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 type analyses which show we do not overfill. But in  
2 the conservative safety analysis we do fill the  
3 pressurizer and lift the safeties.

4 Now the conservatism that go into this  
5 analysis, again, are primarily in the initial  
6 pressurizer level again assumed to be setpoint plus  
7 uncertainty at a high condition and also at the high  
8  $T_{avg}$  condition, which raises the level again.

9 The initial conditions in temperature and  
10 flow are all biased for the worse results.

11 We actually run this with and without  
12 pressurizer heaters, which is a control system but it  
13 ends up effecting the temperature of the water, which  
14 is one of the inputs into the valve operability  
15 analysis. Colder water generally is worse for the  
16 valves than hotter water.

17 Again, two high head pumps start, and  
18 that's essentially what fills the system. For this  
19 analysis the PORVs which normally would open and  
20 prevent the safety valves from opening for this,  
21 they're not credited essentially because they are a  
22 control system.

23 One assumption that we also make in here  
24 is that when cool water enters the pressurizer as it's  
25 filling up, that water is assumed to mix

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 instantaneously with the bulk fluid where you would  
2 expect some stratification normally. That, again,  
3 minimizes the temperature in the pressurizer and  
4 that's an input into the value operability analysis  
5 and it makes it more conservative.

6 Essentially this event ends when the  
7 operator takes action to either open the PORVs or  
8 shutdown and reset the SI signal and turn off the  
9 pumps.

10 If you look at the next slide, the  
11 assumption made here is that occurs at 10 minutes.  
12 And we've done simulator studies to assure ourselves  
13 that we can meet that limits.

14 MEMBER WALLIS: Isn't he watching his  
15 pressurizer level all this time?

16 MR. FREDERICK: George, do you want to  
17 speak to that?

18 MR. STORLIS: Yes. I'm George Storlis.  
19 I represent Operations and my background has been  
20 years of controlling Operations.

21 The pressurizer level is a key parameter  
22 that's monitored and it's the duty of the licensed  
23 operator at all times. And managing that level in the  
24 crises of an inadvertent SI is of utmost importance.

25 The automatic features systems prevent the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 manual shutdown for a period of time at the onset.  
2 But the parameters are monitored. The procedures are  
3 detailed, emergency operating procedures are followed  
4 and the termination of the flow rates when determined  
5 not required are of immediate importance.

6 CHAIRMAN DENNING: What's your backup  
7 slide here? Everything you took there, I get curious.

8 MEMBER WALLIS: Curious about it, huh?

9 MEMBER SIEBER: Sure do.

10 MR. FREDERICK: This is just plots from  
11 the analysis results. We see here that a pressurizer  
12 goes to its maximum level in about 7 minutes.

13 Next slide.

14 This shows the pressure as the safety  
15 valve cycle opened and closed. In cycling, the number  
16 of cycles is another important parameter that we need  
17 for our valve analysis. And for this case you can see  
18 we have five cycles of the valve before the operator  
19 mitigates the event.

20 MEMBER SIEBER: And that's in a 100  
21 seconds, roughly, 150 seconds?

22 MR. FREDERICK: That's correct. Yes.

23 DR. BANERJEE: Do you get any two phase  
24 flow through these valves or is it just blowing steam?

25 MR. FREDERICK: Well, in this case the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       pressurizer is full, so --

2                   DR. BANERJEE:   So you get water?

3                   MR. FREDERICK:   -- a water discharge.

4                   MEMBER WALLIS:   But doesn't it flash when  
5       it gets --

6                   DR. BANERJEE:   Yes.

7                   MEMBER SIEBER:   Yes, it does.

8                   MR. FREDERICK:   Yes. It flashes in the  
9       discharge --

10                   MEMBER WALLIS:   Now there's indication of  
11       temperature in the discharge line, isn't there, in the  
12       control room?  Probably rings a bell or something.  
13       When there's a temperature in the discharge line from  
14       the pressurizer it's measured, isn't it?

15                   MR. FREDERICK:   Yes. There is a tailpipe  
16       alarm, yes.

17                   MEMBER WALLIS:   He's told.  As soon as  
18       this thing happens, he's told if he doesn't know  
19       already.

20                   MR. FREDERICK:   Yes.

21                   MEMBER SIEBER:   You can assume that the  
22       water in the pressurizer is saturated.

23                   DR. BANERJEE:   In which case it will get  
24       critical fast.

25                   MEMBER WALLIS:   Critical flaw at pressure.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Right.

2 DR. BANERJEE: So do you use a critical  
3 flow calculation at that point once it comes out?

4 MR. FREDERICK: Chris, the safety valve  
5 flow model, is that --

6 MR. McHUGH: I believe it's critical flow  
7 -- the first cycle usually starts out with a little  
8 bit of steam and then the pressurizer rapidly fills  
9 once it opens and the remainder of the cycle is water.  
10 And then the remaining cycles are typically all water.  
11 The first one does start with steam typically.

12 MR. FREDERICK: This slide just shows how  
13 the pressurizer water temperature drops as your  
14 discharging water out of and it's insurging. And  
15 again, it's assumed to instantly homogenize and reach  
16 a bulk temperature.

17 DR. BANERJEE: Do you have a graph of the  
18 discharge rate? I mean, how the discharge varies?  
19 You showed a slide previously, I think that was --

20 MEMBER WALLIS: It seems to depressurize  
21 very rapidly on that slide.

22 DR. BANERJEE: Yes.

23 MEMBER WALLIS: There seems to be plenty  
24 of flow there.

25 MR. FREDERICK: The mass flow rate out of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the valve, is that what you're asking?

2 MEMBER WALLIS: Yes.

3 DR. BANERJEE: It must be very high.

4 MR. FREDERICK: Yes, it is.

5 MR. MCHUGH: I think I have that  
6 information on my laptop.

7 MEMBER SIEBER: So you're solid, there's  
8 no cushioning effect from any steam in there. So the  
9 pressure is going to go up very rapidly.

10 DR. BANERJEE: Can I see the previous  
11 slide, please?

12 MEMBER WALLIS: See how rapidly it comes  
13 down?

14 MEMBER SIEBER: Again, because you're  
15 solid.

16 DR. BANERJEE: Yes. You don't have to do  
17 it now, but if you've got it on your laptop, nice to  
18 see it.

19 MR. FREDERICK: Chris, it's in the RAI  
20 responses that we submitted, so --

21 DR. BANERJEE: Is it?

22 MR. FREDERICK: Yes.

23 DR. BANERJEE: The 3,000 pages or  
24 something, no?

25 MR. FREDERICK: So, again, yes this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis does generate overflow of the pressurizer and  
2 as such, the results are essentially used as inputs to  
3 an evaluation that we do to determine whether or not  
4 the safety valves are going to function under the  
5 conditions that we're presenting to them.

6 The valve evaluation uses WCAP 11677  
7 methodology. And that's primarily based on results  
8 from the EPRI valve testing that was done post-TMI  
9 where they actually put water through the valves at  
10 various conditions and temperatures.

11 The PORVs are also qualified. We looked  
12 at those in terms of water discharge as well as the  
13 discharge piping on both the PORVs and the safety  
14 valves. We've analyzed all the lines for these  
15 conditions and shown that we met the limits.

16 MEMBER WALLIS: Because you can get  
17 choking in the discharge line. Can get critical flow  
18 in the discharge line because the depressurization is  
19 tremendous.

20 MR. FREDERICK: Yes. Was it a RELAP  
21 analysis to generate the forcing functions on that,  
22 Mike?>

23 DR. BANERJEE: Yes, you can get multiple  
24 choking in lines like this, but RELAP wouldn't  
25 calculate that, I would think.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes. There's a number of  
2 elbows in that line. I think the analysis that was  
3 done was to make sure that the line would stay intact.  
4 There's tremendous forces on that line as this slug of  
5 water goes --

6 MEMBER WALLIS: Well, if it chokes at the  
7 discharge into the drain tank, that's where you worry  
8 because then you get a pressurization of the whole  
9 line.

10 MEMBER SIEBER: Yes. Well, I would imagine  
11 almost immediately the drain tank ruptured just with--

12 MEMBER WALLIS: No. There is a while,  
13 isn't there, before that happens?

14 MEMBER SIEBER: Pardon?

15 MEMBER WALLIS: Isn't there quite a while  
16 before that happens?

17 MR. TESTA: Yes. This is Mike Testa.

18 We analyzed the piping from the  
19 pressurizer from the pressurizer itself and including  
20 the piping down to the PRT. And as Ken said, you know  
21 once we overflow, of course, and we're putting water  
22 down the line, we used the RELAP computer code to  
23 derive the forcing functions. And then incoded that  
24 into the piping analysis, piping model to make sure  
25 that the piping and the supports would remain intact

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 or acceptable.

2 MEMBER WALLIS: You don't challenge the  
3 rupture disk of the drain tank?

4 MR. TESTA: No, I don't believe we did.

5 MEMBER SIEBER: To what, 50 pounds?

6 CHAIRMAN DENNING: We're running behind,  
7 but that's okay. We're going to let this go.

8 MEMBER WALLIS: You mean we may be a  
9 little late tonight?

10 CHAIRMAN DENNING: Exactly.

11 MR. FREDERICK: I just have one more area  
12 before --

13 CHAIRMAN DENNING: That's okay.

14 MEMBER WALLIS: Are you going to do large  
15 break LOCA before you --

16 MR. FREDERICK: Yes.

17 CHAIRMAN DENNING: Yes.

18 MR. FREDERICK: One other issue which the  
19 Staff raised on the concern here was if the PORVs  
20 opened, they wanted us to demonstrate that we had a  
21 qualified signal for them to close, even though the  
22 PORVs are considered a control grade. However, they  
23 do have a signal which comes out of the protection  
24 grid systems which close the valves on a low pressure  
25 signal from the pressurizer. So the concern here was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 if you needed to rely on block valves which would be  
2 available then that was more of a condition III, that  
3 we were able to demonstrate that we do have a  
4 qualified signal to close the valves.

5 So summary on the spurious SI, we have analyzed  
6 the valves for the water discharge condition was  
7 identified and we're convinced the valves can pass  
8 water without damage. Likewise, for the PORVs and the  
9 PORVs do have the qualified signal to close. And this  
10 event will not promulgate a condition III event.

11 MR. SENA: Again, this is Pete Sena.

12 I just want to also reemphasize a couple  
13 of things.

14 Jack, you asked about the PRT, the  
15 ruptured disk goes at a 100 pounds, not 50 pounds. And  
16 additionally, we've simulator crews both units through  
17 an inadvertent SI scenario. And they are able to  
18 diagnose the event, confirm that we do not have the  
19 actual real event such as a LOCA or a tube rupture,  
20 and terminate the SI prior to going to solid  
21 conditions. And actually, in 2002 we had a real  
22 inadvertent SI on Unit 1. And based on that real  
23 plant data we also did go solid in that case.

24 CHAIRMAN DENNING: What was the nature of  
25 the event that occurred? How did it --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SENA: What happened in 2002 at Unit  
2 1, one of our main steam isolation valves closed due  
3 to a human performance error involving the building of  
4 scaffolding. The closure of that valve then resulted  
5 in a low steamline pressure from the other two steam  
6 generators supplying the turbine. So again, you do  
7 not have a valid steamline break, but that's what it  
8 sensed at 500 pounds low steamline pressure. So a  
9 safety injection signal was actuated and a reactor  
10 trip from full power.

11 CHAIRMAN DENNING: Two high pressure  
12 points?

13 MR. SENA: Yes, two high pressure safety  
14 injection pumps actuated, all ECCS pumps actuated.  
15 Operators were able to progress through the EOPs and  
16 terminate the SI prior to going solid.

17 MR. FREDERICK: Just to wrap the non-LOCA  
18 discussion here. Again, for the analyses that we've  
19 done we've shown that we meet all the DNBR limits as  
20 well as the pressure limits for primary and secondary.  
21 And all the acceptance criteria for the condition II,  
22 III and IV events are met at the EPU conditions.

23 Again, that's it for the non-LOCA and  
24 we'll move on to large break LOCA unless there's any  
25 questions on that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           For EPU we have, again, gone to the best  
2 estimate LOCA methodology, as we discussed before.  
3 And, again, this is the original 1996 approved  
4 methodology that Westinghouse has used for many  
5 plants.

6           Due to the methodology, there is some  
7 benefit in terms of the PCT result as well as changes  
8 that were made in the containment and accumulator  
9 minimum pressure, which also provides some benefit in  
10 terms of the PCT. The container pressure associated  
11 with conversion increases the initial operating  
12 pressure about 4 psi. And that increase in the back  
13 pressure transient that associated with the LOCA event  
14 does provide a benefit in terms of PCT. And primarily,  
15 this is due to a reduction in what we call downcomer  
16 boiling. The downcomer boiling tends to impede vessel  
17 refill and that is very sensitive to the containment  
18 back pressure.

19           Also we did primarily for small break  
20 analysis we raised the minimum accumulator pressure  
21 and that had a small benefit here as well.

22           So essentially some of the margin that we  
23 would lose from EPU we have regained by some of the  
24 other plant changes that we've made.

25           And the results, as shown on the next

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 slide here --

2 DR. BANERJEE: What is the small slide?

3 MR. FREDERICK: Okay. This is a general  
4 discussion about what DE methodology is. If you're  
5 interested, we can talk about it.

6 MEMBER WALLIS: No. They're conservative  
7 assumptions, all of these things.

8 MR. FREDERICK: Yes. This basically goes  
9 through what assumptions are bounding and then the  
10 balance that I talked about how the uncertainties were  
11 rolled into the final PCT value.

12 MEMBER WALLIS: A response surface type of  
13 thing, is it?

14 MR. FREDERICK: That methodology, yes, it  
15 does use the response surface.

16 MEMBER WALLIS: Now what surprised me  
17 here, maybe I'm ignorant of these, it looks as if  
18 you're limited by your maximum hydrogen generation.  
19 Usually the peak clad temperature that limits. And  
20 you seem to have an awful lot of oxidation in yours.

21 MR. FREDERICK: In the BELOCA methodology  
22 is --

23 MEMBER WALLIS: Is it because it stays hot  
24 for a long time or something, is that what it is?

25 MR. FREDERICK: Pardon me?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Why are the oxidation  
2 numbers pushing the limit? Usually it's the peak clad  
3 temperature. Is it because --

4 MR. FREDERICK: For the hydrogen  
5 generation.

6 MEMBER WALLIS: -- the temperature stays  
7 high for a long time or something?

8 MR. FREDERICK: Right. Matt, do you want  
9 to address that in terms of the conservatism?

10 MEMBER WALLIS: A bit strange to me.

11 MR. CERRONE: Yes. This is Matt Cerrone  
12 with Westinghouse.

13 Well, first of all, you're right. They do  
14 have an extended reflood period so they have a higher  
15 PCT and you can see this manifests itself in the core  
16 wide oxidation number.

17 In the methodology, the development of  
18 that number is conservative. It's very conservative  
19 in that the transient used to generate the numbers  
20 developed based on PCTs that are beyond the 9th  
21 percentile and it has -- the transient goes for a  
22 longer period of time than the PCT transient.

23 So basically what you're doing is you're  
24 making sure that you have a high transient that has a  
25 high PCT and has an extended reflood period. Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And then beyond that, the local  
2           uncertainty code that we use extends the reflood heat  
3           transfer longer in time. So basically it's a  
4           conservative number. And the methodology allows for  
5           additional COBRA/TRAC calculations to be performed as  
6           a measure to reduce the additional -- reduce the  
7           conservatism until ultimately you show success at the  
8           hydrogen generation, 1 percent acceptance criterion.

9           Three's an additional work that could be  
10          performed to show additional margin in that number.

11          MR. FREDERICK: Yes. I guess the answer  
12          there is we do enough to show we meet the limit and we  
13          don't push it beyond that, although there are  
14          additional margin to be gained.

15          MEMBER WALLIS: But the question for  
16          Westinghouse, is this an unusual plant where the CWO,  
17          the core wide oxidation seems to be the limit here?  
18          It doesn't seem to be in my memory a very common  
19          thing.

20          MR. CERRONE: Well, no, it's not all that  
21          common, certainly.

22          MEMBER WALLIS: Is there something unusual  
23          about this plant or the method of analysis, or what?

24          MR. CERRONE: No. It's not unusual. The  
25          evaluation techniques were in line with what was in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the approved evaluation model. So I think here we're  
2 just seeing a PCT and a high oxidation, a higher  
3 oxidation number. But like I had said additional work  
4 could be performed if it was so needed to generate  
5 additional margin and the maximum hydrogen generation  
6 number.

7 DR. BANERJEE: Are you going to show us  
8 some curves or clad temperature with times so we get  
9 a feel for what's going on?

10 MR. FREDERICK: I did not include those,  
11 no for the large break. I do have some for small  
12 break.

13 DR. BANERJEE: So it would help, I think,  
14 in answering some of these questions to see how long  
15 the fuel clad temperature remained high or whatever  
16 and when reflood came in.

17 MR. FREDERICK: Matt, do we have the  
18 BELOCA WCAPS here?

19 MR. CERRONE: Yes, I brought Unit 1 and  
20 Unit 2 reports with me.

21 MR. FREDERICK: Okay. Well, the technical  
22 reports do have that information if you want to look  
23 at it.

24 DR. BANERJEE: Yes. We don't need all the  
25 details, but at least a few for the temperature

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 transient. And they can show it later, maybe.

2 MR. CERRONE: I could check to see if am  
3 electronically, if not I have I think a reference  
4 transient with the one break would show an  
5 illustration.

6 MR. FREDERICK: Yes. Just make some copies  
7 of those graphs.

8 DR. BANERJEE: Right.

9 MR. FREDERICK: And then you can pass them  
10 out.

11 DR. BANERJEE: Of the relevant graphs.

12 MR. FREDERICK: Right.

13 CHAIRMAN DENNING: And we could do that  
14 during lunchtime and then look at them after lunch if  
15 we want to take a look at that.

16 MR. FREDERICK: So essentially a PCT  
17 transient --

18 MR. CERRONE: OF the large LOCA.

19 MR. FREDERICK: For the large LOCA.

20 CHAIRMAN DENNING: Yes. I think  
21 particularly --- yes. You'd like to see also if you  
22 can in what time period is the hydrogen being  
23 generated. Over what time period --

24 MEMBER WALLIS: Right. Right.

25 CHAIRMAN DENNING: -- is hydrogen

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 generation occurring.

2 MR. CERRONE: It'll help illustrate that.  
3 I mean, the time at the transient is above 1700 degree  
4 is when you'll be oxidizing.

5 MR. CARUSO: The transient, though, that  
6 you're going to show us is that necessarily the one  
7 that produces the maximum hydrogen generation?

8 MR. CERRONE: No.

9 MR. CARUSO: That's a problem. Because  
10 you probably don't have the graph that generates  
11 maximum hydrogen generation. So --

12 MEMBER WALLIS: It's not the same as the  
13 PCT graph.

14 MR. CARUSO: It's not the same as the PCT.

15 MR. CERRONE: For each period; blowdown,  
16 early reflood and late reflood. A PCT at the 95th  
17 percentile is developed in this methodology. In the  
18 95 EM an additional COBRA/TRAC transient's computed  
19 where the PCT calculated goes beyond that of the 95th  
20 for each of the three periods. So what you do them is  
21 you capture the oxidation period above the 95th  
22 percentile with the COBRA/TRAC calculation. So you  
23 oxidize above the temperatures all experienced in each  
24 period at the 95th percentile an you capture the time  
25 and temperature.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CARUSO: Is that the scenario you're  
2 going to present to us?

3 MR. CERRONE: Well, I was just thinking  
4 through that. The engineering report, I do not  
5 believe, provides the oxidation transient that was  
6 developed.

7 MR. CARUSO: That's what I was wondering.

8 MR. FREDERICK: Yes, I think it will be  
9 somewhat representative.

10 MR. CARUSO: Okay.

11 MR. FREDERICK: Kind of a general --

12 MR. CARUSO: Because you just have to be  
13 careful, Sanjoy. I think you're looking for the  
14 actual transient that generates that .98 percent and  
15 you're not going to see that. You're going to see  
16 something similar.

17 MR. CERRONE: Yes. I think what we can do  
18 is take each time period --

19 DR. BANERJEE: The reason, of course, is  
20 that what -- at least the way you're putting it, it's  
21 a very conservative calculation, right?

22 MR. CERRONE: Correct.

23 DR. BANERJEE: Maybe we need to have that  
24 when you show -- well, the first thing it would be  
25 nice to get the curve which produces that .98, which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is relatively close to the limit, right?

2 The second is that the conservatism maybe  
3 should be just listed as a snapshot for us to see so  
4 that we can say okay, that .98 is really an upper  
5 limit, I mean it's very conservative or something like  
6 that. Did I come across? I mean, do you have a feel  
7 for it?

8 MEMBER WALLIS: Because we're discussing  
9 a power uprate and it hasn't changed tremendously from  
10 .91.

11 DR. BANERJEE: Right. That was pretty  
12 high already.

13 MEMBER WALLIS: Yes, that as pretty high  
14 already.

15 DR. BANERJEE: It went from a very  
16 conservative calculation of .91 to a best estimate of  
17 .98?s

18 MR. CERRONE: Well, we need to keep in  
19 mind that the oxidation calculation is conservative  
20 even in the original '96 evaluation model using  
21 COBRA/TRAC. And keep in mind also that additional  
22 COBRA/TRAC calculations could be performed at various  
23 power levels to capture the rod power senses  
24 throughout the core to give you more and more -- to  
25 give you additional levels of margin. The idea is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that there's a regulatory limit that we must comply  
2 with. And we basically provide a sufficient amount of  
3 evidence that we've met that limit.

4 DR. BANERJEE: Yes. I guess when you say  
5 best estimate here, you really have markings in this  
6 best estimate.

7 MEMBER WALLIS: Yes. It's not totally best  
8 estimate..

9 DR. BANERJEE: Yes.

10 MEMBER WALLIS: There's a lot of  
11 conservatism on top of it.

12 MR. CERRONE: Yes. Especially in the  
13 oxidation calculation. We look forward to the ASTRUM,  
14 when we move to ASTRUM with this because there is  
15 oxidation margin.

16 DR. BANERJEE: Perhaps that could be at  
17 least clarified. Because I'm confused.

18 MEMBER WALLIS: Well, I think the best  
19 estimate number would be much lower if you went from  
20 the mean rather this 95th percentile in that.

21 MR. CERRONE: I would agree.

22 MEMBER SIEBER: The difficulty, though, is  
23 in regulatory space you either meet the number or you  
24 don't.

25 MEMBER WALLIS: That's right. That's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 right.

2 MEMBER SIEBER: And the conservatism you  
3 have --

4 MEMBER WALLIS: And you do have enough to  
5 do that. Right. Right.

6 MR. CERRONE: There's always been plenty  
7 of ways to find margin --

8 MEMBER WALLIS: That's why it came out to  
9 .98 because you had to be under one.

10 MR. CERRONE: Sure. I mean you did a  
11 sufficient number of calculations, you show  
12 compliance.

13 MEMBER WALLIS: That's right. I  
14 understand.

15 DR. BANERJEE: Anyway, we want listing the  
16 assumptions and conservatism with that curve, then at  
17 least we have a feel for it.

18 CHAIRMAN DENNING: Okay. I think we can  
19 proceed.

20 MR. FREDERICK: Okay. Yes, we're done  
21 after this one.

22 The one thing I wanted to point out here  
23 was that the P-clad temperature that you see there for  
24 Unit 1 will be a different number as even the draft  
25 SER. When we did the original Unit 1 analysis the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 result came out to 2144. And those original analyses  
2 were based on different containment operating  
3 conditions that we had in place at the time or we're  
4 proposing for the containment conversion. When we  
5 changed those initial conditions, we went back and  
6 reanalyzed both units. And the number for Unit 1  
7 dropped primarily because we lowered our peaking  
8 factor limits associated with Unit 1 analysis because  
9 we were seeing an unacceptable increase due to the  
10 containment pressure change. So that's the result  
11 that we will be reporting essentially is official  
12 50.46 type results is the 21 number.

13 DR. BANERJEE: What is the reason for the  
14 different between Unit 1 and Unit 2?

15 MR. FREDERICK: In the results?

16 DR. BANERJEE: Yes.

17 MR. FREDERICK: The major difference  
18 between the plants is in the downcomer area. One unit  
19 has what they call thermal shields and the other one  
20 has the neutron blanket. And those represent,  
21 basically, fairly significant thermal masses but they  
22 are different between the plants. So Unit 2 tends to  
23 be a lot less sensitive to downcomer boiling type  
24 conditions, low pressure in containment than Unit 1.

25 Initially actually Unit 1 resolve was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 actually much higher, was 2144 for similar input  
2 conditions. For example, the peaking factors were  
3 originally all the same. The result here is that  
4 they're not that different here, but actually Unit 1  
5 here is restricted to a lower peaking factor limit  
6 than 2. The difference in the plant is reflected  
7 in the analysis.

8 DR. BANERJEE: Raising of the containment  
9 pressure didn't take care of this downcomer boiling  
10 problem?

11 MR. FREDERICK: It helps, but it does not  
12 completely eliminate.

13 That's all I had on large break. I guess  
14 we're going to shift over to the NRC now.

15 CHAIRMAN DENNING: Yes. We'll at least  
16 start the Staff's presentation here and then we'll see  
17 if we want to have a breaking point in the middle of  
18 it, if that's okay.

19 MR. MIRANDA: Okay. The answer to your  
20 first question is we're using this overhead projector  
21 because I have some transparencies with some transient  
22 plots on there and I'd like to have the ability to  
23 draw on them.

24 My name is Sam --

25 MEMBER WALLIS: On the screen, whatever

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 you do.

2 DR. BANERJEE: Well maybe draw on the  
3 screen so we can have it changed and focused.

4 MEMBER SIEBER: We already tried that.

5 MR. MIRANDA: My name is Sam Miranda. I  
6 work at the PWR Systems Branch of NRR as a technical  
7 reviewer.

8 I've been with the NRC for a little more  
9 than 5 years. And before that time I worked for  
10 Westinghouse as a nuclear safety analyst for almost 25  
11 years, during which time I used LOFTRAN code and  
12 worked with the author of LOFTRAN, Toby Burnett to  
13 write several routines in LOFTRAN.

14 First I will go quickly through the --

15 DR. BANERJEE: Where are these slides?

16 MEMBER SIEBER: They're in here, I think.  
17 I'm going blind.

18 MEMBER WALLIS: That's almost as good as  
19 the other one.

20 MR. MIRANDA: Okay. For the EPU at Beaver  
21 Valley there is no change in the fuel design. By the  
22 time the EPU will be implemented, the entire core will  
23 be composed of robust fuel assemblies. And there's  
24 been no change in the methodology used for the nuclear  
25 design.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           As far as thermal hydraulics is concerned,  
2           since the entire core is robust fuel assemblies,  
3           there's no DNBR penalty for the fuel transition. And  
4           the THINC IV code has been replaced by the VIPRE code  
5           in the DNBR evaluations.

6           Both --

7           DR. BANERJEE: The difference between  
8           these codes?

9           MR. MIRANDA: The VIPRE code seems to be  
10          more flexible. You can model cores with, for example,  
11          hexagonal lattices rather than just square lattices.  
12          There are features in VIPRE that allow it to do things  
13          that THINC has problems doing.

14          DR. BANERJEE: Are these subchannel codes  
15          or what?

16          MR. MIRANDA: They're detailed core models  
17          where you can have a hot channel and you can have  
18          surrounding fuel assemblies and you can also model the  
19          fuel itself, the pellet, the gap and the clad,  
20          calculate temperatures and stresses and heat flux.

21          Both the revised thermal design procedure  
22          and the standard design procedures were used in the  
23          analyses depending upon the limits of these methods  
24          and the requirements of the accident analyses  
25          themselves, as discussed earlier by Mr. Frederick.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 This is a review of the large break LOCA  
2 analyses and as compared to the 10 CRF 50.46 limits.

3 CHAIRMAN DENNING: And you're showing the  
4 older version of the peak clad temperature for Beaver  
5 Valley 1?

6 MR. MIRANDA: The older version?

7 CHAIRMAN DENNING: That's not 2144  
8 anymore.

9 MEMBER SIEBER: Yes, that's one cycle  
10 before the cycle --

11 MR. MIRANDA: Revised.

12 MR. FREDERICK: Ken Frederick.

13 That is the value that we had on our  
14 original analysis before we reanalyzed.

15 MR. MIRANDA: Yes. We didn't incorporate  
16 the new number in this slide, but yes the licensee has  
17 submitted a new number.

18 MEMBER WALLIS: This is something that we  
19 don't have, this slide, is that right?

20 DR. BANERJEE: Do we have this slide?

21 MR. MIRANDA: No, you don't have this  
22 slide. This was added at the last minute.

23 CHAIRMAN DENNING: So you'll get us a copy  
24 of this. Okay. But there's nothing new on there?

25 MR. MIRANDA: No.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN DENNING: Stick it up just  
2 another second. That's basically just supposed to show  
3 us what the applicant calculated.

4 MR. MIRANDA: Right.

5 CHAIRMAN DENNING: Right. And we've  
6 already seen that.

7 MR. MIRANDA: And to show you that the  
8 limited have been met, yes.

9 CHAIRMAN DENNING: Okay. Good. Thanks.

10 MR. MIRANDA: I'm going to get into a  
11 discussion here about the margins and acceptance  
12 criteria and then which will lead into a discussion of  
13 the results for three examples of transient analyses.  
14 And this is going to be very basic.

15 We have on the left hand column the ANSI  
16 criterion that defines conditions I, II, III and IV  
17 events and the acceptance criteria and how we get from  
18 there to the analysis criteria.

19 The ANSI standard from 1973 defines  
20 anticipated transients condition II events, otherwise  
21 known as anticipated operational occurrences. As  
22 events that could occur during the calendar year of  
23 operation at a plant. And it's defined basically as an  
24 event that basically requires no more than a reactor  
25 trip. Plant trips you correct a condition and you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 back to power in short order.

2           There are basically three analysis  
3 criteria that apply to condition II events. One is  
4 that the RCS does not overpressurize and also the main  
5 steam system does not overpressurize. Another is that  
6 you have no fuel clad damage, and this demonstrated by  
7 showing that you meet the DNBR safety analysis limit.  
8 And finally, that the condition II event does not  
9 develop into a more serious event. And this criterion  
10 is designed to prevent a shortcut or short circuit in  
11 the sense that you can't have a condition III or IV  
12 event that originates as a condition II event with a  
13 condition II frequency of occurrence. Because a  
14 condition III or IV event has other acceptance  
15 criteria.

16           And as far as analyses are concerned, this  
17 last condition that the event does not promulgate into  
18 a more serious event is shown by demonstrating through  
19 analyses that the pressurizer doesn't fill. And this  
20 is done to preclude the possibility of passing water  
21 through any of the pressurizer relief or safety valves  
22 which may not be qualified for water relief. And in  
23 deterministic accident analysis if a valve is not  
24 qualified for water relief, it's assumed to stick  
25 upon. And a stuck open valve then constitutes a small

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 break LOCA in the steam space of the pressurizer.

2 Another option to satisfy this criterion  
3 is to qualify the valves in question, either the  
4 pullers or the safeties or both. And in this case  
5 Beaver Valley is qualified to safety valves.

6 Condition III events which may occur  
7 during the lifetime of the plant, there is some  
8 allowance for fuel clad damage. And these are  
9 governed mainly by the dose consequences which have to  
10 meet the 10 CRF 20 release limits. But in many cases  
11 in accident analyses this is satisfied merely by  
12 meeting the more stringent condition II criteria.

13 As far as condition IV events are  
14 concerned, the limiting faults also dose criteria  
15 apply, 10 CFR Part 100. And, again, a lot of the  
16 accident analyses, steamline break is one example,  
17 where this is satisfied by meeting the condition II  
18 criteria.

19 There's also 10 CFR 50.46 with the PCT  
20 limits and so on. And that's all aimed at the ANSI  
21 standard from 1973 which talks about maintaining the  
22 ability of protection systems that are needed to  
23 mitigate the event. And that goes to the -- of the  
24 core and maintaining core geometry.

25 In accident analyses found in Chapter 15

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the non-LOCA events, this is often shown by showing  
2 that there's no boiling in the RCS system and no hot  
3 leg saturation. And this happens to be a Westinghouse  
4 internal criterion. By showing that there's no  
5 boiling in the RCS, you can show that the core will  
6 not uncover and the event ends there. The evaluation  
7 need not continue to more complicated factors. It  
8 also happens, it's very convenient for Westinghouse  
9 since LOFTRAN is not capable of modeling a two phased  
10 flow. So when you reach a hot leg saturation you  
11 should be done with that analysis.

12           There's another category here they added,  
13 ATWS. ATWS is not covered by this ANSI standard.  
14 ATWS was invented in 1969 by an ACRS consultant named  
15 Dr. Epler. And the Staff issued guidelines for  
16 analysis of that ATWS and acceptance criteria in WASH-  
17 1270. And ATWS was the first category that was to be  
18 analyzed according to a probabilistic safety goal of  
19 no core damage. I believe it was something like 10 to  
20 the minus 5, then it went to 10 to the minus 7, then  
21 it went back to 10 to the minus 6. But the various  
22 vendors submitted analyses in 1974 to show the  
23 consequences of ATWS. And this issue continued until  
24 the promulgation of the ATWS rule in 1986, 10 CFR  
25 50.62 which actually does not require analyses. It

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 just requires the installation of certain hardware.

2 For PWRs this is a diverse SCRAM system  
3 and an ATWS mitigation systems actuation circuitry.  
4 And for Westinghouse plants it's just the AMSAC  
5 system, because Westinghouse demonstrated that DSS was  
6 not justified.

7 ATWS analyses are conducted on a best  
8 estimate basis. And the principal criterion there is  
9 RCS overpressurization. And the level C stress limit  
10 was chosen as the acceptance criteria, 3200 psig. And  
11 this is based on review of the various components of  
12 the RCS system and picking the weakest component. In  
13 many cases that is the reactor coolant pump cases.

14 And another item that's important in this  
15 level C stress limit is the valve disks for valves  
16 that are needed to proceed to safe shutdown. The  
17 pressure has to be kept to a level such that there  
18 would be no deformation of the valve disks so that  
19 they remain operable and the plant can proceed to safe  
20 shutdown after a ATWS.

21 This is similar to what you've seen  
22 before. This example, which is based on the WRB-2M  
23 correlation shows that the correlation limit, the 95  
24 percentile ability, the 95 percent confidence level is  
25 1.14. And this includes uncertainties that are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 encountered during the development of the correlation.

2 And then the design limit 1.22 includes  
3 the operational uncertainties on power level,  
4 temperatures and flow rate mainly.

5 And then to this is added some margin.  
6 For Beaver Valley's case it's about 21 percent. And  
7 this margin would include, for example, transition  
8 core DNBR penalty, would include rod bow. In this  
9 case, the transition core, the DNBR penalty doesn't  
10 apply.

11 For the reactor coolant pressure boundary,  
12 I've chosen the level C stress limit, I'll call that  
13 the best estimate since it's used for ATWS analyses.  
14 And then the safety analysis limit is the 110 percent  
15 of design pressure, which leaves us a margin of about  
16 17 percent.

17 CHAIRMAN DENNING: One second. On the  
18 1.55, Staff has accepted lower values than 1.55 for  
19 these kinds of transients, is that true on a CHF?

20 MR. MIRANDA: Yes. Yes. That's true.

21 CHAIRMAN DENNING: This is a reasonably  
22 conservative value from your interpretation?

23 MR. MIRANDA: Yes. Yes, it's reasonable.  
24 I've actually compared to other plants, this has more  
25 margin.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN DENNING: Thank you.

2 MR. MIRANDA: Now I'm going to talk a  
3 little bit about margins and where they're found. And  
4 in the first grouping is in the acceptance criteria  
5 themselves. And from a prior slide we saw that the  
6 analysis criteria are more stringent, there's more  
7 margin in there in order to show that the standard  
8 acceptance criteria met. The standard acceptance  
9 criteria sometimes can be a little bit hard to  
10 measure, but the analysis criteria have to be  
11 measurable.

12 So in the acceptance criteria themselves,  
13 some events are analyzed according to more stringent  
14 criteria. For example, the steamline break, a  
15 condition IV event, or the complete loss of flow, a  
16 condition III event, are both analyzed according to  
17 condition II acceptance criteria meaning no clad  
18 damage.

19 Then there's also some margin between the  
20 acceptance criteria and the standard in terms of  
21 shortcuts like the pressurizer no fill criterion. And  
22 also as far as the fraction failed fuel rods. And the  
23 condition III and IV event, for condition IV events  
24 for example, the fraction of failed fuel rods is  
25 largely determined by the dose consequences. And the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fraction of failed fuel rods some value is chosen that  
2 is known to produce acceptable dose consequences. In  
3 a prime reading for Ginna, for example, there was a  
4 statement in the Ginna SE which talked about the  
5 assumed level of failed fuel rods. This refers to the  
6 practice of doing an analysis, doing a rod census and  
7 calculating the number of rod failure. And if it  
8 meets some predetermined level, for example, 10  
9 percent, then it's acceptable. Very often that number  
10 is much less than that, maybe 2 or 3 percent. The 10  
11 percent value would be used by the dose people as  
12 standard practice. Get the dose consequences for a 10  
13 percent level of fuel rod failures when the analysis  
14 actually shows something much less.

15 In the initial conditions and parameter  
16 values, the initial conditions for the accident  
17 analysis are taken in the conservative direction.  
18 Power level, for example, would be at 102 percent  
19 power. RCS temperatures depending upon the accident  
20 analysis and what they are looking for, very often the  
21 RCS temperature would be about 4 degrees higher than  
22 nominal. There's also some level of steam generator  
23 tube plugging that's assumed as well as pressurizer  
24 and steam generator water levels.

25 The protection system setpoints are also

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 taken in the conservative direction.

2 MEMBER WALLIS: This is what's done by  
3 this plant. It's not always done, is it?

4 MR. MIRANDA: It's always done, yes.

5 MEMBER WALLIS: Always done?

6 MR. MIRANDA: Always done.

7 MEMBER WALLIS: Even in a best estimate  
8 with uncertainty, you still have these conservatism?

9 MR. MIRANDA: Well, these are not best  
10 estimate analyses. These are conservative analyses.

11 MEMBER WALLIS: Conservative?

12 MR. MIRANDA: Yes.

13 In practice, taking all of these  
14 uncertainties in the conservative direction could  
15 actually wind up with a plant in a configuration  
16 that's not possible physically, but they do it anyway.  
17 You might, for example, take the under block values  
18 for core reactivity and beginning of life values for  
19 temperatures.

20 Core reactivity feedback, for example.  
21 They might take a most negative moderator temperature  
22 coefficient which would occur at end of life, it might  
23 be much more negative than actually expected. And  
24 then at beginning of life you would have a zero  
25 coefficient or positive coefficient. The object there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is not only conservatism, but also to produce a very  
2 wide range of analyzed space so that in the future for  
3 core reloads of different core designs with different  
4 core moderator temperature coefficients and other  
5 coefficients, doppler for example, if those values for  
6 the characteristic of the core reload fall within this  
7 range, that would tend to eliminate the need for new  
8 analyses.

9 And Westinghouse calls this their reload  
10 safety evaluation checklist.

11 There's also margin added to key parameter  
12 values used in the accident's analyses. Rod drop  
13 time, for example, was typically 2.8 seconds. The  
14 actual value is closer to 1½ seconds. Safety  
15 injection flow if it's conservative to have a minimum  
16 flow of, then the pump, the performance codes are  
17 taken at a minimum value.

18 Decay heat generation is another example.  
19 Decay heat generation --

20 MEMBER WALLIS: Is this stuff in a Reg.  
21 Guide somewhere or is it actually in the rule, or is  
22 it just the way it's done?

23 MR. MIRANDA: This is the practice. Yes.

24 MEMBER WALLIS: This is precedent. It's  
25 not rule?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MIRANDA: No. It's experience.

2 MEMBER WALLIS: This is the way it's  
3 normally done?

4 MR. MIRANDA: Yes. Yes.

5 Decay heat generation is another one I'm  
6 sure you're familiar with. It's either 1971 model plus  
7 20 percent or a 1979 model plus 2 sigma.

8 And Scram worth, typically for a  
9 Westinghouse plant that might be 4 percent. The actual  
10 value is closer to 6 percent because they assume that  
11 the most reactive rod is stuck out of the core.

12 Just in response times. The same thing.  
13 Typically rods don't get begin to drop until maybe 2  
14 seconds after the signal was received. And that actual  
15 value is closer to 1 second or .8 seconds

16 Also response times in terms of pump  
17 startup times to reach full speed or opening valves.  
18 For example in the safety injection system before flow  
19 delivery could occur to the RCS, it might be 10  
20 seconds. It's actually less than that, especially if  
21 you consider for example the relationship between flow  
22 area and valve position.

23 MEMBER WALLIS: All of this sounds  
24 qualitatively good. But until you put it in a terms  
25 of a probability distribution or something, I don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really know what you're gaining. I mean you say we're  
2 going to assume 2 seconds when reality is more like 1.  
3 But presumably it's one with some uncertainty.

4 MR. MIRANDA: Yes.

5 MEMBER WALLIS: Your two is somewhere way  
6 beyond the uncertainty bound or it's sort of 99.9999  
7 percentile or something, or what is it? It sounds  
8 good, but I don't have an idea.

9 MEMBER SIEBER: You do rod drop tests and  
10 I think two is the ultimate limit, but most of the  
11 time a rod will drop around 1 second or 1.2 seconds.

12 MEMBER WALLIS: That's a qualitative  
13 statement.

14 It all sounds good, but I just wonder why  
15 it isn't all put into some soundness, sort of  
16 probabilistic basis and then we can do a bounding  
17 best estimate with uncertainty.

18 MR. MIRANDA: This method predates PRA.

19 MEMBER WALLIS: Yes, it does. It seems to  
20 be a bit archaic. That's why you're using this  
21 particular projector, isn't it?

22 MR. MIRANDA: It's consistent, yes.

23 MEMBER SIEBER: It's structural.

24 DR. BANERJEE: But it actually focuses  
25 better.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: The focus is much better,  
2 right.

3 MEMBER SIEBER: Structuralist.

4 MEMBER WALLIS: It's cheaper to do it this  
5 way?

6 DR. BANERJEE: Sounds like these are sort  
7 of limiting values that you use?

8 MEMBER SIEBER: Yes.

9 MEMBER WALLIS: They are.

10 DR. BANERJEE: One end of the probability  
11 distribution?

12 MR. MIRANDA: That's right. It is possible  
13 sometimes to do sensitivity studies where you isolate  
14 some of these things and you might do the same  
15 analysis, for example, with a 2.8 second drop time and  
16 a 1 second drop time and see what effect it has on  
17 your parameter of interest. And you can do this for  
18 hundreds and hundreds of cases and come up with some  
19 kind of a relationship. But it hasn't been necessary  
20 as long as you show that the safety analysis limit is  
21 met, there's no point in going any further.

22 DR. BANERJEE: And maybe you don't know  
23 the probability distributions anyway, you know.

24 MEMBER MAYNARD: Right.

25 MR. CARUSO: That costs money to determine

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that.

2 MR. MIRANDA: Well, okay.

3 MEMBER SIEBER: Well, from a legal  
4 standpoint this method is much easier to defend; you  
5 either make it or you don't. You build a box and the  
6 reactor fits in there, it's good. If it doesn't fit in  
7 there, it's not good.

8 MR. CARUSO: And if you have a problem  
9 meeting your criteria at some point, then you go look  
10 at an individual factor and say, well, is it necessary  
11 for me to refine that value in order to meet the  
12 criteria. And then you have to develop the data  
13 that's needed to support the value that you use. But  
14 it's easier to use the limiting value until you need  
15 to.

16 MEMBER SIEBER: That's the old regulatory  
17 system. And it is still used pretty widely.

18 MEMBER WALLIS: It produces the same  
19 results on Monday as it does on Tuesday.

20 MEMBER SIEBER: That's great.

21 MEMBER WALLIS: Well, is an interesting --

22 MEMBER SIEBER: And Plant A and Plant B  
23 look the same if they are the same.

24 MR. MIRANDA: There' margin also in the  
25 methods used in the analyses. We heard a little bit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 earlier about critical flow through the pressurizer  
2 safety valves. LOFTRAN has several critical flow  
3 correlations in it and you use the appropriate model.

4 For example, steamline break you might  
5 want a very high flow through the break.

6 For a case where you're worried about RCS  
7 overpressurization and you're looking at flow through  
8 the pressurizer safety valves, you might use a flow  
9 correlation that produces a lower flow.

10 And it has, for example, homogeneous  
11 equilibrium subcooled and saturated models, and moody  
12 models.

13 Again, for steamline break make an  
14 assumption that the steam break flow is dry steam.  
15 This maximizes the cool down that the steam break  
16 produces in the core and maximizes the core reactivity  
17 response.

18 In actuality, a steamline break would have  
19 considerable entrainment in it. And I know this from  
20 experience because Turkey Point Unit 3 had a steamline  
21 break in 1971 when they were doing pre-startup  
22 testing. The core was not loaded at the time, but  
23 they blew a safety valve off the header on the  
24 steamline and the steam generator blew dry in a time  
25 that was much faster than predicted by the computer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 code. And the difference was attributed to water  
2 entrainment.

3 DR. BANERJEE: But I guess conservative  
4 here must be carefully defined, right? It's  
5 conservative with regard to some specific parameter  
6 that is of concern, like peak clad temperature,  
7 reactivity or whatever.

8 MR. MIRANDA: That's right. We'll see some  
9 examples of that in the plots.

10 There's also as far as --

11 MEMBER WALLIS: What you're describing is  
12 just what these guys did at Beaver Valley?

13 MR. MIRANDA: Yes.

14 MEMBER SIEBER: Yes.

15 MR. MIRANDA: Yes. This is standard  
16 Westinghouse methods.

17 MEMBER WALLIS: I thought Westinghouse had  
18 better methods now.

19 DR. BANERJEE: Well, only when they need  
20 it.

21 MEMBER SIEBER: The answer is no? This is  
22 the licensing approach.

23 MR. MIRANDA: Yes. This is methodology  
24 that the Staff has seen before, it's familiar with and  
25 has approved of.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   LOFTRAN and RETRAN, but in this case we're  
2 talking about LOFTRAN has a derivative method. They  
3 call it to estimate the DNB ratio. And this is a  
4 shortcut.

5                   Rather than go through the VIPRE analysis  
6 to actually calculate a DNB ratio, LOFTRAN has the  
7 results of sensitivity studies of the effect on DNB  
8 ratio due to changes in pressure and temperature. And  
9 during a transient, as you move through the transient  
10 and you change temperature and pressure, it calculates  
11 a DNB ratio. And this deliberately programmed into  
12 LOFTRAN to give you a lower than expected DNB ratio.  
13 And then the practice is depending upon what the DNB  
14 ratio is. For example, if you do a raw hydraulic  
15 power analysis, then you come up with a DNB ratio of  
16 1.5 and the safety analysis limit is 1.55. You know  
17 that 1.5 of value is conservative from LOFTRAN but you  
18 can't prove it. So you take some stake points from  
19 the analysis and you put them through a VIPRE analysis  
20 and you come up with a better DNB ratio. And that's  
21 very often much higher, 1.6, 1.65, whatever. But it  
22 does eliminate a lot of VIPRE analyses to go through  
23 this estimate.

24                   MEMBER WALLIS: I believe this is all  
25 going back to the days when it was expensive to use a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 computer?

2 MR. MIRANDA: Yes. It goes back to those  
3 days. And furthermore, not only was it expensive to  
4 use the computer, but you had to use several codes.

5 MEMBER WALLIS: Took a long time to run,  
6 too, I think.

7 MR. MIRANDA: Took a long time to run. And  
8 you had to physically take those stake points and put  
9 them into another --

10 MEMBER WALLIS: Take some perforated paper  
11 from one computer to another, or something.

12 MEMBER SIEBER: And boxes of cards.

13 DR. BANERJEE: Boxes of cards.

14 MR. MIRANDA: Yes. Yes. And a technician  
15 with a piece of graph paper.

16 MEMBER SIEBER: Yes.

17 MEMBER WALLIS: Now are we back in the  
18 '60s or something here? This is very interesting.

19 MR. MIRANDA: Yes. Actually we're in the  
20 '70s.

21 MEMBER WALLIS: Back in the '60s.

22 MEMBER SIEBER: No, that's 1970s  
23 technology.

24 MEMBER WALLIS: We should all feel really  
25 young and full of energy, right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MR. MIRANDA: LOFTRAN was written in 1970  
2 and was in full use for licensing analysis by 1971.  
3 LOFTRAN is an abbreviation for loss of flow transient  
4 and it was written to do the loss of flow transient  
5 analysis for the Zorita Plant in Spain, a one loop  
6 plant.

7                   As far as transient assumptions are  
8 concerned, the worse single act of failure in the  
9 protection system is assumed, and this goes to the  
10 IEEE 279 requirements 279 requirements. And then  
11 again, the scram worth is based on the most reactive  
12 rod stuck outside the core.

13                   And we heard a little bit about this  
14 earlier, about no credit for operation of control  
15 grade systems. And typically these are the  
16 pressurizer PORVs, heaters and spray. And such systems  
17 are assumed not to be operating in a transient unless  
18 their operation would tend to make the transient  
19 worse.

20                   Sometimes you'll see in a set of accident  
21 analyses several cases performed with and without the  
22 operation of the control grade system to see the  
23 effect.

24                   And then there are some trips that are  
25 just not taken credit for. And the example of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reactor trip on turbine trip was alluded to earlier.  
2 And also the rods don't fall into the core when  
3 offsite power is lost. The rods fall into the core  
4 only after reactor trip signal is received.

5 I can discuss, by the way, before I get  
6 into the transients, if you're interested I could talk  
7 a little bit about the overtemperature delta T trip  
8 and how that's determined.

9 At this point I'll go to the conclusions.  
10 The bottom line, very simple, when we look at an  
11 analysis, for example the DNBR limit. If the minimum  
12 calculated DNBR from the transient is greater than the  
13 safety analysis limit, then the analysis is  
14 acceptable.

15 If the minimum calculated DNBR should  
16 equal the safety analysis limit, then the analysis is  
17 still acceptable because we know that we have margin  
18 in both the limit and in the accident analysis.

19 And if the minimum calculated DNBR should  
20 fall below the safety analysis limit, now we can't  
21 accept the analysis because it hasn't been  
22 demonstrated that there's adequate margin still  
23 available. There's obviously been some erosion of  
24 that margin and we have no idea of how much is  
25 remaining. And this goes back to what you said, Dr.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Wallis. We don't have that relationship between the  
2 best estimate value and the uncertainty.

3 MEMBER WALLIS: Now when the licensee  
4 calculates these numbers, he's not able to tweak his  
5 code to make it less than or more than? We all know  
6 that by changing nodalization and time steps and all  
7 sorts of things you can tweak codes to get different  
8 results. He's not allowed to tweak his code? How do  
9 you prevent him from just dialing a lot of tweaks and  
10 eventually getting within the regulations?

11 MR. MIRANDA: Well, we can't prevent him  
12 from doing that. And if the modeling has been  
13 accepted; an acceptable model should not be very  
14 sensitive to things like time steps and nodalization  
15 for a non-LOCA analysis.

16 DR. BANERJEE: They generally are, that's  
17 the problem. I mean, essentially all these finite  
18 difference code depend on nodal volumes and time  
19 steps. They're not mathematically convert in any sense  
20 of the word. They're too nonlinear. There's also  
21 some weird things in them.

22 MEMBER WALLIS: Like the business of  
23 matching the currant number at one and not somewhere  
24 else, and therefore getting distortion there.

25 MR. MIRANDA: You can tweak the code a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 little bit, but only a little bit with LOFTRAN because  
2 LOFTRAN is not like a LOCA model. It's a hard wired  
3 simulation. It has a pressurizer. It has steam  
4 generators. And you have very little leeway as far as  
5 nodalization is concerned. You can put three nodes in  
6 the hot leg or you can put 20 nodes in the hot leg;  
7 the results should not be that much different.

8 The same thing with the core. You can put  
9 several nodes axially and radially in the core but, it  
10 won't have that much of a difference.

11 MEMBER WALLIS: That's why we've always  
12 said that the Staff should have the ability to run  
13 these codes itself. Find out how sensitive they are to  
14 these various things rather than just taking something  
15 submitted by the licensee, who has obviously optimized  
16 things to make it look good.

17 MR. MIRANDA: As a matter of --

18 MEMBER WALLIS: Or he has the chance to do  
19 that, let's say. But you don't have these  
20 Westinghouse codes run by the Staff, do you?

21 MR. MIRANDA: Well, for Beaver Valley and  
22 Ginna we do have use of the LOFTRAN code. We have  
23 access to the LOFTRAN code through Westinghouse's  
24 office in Rockville. And we have the LOFTRAN manual  
25 and we have the safety analysis standards.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: When they report a number  
2 like, whatever it is, 2748.5 when it should be 2750,  
3 you can run your own LOFTRAN or whatever it is and  
4 figure out if you can get it to 2502.1 or something?

5 MR. MIRANDA: We could, yes.

6 MEMBER WALLIS: 2750.3 or whatever it is.

7 MR. MIRANDA: Yes. Yes. We could change  
8 a few parameters --

9 MEMBER WALLIS: You have a really good  
10 idea of how much tweaking they could do to get what  
11 they want?

12 MR. MIRANDA: I've done this tweaking  
13 myself.

14 MEMBER WALLIS: That's it, you're an  
15 insider.

16 MR. MIRANDA: There isn't that much you  
17 can do. You might be able to change the result by a  
18 couple of psi, but unless you make some basic changes  
19 in the assumptions. You would need, for example you  
20 would need to change the critical flow model that  
21 you're using. And making changes like that require  
22 justification. You need to have a reason for doing  
23 that.

24 MEMBER WALLIS: It really takes a Staff  
25 member who has done this stuff him or herself to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 able to understand what the licensee is doing or what  
2 Westinghouse is doing. Otherwise you can be  
3 bamboozled.

4 DR. BANERJEE: Or have an equal  
5 capability, which is not LOFTRAN, which is in your  
6 hands.

7 MEMBER WALLIS: Like TRAC?

8 DR. BANERJEE: Whatever, yes.

9 MEMBER SIEBER: Yes. Well, LOFTRAN is only  
10 one code. There's a lot of codes that are used here.

11 DR. BANERJEE: Yes.

12 MEMBER SIEBER: There are VIPRE, MAAP.

13 DR. BANERJEE: At least to keep them  
14 honest to do a few spot checks here and there.

15 MR. MIRANDA: Yes. And we have done a  
16 couple of those.

17 MEMBER SIEBER: They do audit. You do  
18 audits?

19 MR. MIRANDA: Yes. We did an audit for  
20 Beaver Valley in November of last year, three days at  
21 Westinghouse's offices in Pittsburgh where we looked  
22 at the --

23 MEMBER WALLIS: When are we going to take  
24 a break?

25 MR. MIRANDA: -- analyses, we looked at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the calculation notes behind the analysis and also the  
2 safety analysis standards. And we talked to the  
3 people who performed these analyses.

4 CHAIRMAN DENNING: Sam, let me interrupt  
5 you at this point. I think this is a good breaking  
6 point, would you not agree?

7 MR. MIRANDA: Sure.

8 CHAIRMAN DENNING: Well in that case,  
9 we're going to adjourned then until by that clock 25  
10 after 1:00.

11 (Whereupon, at 12:30 p.m. the meeting was  
12 adjourned, to reconvene this same day at 1:30 p.m.)

13

14

15

16

17

18

19

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

2 1:30 p.m.

3 CHAIRMAN DENNING: Okay. We are now back  
4 in session.

5 And, Sam, you can start anytime you want.

6 MR. MIRANDA: Okay. I will step through  
7 three example of non-LOCA transients. And we have the  
8 same three transients that Beaver Valley was talking  
9 about earlier.

10 The first is a loss of external load. And  
11 this is the event that causes a very high reactor  
12 coolant system pressure. And followed by the rapid  
13 draw of power for the channels to DNB. And finally  
14 the spurious actuation of ECCS. And this event is the  
15 one that we look at in order to show that the event  
16 will not progress to a condition III or IV event.

17 The first event, the loss of external load  
18 I might comes in several varieties. There is a  
19 condition I loss of external load, an operational  
20 transient which is also known as a load rejection. We  
21 can reduce load by 50 percent and show that the plant  
22 will not trip.

23 There's also a loss of load ATWS, which is  
24 the limiting ATWS event in terms of pressure which  
25 will reach pressures very close to the 3200 psi limit.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The loss of external load, and moving to  
2           the earlier discussion, the best estimate case that  
3           showed there was no difference between pre-EPI and  
4           post-EPU, I might add that in that instance if you  
5           have a loss of load and you have the steam dumping  
6           available, basically that amounts to a 60 percent loss  
7           of load. Steam dumping to the condenser will take up  
8           about 40 percent of nominal steam flow. So comparing  
9           that to an accident analysis loss of load, a 100  
10          percent load rejection, there's a big benefit there;  
11          first of all. And secondly, if you use the pressure  
12          control system pulls and spray the spray will be  
13          working during that event. So that seeing two curves  
14          that are identical is not a surprise because here you  
15          only have a 60 percent load rejection and you have  
16          pressure being controlled by the sprays. And that is  
17          very likely to be more than enough to handle the 8  
18          percent power increase.

19                 So for this event there are two cases  
20                 analyzed. I'm going to talk about both of them and  
21                 you'll see why in a few minutes.

22                 The first case we have a case that's  
23                 analyzed for channels to the DNB. And in that case as  
24                 expected the overtemperature delta T trip is reached.  
25                 And the minimum DNBR occurs shortly after the rods

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 begin to drop.

2 Typically the minimum DNBR will occur even  
3 before the rods reach of the bottom of the core. When  
4 most of activity has been inserted, transient is  
5 already -- DNB ratio begins to increase again.

6 One thing I would look for in as a  
7 reviewer in a case like this would be for a reactor  
8 trip that comes from the part of the reactor  
9 protection system that is designed to protect against  
10 a parameter of interest. In this case we're worried  
11 about DNB and the reactor protection system function  
12 that protects against DNB is overtemperature delta T.  
13 So if I saw a trip occurring from another source that  
14 is not related to DNB, I would have questions.

15 So here we have the overtemperature delta  
16 T trip operational.

17 The second case is the case that challenge  
18 the RCS pressure limit. So here we have the nuclear  
19 power and heat flux. Then I have drawn on this the  
20 time of the reactor trip right here. And you'll see  
21 that the nuclear power begins to drop quite soon. Heat  
22 flux begins to drop just a little bit later. And  
23 that's just due to the thermo-lag heat flux through  
24 the fuel.

25 And this is the pressure and pressurizer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 volume.

2 MEMBER WALLIS: Now it peaks out at the  
3 flat top because it actually blows a relief valve, the  
4 pressurizer?

5 MR. MIRANDA: This is the answer to your  
6 question right there.

7 MEMBER WALLIS: Okay. That's it. Thank  
8 you.

9 MR. MIRANDA: Now this is an example of  
10 conservatism in the setpoints. The pressurizer safety  
11 values are set to open nominally at 2500 psia with a  
12 tolerance of plus or minus 3 percent. This is Beaver  
13 Valley 1. And in this case since they are looking for  
14 a low DNB ratio, they're want to keep the pressure  
15 low. Therefore, they're using the low setting on the  
16 pressurizer safety valves, opening them at 24, 25  
17 psia, nominal minus 3 percent.

18 They're also using pressure control.  
19 Pressurizer spray and pressurizer power operator  
20 relief valves. So you see the first plateau is when  
21 the relief valves open at 2350 psi and a second  
22 plateau is when the safety valves open. Both of those  
23 serve to keep the pressure low and keep the DNB ratio  
24 low.

25 And then finally as a verification that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this is not an event that could proceed to a more  
2 serious event, we see that the pressurizer does not  
3 fill.

4 MEMBER WALLIS: Where is full pressurizer?

5 MR. MIRANDA: It's about 1428 cubic feet.  
6 1420 cubic feet for the pressurizer and another 28  
7 cubic feet for the surge line.

8 CHAIRMAN DENNING: Now, in this case if  
9 they had the valves opening later, would it have  
10 threatened the pressurizer more filling the  
11 pressurizer?

12 MR. MIRANDA: If the valves were opening  
13 later --

14 MEMBER WALLIS: It's not turned around by  
15 the valves.

16 MR. MIRANDA: No, actually if the valves  
17 opened earlier, the pressurizer level might be higher  
18 because you're squeezing the steam out.

19 This is the last of that transient. This  
20 mainly shows that the reactor coolant system pressure  
21 here, this is the value that comes very close to the  
22 2750 psi limit. And this is higher than the  
23 pressurizer pressure because this pressure is measured  
24 at the reactor coolant pump discharge. It's the  
25 highest pressure in the system

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CARUSO: Do we have that one?

2 CHAIRMAN DENNING: I don't think we do.

3 MR. MIRANDA: No. No, I just added that  
4 just to show this. I don't think you have any of the  
5 curves, do you?

6 MEMBER KRESS: Yes.

7 MR. MIRANDA: Okay. I just added that.

8 And then finally we have the parameter of  
9 interest, the DNB ratio to show that it doesn't reach  
10 the safety analysis limit. The limit is 1.55. This  
11 is the same curve that the reactor trip noted there.  
12 And you see that the reactor trip and the minimum DNB  
13 ration are related. The reactor trip is what  
14 mitigates this event. This is the classic definition  
15 of a condition II event. All it takes is a reactor  
16 trip.

17 Now we have another case without pressure  
18 control. This is a case that's designed to maximize  
19 the reactor coolant system pressure. And this will  
20 have a higher pressure than the previous case. It's  
21 still within the limit.

22 A similar behavior, there's the reactor  
23 trip and the response in nuclear flux and heat flux.  
24 And this occurred you saw earlier today was the peak  
25 reactor -- here's a peak pressurizer pressure. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 then you come down, on the way down, you see there's  
2 a little plateau here. This is at 2575 psia

3 MEMBER WALLIS: It doesn't look right.

4 Oh, yes it does. It's okay.

5 MR. MIRANDA: 2575 --

6 MEMBER WALLIS: Yes, it's okay.

7 MR. MIRANDA: -- that is nominal subpoint  
8 for the pressurizer safety valve.

9 MEMBER WALLIS: Around the peak. There's  
10 a very sharp peak there.

11 MR. MIRANDA: Oh, that's the reactor trip.

12 MEMBER WALLIS: The reactor trip is what  
13 cuts if off at 2700 or something. That's the way you  
14 want to avoid. It just trips in time, doesn't it?

15 MR. MIRANDA: Yes. Yes. That's right.

16 MR. FREDERICK: This is Ken Frederick.

17 Actually, what we've seen is that when the  
18 valves open is where we reach the peak. We actually  
19 ran an additional case where we didn't credit the  
20 first trip, we credited the second trip. And that  
21 trip actually occurred after the peak. And the peak  
22 was pretty much the same but it occurs right when the  
23 valves open.

24 MEMBER WALLIS: So it's a valve opening  
25 that causes the peak?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MIRANDA: Well, the valve opening  
2 helps. In fact, this 2575 here, that's when the valve  
3 begin to reseal. And that's the higher -- that's the  
4 nominal setpoint plus 3 percent. Because the object  
5 here is to maximize pressure. So they're using the  
6 higher setpoint for the safety valves. And also in  
7 this case we see that the pressurizer doesn't fill.

8 This is another curve that you don't have.  
9 This is the reactor coolant system pressure to show  
10 the maximum value. That's the number that you saw  
11 earlier, the 2747 psia.

12 We can skip this one.

13 MEMBER WALLIS: So you're making FENOC's  
14 presentation for them here?

15 MR. MIRANDA: Excuse me?

16 MEMBER WALLIS: This is all their results,  
17 right?

18 MR. MIRANDA: Their results, yes.

19 MEMBER WALLIS: And so you're just showing  
20 that you understand them? There's nothing that you  
21 did to calculate anything separately?

22 MR. MIRANDA: Actually, I did --

23 MEMBER SIEBER: He probably do it.

24 MR. MIRANDA: I did the analysis that Mr.  
25 Frederick was referring to.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Oh, you did the analysis  
2 that they're using now?

3 MR. MIRANDA: No, no, no no. The one  
4 where they took the second trip, I verified the  
5 LOFTRAN ran.

6 MEMBER WALLIS: Okay.

7 MR. MIRANDA: That is designed to show  
8 that these valve sizing meets the ASME design  
9 criteria. That's according to Section 5.2.2 in the  
10 FSAR.

11 Any questions on the loss of load?

12 As I said, the loss of load there's a  
13 different of different variation. We've already  
14 referred to four variations. The accident analysis,  
15 the condition I event which could be a load rejection  
16 anywhere from 40, 50, 60 percent, the ATWS analysis;  
17 that's three variations.

18 Okay. Rod withdrawal with power. Rod  
19 withdrawal with power is actually a series of  
20 transient analyses that could be -- let's see, close  
21 to a 100 different analyses that are performed. I'm  
22 going to talk about two example.

23 One, at full power and 80 PCM reactivity  
24 insertion rate, a high reactivity insertion rate and  
25 another one at full power with a very slow reactivity

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 insertion rate.

2 And these two events show that the high  
3 neutron flux trip will protect against a high  
4 insertion rate and the overtemperature delta T trip  
5 will protect against very slow insertion rates.

6 There are other trips that come in, but  
7 these are the ones that we look for in a rod  
8 withdrawing power since these are directly related to  
9 the event.

10 Here's the high reactivity insertion rate.  
11 And we see we get the high flux trip. And there's  
12 about a half a second delay and the rods begin to  
13 fall. And as the rods fall, you can see the power  
14 dropping. This is a very short time scale. It's only  
15 7 seconds.

16 And since this is a condition II event,  
17 they're also in addition for looking for the DNB ratio  
18 limit, we're also making sure that the pressurizer  
19 doesn't fill. In this case there's lot of margin to  
20 filling.

21 DR. BANERJEE: What is the water volume  
22 for filling the pressurizer?

23 MR. MIRANDA: 1400 cubic feet plus another  
24 28 cubic feet for the surge line.

25 So the DNBR safety analysis limit is 1.55

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and this particular case the ADPC per second  
2 reactivity insertion rate at full power meets the  
3 limit.

4 And then for the slow reactivity insertion  
5 rate, you can see this is a much longer transient. We  
6 have about 2 minutes represented here. And the trip  
7 comes from the overtemperature delta T trip. And this  
8 event, by the way, is crucial to determining the  
9 setpoints for the overtemperature delta T trip.

10 And in this case we see that the  
11 pressurizer power operator relief valves opened right  
12 here. But the pressurizer is still not full.

13 And here's the DNB ratio. And in this  
14 case we come closer to the limit. I think that might  
15 be the 1.57 case. DNB ratio is reached soon after the  
16 -- while the rods are falling into the core.

17 And those are two cases, as I said, of  
18 many more, possibly up to a 100. And the results of  
19 all these cases are plotted in something like this.

20 As I said earlier, the cases that have a  
21 very high reactivity insertion rate along here are  
22 protected by the high flux trip. And the cases that  
23 have slow reactivity insertion rates are protected by  
24 the overtemperature delta-T trip. And actually these  
25 curves continue. I think they go like this. Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 But this plot shows that it was protected through this  
2 very wide range of reactivity insertion rates, wider  
3 than you might expect during operation by these trips,  
4 the overtemperature delta T and the high neutron flux.

5 And I have more results along those lines.  
6 This is at 60 percent power. And then at 10 percent  
7 power.

8 That's the rod withdrawal of power  
9 analysis. Any questions on that?

10 Okay. These DNB ratios, by the way, that  
11 you see here are calculated by LOFTRAN, not by VIPRE.  
12 And they used that derivative estimation method.

13 Now the next event, the spurious actuation  
14 of safety injection at power is probably the only  
15 event in Chapter 15 that actually challenges that  
16 criterion that prohibits escalation of a condition II  
17 event into a more serious event, at least that's the  
18 only one we know of. And the mechanism is that you  
19 have a spurious SI signal, a fairly common event, a  
20 condition II event and causing the safety injection  
21 system to actuate. And in some plants, like Beaver  
22 Valley, the safety injection system includes the  
23 charging pumps. And the charging pumps are capable of  
24 pumping into the RCS at nominal pressure. In fact,  
25 their shut off head is at 2600 psi. So they can not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 only can they pump into the RCS nominal pressure, they  
2 can lift safety valves.

3 If they fill the pressurizer and lift out  
4 of the PORVs or the safety valves, then the question  
5 is if these valves are not qualified for water relief,  
6 the deterministic accident analysis methods assume  
7 that such valves once opened would stick open. And  
8 that would be a condition III event, a small break  
9 LOCA.

10 Beaver Valley is a little bit unusual  
11 compared to other Westinghouse plants. Beaver Valley  
12 has three PORVs rather than two.

13 Another interesting aspect of this  
14 accident is that it's misunderstood, it has been  
15 misunderstood in terms of its analysis. I've seen  
16 analyses in licensing basis that talk about DNB ratio  
17 and how DNB ration safety analysis is met. Even some  
18 analyses that talk about RCS pressurization or  
19 overpressurization. Neither is of concern.

20 First of all, the safety injection signal  
21 will automatically trip the reactor that's in the  
22 protection system. The reactor trips immediately. So  
23 there's no danger of DNB.

24 And secondly, since the shut off head of  
25 the charging pumps is only 2600 psi, there is no

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 danger of exceeding 110 percent of design pressure.

2 So those two concerns go away and we're  
3 left with the escalation to a condition II event.

4 So this illustrates how the graphic trip  
5 occurs immediately. And we have the core temperature,  
6 core average temperature dropping and then eventually  
7 coming up to this level here. This is about 563. And  
8 basically what this temperature is determined by the  
9 secondary side temperature.

10 The steam generators sitting at about 1100  
11 or 1200 psi perhaps the safety valves are open.  
12 Saturation temperature at that pressure is about here.

13 This is the pressurizer volume, the  
14 pressurize fills here. And we see that the cycle to  
15 safety valves, we have four openings. And doing the  
16 review I questioned the PORVs. Certainly the licensee  
17 said, well we don't need the PORVs. We're not going  
18 to take credit for the PORVs. We're qualifying the  
19 safety valves for water relief. So we'll use the  
20 safety valves to mitigate this event as we see here.  
21 Safety valves are opening and closing. And they  
22 qualify for water relief, so we can expect them to  
23 close as designed.

24 However, the PORVs are going to be there.  
25 And the PORVs will open first unless you have them

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 blocked. I don't think that would be very likely. But  
2 the PORVs once opened, you have to be sure that they  
3 will close.

4 To qualify PORVs for water relief it takes  
5 two steps: (1) the valves themselves have to be  
6 qualified for water relief along with the discharge  
7 piping, and; (2) the automatic control circuitry for  
8 the PORVs has to be safety graded. And normally  
9 that's not safety graded.

10 And that's there to guarantee that the  
11 PORVs will open when required and will close when  
12 required.

13 In this case since the PORVs are not being  
14 credited for mitigation of the event, we need to worry  
15 only about the closing. In other words, if the  
16 pressurizer fills and pressurized by the charging  
17 pumps, it's possible that the PORVs will open. If they  
18 open, we need to know that they'll close. If they  
19 don't open, then we know that we have the safety  
20 valves available. And this is what the transient here  
21 shows; that the safety valves will handle this event.

22 So in response the applicant pointed out  
23 the protection grade signal on low pressurizer  
24 pressure that will automatically close the PORVs if  
25 they should open.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SIEBER: On the other hand if the  
2 PORV is not tested and qualified to pass water, even  
3 though you get a close signal, it may not close,  
4 right?

5                   MR. MIRANDA: Yes. The EPRI valve tests  
6 were used to qualify the PORVs for water --

7                   MEMBER SIEBER: So they will close?

8                   MR. MIRANDA: They will close if they get  
9 a signal.

10                  MEMBER SIEBER: Okay.

11                  MR. MIRANDA: This is the mass flow rate  
12 for the safety valves on the four openings.

13                  MEMBER WALLIS: They will close if they  
14 get a signal? Don't they sometimes stick?

15                  MR. MIRANDA: Well, for the purpose of the  
16 analysis if the valve is qualified under these  
17 conditions, if PORV is not only used for steam  
18 release; if it's qualified for water relief, we will  
19 assume that it operates as designed. Because the  
20 valve is qualified for water relief. And it is safety  
21 graded, by the way. The PORVs themselves, the  
22 components are safety grade. The problem is that the  
23 circuitry is not safety graded. There are a couple of  
24 single point failure vulnerabilities in the circuitry  
25 that need to be corrected. That's for the opening

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 circuitry.

2 For the closing circuitry that signal  
3 comes from the protection system. So there will be a  
4 reliable close signal.

5 MEMBER WALLIS: I thought TMI had a signal  
6 that didn't close for mechanical reason. TMI had  
7 boron deposits or something that stopped that closing.  
8 Hey, you have plenty of signal.

9 MEMBER MAYNARD: Okay. But for this  
10 accident you could have the same situation if a  
11 qualified safety relief valve sticks open. Hence, you  
12 go into your small break LOCA analysis. For this  
13 analysis you're assuming that the valve closes there.  
14 It for any reason it did not, you're still covered by  
15 your small break LOCA analysis.

16 CHAIRMAN DENNING: And if you have a  
17 monitor that says it didn't close, then you can close  
18 a block valve the PORV?

19 MR. MIRANDA: Yes. Those are practical  
20 considerations which are not relevant here.

21 CHAIRMAN DENNING: In regulatory space  
22 you're saying?

23 MR. MIRANDA: Right. Because here they're  
24 concerned about meeting that ANS criteria that says  
25 you can't go to a condition III event. So if it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sticks open and if you're doing things like closing  
2 the block valve, you're mitigating a condition III  
3 event. You've already violated the criteria.

4 This is also important here. This  
5 pressurizer water temperature. The EPRI valve tests  
6 showed that safety valves and PORVs, but safety valves  
7 can be expected to function as designed if the water  
8 temperature does not get too cold. For Crosby safety  
9 valves which are installed in Beaver Valley Unit 2,  
10 the temperature must not go below about 613 degrees.

11 MEMBER SIEBER: Put them in a box and put  
12 a heater in there.

13 MR. MIRANDA: Excuse me?

14 MEMBER SIEBER: Put them in a box and put  
15 a heater in there, which is what they did.

16 MR. MIRANDA: And for Beaver Valley Unit  
17 1, which has Target Rock safety valves, they're much  
18 better off with the water temperature for those valves  
19 has to be above 330 degrees.

20 So these two plots are fairly important.  
21 Eventually if you continue this, you will get below  
22 613 degrees. But we can expect operator action to  
23 occur before then. And this is the way the event is  
24 mitigated. There's no automatic protection system  
25 function such as reactor trip or other function that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will mitigate this event. It takes operator action.  
2 An operator must shut down the charging pumps. And  
3 once that's done, the event is basically over. And  
4 that will occur before the temperature reaches 613  
5 degrees.

6 Westinghouse plants, there's a class of  
7 Westinghouse plants in which Beaver Valley is included  
8 but Ginna is not which use the charging pumps in the  
9 safety injection system. And therefore, are  
10 susceptible to this kind of a situation. And there  
11 are ways to show that ANSI criteria is met.

12 One is to show that the operator acts  
13 before the pressurizer fills to shut off the charging  
14 flow. Another is to qualify the PORVs and to relieve  
15 water by qualifying the PORVs themselves and the  
16 discharge piping, and correcting the automatic control  
17 system's circuitry. And six plants have done that;  
18 Diablo Canyon, Callaway, Millstone have done that and  
19 Salem also.

20 And the other option which Beaver Valley  
21 has taken is to qualify the safety valves along with  
22 taking credit for the closing signal coming from the  
23 protection system.

24 So those are the three transients. Any  
25 questions on those?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN DENNING: Large LOCA lines, too?  
2 I didn't see it in the handout.

3 MR. MIRANDA: No.

4 CHAIRMAN DENNING: No? So you don't have  
5 any large LOCA --

6 MR. MIRANDA: No, I don't.

7 CHAIRMAN DENNING: So basically for this  
8 part you're done then?

9 MR. MIRANDA: I'm done, unless you have  
10 any questions or you wish to talk about  
11 overtemperature delta T or anything else. Do you want  
12 to see transients like this for Ginna on Thursday.

13 CHAIRMAN DENNING: Yes.

14 MR. MIRANDA: Okay.

15 CHAIRMAN DENNING: Okay. We're done? Yes.  
16 Okay. Thank you.

17 MEMBER WALLIS: Let's go back to modern  
18 technology now. Note how sharp the last slides were.  
19 You could even read the small print on those.

20 MR. FREDERICK: Again, I'm Ken Frederick.  
21 I'm here to talk about the balance of the safety  
22 analysis for Beaver Valley.

23 The last four subject areas we're going to  
24 talk about small break LOCA, close LOCA long term  
25 cooling and boron precipitation as well as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 containment, containment conversion program primarily,  
2 containment overpressure credit and we'll briefly  
3 touch on the dose assessment results.

4 To start off with small break LOCA. As  
5 mentioned earlier, we're using NOTRUMP, which is the  
6 current licensing basis for Beaver Valley and  
7 Westinghouse approved methodology.

8 We have made some modifications to the  
9 plant in order to retain or regain some of the margin  
10 that we're losing for the EPU. The primary change  
11 here is the higher head or higher capacity, high head  
12 safety injection pumps. The increased flow associated  
13 with that modification is around 5 percent.

14 We're also replacing some instrumentation  
15 that gives us lower uncertainties which are factored  
16 into how we set up the system, throttling.

17 We also increased the minimum SI  
18 accumulator pressure and that provides some benefit  
19 for the small break LOCA analysis.

20 During the course of the Staff review for  
21 the small break analysis several questions were raised  
22 for us to address. The first one dealt with the  
23 methodology which Westinghouse was using concerning  
24 the break spectrum.

25 Typical practice having to analyze

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 integer break sizes, for example 2", 3", 4". And the  
2 Staff felt that that was too course to capture the  
3 maximum PCT.

4 Another issue which was raised was loop  
5 seal clearing assumptions. The approved methodology  
6 allowed for loop seal clearing on the broken loop but  
7 not the intact loops. And our EPU analysis we had  
8 other opinions of that methodology. Had actually  
9 credited loop seal clearing on the intact loops as  
10 well. So the Staff asked us to address that.

11 Another request from the staff was that  
12 oxidation results for local oxidation needed to  
13 include pre-transient oxidation. That's the oxidation  
14 which occurs over the normal life of the fuel.

15 Another issue which was raised here was  
16 for some of the smaller small breaks in the analysis  
17 these things tend to hang up in terms of the PCT. And  
18 primarily that's -- in fact, we reached kind of a  
19 stagnation point.

20 The operators normally have a response  
21 within a fairly small time frame. And we see the  
22 slides of the PCT curves, we'll maybe talk about this  
23 some more. Basically the concern here was that the  
24 operator actions needed to be done in a timely manner  
25 so that we could demonstrate refill of the core.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: There's lots of little  
2 slides that we are missing.

3 MR. FREDERICK: Pardon me?

4 DR. BANERJEE: The previous one you had  
5 those --

6 MEMBER SIEBER: He wants to see in that  
7 little box.

8 DR. BANERJEE: Then give us an option.

9 MR. FREDERICK: This is basically a  
10 pictorial explanation of loop seal clearing if you had  
11 a question about what that is. Loop seals, of course,  
12 are across under leg

13 CHAIRMAN DENNING: Go ahead. You can  
14 proceed.

15 MR. FREDERICK: So we addressed the Staff  
16 questions in this area. We did the analyses. We've  
17 looked at break sizes down to quarter inch increments.  
18 The allowance for loop seal clearing on the intact  
19 loops within the analysis.

20 We also do -- normally this is always  
21 done, but the burnup studies we did for oxidation and  
22 that's looking at oxidation over the life of the fuel.  
23 And we've included the pre-transient oxidation in that  
24 calculation to show that we met with the pre-  
25 transient.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           This is the spectrum sizes that we've  
2 analyzed starting at 2 inch and going all the way up  
3 to 6 inch. And in between 2 inches and 3 inches we  
4 ran these smaller increments.

5           You can see there that the case of Unit  
6 1 the peak clad temperature, the highest case ended up  
7 being 2.75 inches where previously I think it was 3  
8 inches. And for Unit 2 the worse case is still 3  
9 inches. But, yes, there is a small -- something on  
10 the order of for these analyses I think up to 60  
11 degrees. For example 3 inches or 2 3/4 inches.

12           The other thing to note there as you get  
13 into the smaller break sizes you can see that the  
14 transients well out here past close to an hour. And  
15 the theory there was that we need to take operator  
16 actions, which is primarily to pull down,  
17 depressurize, which allows the vessel to refill in  
18 that time frame.

19           DR. BANERJEE: Do you get reflux  
20 condensation in the steam generators for any of these  
21 break sizes?

22           MR. FREDERICK: Josh from Westinghouse.

23           MR. HARTZ: Yes, this is Josh Hartz from  
24 Westinghouse. I'm in charge of the neutron small break  
25 LOCA evaluation model.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Yes, after the single and two phase  
2 natural circulation period when that mechanism breaks  
3 down, the steam generators go into reflux cooling mode  
4 and NOTRUMP does model that.

5 DR. BANERJEE: And all break sizes or some  
6 break sizes and when does natural circulation stop and  
7 when did you get into refluxing?

8 MR. HARTZ: Well, it's going to vary with  
9 break size. If you get into larger break sizes, you  
10 depressurize so quickly that you lose two phase  
11 natural circulation so quickly that the break becomes  
12 the dominant means of energy removal. So the reflux  
13 condensation aspects tends to increase as break size  
14 increases.

15 DR. BANERJEE: So at 2 inch, say, you'd  
16 get refluxing but at 6 inch you wouldn't?

17 MR. HARTZ: More so than you would in the  
18 6 inch break, that's correct.

19 DR. BANERJEE: Okay. Now you're going to  
20 get more steam flow to the steam generator because  
21 your power is greater by 10 percent, roughly, here?

22 MR. HARTZ: That's correct. Your boil off.

23 DR. BANERJEE: Now refluxing is effected  
24 by flooding at the steam generator tube sheet inlet,  
25 right? So can your steam generator inlet flow is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 roughly the same because it's the same flow area that  
2 you have. Does the 10 percent increase in steam flow  
3 lead to more water hold up in the steam generators or  
4 not?

5 MR. HARTZ: NOTRUMP does show some liquid  
6 hold up in the steam generators, but it doesn't tend  
7 to dominate the results too much because we only see  
8 it in the smaller breaks. But the --

9 DR. BANERJEE: Do you get any core level  
10 depression due to that?

11 MR. HARTZ: Due to liquid holdup in the  
12 steam generator we have seen it, but that tends to  
13 make the results more conservative because the  
14 differential pressure is driven up and it tends to  
15 drive mixture level down. And sometimes make the  
16 break flow stay at a low quality two phase mixture for  
17 a longer period of time.

18 DR. BANERJEE: When you do these reflux  
19 calculations, do you get flooding at the inlet of the  
20 steam generators due to the steam flow or are you away  
21 from flooding? Flooding defined as Graham Wallis  
22 would.

23 MEMBER WALLIS: CCFL.

24 DR. BANERJEE: CCFL.

25 MR. HARTZ: The mechanism that we've seen

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for these, and in some cases we have seen some  
2 flooding, but again it was for smaller breaks and that  
3 mechanism tends to break down rather quickly. And so  
4 it doesn't tend to have much dominance on the  
5 transient.

6 DR. BANERJEE: Well, I'd be interested to  
7 see the difference in this due to the increased steam  
8 flow rates as to whether you get a more extended  
9 period of flooding or not compared to pre-EPU as  
10 opposed to post-EPU conditions. Because you're  
11 getting 10 percent more flow rate, right? Now whether  
12 this is giving you a larger period of flooding or not  
13 is interesting for me to know.

14 So you take the 2 inch break, it doesn't  
15 really matter.

16 MR. HARTZ: Okay.

17 DR. BANERJEE: Okay. Because you say  
18 flooding breaks down quickly. It would only break  
19 down if the core level went down somewhat so your  
20 steam generation rate went down or because you're  
21 getting the same stuff out of the break anyway,  
22 right, in rough terms?

23 MR. HARTZ: That's correct, yes.

24 DR. BANERJEE: At these conditions. So  
25 whatever goes to the steam generator is coming from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the core. So you're getting 10 percent more the core.  
2 So you would expect you'd get a more extended period  
3 of flooding and more liquid hold up in the steam  
4 generators and a larger core level depression. So I'd  
5 like to see how -- just if we do this by hand, you can  
6 more or less work it out using Graham's flooding  
7 criteria CCFL to see whether this is in correspondence  
8 with what you would expect by a hand calculation or  
9 not.

10 MR. HARTZ: Well, one thing I might add is  
11 there were some air water tests done with the steam  
12 generator inlet plenum that were performed very early  
13 on in NOTRUMP's development. And the model would be  
14 based on that data. And what we could do is take a  
15 look and see how the EPU would impact that.

16 DR. BANERJEE: Right. But there was  
17 periods of this that occurred in Semiscale as well, if  
18 I remember. So presumably NOTRUMP has been sort of  
19 validated against those data as well?

20 MR. HARTZ: Yes, we used Semiscale as part  
21 of our validation package.

22 DR. BANERJEE: So you've got some high  
23 pressure validation data, too, right?

24 MR. HARTZ: That's correct.

25 DR. BANERJEE: Hopefully. So anyway, it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       worth finding out. Because one of the key aspects of  
2       this higher steam generation rate is the potential for  
3       more liquid hold up. I'm not saying it would happen  
4       here. It depends on the flow area of the steam  
5       generator, all these things, obviously. So we take a  
6       look at this aspect.

7                       Thanks.

8                       MR. HARTZ:   Okay.

9                       DR. BANERJEE:  How many tubes are plugged,  
10       you know, all this.

11                      MR. HARTZ:  Well, we assume different  
12       plugging levels for each unit because Unit 1 has the  
13       newer generators. Obviously, there would be less tube  
14       plugging involved.

15                      I believe Unit 1 assumed 10 percent and  
16       Unit 2 22 percent.

17                      DR. BANERJEE:  Okay.

18                      MR. FREDERICK:  Let's go to the next  
19       backup slide.

20                      This is a plot which shows the transient  
21       oxidation which is calculated over the burn up life of  
22       the fuel, the red line. The green line is a  
23       representation of a pre-transient type oxidation.  
24       Normally that would go to zero at zero burn up.  
25       However, this is cut off here at conservatively at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about 4 percent.

2 And blue line is the addition of those  
3 two.

4 So we show that over the life of the fuel,  
5 17 percent criteria including pretransient oxidation.

6 MEMBER WALLIS: There's that much  
7 pretransient oxidation? Yes, there is.

8 MR. FREDERICK: Yes. Essentially that  
9 number corresponds to a fuel design limit. Now,  
10 typically the actual does not approach that limit and  
11 it's probably 50 to 75 percent of that. But it does  
12 represent an upper bound that we use in the fuel  
13 design.

14 Next slide, please.

15 This shows the results for the EPU  
16 analysis as well as the current small break LOCA  
17 analysis. You see here all the acceptance criteria  
18 are met plus some 2200 for PCT and the hydrogen are  
19 below the respective limits.

20 And this analysis reflects the  
21 modifications we made to increase SI flow as well as  
22 the accumulator pressure. So those changes tend to  
23 offset the effects of EPU.

24 MR. HARTZ: Dr. Wallis, in case you're  
25 wondering, those maximum hydrogen generation rates, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 just look at the hot assembly average. And if it's  
2 less than 1 percent, that's what we declare. But in  
3 reality, as you know, not all the assemblies operate  
4 at that power. So if you were to do an actual rod  
5 census, it would be something much less than that.

6 MR. FREDERICK: No more questions on small  
7 break. We're move on to post-LOCA long term cooling.  
8 And this is the analysis that we do to demonstrate  
9 that we do not reach precipitation limits for boron in  
10 the core following a LOCA. And another criteria for  
11 this analysis is that we show that we have enough flow  
12 to meet the boron off and the flushing requirements.

13 CHAIRMAN DENNING: And what did you have  
14 as the backup on this one. Because I'm definitely  
15 interested in some particular. What's your backup  
16 say?

17 MR. FREDERICK: This backup just shows the  
18 alignment, the system type alignment for hot leg  
19 recirculation.

20 CHAIRMAN DENNING: Okay. We may come back  
21 to it. So go forward.

22 DR. BANERJEE: So you switched to hot leg?

23 MR. FREDERICK: On Unit 1 we switched to  
24 a simultaneous hot and cold leg injection.

25 Again, as part of the NRC review we had

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some questions in this area. Some of these were  
2 associate with I think some issues that came up from  
3 Waterford. There were issues that we were asked to  
4 address for this particular analysis, the first one  
5 being core voiding must be part of the calculation for  
6 the boron build up. There's some effects such as low  
7 pressure drops are needed to be included.

8 If we were using a boric acid solubility  
9 limit higher than base do pure water and boron or  
10 elevated temperatures, then we needed to justify that.

11 And the Appendix K decay heat was the used  
12 analysis.

13 So, again, in this case we redid the  
14 calculations taking into consideration these issues.

15 CHAIRMAN DENNING: Now you're going to  
16 have to help me because -- maybe it'll be clear on the  
17 next. I'll wait before I ask some more questions.

18 MR. FREDERICK: So for the core voiding  
19 aspect of this, we did more voiding calculations on a  
20 transient basis using a modified Yeh Correlation.

21 CHAIRMAN DENNING: Now I don't understand  
22 that. What does that mean, Yeh? You're using what  
23 kind of analysis to determine what's happening within  
24 the core and --

25 MEMBER WALLIS: Some sort of heat flux or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 something or it's a -- isn't that the same thing.  
2 It's how you calculate the void fraction.

3 MR. FREDERICK: I'll ask --

4 MR. FINK: My name is David Fink. I work  
5 for Westinghouse.

6 Dr. Wallis, that's correct it's kind of a  
7 drift flux. It's a way just to calculate the voiding.

8 MEMBER WALLIS: I think it's actually  
9 benchmarked against the rod bundles and things. Real  
10 Geometry is like this, so --

11 MR. FINK: I believe it is.

12 CHAIRMAN DENNING: Okay. Now tell me  
13 again. The vehicle that's doing the analysis, how is  
14 it modeling the system?

15 MR. FREDERICK: It's a fairly simplistic  
16 analysis. Essentially you're looking at the core and  
17 then the boil off rate and the --

18 CHAIRMAN DENNING: So it's the equivalent  
19 of a RELAP analysis where you would look in -- and why  
20 not? I'm missing how you're going to determine -- I'm  
21 concerned about the way volumes are mixed under the  
22 assumption of when the boron concentrates and you get  
23 increased density there, it's not clear to me that  
24 you're adequately considering what's really happening  
25 axially up the channel and whether as you get more and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 more bubble formation within the channel, whether  
2 that's offsetting the increased density due to  
3 concentration of boron. Can you give me a better idea  
4 as to how you're actually analyzing the flow  
5 characteristics of what's happening in the core.

6 MR. FREDERICK: Dave, do you want to take  
7 that?

8 MR. FINK: Yes. This is David Fink again.

9 If I could take a minute here and just  
10 explain. The original analysis that we did for the  
11 Beaver Valley EPU actually in the time line was  
12 several years ago. So they were actually pre-  
13 Waterford uprate. Okay. Those analyses used a simple  
14 control volume calculation and much as we've done for  
15 25, 30 years for hot leg switch over calculations.

16 And in those simplified control volume,  
17 you have a boiling pot, you have steam coming out, you  
18 have borated water going in and you build up boric  
19 acid in the core region. Okay.

20 So for the uprate the difference is more  
21 power, more boil off, faster build up. Okay.

22 In that very simplified approach there  
23 were two big conservatism at least as we believe it.  
24 And the first was how we selected the control volume.  
25 Okay. The control volume that's historically been

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 used didn't include any of the lower plenum. It didn't  
2 include any of the volume --

3 MEMBER WALLIS: Uniform mixing in this  
4 whole control volume? Surely when you have boiling in  
5 a channel the boron is sort of pumped along and then  
6 as the steam evolves, the boron's left behind. So it  
7 concentrates at the top, doesn't it?

8 MR. FINK: Well, our simplified model  
9 assumed complete mixing in the core region.

10 MEMBER WALLIS: There's some experiments  
11 that show that's reasonable?

12 MR. FINK: Well, we believe there's quite  
13 a bit of circulation going on in the core region. For  
14 example --

15 CHAIRMAN DENNING: Why do you believe  
16 that? Why do you believe that? That's what I want to  
17 know.

18 MR. FINK: Well, we've looked at our large  
19 break LOCA WCOBRA/TRAC code and we've looked at what  
20 happens in the core region in that code.

21 CHAIRMAN DENNING: Now, which specific  
22 accident is the one of concern here?

23 MR. FINK: This is all large break.

24 CHAIRMAN DENNING: Large break?

25 MR. FINK: Yes, sir.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN DENNING: Okay. So that you have  
2 essentially atmospheric conditions at the outlet, is  
3 that true?

4 MR. FINK: Yes, sir.

5 CHAIRMAN DENNING: Okay. And you have a  
6 big level swell kind of situation in terms of the  
7 voiding -- as you get near the upper part, there's a  
8 bigger and bigger froth.

9 MR. FINK: Okay. Well, I can just  
10 continue here.

11 CHAIRMAN DENNING: Yes.

12 MR. FINK: So that was what we originally  
13 did for the first go around.

14 MEMBER WALLIS: Dry regions? If you have  
15 dry regions presumably the boron's left behind on the  
16 wall.

17 DR. BANERJEE: If there was core uncovering.

18 MEMBER WALLIS: Right. Or you had  
19 spattering, a spattering of cooling and you have  
20 spattering cooling rather than froth cooling, but the  
21 boron's left behind on the wall.

22 CHAIRMAN DENNING: If you'd like to use  
23 that board over there to illustration, you can also do  
24 that. If that would help.

25 DR. BANERJEE: Back to that screen.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN DENNING: But not the screen.

2 MR. FINK: I might do that.

3 So in response to NRC RAIs, and this was  
4 largely I guess posed Waterford fallout and specific  
5 RAIs asked by the Staff for these calculations, we did  
6 this work. Okay. And we addressed the four things  
7 that are listed up on the board, most significantly  
8 was the use of Appendix K decay heat, which these  
9 calculations have always been based on a best estimate  
10 decay heat. And so we used Appendix K decay heat. We  
11 also calculated a time based core voiding. And all  
12 that does is that reduces the liquid volume in your  
13 control volume. Okay.

14 So we did those calculations. Because we  
15 are now taking a lot of liquid volume out of the core  
16 region we choose to credit some volumes that were not  
17 previously credited, and probably the most significant  
18 is the one that was discussed during the Waterford  
19 EPU, which is the lower plenum.

20 MEMBER WALLIS: There's an experiment. I'm  
21 trying to remember the name of it, isn't there?

22 MR. FINK: It was the MHI BACCHUS Test.

23 MEMBER WALLIS: BACCHUS. It was a god of  
24 some sort. BACCHUS. This seemed to show that things  
25 really were mixed?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FINK: Yes. Yes, it did.

2 MEMBER WALLIS: Surprising to us.

3 MR. FINK: It clearly showed --

4 DR. BANERJEE: Yes, it is surprising. Can  
5 you explain that test again.

6 MR. FINK: Well, the test clearly showed  
7 the point at which the denser higher concentrated  
8 region up in the core becomes dense enough to displace  
9 the less concentrated volume in the lower plenum. So  
10 in the test you could clearly see as the --

11 MEMBER WALLIS: Heavy concentrate --

12 DR. BANERJEE: I mean isn't there a  
13 countervailing flow which is balancing that?

14 MR. FINK: Well, under this scenario this  
15 is a cold leg break where all your excess SI flows out  
16 the break. So more SI doesn't help you. You  
17 basically have a stagnant boiling pot and you're  
18 feeling through the lower plenum enough to make up boil  
19 off, but --

20 DR. BANERJEE: And that's not enough for  
21 the density head being developed? It allows you to  
22 settle the borated water against that flow?

23 MR. FINK: Well, the flow that's coming in  
24 is coming from the sump and it's coming --

25 MEMBER WALLIS: In the BACCHUS report?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Who did these experiments?

2 MR. FINK: MHI.

3 DR. BANERJEE: Who is that?

4 MR. FINK: Mitsubishi Heavy Industries.

5 DR. BANERJEE: And these were done where  
6 in --

7 MR. FINK: These were done in a scale  
8 facility they did specifically to look at this.  
9 Because Japanese plants to this day still use a 24  
10 hour switchover time, which was the original  
11 Westinghouse design.

12 MEMBER WALLIS: So it's a big facility, as  
13 I recall. It was scale, but it was still fairly big?

14 MR. FINK: Yes. It was a slab model, so it  
15 was like full length, 180th scale, I believe.

16 DR. BANERJEE: And so they had borated  
17 water boiling off on heaters or something?

18 MR. FINK: Correct.

19 DR. BANERJEE: And they had a lower plenum  
20 markup and they looked at the density profile?

21 MR. FINK: Well, they had it highly  
22 instrumented with boron sensors and temperature  
23 sensors. And we wrote a summary report that was  
24 presented for the Waterford EPU. And I'm sure the NRC  
25 has a copy of it. It's very interesting.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: But do you have a copy of  
2 the BACCHUS report itself?

3 MR. FINK: It's a MHI test, so we wrote a  
4 summary report that is part of --

5 MEMBER WALLIS: Right. I saw it. I think  
6 it was in the Waterford context. We spent some time  
7 on this.

8 MR. FINK: Yes.

9 DR. BANERJEE: So your contention is that  
10 the whole thing is well mixed, not just the core.

11 MEMBER WALLIS: So what's your point? But  
12 once you get enough density difference it turns over,  
13 doesn't it?

14 MR. FINK: That's correct. And we'd like  
15 to credit the whole lower plenum to give us a little  
16 better answer, but we conservatively credited as was  
17 done for Waterford. We just credited 50 percent of the  
18 lower plenum as being a reasonably conservative  
19 approach.

20 DR. BANERJEE: What happens if you don't  
21 credit it?

22 MR. FINK: Well, it's just how much liquid  
23 volume you have in your calculations. So you have --

24 DR. BANERJEE: Right. So suppose you just  
25 stayed with your old assumption of allowing mixing in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the core region and nowhere else?

2 MR. FINK: Well, then the boric acid would  
3 build up faster.

4 MEMBER WALLIS: I guess we had a lot of  
5 questions previously about whether just looking at  
6 solubility limits was good enough when you're boiling  
7 off this -- when it gets concentrated the boron,  
8 presumably, can precipitate around nucleation sites  
9 and things like that. It's not as if just solubility  
10 alone is governing whether or not you get some  
11 precipitation. And if you have some drop wise  
12 cooling, then if a drop evaporates it leaves behind  
13 its boron. So we had questions of that type. I don't  
14 know if they were ever answered. Because you just  
15 look at the overall solubility, don't you?

16 MR. FINK: That's correct.

17 MEMBER WALLIS: I think we asked the Staff  
18 to look into this, didn't we, Ralph?

19 MR. CARUSO: Yes. And they presented.

20 MEMBER WALLIS: Yes, then we were  
21 satisfied. We spent some time on it, I know.

22 DR. BANERJEE: So are we revisiting  
23 something that was --

24 MEMBER WALLIS: Yes, we went into it. We  
25 spent a whole day or something like this.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Done.

2 MR. CARUSO: Yes.

3 MEMBER WALLIS: But you should get the  
4 BACCHUS report.

5 DR. BANERJEE: All right.

6 MEMBER WALLIS: It's all about Roman  
7 orgies and things like that.

8 DR. BANERJEE: It sounds like it.

9 MEMBER WALLIS: It's a good report. You  
10 should get it. It could tell you some things that  
11 wouldn't be intuitive if you just thought about it.

12 CHAIRMAN DENNING: I'd like some  
13 information on the third bullet on --

14 MR. KELLERMAN: Yes. My name is Brett  
15 Kellerman. I'm with Westinghouse. And we can get  
16 access to a summary report of the BACCHUS test that we  
17 brought for the Waterford --

18 MEMBER WALLIS: We probably have that in  
19 the record somewhere. The Waterford record, we have  
20 it. You can just pull it out and give it to him.

21 CHAIRMAN DENNING: But you do it, like in  
22 the third bullet there, you do have some information  
23 on sump additives as they effect boric acid  
24 solubility, is that what I'm seeing there?

25 MR. FREDERICK: Yes. Similar to what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Waterford had at I believe their TSP plant.

2 MR. FINK: Yes. This is Dave Fink again.

3 In these analyses we do not credit any  
4 elevated solubility limit due to sump additives for  
5 this uprate.

6 MEMBER WALLIS: Additives are presumably  
7 chemicals?

8 MR. FINK: Yes.

9 MEMBER WALLIS: They're not fibers?

10 MR. FINK: I hope not.

11 DR. BANERJEE: There's also a possibility  
12 that it wouldn't mix because there'll be enough fiber  
13 at the core inlet, right?

14 MEMBER WALLIS: Well, that's another  
15 question. Yes.

16 MR. FREDERICK: We did a test using sodium  
17 hydroxide and we found that the precipitation limit  
18 increased from 29 percent up to about 48 percent. But  
19 we are not crediting that as part of our analyses.  
20 And we did use decay heat.

21 MEMBER WALLIS: It should be part of the  
22 sump question, though, when you get fines going  
23 through the screens. Would that make any difference  
24 to his picture?

25 MR. FREDERICK: Yes. That's something that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 I believe is going to be addressed as part of the  
2 downstream --

3 MEMBER WALLIS: Under GSI-191.

4 MEMBER WALLIS: -- effects under GSI-191.  
5 Yes.

6 DR. BANERJEE: Suppose that it didn't mix  
7 outside the core region, for whatever reason, it could  
8 be that the core inlet is blocked with debris --

9 CHAIRMAN DENNING: The problem may be  
10 worse than that if that happens.

11 DR. BANERJEE: Well, there's some bypass  
12 paths through the --

13 MEMBER WALLIS: The sump?

14 DR. BANERJEE: Yes. So then what happens  
15 to the boron if it's boiling off happily in the core  
16 without this assumption of mixing with the lower  
17 plenum? Is it then an untenable --

18 MR. FINK: Yes. You'd have a  
19 precipitation limit much sooner and --

20 DR. BANERJEE: Yes. Is it an untenable  
21 situation then or is it still okay? Do you have to  
22 make this assumption or do you not to make it  
23 liveable?

24 MR. FREDERICK: Well, if we ended up with  
25 a shorter time, say 3 hours or 4 hours or something,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not necessarily --

2 DR. BANERJEE: Is that still okay?

3 MR. FREDERICK: --untenable but we would  
4 have to look at what our makeup rates could be. So we  
5 did a test here as we need enough flow to meet the  
6 boil off and also flush the core.

7 DR. BANERJEE: Because if I remember the  
8 report that was circulated by Ralph, you have 6 hours  
9 to do the switchover, is that right?

10 MR. FREDERICK: That's correct.

11 DR. BANERJEE: Yes. So at the moment if  
12 you didn't credit half the lower plenum, which is a  
13 large volume, and only had the core, would this be  
14 like 2 hours, 1 hour, 3 hours? What would be that  
15 number?

16 MR. FREDERICK: Do you have a feel for  
17 that, Dave?

18 DR. BANERJEE: Because the volume is very  
19 different, right?

20 MEMBER SIEBER: Yes.

21 MR. FINK: This is Dave Fink.

22 The lower plenum's actually a pretty good  
23 size volume, but because we're crediting half of it,  
24 it probably represents maybe one-fourth -- maybe one-  
25 third, one fourth of the total volume. So it would --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: So it would feed or  
2 something in total --

3 MR. FINK: Correct.

4 MEMBER WALLIS: And the core --

5 MR. FINK: So is representing a third of  
6 the volume you'd increase.

7 DR. BANERJEE: Well, what is the core  
8 volume that you're crediting?

9 MR. FINK: I believe with the one-half  
10 lower plenum volume and the core voiding, we're  
11 probably -- I'd say approximately 900 cubic feet.

12 DR. BANERJEE: And of that about 300 is  
13 lower plenum?

14 MEMBER WALLIS: Half of it. Half of it.

15 DR. BANERJEE: Half of it.

16 MEMBER WALLIS: A 150.

17 MR. FINK: I'd say that's --

18 DR. BANERJEE: So the core volume is so  
19 large.

20 MEMBER WALLIS: Don't get it all because  
21 there are voids in it.

22 DR. BANERJEE: I see.

23 MR. FINK: Well, it's core and upper  
24 plenum, so it's --

25 DR. BANERJEE: Well, why the upper plenum

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 if it's boiling off. Wouldn't that get full of steam  
2 or something?

3 MR. FINK: Well, we look at the way this  
4 calculation is done, we do the voiding at the top of  
5 the core at the core exit. And we apply that voiding  
6 up through the upper plenum. So the upper plenum does  
7 contribute.

8 DR. BANERJEE: But the upper plenum is not  
9 empty in this case?

10 MR. FINK: That's correct.

11 DR. BANERJEE: So the steam is going out  
12 through the hot leg, is that right?

13 MR. FINK: Correct.

14 DR. BANERJEE: Eventually it makes its way  
15 out to the cold leg break somehow, around the circuit?

16 MR. FINK: Correct.

17 DR. BANERJEE: So why is the upper plenum  
18 not full of steam?

19 MR. FINK: The upper plenum would be full  
20 of some mixture, some voided --

21 MEMBER WALLIS: Otherwise you can't drive  
22 the water along the hot leg, presumably.

23 DR. BANERJEE: There's no water going on--

24 MEMBER WALLIS: Right. You dry out --

25 DR. BANERJEE: It's mainly steam, right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It's mainly steam going along?

2 MEMBER WALLIS: Yes, but --

3 DR. BANERJEE: Maybe a sketch would help  
4 because I'm sort of a bit lost as to where all the  
5 water is in this system. So can you just sketch it?

6 MR. FINK: Ken, do we have a backup slide  
7 that might have that?

8 DR. BANERJEE: I mean the simple control  
9 volume approach is great, but we got to put the water  
10 in the right places here.

11 MR. FINK: Well, we don't credit anything  
12 outside of the vessel, outside of the inside of the  
13 core barrel actually in this calculation. So we don't  
14 credit any of the volume in the former region or the  
15 downcomer.

16 MEMBER SIEBER: Or that?

17 MR. FINK: No, no.

18 MEMBER SIEBER: That's a significant  
19 amount of water.

20 MR. FINK: Yes, sir.

21 DR. BANERJEE: Yes. Show us what you're  
22 crediting --

23 MEMBER WALLIS: Here are the levels down  
24 below the hot leg.

25 DR. BANERJEE: That's what I thought it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would be, but for some reason you have a volume of  
2 mixing above.

3 MR. FINK: Well, in that picture  
4 everything we're crediting is right inside that inside  
5 cylinder that represents the core. So we don't  
6 crediting anything outside of that.

7 MEMBER WALLIS: Credit the downcomer at  
8 all?

9 MR. FINK: Correct.

10 DR. BANERJEE: Okay. So how much is that  
11 volume that you would credit if you didn't credit any  
12 piece of the lower plenum here?

13 MR. FINK: Up to the bottom of the hot  
14 leg, I believe it would be 1,000 cubic feet.

15 MEMBER WALLIS: With the bubbles or not?

16 MR. FINK: That would be total volume.

17 DR. BANERJEE: Only the core?

18 MR. FINK: Correct.

19 DR. BANERJEE: Okay. And then if you  
20 credited 50 percent of the lower plenum, it's another  
21 300.

22 MEMBER WALLIS: One fifty.

23 MR. FINK: Approximately.

24 DR. BANERJEE: One fifty. Okay. So it's  
25 not such a big deal.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FINK: It's actually a little more  
2 than 150, I believe.

3 DR. BANERJEE: All right. I think that's  
4 fine. If that -- that sounds good.

5 MEMBER WALLIS: Well, I think the thing is  
6 when you're so close to the limit, you've got to darn  
7 sure that it's well mixed. Because all you need is to  
8 have a little bit of nonmixing and you have twice as  
9 much concentration in the top as in the bottom and you  
10 get precipitation. So you really have to study the  
11 BACCHUS report to be convinced that there's good  
12 mixing.

13 MR. FINK: There are some other  
14 conservatism in the methodology. For example, we don't  
15 credit any entrainment around the loops that might  
16 take place early on where you'd expect to carry a lot  
17 of water around the loops. So we start our problem  
18 from the beginning. And that probably represents a  
19 great deal of conservatism.

20 We've always had trouble identifying  
21 exactly how much entrainment you'd get around the  
22 loops.

23 CHAIRMAN DENNING: Do you know offhand  
24 what the void fraction is in the upper plenum that  
25 you're talking about? What's the void fraction?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FINK: Probably I'm guessing 70  
2 percent.

3 CHAIRMAN DENNING: Seventy percent?

4 MR. FINK: Seven percent.

5 CHAIRMAN DENNING: Even though there's  
6 that much void fraction, the density of that material  
7 is higher than the density of the material than the  
8 cold water in the lower plenum?

9 MR. FINK: It would be the density of the  
10 liquid, and you'd have to as you went down into the  
11 core and into the periphery is where you'd be much  
12 less voiding.

13 MR. FREDERICK: This slide actually shows  
14 the collapsed liquid load that was calculated.

15 DR. BANERJEE: Where's the bottom of the  
16 core?

17 MR. FINK: The 12 foot level there is the  
18 top of the core. So that's collapsed liquid level.

19 DR. BANERJEE: Right. But where is the  
20 bottom of the core?

21 MR. FINK: Zero.

22 DR. BANERJEE: Zero? All right.

23 MEMBER WALLIS: At some previous time this  
24 was dried out on top?

25 DR. BANERJEE: At zero -- time zero.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN DENNING: Right. This is much  
2 later. Sometime it was dried out.

3 DR. BANERJEE: Early times.

4 MEMBER WALLIS: And when it was dried out  
5 didn't you get boron precipitation on the dried out  
6 part?

7 DR. BANERJEE: That was the large break  
8 LOCA.

9 MEMBER WALLIS: Yes, but you get it in the  
10 small break, too, otherwise you never get these high  
11 temperatures. Well, they get boron plating on these  
12 tubes. But anyway Staff convinced us that we're not  
13 to worry about it I think before.

14 MR. FREDERICK: Go back one slide.

15 MEMBER WALLIS: Move on probably.

16 CHAIRMAN DENNING: Yes. Right. Let's move  
17 on. I think some of us are going to want to look at  
18 that BACCHUS report again today.

19 MEMBER WALLIS: Because it's a very  
20 interesting subject.

21 MR. FREDERICK: In the draft SER there was  
22 an item identified as a contingency for this  
23 particular analysis. And it has some discussions with  
24 the Staff about that issue. It's described here, and  
25 basically the concern was that for smaller breaks we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 need to demonstrate the capability that we'll be able  
2 to cool down before the precipitation time in order to  
3 be able to -- the actual injection on the hot legs.  
4 An we've had some discussions with the Staff on that  
5 issue. And Dr. Ward will be talking about that later.  
6 At this point we're convinced we have a --

7 CHAIRMAN DENNING: I guess I'm a little  
8 bit confused about the difference between large LOCA  
9 case and then the small LOCA cases that you were  
10 talking about as far as what the conditions are that  
11 could lead to precipitation and can you help me there?

12 MR. FREDERICK: Well, I think for small  
13 breaks typically and your temperature and your  
14 pressure is going to hang up. So precipitation limits  
15 are very high under those conditions. The concern  
16 would be that borrowing that scenario who hold on the  
17 pressurization mode, want to make sure that you get to  
18 the cooled down condition before you reach  
19 precipitation limit for the cold condition. That,  
20 again, is a function of the operator response to the  
21 event.

22 DR. BANERJEE: Because if you inject in  
23 the hot leg, you get cold water into the core, right?  
24 Is that the concern?

25 MR. FREDERICK: That's not the major

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 concern. The major concern is depressurizing enough so  
2 we get hot leg flow. Because for Unit 1, anyway, we're  
3 aligning the low head pumps to the hot legs and it  
4 would have a shot off pressure of around --

5 MEMBER WALLIS: Once you get hot leg flow,  
6 you just flush the boron out.

7 DR. BANERJEE: Yes.

8 MR. FREDERICK: Again, Dr. Ward will be  
9 discussing --

10 MEMBER WALLIS: Now you need to keep  
11 enough boron in to avoid criticality concern? And  
12 you've already scrambled the reactor --

13 DR. BANERJEE: Well, the water's is  
14 borated, isn't it?

15 MEMBER WALLIS: Yes. Don't you need still  
16 boron for the criticality.

17 DR. BANERJEE: In the injection --

18 MEMBER SIEBER: The injection water is  
19 refueling water.

20 MR. FREDERICK: So again, we have  
21 addressed the questions that were raised by the Staff  
22 for this analysis and the results showed for Unit 1 6½  
23 hours is the required switchover time, 6 hours for  
24 Unit 2.

25 In our procedures we actually make

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 preparations to do that realignment an hour ahead of  
2 time. The actually alignment is only a matter --

3 MEMBER WALLIS: This time depend on the  
4 break size?

5 MEMBER SIEBER: It should.

6 MR. FREDERICK: Essentially no, because at  
7 the point where we're starting the calculations you're  
8 fixed in terms of the volume of water in the --

9 DR. BANERJEE: Well, in long term cooling,  
10 which is within an hour --

11 MEMBER WALLIS: -- off to atmospheric  
12 without any break size contributing.

13 MR. FREDERICK: Yes, heat boil off at that  
14 point.

15 MEMBER WALLIS: At the point of water  
16 boiling, essentially an open top.

17 CHAIRMAN DENNING: But it's still  
18 pressurized.

19 MR. FREDERICK: Large break, it's not in  
20 the small break.

21 CHAIRMAN DENNING: Right. But in the  
22 small break it is.

23 MEMBER WALLIS: Well then how much is  
24 pressurized must depend on the break size?

25 CHAIRMAN DENNING: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: And so the time surely  
2 depends on the break size, doesn't it?

3 MR. FREDERICK: David?

4 MR. FINK: This is David Fink again.

5 The effect of some pressure assumption in  
6 the vessel really helps you in the voiding. So at  
7 higher pressures you get a lot of this voiding --

8 MEMBER WALLIS: You have more water there.

9 MR. FINK: A lot more water.

10 MEMBER WALLIS: So there's nothing magic  
11 about 5 hours, is there? I mean sometimes it depends  
12 on the break size. So what it is the operator  
13 measures so that he knows he has to do something?

14 MR. FREDERICK: From the start of the  
15 event.

16 MEMBER WALLIS: But he doesn't know the  
17 break size, so he doesn't really know --

18 MR. FREDERICK: Yes. The time that we're  
19 calculating it represents the bounding case.

20 CHAIRMAN DENNING: The bounding case?

21 DR. BANERJEE: Doesn't he have some  
22 indicator to know when it would be prudent to  
23 switchover? Like isn't there a measurement of some  
24 sort that --

25 MR. DURKOSH: I'm going to try to answer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that. This is Don Durkosh from FirstEnergy.

2 The emergency operating procedures are  
3 based on the limiting large break LOCA switchover  
4 time. We do not have any other measurements. We  
5 basically will follow our EOP network and we'll be in  
6 our E1 procedure waiting for this switchover time to  
7 occur, and then we'll be preparing for it. And we'll  
8 initiate switchover. So there is no other  
9 measurements. In theory, we don't know where the  
10 break size is so we set it up for the most limiting  
11 conditions there.

12 MEMBER WALLIS: If it were smaller, he  
13 would have longer time?

14 DR. BANERJEE: So there are no criteria  
15 which requires switchover?

16 MR. FREDERICK: They're all the type  
17 criteria --

18 DR. BANERJEE: No, no, no. Physical  
19 criteria.

20 MEMBER WALLIS: There's not a measurement  
21 that you compare with some other measurement --

22 DR. BANERJEE: Now I'd better switch  
23 because things are getting bad or something.

24 MEMBER WALLIS: No. He's just told within  
25 so many hours to do it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: There's no way to measure  
2 the boron --

3 MEMBER WALLIS: He has to remember?

4 DR. BANERJEE: Really of the neutron flux,  
5 right, in the core? You still have some sort of a flux  
6 measurement, right, something?

7 MR. FREDERICK: Yes. I guess if the  
8 source range was operational still, yes, we would have  
9 some indication. I'm not sure how you would correlate  
10 that to boron levels, though.

11 DR. BANERJEE: So you don't have a measure  
12 of boron? So you have no measure of boron in the core  
13 basically?

14 MR. FREDERICK: Dave, did you have  
15 something?

16 MR. FINK: This is Dave Fink.

17 Actually, they don't do it but you could  
18 in theory measure the boron by the boron concentration  
19 in the sump because all the boron that you're leaving  
20 behind in the vessel is coming from somewhere. And  
21 that somewhere is the sump. So as the vessel  
22 concentration's building up, the sump is diluting. So  
23 theoretically you could --

24 DR. BANERJEE: But is the sump so large in  
25 volume that dilution would be relatively small

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 compared to the --

2 MEMBER SIEBER: It would not look the same  
3 as the core condition from a chemistry standpoint.  
4 Concentrating mechanisms in the core, the sump has  
5 everything else.

6 DR. BANERJEE: Right.

7 MEMBER SIEBER: And so the concentrations  
8 would be different.

9 DR. BANERJEE: Would be not -- yes.

10 MEMBER SIEBER: Does -- help you at all in  
11 knowing where you're at?

12 MEMBER WALLIS: At levels lower in the  
13 core?

14 MEMBER SIEBER: Yes.

15 MR. DURKOSH: This is Don Durkosh again.

16 MEMBER WALLIS: EOPs don't speak to that.

17 MR. DURKOSH: Yes. The switchover time is  
18 institutionalized in the EOPs. They're consistent for  
19 all Westinghouse plants. And this is the approach  
20 that we've been using since literally day one. We use  
21 these times as the time to go ahead and initiate  
22 switchover to hot leg recirc.

23 DR. BANERJEE: It could be too early, it  
24 could be too late; we don't know. There's no way to  
25 know.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER SIEBER: Well, it's based on the  
2 analyses.

3 DR. BANERJEE: On calculations, right?  
4 Who knows what these calculations mean, how good they  
5 are.

6 MEMBER WALLIS: But it's been done since  
7 day one.

8 MEMBER SIEBER: The calculations were done  
9 by the Westinghouse owners group at the time that the  
10 guidelines were done.

11 DR. BANERJEE: Therefore they must be  
12 good?

13 CHAIRMAN DENNING: So this is how it's  
14 changed by the EPU?

15 MEMBER SIEBER: That was back in 1981 or  
16 '82.

17 MR. FREDERICK: If you consider the  
18 calculations bounding and very conservative, as this  
19 slide shows you here, we actually ran cases with more  
20 realistic assumptions. And you can see trying to get  
21 to the limit, which is 29 percent here. Well, you  
22 can't actually see it. But considerable difference  
23 when you consider better estimate type assumptions.  
24 And, Dave, maybe you can --

25 MEMBER WALLIS: More significant perhaps

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is the effect of EPU on this?

2 MR. FREDERICK: No, this is just --

3 MEMBER WALLIS: No. More significant  
4 would be to show the effect of EPU?

5 MR. FREDERICK: Well, the EPU ended up  
6 reducing the time from 8 hours to 6½.

7 MEMBER WALLIS: Yes.

8 MEMBER SIEBER: And that's basically due  
9 to the increased decay heat.

10 MEMBER WALLIS: Yes. But you assume  
11 that's not critical? I mean, it's still got an awful  
12 long time.

13 MR. FREDERICK: Yes. Again, it's not  
14 challenging the operators to get it done. So the more  
15 meaty concern with shortening that time is that the  
16 higher you go up on the decay heat curve, the more  
17 flow you need. And --

18 MEMBER WALLIS: There's some sort of alarm  
19 clock that starts when there's a break and then after  
20 6 hours says you'd better switchover injection or is  
21 he supposed to keep track of all the time?

22 MEMBER SIEBER: You have blogs.

23 CHAIRMAN DENNING: That's a good EOP  
24 question, I think.

25 MR. FREDERICK: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DURKOSH: This is Don Durkosh again.

2 The operating crew would keep track of  
3 what time the reactor trip and we'd have the technical  
4 support center available to us, we have our STAs  
5 available to us. So we have multiple people basically  
6 keeping track. And we have an explicit step in our E1  
7 emergency procedure. We would transition back into our  
8 E1 procedure and we'd basically, the next step would  
9 be when you approach the hot leg switchover time,  
10 begin making your preparations.

11 So we have various people that would tab  
12 of that time.

13 MEMBER WALLIS: It still would be good if  
14 you had something that alerted him. I mean, if I have  
15 to cook something, I don't really look at my watch all  
16 the time. I like to have a timer that tells me when  
17 to switch things off or take them out of the oven.  
18 But this is an EOP question.

19 I think the more you can take away from  
20 the operator having to remember things, the better.  
21 You have something which actually tells him he's got  
22 to do something.

23 But anyway, it's not really --

24 CHAIRMAN DENNING: I think we're ready to  
25 move out of that into containment analysis.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Yes, I think -- yes.

2 MR. DURKOSH: This is Don Durkosh.

3 We do have timers in the control room

4 MEMBER WALLIS: You do?

5 MR. DURKOSH: But unlike cooking, we do  
6 also have a lot of people available to us.

7 MEMBER WALLIS: Too cooks --

8 MR. FREDERICK: Too many cooks in the  
9 kitchen.

10 MEMBER SIEBER: You have to remember to  
11 turn the timers over.

12 CHAIRMAN DENNING: Go ahead and continue.

13 MR. FREDERICK: Okay. I'm going to move  
14 on to containment analysis. Again, the containment  
15 analysis was submitted actually a little earlier than  
16 EPU in June of 2004, and that was approved in February  
17 of this year.

18 And it was a conversion, which mean we  
19 went from a sub-atmospheric design to an atmospheric.  
20 The difference there being that in the atmospheric  
21 design there's no requirement to contain or to get  
22 back to sub-atmospheric conditions post accident,  
23 which we had previous to the change.

24 The primary effect of EPU, which was  
25 factored into this containment conversion program, was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the M&Es from the primary system and the steamline  
2 break. Those are really the things that are directly  
3 affected by the increase in power.

4 The mass and energy release calculations  
5 for this program use the Westinghouse approved  
6 methodologies, and that wasn't a change.

7 For the containment integrity, part of the  
8 calculations, we utilized MAAP-DBA, which is a  
9 modification to MAAP 4 which changed some of the  
10 containment calculations.

11 It's similar to the other codes which have  
12 been used or approved for applications such as GOTHIC,  
13 COCO.

14 The program the containment uses  
15 traditional heat transfer correlations such as Tagami  
16 and Uchida. That's consistent with other  
17 applications.

18 For the NPSH calculations we've  
19 incorporated a multi node model. And that allows us to  
20 get better details on where water is held up in  
21 containment and certain volumes. At the box area you  
22 can jus see the nodal model that we used. Eighteen  
23 nodes.

24 For small break analyses, and we've done  
25 a much more extensive look at small break primarily

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for sump inventory questions. For that analyses the  
2 mass and energy releases were calculated using MAAP.  
3 And those results were benchmarked against the code  
4 primarily.

5 The actual operating containment pressure  
6 will still be slightly sub-atmospheric at the site  
7 14.3 approximately is atmospheric pressure. And our  
8 operating range will be 12.8 to 14.2 absolute.

9 The older operating pressure, which is  
10 actually an air partial pressure limit, was about 4  
11 pounds lower. So at these higher pressures we  
12 eliminate the need for applied air when we do make  
13 entries, which is a very nice benefits in terms of  
14 personnel safety.

15 MEMBER SIEBER: Well, and you have  
16 decompression in the airlock, which is a time consumer  
17 and hard on some people, hard on your ears.

18 MR. FREDERICK: As part of this analysis  
19 we've also credited the various modifications which  
20 are beneficial. Replacement steam generators for Unit  
21 1, for example. These generators have the restriction  
22 nozzle in the outlet where our old ones did not. So  
23 we're looking at 4.6 square foot main steamline break  
24 versus a 1.4 square feet. So that is a big benefit  
25 for the steamline break analysis.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Also the feed isolation and the cavitating  
2 venturies, again, limit the mass energy release during  
3 a steamline break.

4           MEMBER MAYNARD: Are those new valves or  
5 just new actuators or --

6           MR. FREDERICK: They're brand new valves  
7 and actuators.

8           MEMBER MAYNARD: Okay. Are they replacing  
9 existing valves that are there or --

10          MR. FREDERICK: There was an existing  
11 valve there. I believe we turned that into a check  
12 valve, is that right?

13          MR. TESTA: Yes. This is Mike Testa,  
14 Beaver Valley.

15                 Yes, like Ken was saying, we had a check  
16 valve in the system that had a motor on it. And what  
17 we ended up doing was we restored that to just a  
18 normal or simple check valve. And then in the piping  
19 system we added a brand new feed isolation valve. New  
20 valve, new actuator controls.

21          MEMBER SIEBER: It is hydraulic or  
22 electric or --

23          MR. TESTA: Hydraulic. Yes.

24          MR. FREDERICK: We've also added a cord  
25 from the reactor cavity so there's the general

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 basement area that allows the water that normally hold  
2 up in that cavity to drain back into the sump, which  
3 helps out with our inventory issues.

4 This QS cutback was a feature that we used  
5 to extend the spray at Unit 1 that helped us maintain  
6 some of the spurious condition. We don't need that  
7 any longer so we're eliminating it.

8 And again, the setpoint for transfer to  
9 recirc was lowered under this program and that gives  
10 us a little higher sump level at recirc, which helps  
11 out with the NPSH.

12 For the analysis, essentially acceptance  
13 criteria that we look at:

14 Peak pressure, of course, less than the  
15 design, which is 45.

16 Containment pressure reduction of 50  
17 percent, that's essentially an assumption that's made  
18 in the offsite dose analysis so we need to demonstrate  
19 that we can meet that;

20 NPSH. We need the required NPSH for the  
21 pumps which takes suction out of the sump, and;

22 When the pumps start we look at minimum  
23 pump inventory to make sure we don't have any  
24 vortexing issues.

25 MEMBER WALLIS: Of course, that's all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 assuming that the screens don't have too much  
2 deposited on them?

3 MR. FREDERICK: Correct.

4 MEMBER WALLIS: What kind of insulation do  
5 you have on this?

6 MR. FREDERICK: Insulation?

7 MEMBER WALLIS: Yes. Kind of insulation?  
8 Do you have fiberglass or --

9 CHAIRMAN DENNING: That's the physics.

10 MEMBER WALLIS: But I wasn't here. I  
11 wasn't here. I'm sorry.

12 CHAIRMAN DENNING: If you could give a  
13 little summary.

14 MEMBER SIEBER: It's reflective.

15 MR. FREDERICK: But I know and then Mark  
16 can maybe jump in. We do have RMI reflective on many  
17 of the components. We do have CALSIL.

18 MEMBER WALLIS: You have CALSIL?

19 MR. FREDERICK: Yes. We have CALSIL and we  
20 have something Min-K, which I -- it's a fiber.

21 MR. MANOLERAS: This is Mark Manoleras.

22 We have very small quantities of that  
23 material. We're going to target that for removal, that  
24 material for removal.

25 DR. BANERJEE: That's the only fibrous

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 material? Is that the only fibrous material?

2 MR. MANOLERAS: That would be our  
3 predominant fibrous material.

4 DR. BANERJEE: And do you have aluminum as  
5 well?

6 MR. MANOLERAS: Yes, we do. Yes, we do.  
7 And we actually have a program which takes a look and  
8 monitors and maintains the quantities of aluminum in  
9 containment. We know exactly what we have. Zinc and  
10 aluminum in containment.

11 MEMBER WALLIS: You have TSP in the sump?

12 MR. MANOLERAS: No, we do not.

13 MR. FREDERICK: Carbon hydroxide.

14 MEMBER WALLIS: Carbon hydroxide.

15 MR. MANOLERAS: Correct.

16 DR. BANERJEE: Carbon hydroxide and  
17 aluminum is --

18 MEMBER WALLIS: Yes.

19 CHAIRMAN DENNING: You can continue.

20 Thanks.

21 MEMBER WALLIS: Yes.

22 DR. ELAWAR: This table shows the peak  
23 pressure results for the LOCA and steamline breaks as  
24 well as the pre-EPU results.

25 You see here, for example, Unit 1

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 steamline break, that pressure actually went down even  
2 though we're analyzing for EPU conditions. And, again,  
3 that's reflecting the beneficial modifications that  
4 were made there.

5 And essentially all these results benefit  
6 to some degree from the methodology change to MAAP-  
7 DBA. Again, we're raising initial pressure 4 pounds  
8 for these, so obviously we're getting some margin.

9 CHAIRMAN DENNING: When you show the pre-  
10 EPU, is that post-containment conversion?

11 MR. FREDERICK: No.

12 CHAIRMAN DENNING: No, that's pre-  
13 containment--

14 MR. FREDERICK: Prior.

15 MEMBER WALLIS: That's using a previous  
16 method of calculation?

17 MR. FREDERICK: Yes. It's using the Stone  
18 & Webster program.

19 MEMBER WALLIS: Okay.

20 DR. BANERJEE: What is the difference in  
21 the methods of calculations which give you the slide  
22 again?

23 MR. FREDERICK: Hit the backup slide.

24 This slide shows essentially how the peak  
25 pressure is sensitive to airborne water fractions. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that water fraction is essentially the water coming  
2 out of the break, what percentage of it is actually  
3 entrained into the atmosphere. In the previous  
4 methodology essentially there was no entrainment  
5 assumptions. It looked at other programs such GOTHIC.  
6 GOTHIC actually assumed a 100 percent entrainment.

7 MEMBER WALLIS: Oh.

8 MR. FREDERICK: And when we looked at  
9 this, the curve basically once you get to 10 percent,  
10 you don't get much more benefit. But 10 percent --

11 MEMBER WALLIS: There's a fog in there,  
12 you're saying there's a fog in there?

13 MR. FREDERICK: Yes. The water at  
14 entrainment essentially acts like an additional heat,  
15 so it gives you a benefit in the peak pressure.

16 MEMBER WALLIS: Airborne water fraction is  
17 the faction of the water which is entrained?

18 MR. FREDERICK: Yes.

19 DR. BANERJEE: Emitted?

20 MR. FREDERICK: The fraction of the water  
21 that is coming out of the break that is entrained.

22 MEMBER WALLIS: I would think getting a  
23 100 percent of it would be a bit of a struggle,  
24 getting it all help up in the air. It's going to fall  
25 out, isn't it?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: Well, some of it is, yes.

2 DR. BANERJEE: I think, I mean most of it.

3 MEMBER WALLIS: Most of it.

4 MR. FREDERICK: Well, we did provide as  
5 part of the submittal, we provided some comparisons to  
6 experimental data. I don't remember the experiments  
7 right off hand. But those results showed somewhere in  
8 the 50 to 60 percent range were entrained.

9 DR. BANERJEE: But you have surfaces where  
10 the water jet impacts, right?

11 MR. FREDERICK: Yes, and that does account  
12 for that. If there is collisions with surfaces and  
13 poor condensation for that matter, it is removed in  
14 that--

15 DR. BANERJEE: But nonetheless, it's a  
16 heat sink?

17 MR. FREDERICK: Yes, essentially.

18 MEMBER WALLIS: When you start out you've  
19 got to make a lot of dispersion. But as you put more  
20 and more water in there, there must be a lot of it  
21 that comes out?

22 MEMBER KRESS: Why isn't that below 45?

23 MR. FREDERICK: It's absolute. But this is  
24 not for our plant in particular. This is just --

25 MEMBER KRESS: Oh, I see. This is just for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some plant.

2 MEMBER WALLIS: So what do you do? You  
3 assume something here or what?

4 MR. FREDERICK: Actually, for MAAP we  
5 assume 10 percent entrainment.

6 MEMBER WALLIS: It's just someone's  
7 educated guess?

8 MR. FREDERICK: It was a conservative  
9 relative to what we saw in the experiments.

10 MEMBER WALLIS: Well, it's interesting.  
11 How much mass of water is it then when it's 10  
12 percent? Later in a LOCA it's a lot, isn't it? The  
13 air is holding all that up?

14 MEMBER SIEBER: You get a number of them.

15 CHAIRMAN DENNING: Well, wait a second.  
16 This is the large break and early time peak.

17 MEMBER WALLIS: Time is --

18 MR. FREDERICK: Yes, this is all currently  
19 in the first 20 seconds.

20 MEMBER WALLIS: So it's probably okay.  
21 Early time, yes.

22 MR. FREDERICK: Yes.

23 MEMBER WALLIS: Everything's stirred up.

24 MR. FREDERICK: Yes, it's very quick. Yes.

25 MEMBER WALLIS: I was concerned when you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 say you assume something.

2 MR. FREDERICK: Just to cover the other  
3 criteria and results, we did show that we met the  
4 depressurization rate, time. NPSH requirements were  
5 satisfied. We also look at EQ, for example, if the  
6 envelopes change, we look at the equipment and we've  
7 done that. And as well as the structural issues, the  
8 piping and the sump inventory.

9 The next subject which is related --

10 MEMBER SIEBER: Before you leave, you said  
11 that even with the relaxation of the sub-atmospheric  
12 requirement you still returned to some sub-atmospheric  
13 condition following a LOCA. How long does that take?  
14 An hour?

15 MR. FREDERICK: I'm not sure I said that,  
16 Jack. But we can still get there is the river is cold  
17 enough. I mean, this is very much a function of the  
18 service water temperature.

19 MEMBER SIEBER: Okay.

20 MR. FREDERICK: Typically though --

21 MEMBER SIEBER: You don't necessarily go  
22 sub-atmospheric.

23 MR. FREDERICK: That's right. Right.

24 MEMBER SIEBER: And so from a Part 100  
25 standpoint if you have some positive pressure --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: And if some leakage  
2 occurs--

3 MEMBER SIEBER: -- you may see it on the  
4 outside, right?

5 MR. FREDERICK: For the dose analyses we  
6 assume leakage occurs for 30 days.

7 MEMBER SIEBER: Okay.

8 MEMBER KRESS: I think the section there  
9 is you use that high for the peak pressure after 24  
10 hours, right?

11 MR. FREDERICK: That's reduced to half of  
12 that within 24 hours.

13 MEMBER KRESS: Regardless of what it  
14 really is? I mean, it's usually lower than that.

15 MR. FREDERICK: Yes.

16 MEMBER KRESS: But it's a conservative  
17 calculation?

18 MR. FREDERICK: Oh, yes.

19 Moving on to containment overpressure.  
20 For Beaver Valley Unit 1 the recirc spray pumps have  
21 credited in the past containment overpressure as part  
22 of our existing licensing basis. And for this analysis  
23 containment conversion and EPU we're continuing to  
24 credit that.

25 Unit 2 does not require any containment

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 overpressure --

2 MEMBER WALLIS: Are you crediting the same  
3 amount of overpressure for the same amount of time?

4 MR. FREDERICK: I'll touch on that. We  
5 have some slides that show that.

6 Unit 2 does not credit overpressure and  
7 never has. Physically the pumps are a lot lower so  
8 they don't have a need for that.

9 The Beaver Valley recirc spray system,  
10 essentially this is our heat removal function post-  
11 LOCA in the environment that each train consists of a  
12 pump, heat exchanger and spray ring. And it takes  
13 suction directly from the sump and delivers a spray  
14 flow for Unit 1.

15 MEMBER WALLIS: When you need it is when  
16 you have the high pressure in the containment.

17 MR. FREDERICK: That's correct, yet. The  
18 system was primarily designed to give you a rapid  
19 depressurization so you could meet the one hour sub-  
20 atmospheric requirement.

21 The backup slide just shows a sketch of  
22 the system, basically.

23 MEMBER WALLIS: Does it show the pressure  
24 needs versus time or something like that and how much  
25 you're actually crediting?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: They're different.

2 MR. FREDERICK: Yes.

3 MEMBER WALLIS: That's coming up?

4 MR. FREDERICK: About 2 slides.

5 MEMBER WALLIS: We're waiting for that.

6 That's the bottom line.

7 MR. FREDERICK: We're there. This slide  
8 shows you the containment over pressure required.

9 MEMBER WALLIS: You need 10 psi.

10 MR. FREDERICK: The COP required is  
11 basically how much pressure do I need above the  
12 initial pressure in containment to get enough NPSH.  
13 So, yes, when the pumps first start out, and again  
14 these pumps start relatively early, 5 minutes after we  
15 reach the high pressure setpoint in containment. So  
16 the sump is relatively hot at that point and there is  
17 not a lot of level. So the NPSH is somewhat limited.  
18 So we need containment overpressure at that point.

19 Well, let me make another point here. This  
20 shows the previous results from pre-EPU and actually  
21 pre-containment conversion.

22 MEMBER WALLIS: The Staff didn't give you  
23 any trouble with the blue lines so then they're going  
24 to accept the red line?

25 MR. FREDERICK: Yes. The blue line is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 occurring, as you can see, for the EPU we're  
2 increasing--

3 MEMBER WALLIS: And you already have? You  
4 already have that approved the blue line?

5 MR. FREDERICK: That's correct, yes. The  
6 increase in actual pressure requirement is on the  
7 order of 2 pounds. Duration wise this requirement goes  
8 below zero, which means that we don't really need  
9 overpressure at that point.

10 MEMBER WALLIS: Not a very long a period  
11 of time compared with some plants.

12 MR. FREDERICK: That's correct, yes. The  
13 point here is that it's roughly ten minutes past the  
14 start of the pump.

15 MEMBER WALLIS: And for hours?

16 MR. FREDERICK: Right.

17 MEMBER SIEBER: For the inside research  
18 spray pump.

19 MR. FREDERICK: Correct. And this is for  
20 the outside.

21 MEMBER SIEBER: Right.

22 MR. FREDERICK: It's very similar.

23 MR. MANOLERAS: This is Mark Manoleras  
24 again.

25 Ken, why don't you go into detail on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 testing of the pumps.

2 MR. FREDERICK: Yes, I'll get to it. It's  
3 a couple of slides away yet.

4 MEMBER WALLIS: Run without this COP?

5 MR. FREDERICK: Next one.

6 This slide shows the available  
7 overpressure against the required, the two bottom  
8 lines being the required. And what you can see here  
9 is actually when the pumps start. They actually start  
10 delivering flow about 300 seconds.

11 MEMBER WALLIS: Now this pressure that's  
12 available looks very high. Usually people make a lot  
13 of conservative assumptions. This looks like the real  
14 pressure. You're going up to 40 psi.

15 MEMBER SIEBER: Yes.

16 MEMBER KRESS: This is atmospheric.

17 MR. FREDERICK: This is actually  
18 overpressure.

19 MEMBER WALLIS: Yes.

20 MEMBER SIEBER: Containment pressure.

21 DR. BANERJEE: You have a pretty small  
22 containment, right, to get that?

23 MEMBER SIEBER: Smaller than --

24 MEMBER WALLIS: Usually you have a  
25 containment pressure that's high like that which you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 use to evaluate the integrity of the containment.

2 MR. FREDERICK: Right.

3 MEMBER WALLIS: And then you have a sort  
4 of minimum curve which has all kinds of conservative  
5 assumptions, which is much lower. And I don't see  
6 that there.

7 MR. FREDERICK: Well, again, you may not  
8 see it so much in the peak because that's not really  
9 effected by what we do in terms of trying to minimize  
10 the pressure.

11 MEMBER WALLIS: It's not?

12 MR. FREDERICK: You know, it's when you  
13 start the sprays and the peak is basically a function  
14 of how Tagami ends up. It's based on volume, energy  
15 release and the timing. So that's not something that  
16 would really change much.

17 MEMBER WALLIS: So is this blue curve  
18 conservatively estimated to be below the real  
19 pressure?

20 MR. FREDERICK: Yes. We do sensitivity  
21 studies that look at really the whole event, not just  
22 pressure because it's also a function of sump  
23 temperature. And some things that tend to reduce  
24 pressure also reduce sump temperature. So both of  
25 those are in the NPSH equation. So what we have done

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 historically is we do sensitivity studies on all the  
2 sensitive parameters and determine what is the minimum  
3 NPSH available case, which is what's shown here.

4 MEMBER WALLIS: Well, this really should  
5 say minimum available overpressure or something, not  
6 a best estimate kind of calculation.

7 MR. FREDERICK: No. This is actually the--

8 MEMBER WALLIS: The conservative minimum.

9 MR. FREDERICK: This case reflects the  
10 minimum NPSH available result.

11 DR. BANERJEE: No. I mean the blue curve  
12 is the minimum containment pressure available? I mean  
13 if it's just about --

14 MR. FREDERICK: It may not necessarily be  
15 the minimum available. It's the minimum available  
16 associated with the set of conditions that come to  
17 this analysis.

18 DR. BANERJEE: With this -- yes. Sure.  
19 But for this set of conditions it's a large break LOCA  
20 or something, right?

21 MR. FREDERICK: Yes.

22 MEMBER KRESS: We once wrote a letter that  
23 said those calculations ought to have probabilities in  
24 them to see how much the probabilities overlap to get  
25 some sort of probability that you would have --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: No. Uncertainty anyway.

2 MR. FREDERICK: And we actually have some  
3 stuff in here on that, too.

4 MEMBER KRESS: Yes.

5 DR. BANERJEE: If not probability, at  
6 least uncertainty.

7 MEMBER KRESS: Uncertainty. Yes.

8 MEMBER WALLIS: We did write the letter.  
9 We got several members who endorsed additional  
10 comments, wasn't that --

11 MEMBER KRESS: Yes, as I recall.

12 CHAIRMAN DENNING: You only spray in  
13 recirculation mode? You don't spray from the  
14 refueling water start --

15 MR. FREDERICK: No, we do both.

16 CHAIRMAN DENNING: You do both?

17 MR. FREDERICK: Yes, and that's what you  
18 can see here. I mean, we're going from 40 pounds down  
19 to nothing in a little over 10 minutes.

20 CHAIRMAN DENNING: That's due to spray?

21 MR. FREDERICK: Yes. So once the spray  
22 start, we have a quench spray system which comes from  
23 the RST which is --

24 MEMBER WALLIS: If the pumps weren't  
25 working, the blue code would be higher? So it's a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 kind of self-controlling situation?

2 MR. FREDERICK: That's correct, yes. The  
3 reason we need overpressure is because we're running  
4 the sprays. And you can see the pressure comes down  
5 pretty quickly once those sprays go on.

6 MEMBER WALLIS: The sprays themselves  
7 reduce the overpressure?

8 MR. FREDERICK: That's correct.

9 MEMBER SIEBER: And if you didn't have the  
10 overpressure, you wouldn't need the sprays.

11 MR. FREDERICK: The problem with not  
12 having the sprays is that it's our only means of  
13 getting heat out of the sump.

14 MEMBER SIEBER: Right.

15 MR. FREDERICK: We need the heat  
16 exchangers more than we need the sprays.

17 MEMBER SIEBER: Right.

18 MEMBER WALLIS: When you need the sprays,  
19 they work?

20 MR. FREDERICK: Yes.

21 DR. BANERJEE: Those little side diagrams,  
22 maybe we should get copies of those because they have  
23 -- yes.

24 MR. FREDERICK: Just a point there. Again,  
25 that was the NPSH limited case. It's not necessarily

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the longest duration. For all the cases we look at,  
2 the most amount of time that we need for overpressure  
3 credit is 20 minutes after the pump starts.

4 And we did do some testing of these pumps  
5 way back in the late '70s. Actually, it was North  
6 Anna pump that was tested, but they're basically  
7 identical to ours.

8 Hit this backup slide. They actually ran  
9 these pumps at reduced NPSH all the way down to about  
10 4 feet available, the left line there. And basically  
11 you can see, as you reduce NPSH below the required,  
12 the performance suffers. But they ran these up to  
13 about a half hour in this reduced NPSH mode.

14 MEMBER SIEBER: And they still pump?

15 MR. FREDERICK: And they still pumped and  
16 they tore them down, and there was no damage to the  
17 pumps.

18 DR. BANERJEE: Well, there was some  
19 cavitation, but --

20 MR. FREDERICK: Yes, obviously it's  
21 offering in a cavitation --

22 DR. BANERJEE: Not significant. Not until  
23 to --

24 MEMBER WALLIS: Until they fall off the  
25 cliff there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Even with the required net  
2 positive suction you had some cavitation, right?

3 MR. FREDERICK: Yes, 3 you're percent  
4 reduced by definition.

5 MEMBER KRESS: Yes. Yes.

6 MR. FREDERICK: Go back.

7 DR. BANERJEE: Excuse me. Go back to that  
8 slide.

9 What is there, I can't read that very  
10 well, but what is the suction head required. Yes, I  
11 can't read the ones on top there.

12 MR. FREDERICK:

13 (Off microphone).

14 MEMBER SIEBER: You have to talk into a  
15 microphone.

16 MR. FREDERICK: Right.

17 DR. BANERJEE: Is that 16, 14? The four  
18 I can read, but beyond 4 I can't read any of those.  
19 They're blurred.

20 MEMBER WALLIS: Are you saying that even  
21 if there were no overpressure available they'd still  
22 work? If you lacked 10 psi, will they still work or  
23 not?

24 DR. BANERJEE: These are in feet of water,  
25 I take it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Twenty feet of water, do  
2 they still work at 20 feet of water.

3 DR. BANERJEE: No, there are 4 feet of  
4 water, they would work.

5 MEMBER WALLIS: Yes, but not at 20?

6 DR. BANERJEE: No, at 20 they'd work  
7 perfectly.

8 MEMBER WALLIS: Oh. Well, you've got 4  
9 feet, don't you? What is that you need? You need--

10 DR. BANERJEE: 11.5 feet. Is that your  
11 reference is, 11.5 feet of NPSH on this?

12 MR. FREDERICK: For these pumps the  
13 minimum required that we use is 9.8 feet.

14 DR. BANERJEE: 9.8 feet. All right. So  
15 that's the one, Graham, which is the fourth line down  
16 from the top.

17 MEMBER WALLIS: That one there?

18 DR. BANERJEE: That's your reference,  
19 right?

20 MR. FREDERICK: Yes.

21 MEMBER WALLIS: And how compact can it get  
22 and still satisfy your needs there?

23 MR. FREDERICK: Four feet available, that  
24 would be something around 2 psi overpressure --

25 MEMBER WALLIS: It's still pumping.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: -- still required.

2 MEMBER WALLIS: But that's much less than  
3 you're asking for?

4 MR. FREDERICK: Yes. This is a kind of  
5 margin we don't use these lower limits in anyway or we  
6 don't model the pumps in a degraded performance.

7 MEMBER WALLIS: It seems to depend a lot  
8 on the dynamic head required. How much is the dynamic  
9 head required? There's a load line somewhere here.

10 DR. BANERJEE: Right, that's what I was  
11 going to ask. Where is that load line? Just  
12 conceptually if you sketch it.

13 MR. FREDERICK: Well, these pumps normally  
14 operate around 33 to 3500 so your system curve comes  
15 through here somewhere.

16 MEMBER WALLIS: So some of those have  
17 already crashed and gone over the -- they went over  
18 the precipice by the time they come down to the load  
19 line?

20 MR. FREDERICK: Well, yes, you would see  
21 a much reduced flow but you would still get some flow.

22 CHAIRMAN DENNING: But in reality isn't it  
23 just a matter that you don't want them to fail.  
24 Because suppose for 20 minutes they didn't work and  
25 they didn't remove heat, isn't this really a real long

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 term problem that you're concerned about, which is  
2 long term heat removal.

3 MR. FREDERICK: Yes.

4 CHAIRMAN DENNING: So the fact that  
5 they're not able to keep up with heat rejection during  
6 this period when you really need it doesn't really  
7 matter.

8 MR. FREDERICK: If we have reduced heat  
9 removal, the ultimate effect is that the sump's a  
10 little hotter a little longer.

11 MEMBER WALLIS: So you'll get 2000 GPM  
12 instead of 3500 or something?

13 MR. FREDERICK: Right.

14 MEMBER WALLIS: And it's no big deal?

15 CHAIRMAN DENNING: As long as you --

16 MR. FREDERICK: It only last for 10 or 20  
17 minutes, yes.

18 MEMBER MAYNARD: I think the more  
19 significant part of this what shows is that they  
20 operated for a long period of time, it reduced NPSH  
21 and did not fail the pumps and they were still in good  
22 shape.

23 MR. FREDERICK: Yes.

24 CHAIRMAN DENNING: Okay. Continue.

25 MR. FREDERICK: Next.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   We looked from the PRA aspect of this, you  
2 know what's the probability of losing containment  
3 isolation which could lead to loss of overpressure.  
4 And we estimated that to be about one times 10 to the  
5 minus 8. And that's based on the LOCA coincident with  
6 failure of isolation for the lines that communicate  
7 directly with the containment atmosphere. And those  
8 lines for Beaver Valley are actually pretty small. The  
9 largest such line is a 2 inch line.

10                   CHAIRMAN DENNING: Since you're still  
11 operating a little bit sub-atmospheric, does that help  
12 your probability here? Do you know that you're  
13 isolated?

14                   MR. FREDERICK: Yes. Essentially we would  
15 screen out any large preexisting failure because we  
16 would notice that if it occurred.

17                   DR. BANERJEE: Is there any interaction  
18 with a LOCA which would sort of tend to make you lose  
19 containment isolation?

20                   MR. FREDERICK: No. All of our  
21 containment --

22                   DR. BANERJEE: Nothing that --

23                   MR. FREDERICK: -- systems are fully  
24 qualified.

25                   DR. BANERJEE: Completely independent?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: Yes. We actually did an  
2 analysis where we looked at -- you know, essentially  
3 run the NPSH cases with holes in containment. And we  
4 did up to a 3 inch based on what our penetration size  
5 are.

6 And if you look at the next slide here  
7 essentially all the results are on top each other so  
8 there is no significant effect of opening a small hole  
9 in containment. Again, that was the most probable  
10 based on the actual penetration sizes that are open to  
11 containment atmosphere.

12 DR. BANERJEE: But then what happened to  
13 the pressure as you open the hole?

14 MR. FREDERICK: It didn't change much.

15 CHAIRMAN DENNING: You can't tell at that  
16 small hole size.

17 MR. FREDERICK: Right. Essentially  
18 there's a minimal change in the pressure response such  
19 that the NPSH margin doesn't change much.

20 Next slide.

21 We do a conservative analysis in terms of  
22 minimizing the overpressure available. We do not ask  
23 the operators to intervene in anyway to try and  
24 maintain pressure at a certain value or certain limit  
25 to try and assure that we have available COP.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS:  Suppose the screens were  
2 getting block, how would the operator know it and what  
3 would he do?

4                   MR.  FREDERICK:  I'll let my operator  
5 handle that one here.

6                   MR.  DURKOSH:  This is Don Durkosh again.

7                   Recently, probably within the last year or  
8 so, we've implemented sump blockage guidelines.  And  
9 we've updated our emergency procedures.  So basically  
10 when we enter the recirc mode we have RNO, response  
11 not obtain actions where we would start a pump or  
12 verify a pump is running.  And we would monitor things  
13 like pump amps, discharge pressure and flow.  And if  
14 we see any variations, then we have a sump blockage  
15 guidelines available to us.

16                   And in the big scheme what the sump  
17 blockage guidelines really do is have you look for  
18 ways to reduce flow, which would reduce the line  
19 losses across the sump screens.  So basically kind of  
20 get you to reduce the flows, get NPSH back into an  
21 acceptable range and operate in that mode.

22                   MEMBER WALLIS:  You don't backflush or  
23 anything like that?

24                   MR.  DURKOSH:  Not at this time.

25                   MEMBER MAYNARD:  I wouldn't think that the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 things you would be looking for would be much  
2 different than what you in mid-loop operation, making  
3 sure that your RA pumps are cavitating or lose  
4 suction. I mean it would be a similar situation with  
5 the sump.

6 MR. DURKOSH: I agree.

7 MEMBER MAYNARD: Yes.

8 DR. BANERJEE: Are we going to talk about  
9 sump blockage at some point?

10 MEMBER WALLIS: Yes, you are.

11 CHAIRMAN DENNING: You already have as  
12 much as we are.

13 DR. BANERJEE: Because it was be  
14 interesting to know how difficult it would be to  
15 backflush.

16 MEMBER WALLIS: I think it's taboo,  
17 though.

18 CHAIRMAN DENNING: Yes, I think we  
19 shouldn't be talking about that now, no.

20 MEMBER WALLIS: That's another subject.

21 CHAIRMAN DENNING: I mean it's interesting  
22 to see what they are going to do.

23 DR. BANERJEE: But you're going in for an  
24 EPU. You may as well put it in.

25 MEMBER WALLIS: Yes, but it's a generic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issue.

2 MR. CARUSO: Yes, but it's a generic issue  
3 and we don't resolve generic issues.

4 DR. BANERJEE: Okay. We won't resolve it.

5 MEMBER WALLIS: You don't dump it all on  
6 one licensee.

7 CHAIRMAN DENNING: We just initiate  
8 generic issues under this.

9 Okay. Proceed.

10 MR. FREDERICK: Just to finish up this  
11 slide, we did look at potential modification that  
12 could be made to eliminate the need for containment  
13 over pressure and essentially they're all impractical.

14 MEMBER WALLIS: I'm curious. You're  
15 putting in a bigger screen. What design is it?

16 MR. FREDERICK: Design in terms of -- hit  
17 the back slide.

18 MEMBER WALLIS: This is a whole lot of  
19 cylinders or --

20 MR. FREDERICK: Yes, it's an array of  
21 cylinders.

22 MEMBER WALLIS: An array of cylinders.

23 DR. BANERJEE: But is this the top hat  
24 design.

25 MR. FREDERICK: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Okay. Ah, so the problem  
2 there is to figure out how that performs when you've  
3 only tested one?

4 DR. BANERJEE: Yes, it's the same problem-

5 MR. FREDERICK: Our testing is actually  
6 looking at it.

7 MEMBER WALLIS: Testing arrays?

8 MR. FREDERICK: I think we're do a 9 set  
9 of array.

10 MEMBER WALLIS: Oh, okay. Okay. Thank  
11 you. That's better than one.

12 MEMBER SIEBER: It looks like that would  
13 take up a lot of space.

14 DR. BANERJEE: Then it would be prudent to  
15 do backflushing.

16 MEMBER WALLIS: It's not difficult to  
17 figure out that works.

18 MR. FREDERICK: Just summarizing I guess  
19 for the containment overpressure, COP is required for  
20 Beaver Valley Unit 1 RS pumps. And it's part of the  
21 licensing basis. And it's continued to be credited in  
22 the recently approved submittal.

23 We have run these pumps at reduced NPSH  
24 with satisfactory results. And we looked at the risk  
25 of losing overpressure, and it's very low. And we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 also looked at modifications to eliminate the need,  
2 and they're not practical.

3 The next two slides --

4 CHAIRMAN DENNING: You can go quickly on  
5 these I think.

6 MR. FREDERICK: Yes. These essentially  
7 summarize the dose assessment results from the  
8 accident analyses.

9 Again, we're moving to full implementation  
10 of the alternative source term and we've updated X/Qs  
11 with more recent meteorological data and we've also  
12 switched to ARCON 96 for the onsite X/Qs.

13 We've incorporated the results from our  
14 control room tracer gas testing.

15 Unit 2 continues to use the alternate  
16 repair criteria, which develops the accident induced  
17 leakage limits. And all the results are within the  
18 50.67 limits, as you can see on the next slide.

19 Again, here the Unit 2 value is maximized  
20 based on the alternate repair criteria methodology.

21 Just to summarize for safety analysis.  
22 Again, we've looked at the required events. All the  
23 acceptance criteria seem to be met at the EPU  
24 conditions. And we feel like we have enhanced the  
25 plant in some way with the modifications we've made

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and are beneficial impacts in terms of the safety  
2 margin. And we've been able to retain a lot of the  
3 safety margin.

4 That's it. Any questions?

5 CHAIRMAN DENNING: Are there any questions  
6 on safety analysis here? Anything that we want to  
7 prod for more information tomorrow?

8 MEMBER WALLIS: I want to know what the  
9 Staff thinks about the containment overpressure, but  
10 that's not any of that today.

11 CHAIRMAN DENNING: That's to come.

12 Okay. Thank you very much.

13 We're now going to go in recess until by  
14 that clock up there it's going to be -- we'll make it  
15 a quarter of by that clock.

16 (Whereupon, at 3:33 p.m. a recess until  
17 3:50 p.m.)

18 CHAIRMAN DENNING: Okay. We're now back in  
19 session. And we're now going to hear about the  
20 Staff's view of safety analysis SBLOCA.

21 DR. WARD: Can you hear me? Okay.

22 My name is Len Ward, I'm in NRR in the  
23 code review analysis branch. And what I'm going to  
24 talk about, I'm going to talk basically about post-  
25 LOCA long term cooling, and that's large and small

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 break, but then I'm also going to talk about short  
2 term behavior small break LOCA.

3 But before I do that, what I wanted to do  
4 is just quickly go over the ECCS system that's used to  
5 control boric acid, what's the approach. And then I'll  
6 talk about large break LOCA and small breaks.

7 Now Beaver Valley, it's a 3 loop plant.  
8 It's about an 8 percent power increase.

9 MEMBER SIEBER: Do you want a pointer?

10 MR. LEE: Yes, you know, I thought I had  
11 one here. Here we go.

12 A key ingredient here in this plant is  
13 that it has three accumulators. And as you heard  
14 earlier, the pressure was increased to 625 pounds and  
15 that's key for short term small break LOCA behavior.

16 And I'll also be talking about the switch  
17 to simultaneous injection and because of the way the  
18 ECCS is aligned, because of the ECCS configuration,  
19 cold let breaks are limiting in this plant for boron  
20 precipitation.

21 As I said, large breaks to control boric  
22 acid, you realign the ECCS, that's the high pressure  
23 safety injection pump to deliver half the flow in the  
24 hot leg and the other half in the cold leg. And I'll  
25 be showing you some calculations that I did to audit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the precipitation times that the licensee performed.

2 I'm also going to talk about small breaks.

3 And it was mentioned before, but small breaks you can  
4 hang up at a higher pressure. You don't go down to 147  
5 where you're basically at run out on that high  
6 pressure pump. You had some intermediate pressure.  
7 It could be 200 pounds, 100 pounds. When you split  
8 the flow between both legs it's not enough the flush  
9 the core. So what do you do? Well, you cool the  
10 plant down. And you cool the plant down to a low  
11 enough pressure so that you either get it low enough  
12 so that you can flush the core when you switch  
13 simultaneous injection or you've cooled it down low  
14 enough and fast enough so that you refill the RCS with  
15 ECCS coolant, you reestablish single phase natural  
16 circulation and you disperse the boron. Okay? And  
17 I'll show you some calculations that we did to  
18 illustrate that.

19 MEMBER WALLIS: Even though there's a  
20 break, you can fill that whole thing?

21 DR. WARD: That's right. We're talking  
22 small breaks, one inch, two inch, three inch; they're  
23 really tiny. You'll fill it back up. I'll show you  
24 that when I get to the slide.

25 MEMBER SIEBER: It's the pot. The break's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 above the pot.

2 DR. WARD: The break's in the cold leg.

3 MEMBER SIEBER: Right.

4 DR. WARD: Or the hot leg. And the  
5 alignment is done such that you don't need to know  
6 where the break is. And the analysis is done so you  
7 don't need to know necessarily. It's nice to know what  
8 the concentration in the core and vessel is, but you  
9 don't need to know that. If you do a bounding  
10 calculation on precipitation time, all the operators  
11 have to know is when the accident started and at  
12 certain times you just go switch. And it doesn't  
13 matter what the break location is or where the break  
14 is.

15 DR. BANERJEE: When the HPSI are there  
16 line sizes indicator of the flows or is it --

17 DR. WARD: No, that's just where it's  
18 going.

19 MEMBER WALLIS: It's not to scale or  
20 anything?

21 DR. WARD: This is not to scale. So what  
22 I want to do is to show you for a cold leg break,  
23 before you switch to simultaneous injection you're  
24 injecting into the downcomer. You're storing some of  
25 it out the break.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER WALLIS: Right.

2 DR. WARD: But because there's no flush,  
3 okay, you're going to concentrate boric acid in the  
4 vessel, in the upper plenum in the core. And  
5 basically -- let me use this. This is better.

6 I mean what happens is you're going to  
7 fill the downcomer to the bottom of the cold leg. You  
8 can't get anymore water in there because the break's  
9 there. Anymore water you add spills.

10 The water that flows in is dependent on  
11 the low pressure drop. And the model I'm going to  
12 show you, and it's consistent with the licensee and  
13 vendor, it considers the pressure drop. So I have a  
14 fixed head here. Depending on the core power level,  
15 time and the event, that determines the steaming rate.  
16 And that determines where the two phase level is. So  
17 in the beginning of the transient very early the two  
18 phase level is low. It will grow --

19 MEMBER WALLIS: It's not on top?

20 DR. WARD: In the beginning, that's right,  
21 you've blown down the core. I mean, the whole core is  
22 voided. Now you're refilling. This is early. And it's  
23 slowly going to fill up. And I'm only going to be  
24 able to get enough water in here that the loop  
25 resistance will allow me. My ability to get water into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this core isn't any better than my ability to relieve  
2 the steam around the loop.

3 MEMBER WALLIS: And the boron comes in and  
4 doesn't leave, so it just builds up?

5 DR. WARD: No. It just builds up. Right.  
6 And that's why with cold side injection, that's why  
7 cold leg breaks are worse for boron precipitation.

8 MEMBER WALLIS: You get some water in is  
9 because there are other cold legs from that one, so  
10 the water can get in?

11 DR. WARD: That's correct. Yes. There are  
12 two other loops. So this is spilling and the other  
13 one's keeping me full here. For this plant within  
14 about 45 minutes to an hour, the two phased level is  
15 up here above the bottom of the hot leg.

16 DR. BANERJEE: What's the partition  
17 coefficient of boron between the steam and the water.

18 DR. WARD: What's the what?

19 DR. BANERJEE: Partition. I mean it's  
20 partitioned, right?

21 MEMBER KRESS: It depends strongly on the  
22 pressure and temperature.

23 DR. BANERJEE: I see.

24 MEMBER KRESS: Low pressure it stays  
25 behind and high pressure it goes with the steam. It's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a variable

2 MEMBER WALLIS: With these pressures it  
3 stays behind.

4 MEMBER MAYNARD: Not much stays behind.

5 DR. WARD: We're assuming the steam does  
6 not remove any of the boric acid nor is there taking  
7 any credit for any entrainment. You look at the UPTF  
8 tests, they show entrainment for about the first 15  
9 minutes. For every pound of steam you're producing,  
10 you're taking 2 or 3 pounds of liquid out. So you're  
11 not going to build up very fast at all in the first 45  
12 minutes. But that's neglected as well.

13 I mean so basically what I was going to  
14 say, if you want steaming in the core and I fill the  
15 vessel up, I'd have water here. But since I had void  
16 in it and if the loop pressure drop isn't a  
17 consideration, I' going to swell up into the hot leg.  
18 And I'll probably swell -- I won't swell the two phase  
19 level any higher than within maybe a half of foot to  
20 the top of this hot leg because the steam's got to get  
21 out and it's going to pressurize. And you're going to  
22 sit there concentrate.

23 Now, they don't take credit for the volume  
24 above the bottom of the hot leg. They're just taking  
25 credit for the mixing volume here, the core and half

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of lower plenum. And the void fractions coming off  
2 the top of the core early in the event throughout to  
3 about 6 hours is anywhere from 80 to about 65/70  
4 percent. So it's pretty high. There's not much liquid  
5 in this region hardly at all. I mean, it's very hard.  
6 The void fraction, a very healthy steep gradient from  
7 zero to 70/80 percent at the top of the core.

8 MEMBER WALLIS: I asked the question  
9 previously, when you begin to get very high  
10 concentrations of boron, doesn't that change the  
11 formability and the drift flux and all that kind of  
12 thing?

13 DR. WARD: Yes, i think it does.

14 DR. BANERJEE: I probably does.

15 DR. WARD: Yes. I mean --

16 MEMBER WALLIS: But that would make a  
17 difference to the carryover.

18 DR. WARD: What I did in sensitivity  
19 studies, you saw the Waterford report in there.

20 MEMBER WALLIS: Yes.

21 DR. WARD: I varied the drift velocity by  
22 a plus or minus 25 percent. And, I mean, I'll show  
23 some precipitation times. But when you're  
24 precipitating out around 6 to 8 hours and in reality  
25 you're really not going to get there until about 15,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 14 or 15 hours and that's where this plant's at. And  
2 I'll show you why that is.

3 A change of 25 percent in the drift  
4 velocity is probably not going to make much  
5 difference. I mean, if the drift velocity goes down,  
6 then I'm going to swell more, I'm just distributing  
7 the liquid and steam over a larger volume. I still  
8 got the same amount of liquid.

9 MEMBER WALLIS: The question we raised,  
10 which I don't think was every answered, you know when  
11 you boil down something like maple syrup it's just  
12 like boiling water. But when you get it up to the  
13 point where it's strong enough, it boils like milk.  
14 It's overflow and go all over the kitchen because the  
15 foaming --

16 DR. WARD: If it foams --

17 MEMBER WALLIS: It doesn't break. It  
18 just--

19 DR. WARD: I don't think the BACCHUS test  
20 showed that, but -- Yes but I mean those are good  
21 questions. But what we have done, and I mentioned this  
22 to you the last time we talked -- you had a lot of  
23 questions --

24 MEMBER WALLIS: Yes, but answers --

25 DR. WARD: And you've had a lot of good

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 questions today, and you haven't got all the answers.  
2 And I don't know all the answers because I want to  
3 know the answers to them, too.

4 We sent a letter out about 8 months ago,  
5 about a 15 page letter with about 20 or 30 questions  
6 asking what's the effect of boric acid on drift  
7 velocity, what's the effect on viscosity, surface  
8 tension, show us what the concentration profile is  
9 across the core, what's the effect of adding debris in  
10 here, how does that effect the concentration?

11 MEMBER WALLIS: Was this all to Beaver  
12 Valley?

13 DR. WARD: All those questions are in  
14 there. And we are --

15 MEMBER WALLIS: Is this to Beaver Valley  
16 or is this a generic question to the industry?

17 DR. WARD: It's not the strict sense  
18 generic letter issue. What we've done is we've sent a  
19 letter to all the vendors asking them to answer this  
20 question.

21 MEMBER WALLIS: Okay.

22 DR. WARD: And address these model  
23 concerns--

24 MEMBER WALLIS: So then you'll report to  
25 us on what happened some day?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WARD: And we will.

2 MEMBER WALLIS: Okay.

3 DR. WARD: But I haven't heard anything  
4 yet. I know they're working on it. I think they're  
5 still digesting it. And I think they're planning to do  
6 calculations, experiments or whatever. And so when  
7 that's done, then we will come and present that to  
8 you.

9 MEMBER WALLIS: Okay. Good. Thank you.

10 DR. BANERJEE: A couple of these questions  
11 clearly can be answered fairly easily, viscosity  
12 surface --

13 DR. WARD: Sure. Sure.

14 DR. BANERJEE: But the drift velocity is  
15 more difficult. And I guess maybe the people at MHI  
16 would know the answer to that.

17 MEMBER WALLIS: But does it boil over? We  
18 just need to put it on the stove in your kitchen and  
19 wait.

20 DR. BANERJEE: Well, that's a good way to  
21 do it, too.

22 MEMBER SIEBER: Another way.

23 MEMBER WALLIS: Well, it's best to do it  
24 outside on the grill or something.

25 DR. WARD: Yes, right. Right. Well, those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 questions have been asked. And again, when we've had  
2 meetings with -- when we get some of the results from  
3 all these questions, then we'll be happy to share them  
4 with you.

5 MEMBER WALLIS: If I buy some borax and  
6 dissolve it in water in my kitchen, can I boil it and  
7 see what happens?

8 DR. WARD: Sure. I mean --

9 MEMBER WALLIS: Would that be realistic?

10 DR. WARD: Well, there was a test done,  
11 and I probably shouldn't -- you know, I'm not sure if  
12 I should mention it or not.

13 MEMBER WALLIS: Well then don't.

14 DR. WARD: So I can't. But if you took a  
15 plexiglass vessel and pumped borated water into it, an  
16 electrically heated core and you pumped it in at the  
17 RWC concentration of roughly -- now they're up around  
18 2600 ppm, and if you took pictures of it you would see  
19 because if the water's cold coming in the lower  
20 plenum, you see some crystallization even on the  
21 surface. But the test would probably show mixing  
22 throughout the entire lower plenum and core. And  
23 there'd be a gradient in there. But once it  
24 precipitates, when you hit that limit based on  
25 whatever pressure you're at, it's probably going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 look like you filled that whole thing up with salt.  
2 Lower plenum core and upper plenum is going to be  
3 looks like full of table salt, crystals.

4 But, you know, there may be some worm  
5 holes through it. You know, there are some cooling  
6 channels that may be there. But that's probably  
7 what's going to happen.

8 But what I'm going to show in this  
9 calculation so we don't get anywhere near that --

10 MEMBER WALLIS: But it would be slurry  
11 cool. It would be slurry cooled. It won't freeze up  
12 solidly?

13 DR. WARD: Yes. Probably.

14 But I want to show you. hopefully we  
15 shouldn't get anywhere near there. And there's enough  
16 margin to accommodate. We don't feel that there's  
17 answers here, we just want to make sure the industry  
18 is doing everything consistent. They're not using a  
19 1.0 multiplier. They'll all using appropriate mixing  
20 volumes. They're taking credit for the void fraction  
21 in there instead of assuming it's full of liquid, and  
22 they're not assuming the whole mixing volume is this  
23 size from time zero on, because it grows. So let's do  
24 it right. And they are doing that. And they're  
25 starting to do that now.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So let me just go over some of the  
2 assumptions. I've already discussed it. We're only  
3 taking credit for half -- they're only allowed to take  
4 credit for half the mixing volume in the lower plenum.  
5 The core and the upper plenum, they choose to just  
6 credit the volume below the bottom elevation of the  
7 hot leg.

8           Now this was done during the Waterford  
9 review, and you'll remember that. I did some  
10 calculations. Compared my model to that. And as I  
11 recall, it's been a while since I looked at it, the  
12 reason why we did this is because since it's an  
13 average concentration, it more closely tracked the  
14 concentration near the top half of the core instead of  
15 some lower average. So they're only allowed to take  
16 credit for half of the lower plenum. And I think there  
17 was some mixing in the upper plenum, too. But we  
18 predicated the precipitation time within an hour. So  
19 for a crude model like that, it's probably not too  
20 bad.

21           We're using the 1971 ANS decay heat  
22 standard with an additional 20 percent. It's like the  
23 plant's operating at 20 percent more power.

24           The mixing volume is calculated as a  
25 function of time. The higher the steam rate, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 slower the growth of the two phase level and a mixture  
2 of volume in the vessel.

3 Now this is not a model assumption, but I  
4 just wanted to point out that the source  
5 concentrations for this plant are 2600 ppm. And  
6 again, the cold leg break is limiting for  
7 precipitation.

8 What you want to do --

9 DR. BANERJEE: 29.27 percent or what?

10 DR. WARD: That's at 14.7 -- that assumes  
11 the pressure in the upper plenum is 14.7.

12 DR. BANERJEE: But it must include the  
13 boiling point.

14 DR. WARD: That's the boiling point at  
15 14.7 with boric acid in there.

16 DR. BANERJEE: So what's the --

17 DR. WARD: The upper plenum pressure is  
18 going to be more -- upper plenum is going to be more  
19 like 20 or 25 pounds pressure. So the precipitation  
20 limit is not going to be 29. It's probably going to be  
21 more like 32/33.

22 And now our additives in there that will  
23 jack it up to about 40 percent. But we're going to  
24 assume -- the licensee assumed conservatively 29  
25 percent.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Now hot leg break. I guess I don't need  
2 to -- if you have a hot leg break, clearly during the  
3 injection phase --

4                   MEMBER WALLIS: Flushes it down.

5                   DR. WARD: You're going to flush this  
6 thing fairly quickly because you're going to fill it  
7 up. And once the two phase level in the vessel gets  
8 above the bottom of the core, it's going to start  
9 flushing. AS a matter of fact, it's going to have  
10 positive flow through there and I don't think they're  
11 going to build that much boron at all. So that's why  
12 hot leg breaks are clearly not the thing you want to  
13 look at.

14                   Now, if you take that model, and it's the  
15 same model that I described last time and it's  
16 documented in the Waterford report. So if you want to  
17 see the physics of the model, it's pretty simple. It's  
18 hydrostatic balance against a loop pressure drop where  
19 the drift phrase model calculates a two phase level.  
20 And that drift flux model is compared against test  
21 data that I've shown you on AP 1000. But it's  
22 documented again in that report. So if you want to  
23 see anything more on that, you know, feel free and I'd  
24 be happy to come over and explain it in some detail.

25                   I want to show you the calculation that I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 did compared to the Westinghouse calculation. And  
2 this is the concentration as a function of time. You  
3 can see that the Staff model predicts the Westinghouse  
4 calculation, and I used this decay heat, their sump  
5 concentration as a function of time which they  
6 calculated. Basically used the same assumptions in  
7 the calculating a precipitation time, which is within  
8 15 minutes.

9 DR. BANERJEE: Based on the same volume?

10 DR. WARD: Based on the same mixing  
11 volume. That's half below plenum, that's the core.  
12 And only the volume in the upper plenum below the  
13 bottom elevation of the core.

14 Now they could have taken credit for the  
15 volume in the upper plenum adjacent to hot leg because  
16 the level swells up to there within about an hour,  
17 hour and a half and it's going to sit there near the  
18 top of the hot leg. So there's an additional 200  
19 cubic feet.

20 The lower plenum in this plant's about 750  
21 cubic feet. So we're getting about 325 in the lower  
22 plenum. Let's see, the core area as I recall is 42  
23 square feet, the height's 12½ feet. So you've got  
24 about 400 in the core and another 200 in the upper  
25 plenum. And in the hot leg, they've got about another

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 200 cubic feet, but that's being neglected.

2 And remember, the steam doesn't carry it  
3 away. There's no entrainment. The upper plenum  
4 pressure is 14.7. I'm not taking credit for  
5 additives. I'm up here if I take credit for the  
6 additives. I know we don't like to extrapolate, but  
7 gee, we're talking --

8 MEMBER WALLIS: Ten hours.

9 DR. WARD: -- 10 hours or more. And  
10 they're switching at 6 hours. I guess they're  
11 starting at five. I'm sorry. So I mean there's  
12 clearly 4 or 5 hours there of margin relative to  
13 these.

14 MEMBER SIEBER: Volume of the core is not  
15 the product of the physical dimensions because the  
16 core itself occupies about half that space, right?

17 DR. WARD: That is the free space. That's  
18 the free area.

19 MEMBER SIEBER: That's the --

20 DR. WARD: That's in between the rods and  
21 the --

22 MEMBER SIEBER: Okay.

23 DR. WARD: Yes. It was the core flow  
24 area. Okay.

25 That's a conservative calculation. I mean,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it's bounding.

2 Now what I want to do before I talk about  
3 boron precip for small breaks, let's talk about the --  
4 yes, blurry. Can you see that okay?

5 MEMBER SIEBER: Yes. Better than the  
6 other one.

7 DR. WARD: Okay. The old technology  
8 works.

9 When Veronica Klein and I looked at the  
10 spectrum, we noticed they only looked at integer break  
11 sizes. And if you look 1, 2, 3, 4, 5, 6 inch diameter  
12 breaks, you find the area is .0055, .02, .05, .09,  
13 .14; there's a pretty wide range there. And typically  
14 for small breaks the limiting break is usually in the  
15 .05 square foot range, somewhere in here and it's  
16 typically a break that's controlled entirely by HPSI  
17 flow, which means you find a break size with a system  
18 depressurizer and it hangs up just above 600 pounds.  
19 The HPSI flow doesn't put as much flow in as an  
20 accumulator so it's going to uncover and then slowly  
21 recover. And typically that's the worse small break.

22 For this plant the accumulator comes on  
23 during that range. We asked them to do a more  
24 detailed spectrum analysis, and you saw that plot.  
25 Maybe quarter inch. They went every quarter inch

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 between 2 and 3 and 3 and 4 and found out that breaks  
2 between 2 and 3 could be more limiting. The worse  
3 break turned out to be a 2.75 inch break compared to  
4 the original analysis submittal of 1759. Now this is  
5 not one-to-one because I think the 1917 degree F PCT  
6 is a time in life study for oxidation. I think the 2½  
7 inch break was worse because although the peak didn't  
8 quite get up, it was uncovered longer so the  
9 oxidations were like 13.42 percent. But basically  
10 what this did looking at a more detail spectrum,  
11 better identified the PCT. And when you got these  
12 high power uprates, I've seen a plants with a  
13 difference of .005 square feet, the PCT can increase  
14 by 70, 80 degrees. So when you're getting p around  
15 1900, 2000 if you want to make sure the margin by  
16 Appendix K is there, then you need to do this. You  
17 need to do a better calculation.

18 Now we did some calculations. Veronica  
19 Klein and I did. Veronica did most of the  
20 calculations.

21 DR. BANERJEE: This is by using your --

22 DR. WARD: This is RELAP5. No, this was  
23 RELAP5. We had a deck. And we got it -- we might  
24 have gotten from the licensee and we thank them for  
25 that. They have been very cooperative in answering

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 all questions. In trying to understand their model,  
2 I've even asked them to do some calculations so I can  
3 understand how their model behaves. And they answered  
4 everything.

5 DR. BANERJEE: What is actually run here  
6 for the RELAP5? Is it just the core region?

7 DR. WARD: No. This is the entire system.  
8 It's your full blown RELAP5 model, okay. Vessel, each  
9 loop. Now we've got 24 cells in here. Better track  
10 the two phase level. And also put a hot bundle in  
11 there with 24 cells in it with a hot rod in it.

12 DR. BANERJEE: And this is the low  
13 pressure long term --

14 DR. WARD: No, this is short term. This  
15 was for PCT. No, no. The boron precip stuff is --

16 DR. BANERJEE: But you don't continue this  
17 into the low pressure?

18 DR. WARD: Yes. I ran this all the way out  
19 to 8 or 9 hours to show refill. And I'll get to that  
20 on the long term part. We ran this for short term to  
21 look at PCT. We also ran it to show for small breaks  
22 where you can't the pressure down low enough to flush  
23 the core, but you can refill the core or resubcool it,  
24 reestablish single phase natural circulation and  
25 disperse the boron. It was run for that. I'll show

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you some of those.

2 DR. BANERJEE: Yes, how does it behave at  
3 low pressure?

4 DR. WARD: Well, great. I mean ask  
5 Veronica. I mean, Veronica never came in my office  
6 once and said "Damn code bombed again on properties."  
7 Never said that once. Run these cases up two hours.  
8 We ran .5, .75, 1 all the way up to one square foot.  
9 We looked at breaks on the top of the pipe because the  
10 lube seals would fill up and potentially depress the  
11 core. And we also looked at side breaks. And we found  
12 that the most limiting break was between these 2 and  
13 3 inch range. A little different break because  
14 they're different critical flow models. But we  
15 basically beat it to death.

16 And we ran these tiny breaks half an inch,  
17 1, 2, 3, 4 out 30,000 seconds.

18 And running with a .05 second time step,  
19 the case runs in two hours.

20 MEMBER WALLIS: You didn't use TRAC?

21 DR. WARD: No. I didn't have an input deck  
22 for it.

23 DR. BANERJEE: But I thought this was  
24 seamless now, conversion from a RELAP5 deck to TRAC?

25 DR. WARD: Not quite.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Little seams still there?

2 DR. WARD: Yes, there's some bugs in it,  
3 you know. The control system you've got to develop.  
4 They're not quite the same. You know, the RELAP5  
5 input is a little different, but they're getting  
6 there. Not quite there yet.

7 DR. BANERJEE: Okay.

8 DR. WARD: They're working feverishly on  
9 it.

10 So I guess I've already said that. So  
11 basically we confirmed the worse break, ran it 14  
12 kilowatts per foot, I think it's a little higher at  
13 the extended power uprate value. And what I want to  
14 do is show you this break between 2 and 3 inches.

15 And the thing I want to point out is the  
16 accumulators. The accumulators are keeping the PCT  
17 down below 2000 degrees. And you can see they're  
18 coming on here. So the system pressure then rises.  
19 They cut back off because it fills the core back up  
20 and so there's more energy addition, the pressure goes  
21 up. And there's a balance between energy addition and  
22 break flow. And so you don't get a huge deluge but  
23 it's enough to turn that temperature over. So the  
24 accumulators are really controlling PCT here. So if  
25 anybody says accumulators are there for large breaks.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 No, small breaks. That's why they're there. That's  
2 why they're important.

3 I'm not going to bore you with the  
4 results, I just thought I'd show you a PCT plot. And  
5 there's 24 cells in the core, so the peak, the peak is  
6 in the top four cells. Temperature is around 1900  
7 degrees.

8 DR. BANERJEE: When do the accumulators  
9 kick in that?

10 DR. WARD: The accumulators kick in right  
11 about here and then they deliver enough flow and they  
12 turned it over right here. The accumulators are  
13 kicking in right about here.

14 MEMBER WALLIS: That's 5 or 6 hours.

15 DR. BANERJEE: And what are those two  
16 curves?

17 DR. WARD: Those are two different axial  
18 slices. This is cell 22. That's two cells from the  
19 top of the core. And this is cell 20. It's 24 cells  
20 in that. That's in the hot bundle. So if you want to  
21 capture the shape and the void distribution at two  
22 phase level, you really need -- I wanted to make sure  
23 we had enough detail in there to capture it.

24 DR. BANERJEE: These are the hottest  
25 areas?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WARD: This is the hot bundle. Right.  
2 The hottest bundle in the core and the hot rod with  
3 the 1400 kilowatts per foot approximately 2 or 3 feet  
4 from the top of that core.

5 Now remember this is Appendix K. This is  
6 20 percent more power than is really there. If we  
7 rerun this with 1.0 multiplier, this temperature is  
8 going to come down here. It's just like increasing  
9 the HPSI flow by 20 percent. That's huge. So it's a  
10 pretty big conservatism.

11 That's probably the conservatism.

12 And we can skip the next one. It's just  
13 another break size and it just shows you the  
14 accumulators are controlling PCT here.

15 I'm only going to mention this quick. If  
16 you look at those slides, you'll see a first peak  
17 here. There's an early CHF condition. Westinghouse  
18 didn't calculate it. I did. It's about 2000 degrees.  
19 And I'm not quite sure. We haven't really figured out  
20 what's causing it, but my suspicion it's a combination  
21 of two things. I'm assuming a reactor trip at the  
22 time you get -- I'm assuming a loss of offsite power  
23 at the same time you would get a reactor trip on a low  
24 pressure during that event. What that does is it says  
25 the -- start coasting down and I got about a 2 second

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 delay before rods go in, so I've got two to three  
2 seconds before the rods in far enough where I'm  
3 generating full power and I'm voiding that hot bundle,  
4 very quickly and rapidly, and I get a heat up.

5 MEMBER WALLIS: And you said Westinghouse  
6 didn't calculate them?

7 DR. WARD: They made the same assumption  
8 in their model tripping it at the same time and  
9 they're not getting a first peak.

10 DR. BANERJEE: They used NOTRUMP, right?

11 DR. WARD: They're using NOTRUMP, I'm  
12 using RELAP. Now, I've got a single hot bundle  
13 channel with cross flow.

14 DR. BANERJEE: How far into the transient  
15 is this?

16 DR. WARD: It's right at reactor trip.

17 MEMBER SIEBER: Two seconds.

18 DR. WARD: It's two seconds in. Once I  
19 get reactor trip --

20 MEMBER WALLIS: So it still meets the  
21 regulation?

22 DR. WARD: It meets the regulation. The  
23 bottom line is it's still below 22. I've never seen  
24 a first peak much over 2000. It's usually anywhere  
25 from 1400 to 2000 degrees. But I only mention it, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 know, we've been talking to each other. We want to get  
2 to the heart of it and figure out what -- there's  
3 probably differences in the model. It could be input.  
4 You know, I'm not sure. But I just wanted to mention  
5 it because it's there and however even if we're  
6 conservative in the resistance and the way we modeled  
7 it, it's still -- the PCT is still less than 2200.

8 DR. BANERJEE: Your model is a two fluid  
9 model whereas theirs in some form is always a mixture  
10 model of sorts?

11 DR. WARD: Yes. It's drip flux approach.

12 DR. BANERJEE: Yes. So you cannot decouple  
13 of the phases which you can?

14 DR. WARD: Right.

15 DR. BANERJEE: So they're bound to move --

16 DR. WARD: Right. Yes.

17 So anyway, what we'll do, we'll follow up  
18 with this. If it looks like we need to pursue this  
19 farther, then we will. But I think we probably, we'll  
20 be able to resolve this once we have the time to  
21 devote to it. More important things were long term  
22 cooling, operator actions and behavior.

23 Now what I'll do is get into the small  
24 break. And as I said, small breaks pressure can hang  
25 up 1 or 200 pounds for these tiny leaks for long

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 periods of time. And the pressure remains too high  
2 and you can't flush. So what do you do? You've got to  
3 reduce the pressure to low enough to flush it or cool  
4 down early enough and fast enough within your cool  
5 down tech spec limit and refill this thing and  
6 resubcool it.

7 And this was an open item identified in  
8 the SER, but we're very close to getting closed here.  
9 The licensee has done their calculations. I haven't  
10 seen them yet, but once I see them and I can see that  
11 they've got essentially the same response that I did,  
12 then that will be a closed door. But --

13 MEMBER WALLIS: This comes to the full  
14 Committee when it's all going to be sorted out?

15 DR. WARD: Yes. Yes.

16 MEMBER WALLIS: Yes?

17 DR. WARD: Yes, it should.

18 MEMBER WALLIS: Next week?

19 CHAIRMAN DENNING: That's next week.

20 DR. WARD: Yes, it should. They've got the  
21 calculations all finished, I just haven't seen them.  
22 I just want to -- I have convinced myself that this  
23 works. And I'm comfortable with it. I understand it,  
24 did the calculations.

25 MEMBER WALLIS: But it's up to them to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 show you.

2 DR. WARD: But it's up to them to do it  
3 and it's up to them to make sure that it works with  
4 their model. And they have said that they're getting  
5 the same response that I've got for these breaks.  
6 It's for the breaks they can't flush, the refilling  
7 for the bigger breaks, they're depressurizing and  
8 they're flushing the core.

9 DR. BANERJEE: Tell us the differences  
10 that were there before you started to rationalize it.  
11 What were you seeing and what were they seeing?

12 DR. WARD: Well, I wasn't seeing anything  
13 from them. I wanted them to do this. There wasn't any  
14 analysis of this at all. This was a question I had,  
15 hey, you guys got to look at small breaks, too,  
16 because you've either got to cool it down and flush it  
17 or you got to refill it. And I want to see those  
18 calculations. And they did that.

19 DR. BANERJEE: Okay.

20 MR. HARTZ: Yes. This is Josh Hartz of  
21 Westinghouse.

22 Dr. Ward did some hand calculations that  
23 cast some concern on the depressurization aspects  
24 under small break LOCA long term cooling. We have  
25 since gone off and done some runs in NOTRUMP space to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 demonstrate you can get down to a low pressure to the  
2 point where you can provide RHR flow to mitigate the  
3 boron precipitation here in a timely manner.

4 And also in speaking for Dr. Ward, he has  
5 since done RELAP calculations which basically show the  
6 same thing. And we're in the process of validating  
7 those calculations and they'll be done within the next  
8 few days, the official review of them.

9 DR. WARD: I'm going to show you the  
10 results of a 1, and a 2 and a 3 inch break in the cold  
11 leg. And you can boil for a while here.

12 This is RCS pressure versus time and you  
13 can see the smallest break here is the 1 inch break.  
14 It hangs up on a pressure plateau. That's because the  
15 break is not big enough to depressurize the system.  
16 You need heat removal through the generator. So a  
17 delta T will develop between the primary and the  
18 secondary. You are condensing steam here. You are  
19 refluxing. And it's holding the pressure above the  
20 secondary side, which is probably around 1100,  
21 somewhere, a 1000. At one hour open the atmospheric  
22 dump valves, cool this plant down. And cool down.  
23 And then at about a little over an hour and a half,  
24 maybe just under two hours, you can see this little  
25 blip there. And I should have blow this. I apologize.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 But what happens here is it refills. And if I plot the  
2 void fraction in the core, you will see it go up and  
3 it will go to zero right at this time.

4 Now, if I look at a little bigger break,  
5 a 2 inch break --

6 DR. BANERJEE: Is there any core uncovering  
7 during that refluxing?

8 DR. WARD: Yes. For the 2 inch -- it's in  
9 the short term. It's back. It's occurring back --  
10 well, it would occur back in here. Now remember that  
11 analysis that you saw for short term doesn't assume  
12 any cool down. So if you cool down, you've probably  
13 got to limit the amount of uncovering and it's recover  
14 fast. So the temperature is probably going to be a  
15 little lower.

16 But we're looking at boron precipitation  
17 and getting down here. And the procedure now says  
18 cool this plant down at an hour. And so what that  
19 does is the one inch refills at about 7,000 seconds.  
20 Just under 2 hours.

21 The 2 inch, and see I stopped it after  
22 refill. It refilled right here. So it's a little  
23 bigger break, take a little bit longer to refill. But  
24 it repressurized and it's resubcooled, void fraction  
25 went to zero right here in the core.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   And then I said let's run the 3 inch, what  
2 happens with that guy. And, of course, he  
3 depressurizes a little faster because the break's big  
4 enough to -- you get steam out the break and you  
5 depressurize real early. But that refills out here  
6 around 17,000 seconds. And you can see the void  
7 fraction in the core go to zero right about there.

8                   And if I look at a 4 inch or bigger, I'm  
9 down below 100 pounds in the real low pressure range  
10 where the high pressure pump is going to flush it.

11                  DR. BANERJEE: Then let me ask you  
12 something. You get significant periods of concurrent  
13 flow here, right?

14                  DR. WARD: Yes, that's right.

15                  DR. BANERJEE: In your opinion how does  
16 NOTRUMP calculate concurrent flow?

17                  DR. WARD: Well, it looks at the junction  
18 connected from the hot leg to the generator. And it  
19 looks at the steam flow going up and it says if the  
20 steam flow is greater than a JG that says no liquid  
21 goes down, then it doesn't allow liquid to go down.  
22 I think the drift velocity model is solved such that  
23 if you're in that flooded region, only steam goes up  
24 and no liquid will come out.

25                  DR. BANERJEE: Can you get counter

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 currents.

2 DR. WARD: Yes, you can. If the steam  
3 velocity is low enough, you can have -- for this  
4 transfer -- small breaks typically you don't see the  
5 water hold up for these 2 and 1 and 2 inch breaks  
6 because there's not enough steam flow. You're far out  
7 in time. There's a large area there. So there's just  
8 not enough of a flux to hold it up.

9 With these power uprates though, you asked  
10 a good question. You're starting to see higher steam  
11 rates. And they did see some hold up. And I saw that.  
12 We asked them hey, what happens if you don't hold it  
13 up, you let it drain out or carry it over. And Josh  
14 did some calculations where he let it drain it out.

15 If you let it drain out, then the core  
16 uncovers later and not as deep because it's in a lower  
17 decay heat span. Because the code was calculating  
18 some water hold up, once the core uncovered, you can  
19 see once it got down to about 50 percent, 60 percent  
20 uncover, the steam rate dropped off. The JG was too  
21 low and liquid started to drain out. What it did is it  
22 recovered the two phase level. But it turned out that  
23 the early uncover, even with that slight recovery,  
24 that's still worse than throwing it on the other side  
25 or letting it drain out. Because what it does is it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 throws the uncovering out farther in time when the decay  
2 heat is lower, so that's not as limiting.

3 MR. HARTZ: Yes. Plus there was a little  
4 bit of a extended period of two phase low quality  
5 mixture coming out the break in the cold leg there,  
6 which tended to drive mass loss up.

7 DR. WARD: Okay.

8 DR. BANERJEE: And RELAP5 isn't great at  
9 this flooding calculation either. Because, you know,  
10 the problem -- we can discuss it off line.

11 DR. WARD: Okay.

12 DR. BANERJEE: But it's long known that  
13 the interfacial drag correlation has difficulties in  
14 this region.

15 DR. WARD: Yes. Could be.

16 DR. BANERJEE: Way back --

17 DR. WARD: Yes.

18 So what this really says is it really  
19 emphasizes operator action. I mean to control boric  
20 acid you have to cool -- in order for this refill to  
21 occur, you have to initiate a cool down at an hour.  
22 And the licensee has agreed to emphasize or make sure  
23 that it says start your cool down no later than an  
24 hour. Because it's important to depressurize and get  
25 the pressure down and flush it as early as -- you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 don't want to sit there boiling for long period of  
2 time because if you did, let's say a dump valve failed  
3 -- and that analysis I did I'm going to point out  
4 there are four dump valves. I failed one of them and  
5 I failed the HPSI part; that's a multiple failure  
6 event and it still worked.

7           What this says is that they need to be  
8 very aware of there are other depressurization  
9 capabilities. And they have to PORVs as a backup.  
10 Plus four dump valves. There's one on each generator  
11 and then there's a common one on the main steamline  
12 for both units. And they're a huge capacity.

13           So really what this says is the EOP  
14 guidance is really important and the equipment you use  
15 to cool down. And make sure that you can control  
16 boric acid for small breaks is important. And all  
17 they need to know is when the break opened and they  
18 switched to simultaneous injection at 6 hours, that's  
19 all they need to know about. But they need for small  
20 breaks to be successful, you need to cool down no  
21 later than an hour. If you're going to wait longer  
22 then -- the scenario is going to change. The other  
23 thing is you don't also caution -- there's going to be  
24 a caution in there, I think this is part of their  
25 training program. And if your boiling for extended

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 period of time, let's say you're out eight to ten  
2 hours. And since the pressure in those cases is up  
3 pretty high, the precipitation limit is up like 50  
4 percent. So the 6 hour doesn't apply. I can sit there  
5 and boil for a while. But you don't want to do that  
6 because if you get power back, you don't want the  
7 operators crashing the pressure down when you've got  
8 40 weight percent in the system. So it's important to  
9 cool down and get this thing refilled and flushed as  
10 early as possible.

11 And the calculations show that you can do  
12 that. Even with a multiple failure event you can do  
13 it. At least I'm convinced of it. And I think Josh  
14 and Westinghouse has done the calculations to also  
15 show that.

16 So the EOP, this review had done a couple  
17 of things. It's identified a worse break. We got rid  
18 of the integer break spectrum.

19 They were assuming all the loop blown.  
20 Now that's not their approved model. Had them rerun it  
21 again with only assuming the broken loop seal clears,  
22 and that's what we approved. And they did in order to  
23 compensate for the very high PCTs. Probably PCTs over  
24 2200, they increased the accumulator pressure to 625  
25 to keep it down around 1900. So from a safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 standpoint, that's a good thing to do. Now they'd  
2 already increased the HPSI flow 5 percent. That's also  
3 from a safety standpoint a good thing to do.

4 But then the Staff calculations on boric  
5 acid precipitation for small breaks also enabled us to  
6 emphasize the need for the EOPs and have the operators  
7 cool this thing down no later than an hour and be very  
8 sensitive to the depressurization equipment that they  
9 have. And not to inadvertently depressurize the  
10 system if you for some reason boil for 8 to 10 hours.  
11 And even if you're up there around 100 pounds to 200  
12 pounds pressure, boiling for 10 or 15 hours, it's in  
13 solution. You've got 55 weight percent for probably  
14 a limit. But your accumulating too much boil. You  
15 don't want to sit there too long. The emphasis is get  
16 the thing down and get it refilled.

17 CHAIRMAN DENNING: I'm missing as far as  
18 whether you made recommendations for EOP actions that  
19 haven't really been implemented yet relative to this  
20 timing of cool down?

21 DR. WARD: Right. The vendor needs to EOP  
22 guidance that's consistent with their analyses that  
23 shows in order to refill the system for these small  
24 breaks, you need to initiate a cool down no later than  
25 an hour. Don't boil for long periods of time because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you can get --

2 CHAIRMAN DENNING: You say "initiate a  
3 cool down." Where do you have to be when?

4 DR. WARD: Well, you start -- remember I  
5 showed you the calculation. Right here. One hour.

6 This analysis, the refill for these breaks  
7 and you flush this. It's based on cooling down at one  
8 hour. If you come out here, I mean you're going to be  
9 boiling for a longer time, you're going to build up  
10 more boron. It's probably not a good thing to sit  
11 there boiling for a long time building up a lot of  
12 boron because you put yourself in a situation where if  
13 you get power back out here and then you decide to  
14 open the turbine bypass and crash -- let's say you  
15 could crash the pressure down, you could cause a  
16 precipitation. You don't want that to happen.

17 You want to cool it down. Start the cool  
18 down early and get it refilled and disperse the boron  
19 so you don't have these large amounts of boron in the  
20 system.

21 MR. HARTZ: This Josh Hartz from  
22 Westinghouse again.

23 The way the EOP guidance is currently  
24 written this would occur. In fact, it would occur  
25 sooner than that. What Len's analysis is showing that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 if you start to cool down at one hour, the boron  
2 precipitation concern as analyzed here really isn't a  
3 concern.

4 Estimates from the Operations folks show  
5 that this cool down would actually start somewhere  
6 between 30 to 40 minutes into the transient. And  
7 that's the way the guidance is currently.

8 And Pete with his Operations experience  
9 can maybe add something to this.

10 MR. SENA: Yes. This is Pete Sena. We ran  
11 the Operations crews both units through simulated  
12 small break scenarios, various spectrums of small  
13 breaks, using existing EOP guidelines. And the crews  
14 were able to initiate the cool down with the existing  
15 network within 30 minutes.

16 I personally ran it and with one signal  
17 operator, assuming one operator was incapacitated. And  
18 the cool down was initiated within 24 minutes.

19 So with existing guidelines we can satisfy  
20 the one hour requirement that Len has identified.

21 DR. WARD: A couple of other things here,  
22 too, I'd just like to add.

23 There's some other depressurization  
24 mechanisms that we didn't even account for. And one  
25 would be using pressurization ox spray if the power

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 operator relief valves on the pressurizer were not  
2 available. We did not credit that.

3 And also for these smaller breaks which  
4 don't depressurize, like I discussed earlier you do go  
5 through a single and two phase natural circulation  
6 period. Typically for these breaks that's on the  
7 order of anywhere from 1,000 to 2,000 seconds. During  
8 that time frame everything within the reactor coolant  
9 system is homogenous. And so these boil off  
10 calculations would really start after that mechanism  
11 breaks down.

12 We assume that that starts at time equal  
13 zero. And so if the calculations has truly took that  
14 into account, the actual hot leg switchover time would  
15 be extended well beyond what is being calculated here,  
16 not accounting for that.

17 DR. BANERJEE: But the RELAP5 calculations  
18 automatically should take natural circulation and  
19 break down of natural circulation into account.

20 DR. WARD: They did. They did. They have  
21 that in there. That's built it. That's built it.

22 DR. BANERJEE: So I mean that's  
23 automatically taken --

24 MR. LASH: Yes, it's in there.

25 DR. BANERJEE: --into account then.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WARD: Right. You're right. That's  
2 correct.

3 MR. HARTZ:

4 Well, they do for the depressurization aspects,  
5 but for the boric acid precipitation calculations they  
6 do not because it's a different model.

7 DR. WARD: Yes, that's a different model.

8 DR. BANERJEE: But you could incorporate  
9 boric acid into your -- as a scale of field, right?

10 DR. WARD: You could. And then you get  
11 diffusion problems. You know, you got to make sure  
12 that -- all over these cells.

13 DR. BANERJEE: Because of your --

14 DR. WARD: Because of the first order --  
15 difference on the --

16 DR. BANERJEE: On the cells.

17 DR. WARD: You know, so I got to go  
18 through and got to do a third order and then I got to  
19 a put -- boy, that's a pain in the you know what.

20 DR. BANERJEE: Yes. So the scale equation  
21 would have to be solved --

22 DR. WARD: That's right. That's right.  
23 Right.

24 CHAIRMAN DENNING: You done?

25 DR. WARD: Yes, I'm done. So I guess I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 don't -- unless you have any questions.

2 CHAIRMAN DENNING: Thank you.

3 DR. WARD: Looks fine.

4 DR. BANERJEE: You do that in any case,  
5 you know.

6 DR. WARD: Yes.

7 DR. BANERJEE: You could with a lot of  
8 these issues?

9 DR. WARD: I could, yes.

10 DR. BANERJEE: It's not such a big deal.

11 CHAIRMAN DENNING: And now we're going to  
12 have a discussion of containment from NRR.

13 To the extent that there is some  
14 repetition, go quickly.

15 MR. LOBEL: Yes, there's a lot of  
16 repetition.

17 Good afternoon. My name is Richard Lobel.  
18 I'm a senior reactor systems engineering in the Office  
19 of Nuclear Reactor Regulation. I'm here today to  
20 discuss the Staff review of the FENOC proposal to  
21 convert the Beaver Valley Unit 1 and Unit 2  
22 containments from sub-atmospheric to atmospheric  
23 containment designs.

24 The licensee performed the analyses to  
25 support the containment conversion at extend power

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 uprate conditions. So the Staff's review of their  
2 containment conversion also serves as the review of  
3 the extended power uprate.

4 A lot of what I was going to say has  
5 already been discussed, so I'll try to go through it  
6 or skip parts of it.

7 Next. Okay.

8 February 6, 2006 there was an NRC letter  
9 to FENOC that approved the conversion of the Beaver  
10 Valley Unit 1 and Unit 2 containments from sub-  
11 atmospheric to atmospheric. And as part of that  
12 proposal, part of the original proposal the licensee  
13 included consideration of extended power uprate and  
14 the Unit 1 steam generator replacement. Also the  
15 licensee used the new analysis method, MAAAP-DBA.

16 Next slide.

17 Beaver Valley units aren't the first power  
18 plants to convert from a sub-atmospheric to an  
19 atmospheric containment. Millstone Unit 3 is a 4 loop  
20 Westinghouse designed reactor that was originally  
21 licensed as a sub-atmospheric containment in 1986 and  
22 in 1990 the licensee for Millstone proposed converting  
23 from a sub-atmospheric containment to a higher  
24 pressure but still with a vacuum, but the design basis  
25 was changed to that of an atmospheric containment,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 which is pretty much what Beaver Valley has done. And  
2 the staff approved the Millstone Unit 3 proposal in  
3 January of 1991.

4 I think I'll skip this one. The licensee  
5 already talked about the pressure ranges, that they're  
6 increasing the pressure in the containment but it'll  
7 still be operated from 12.8 psia to a very slight  
8 vacuum. The licensee added a lower temperature limit  
9 in the tech specs also that limits the mass of air in  
10 the containment for a given pressure that's important  
11 for the pressurization calculations.

12 Next slide. Let me just say that this is  
13 the sub-atmospheric containment design bases which  
14 were the design bases for the Beaver Valley  
15 containments before the conversion. And the design  
16 bases that are italicized are the ones that changed.

17 For sub-atmospheric containment the  
18 requirement is to depressurize after a LOCA in one  
19 hour and once depressurized to stay sub-atmospheric  
20 for the rest of the accident. And that has a direct  
21 impact on the dose calculations once the reactor is  
22 depressurized again, they don't have to assume leakage  
23 from the containment for dose calculations.

24 For the atmospheric containment design,  
25 the other design bases remained the same, but the ones

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 of concern, the sub-atmospheric containment, were  
2 replaced by one that says that the containment  
3 pressure should be less than 50 percent of the peak  
4 within 24 hours. And the reason for that is that  
5 helps in the dose calculations because when the  
6 pressure is less than 50 percent, the guidance for  
7 dose calculations states that the containment leakage  
8 can be reduced by half after 24 hours.

9 CHAIRMAN DENNING: What do you mean  
10 "minimum containment pressure greater than 8 psia."  
11 It's just at that initial time when they need credit?

12 MR. LOBEL: For the atmospheric  
13 containment -- no, they calculate a peak pressure and  
14 then they demonstrate that within 24 hours the  
15 pressure is reduced to 50 percent of that peak  
16 pressure.

17 CHAIRMAN DENNING: Your fifth bullet right  
18 there.

19 MR. LOBEL: Oh, that's really a  
20 requirement for reverse pressure on the containment  
21 that the pressure on the outside of the containment  
22 could be larger than the pressure inside the  
23 containment. And --

24 MEMBER WALLIS: Is it collapsing the  
25 containment you're worried about?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LOBEL: Yes. And there's a structural  
2 requirement for that. And that's demonstrated by  
3 assuming an inadvertent actuation of the containment  
4 sprays and that the pressure won't go down below 8  
5 psia.

6 CHAIRMAN DENNING: But clearly you'd have  
7 to lose an awful lot of air for that to happen in this  
8 containment?

9 MR. LOBEL: Well, you start with a low  
10 pressure and then you make very conservative  
11 assumptions about the temperature of the sprays and  
12 that kind of thing.

13 CHAIRMAN DENNING: Okay.

14 MR. LOBEL: It's a very conservative hand  
15 calculation.

16 The large break LOCA I think you've pretty  
17 much gone through, or the licensee pretty much went  
18 through with that. Let me just say that the  
19 calculations for the mass and energy release were done  
20 with NRC approved Westinghouse methods for less than  
21 one hour. For greater than one hour the mass release  
22 was calculated with the same NRC approved Westinghouse  
23 methods. The energy was calculated with the MAAP-DBA  
24 code.

25 We had some questions about separating the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 calculation of the mass and the energy between two  
2 separate codes. So Veronica Klein, who is still here,  
3 did some calculations for us with the RELAP code that  
4 essentially verified that we got almost the same  
5 results the licensee did with separating the two  
6 calculations. And so we found that their approach was  
7 satisfactory.

8 You've already seen the LOCA results. I  
9 won't go through that again.

10 For the main steamline break, the mass and  
11 energy release calculations were done with  
12 Westinghouse approved methods. The licensee modeled  
13 the replacement steam generators, the cavitating  
14 ventureries. Since it's difficult to tell what size  
15 break and what power level they're limiting for main  
16 steamline break, the licensee did a spectrum of breaks  
17 and power levels. And made conservative assumptions,  
18 the -- failure and other conditions that maximize the  
19 inventory in the steam generator and the stored energy  
20 in the steam generator.

21 One of the important parameters from the  
22 main steamline break calculation is the liner  
23 temperature. The LOCA gives the peak containment  
24 pressure, the main steamline break is the highest  
25 temperature. The acceptance criterion for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 containment liner was 280 degree. And the licensee  
2 calculated temperatures lower than that with  
3 conservative assumptions. For instance, the heat  
4 transfer coefficient between the containment  
5 atmosphere and the liner was multiplied by a factor of  
6 4 that's consistent with the Standard Review Plan.

7 Now for over pressure and NPSH. The  
8 Standard Review Plan Section 6.2.2 for sub-atmospheric  
9 containment allows credit for containment accident  
10 pressure for available NPSH during the injection phase  
11 of the LOCA. At the pre EPU power level for the sub-  
12 atmospheric containment Beaver Valley Unit 1 credits  
13 containment accident pressure calculating the  
14 available NPSH for the recirculation spray pumps and  
15 the low head injection pumps. And this was part of the  
16 original licensing bases.

17 At the pre-EPI power level in the sub-  
18 atmospheric containment Unit 2 doesn't credit  
19 containment accident pressure. At the extended power  
20 uprate conditions conversion on the atmospheric  
21 containment, the containment accident pressure is  
22 credited for Unit 1 for the recirculation spray pumps  
23 not for the low head safety injection pumps. That's  
24 based on changing the timing of the actuation of the  
25 low head safety injection pumps.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Unit 2 at extended power uprate with the  
2                   containment conversion still doesn't need credit for  
3                   containment accident pressure.

4                   Let me see. I think they went through the  
5                   basic reasons. Basically for Unit 1 the recirculation  
6                   spray pumps start at a time when the level in the sump  
7                   is still relatively low and the temperature of the  
8                   sump water is relatively high and due to the placement  
9                   of the pumps in Beaver Valley 1, that's what requires  
10                  credit for containment pressure. And we queried the  
11                  licensee about what would happen if you did a  
12                  realistic calculation and not a conservative  
13                  calculation. And they say that due to those factors  
14                  they would still need credit for containment accident  
15                  pressure.

16                  CHAIRMAN DENNING: I wasn't sure I heard  
17                  that earlier. Is that basically the position of  
18                  Beaver Valley that for realistic calculation with  
19                  uncertainties, not suggesting that you would do that,  
20                  but is that your feeling that -- did you hear that  
21                  fifth bullet?

22                  MR. LOBEL: We asked that question in a  
23                  formal RAI.

24                  CHAIRMAN DENNING: In a RAI. So it get a  
25                  formal answer.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: Ken Frederick.

2 In looking at a better estimate analysis  
3 the parameters that we can vary towards more best  
4 estimate do not directly impact the sump temperature  
5 to a degree where we could get rid of the requirement  
6 for containment over pressure. There is some benefit  
7 there, but it's not enough to get rid of the  
8 requirement.

9 CHAIRMAN DENNING: Thank you.

10 MR. LOBEL: Next.

11 This is similar to the curve that was  
12 shown before, and it's a curve for the worst case of  
13 the containment pressure actually in terms of  
14 overpressure versus the pressure that's required for  
15 adequate NPSH for the inside and outside recirculation  
16 spray pumps.

17 Again, this is in terms of overpressure so  
18 you're looking at their definition of overpressure  
19 which is the calculated containment pressure above the  
20 initial containment pressure.

21 And you can see that this is for the first  
22 case, that they don't need the credit for a very long  
23 time and there is margin to a conservatively  
24 calculated containment pressure.

25 The difference between the peak pressure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in this case and the minimum pressure is really less  
2 than it was last time I was here talking about Vermont  
3 Yankee. There was a lot larger difference. But the  
4 licensee submittal was very good with respect to  
5 talking about the input parameters that went into this  
6 and sensitivity studies they did. And there's a table  
7 in the Jun 2, 2004 letter, it's table 4.3 where they  
8 have a list of the significant variables and  
9 sensitivities that they've determined for the  
10 different cases and for NPSH they assumed values that  
11 were in the most adverse direction for calculating  
12 NPSH.

13 So judging from that, we're convinced that  
14 the calculation is conservative for a minimum  
15 pressure.

16 The next curve you've also seen before,  
17 and I think that had a pretty good explanation so I  
18 won't go through that again. But, again, I think the  
19 important point is in terms of containment integrity.  
20 For the largest assumed hole between the inside and  
21 the outside of containment, the largest penetration  
22 that connects the inside atmosphere to the outside  
23 atmosphere if I assume that that's open, I still  
24 maintain some NPSH margin.

25 Next slide.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   There is a 1977 report which was submitted  
2                   to the NRC where there was some testing of a  
3                   recirculation spray pump for North Anna Unit 2. You  
4                   saw the NPSH curves for it before. And the central  
5                   point, again, was that this pump was tested in  
6                   cavitation at different levels and then run for half  
7                   an hour at a significant amount of cavitation well  
8                   below the 3 percent usual required NPSH value. And  
9                   there was essentially no wear and no damage to the  
10                  pump.

11                  So in conclusion for this part, the Staff  
12                  accepted the licensee's proposed credit for  
13                  containment accident pressure in defining available  
14                  NPSH for the recirculation spray pumps based on  
15                  several reasons.

16                  First, containment integrity is assumed  
17                  for postulated designed bases accident, in particular  
18                  as I've said before here, Appendix K permits the use  
19                  of conservatively minimized containment pressure in  
20                  determining peak cladding temperature and oxidation  
21                  limits. And also offsite and control room dose  
22                  calculations assumed containment leakage at -- which  
23                  is a very large leakage value of containment that's  
24                  specified in the technical specifications. And that  
25                  low leakage rate also assumes containment integrity.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           Furthermore, the licensee's study shows,  
2           as I just said, that for the largest penetration  
3           directly connecting the inside of containment to the  
4           outside of containment, that there would still be  
5           sufficient NPSH margin.

6           The Beaver Valley containment pressure  
7           during normal operation would be slightly sub-  
8           atmospheric. That's a tech spec requirement. And  
9           therefore, any significant leakage in containment  
10          should be detected.

11          Also credit for containment accident  
12          pressure is applied for a relatively short time in the  
13          case of Beaver Valley. And as I just said, also the  
14          Beaver Valley pump tests that demonstrated that the  
15          pumps can operate with some level of cavitation for a  
16          longer time than they would need to according to these  
17          conservative calculations without experiencing any  
18          damage or wear.

19          And finally, there's no impact on the  
20          emergency operating procedures of crediting  
21          containment accident pressure.

22          MEMBER MAYNARD: I would agree with a  
23          caveat that containment operating at a vacuum doesn't  
24          always guarantee that there's no leak path when it's  
25          pressurized. But I do agree with the overall

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 conclusion.

2 MR. LOBEL: It's sort of like the argument  
3 that I was making for Vermont Yankee, which was an  
4 inerted containment. That it's just another factor.

5 MEMBER MAYNARD: Yes.

6 MR. LOBEL: And it depends on the size of  
7 the hole.

8 MEMBER MAYNARD: And the characteristic.  
9 A check valve will stop flow one way but not another  
10 way.

11 MR. LOBEL: Right.

12 MEMBER MAYNARD: A minor thing.

13 MR. LOBEL: Right.

14 MEMBER MAYNARD: Not a direct correlation.

15 MR. LOBEL: I think part of this review  
16 was actually the review of the MAAP-DBA code. The  
17 licensee actually made a presentation to ACRS to the  
18 Thermal-Hydraulic Phenomena Subcommittee back in  
19 November of 2001. And since then the Staff and the  
20 licensee have had an interaction talking about the  
21 various proposed models in the code. The licensee  
22 submitted a description of MAAP-DBA in November of  
23 2003 in a letter to the NRC. And there's another  
24 description of the code in the licensee's containment  
25 conversion submittal.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: When we saw, we had a lot  
2 of questions, didn't we?

3 MR. LOBEL: Right. There --

4 MEMBER WALLIS: We were expecting to see  
5 it again.

6 MR. LOBEL: There was some good questions  
7 that were asked. That version was called MAAP5. And  
8 the licensee revised the code based on the review that  
9 we did to MAAP-DBA where MAAP-DBA is more in line with  
10 the Standard Review Plan. MAAP5 had a lot of -- not  
11 a lot. Had some moderates that were kind of unique to  
12 containment analysis at the time. And as we went  
13 through the review process, we ended up with MAAP-DBA.

14 I really have a longer presentation on  
15 MAAP-DBA, but given the time constraints, I wasn't  
16 going to do very much. Of course, if you'd like to see  
17 more. I can't speak for the licensee, but we can come  
18 back, the Staff can come back and talk about it in  
19 more detail.

20 DR. BANERJEE: Can I just ask a couple of  
21 things about it.

22 MR. LOBEL: Sure.

23 DR. BANERJEE: Do you have some  
24 experiments against which it's been validated?

25 MR. LOBEL: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: That's one.

2 MR. LOBEL: Separate tests and integral  
3 containment experiments.

4 DR. BANERJEE: And any other codes against  
5 which it has been compared?

6 MR. LOBEL: The licensee made comparisons  
7 and got pretty close agreement with GOTHIC6. GOTHIC  
8 is kind of getting to be kind of the industry standard  
9 for CONTAIN code. Are you familiar with GOTHIC at all?  
10 GOTHIC was developed by EPRI.

11 DR. BANERJEE: Yes.

12 MR. LOBEL: Developed for EPRI by  
13 Numerical Occupations, Incorporated. And it's an  
14 Appendix B code. It's subject to Part 23. And EPRI  
15 for ever new version that makes a significant version,  
16 basically the whole validation process in a lot more  
17 detail than vendors usually do for these kinds of  
18 things. They compare with a lot more data.

19 Most of the data that Beaver Valley used  
20 for the MAAP code was International Standard Problems.  
21 There's a German decommissioned reactor, HDR, that had  
22 a couple of standard problems. And some very old data  
23 that's still useful from a decommissioned reactor and  
24 the reactor in this country, CVTR that they compared  
25 with. And the comparisons were good.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: This is the spray and all  
2 this sort of stuff?

3 MR. LOBEL: Right. With spray and without  
4 spray. There are some separate effects tests that  
5 were done with some Canadian data where there is, I  
6 believe, one nozzle on a five nozzle spray test in a  
7 steel vessel. But the first test was without the  
8 spray. So the licensee compared with the data without  
9 the spray and with the one nozzle and the five  
10 nozzles.

11 And also for some Japanese data, they did  
12 comparisons against data -- I'm trying to remember now  
13 if they did -- the Japanese tests were done with a  
14 single nozzle and with multiple nozzles. And the  
15 advantage of the single nozzle test was that the spray  
16 didn't touch the walls of the vessels. So it was  
17 strictly an interaction of the spray with the  
18 atmosphere without the effects of the walls and  
19 condensation and impacted the spray --

20 DR. BANERJEE: Has the NRC Staff had a  
21 chance to use this code and compare it with some  
22 experiment which it hasn't been validated against?

23 MR. LOBEL: Use the MAAP code? No. No,  
24 we haven't.

25 DR. BANERJEE: You don't have access to it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to compare it with anything?

2 MR. LOBEL: Really didn't ask for access  
3 to it.

4 DR. BANERJEE: Okay. In other words, I'm  
5 always sort of worried that codes can be validated  
6 against data but once they're frozen and you compare  
7 them to a new set of data, they may not work so well.

8 MR. LOBEL: Well, back in the days when we  
9 were reviewing MAAP5 we did pretty extensive  
10 calculations to compare with MAAP5 using our CONTAIN  
11 code. We didn't use the MAAP code, but we used the  
12 CONTAIN code. And our Office of Research was involve  
13 din that review. And at a certain point in that  
14 review we decided when the licensee came in with MAAP-  
15 DBA, we decided that based on the changes that were  
16 made from MAAP5 to MAAP-DBA, that MAAP-DBA pretty  
17 closely followed the Standard Review Plan, the Tagami  
18 Uchida correlations and the same type of heat transfer  
19 correlations that are used in the CONTAIN code. And  
20 we made the decision that we didn't need to do anymore  
21 audit calculations.

22 DR. BANERJEE: Do you have any code  
23 available to you to do an independent audit?

24 MR. LOBEL: We have the CONTAIN code. Like  
25 I say, we used the CONTAIN code for the MAAP5 review.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 We also have the GOTHIC code. We have--

2 DR. BANERJEE: GOTHIC6?

3 MR. LOBEL: Well, GOTHIC6 is what the  
4 licensee compared with. We have GOTHIC7.2, which is  
5 a later version. The latest version, I believe. So we  
6 have that code available to us also.

7 CHAIRMAN DENNING: To what extent is this  
8 operated in a best estimate versus a licensing kind of  
9 mode, isn't it? Don't you typically use it in a mode  
10 in which, depending upon whether you're looking for  
11 high containment pressure or low containment pressure  
12 and stuff like that, it's --

13 MR. LOBEL: Are you talking about MAAP?

14 CHAIRMAN DENNING: MAAP-DBA, the way it's  
15 used.

16 MR. LOBEL: A lot of the conservatism I  
17 think comes from the assumptions that are made, the  
18 input that's made. So you --

19 CHAIRMAN DENNING: Like Tagami Uchida I've  
20 always thought that those were very conservative  
21 correlations.

22 MR. LOBEL: Yes. Yes, they are. There's  
23 some disagreement about how conservative in comparing  
24 the data. But the Staff has always accepted those on  
25 the basis that they're conservative.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: They're conservative in  
2 what way?

3 CHAIRMAN DENNING: Node.

4 MR. LOBEL: But-- but -- but MAAP has  
5 other heat transfer correlations that they use. For  
6 MAAP, MAAP is used for single node and multiple node  
7 calculations. For the single node calculations which  
8 they used for the peak pressure and temperature and  
9 those things, they're done, it's Tagami and Uchida  
10 because the basis of deriving Tagami and Uchida was a  
11 single volume experiment. For the multiple node  
12 different heat transfer correlations are used that are  
13 more best estimate.

14 But then like I was showing for the case  
15 of the liner temperature, you know you can bias the  
16 results to either give a high heat transfer, a low  
17 heat transfer, high pressure, low pressure.

18 DR. BANERJEE: Perhaps the concern is that  
19 this core is being used in sort of an inverse way.  
20 Usually you are trying to be conservative with regard  
21 to how high the pressure is. I mean, most coded are  
22 tuned to do that. Now you're trying to be conservative  
23 with regard to how low the pressure can be.

24 MR. LOBEL: It's really just a function of  
25 the input. For instance, if I'm trying to predict a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 low pressure, I --

2 DR. BANERJEE: Lower limit?

3 MR. LOBEL: Lower limit.

4 DR. BANERJEE: Yes.

5 MR. LOBEL: Lower limit, a lower bound on  
6 the pressure, I'll assume that the containment  
7 starting pressure is low. If I were doing a peak  
8 pressure calculation, I would assume that the starting  
9 pressure is high.

10 MEMBER WALLIS: But how about the heat  
11 transfer coefficients?

12 MR. LOBEL: The heat transfer  
13 coefficients--

14 MEMBER WALLIS: Are they conservative one  
15 way or the other way?

16 MR. LOBEL: Right. Right. That would be  
17 another one.

18 MEMBER WALLIS: Which way are they?

19 MR. LOBEL: Well, for peak pressure --

20 MEMBER WALLIS: You'd use those?

21 MR. LOBEL: -- you would want to minimize  
22 the --

23 MEMBER WALLIS: Right.

24 MR. LOBEL: -- heat transfer. They say  
25 like for the peak pressure you want to minimize the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 heat transfer coefficient.

2 MEMBER WALLIS: Right.

3 MR. LOBEL: For the minimum pressure you  
4 try to maximize.

5 MEMBER WALLIS: Well how do you do that?

6 MR. LOBEL: How do you do that? Well, you  
7 can do it in several ways. You can minimize the heat  
8 transfer --

9 MEMBER WALLIS: You can make it zero. You  
10 can make the heat transfer coefficient zero.

11 MR. LOBEL: You could --

12 DR. BANERJEE: You could not do it in  
13 infinity --

14 MR. LOBEL: That's what the BWRs do.

15 MEMBER WALLIS: Right.

16 MR. LOBEL: They look at zero.

17 DR. BANERJEE: But you can't make  
18 infinity?

19 MR. LOBEL: Well, I --

20 DR. BANERJEE: Or can you?

21 MR. LOBEL: I haven't done the  
22 calculations, but I imagine there's probably a point  
23 of diminishing returns where it doesn't matter  
24 anymore.

25 DR. BANERJEE: Well, if the energy goes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 through --

2 MR. LOBEL: Perhaps others can elaborate.

3 DR. BANERJEE: -- the containment. I mean,  
4 is it the conduction losses of --

5 MR. LOBEL: But that's pretty minimal the  
6 time we're talking about. The containment is a pretty  
7 stiff concrete structure. That's not a major concern.

8 DR. BANERJEE: So if it soaks up all the  
9 heat, the containment, then what happens?

10 MEMBER WALLIS: Limited by conduction into  
11 the wall.

12 DR. BANERJEE: Yes. Is the conduction  
13 limited then or is it convection limited, the heat  
14 transfer?

15 MR. LOBEL: Are we talking about peak or  
16 minimum or --

17 DR. BANERJEE: We're trying to establish  
18 a minimum pressure curve.

19 MR. LOBEL: Okay.

20 DR. BANERJEE: So if heat is now conducted  
21 into the wall of the containment --

22 MR. LOBEL: Right.

23 DR. BANERJEE: -- and we assume the  
24 containment is extremely well mixed, then the only  
25 resistance would be the conduction heat transfer. We

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can do a hand calculation, correct?

2 MR. LOBEL: Well, the big impact isn't the  
3 conduction into the containment. It would be the  
4 sprays. And especially --

5 DR. BANERJEE: Well, you turn that off,  
6 that heat transfer to get a minimum, right? Or is  
7 that--

8 MR. LOBEL: To get a minimum pressure?  
9 No, that's how --

10 DR. BANERJEE: Sorry. You want it all  
11 into the spray?

12 MR. LOBEL: Right. Right. The Standard  
13 Review Plan says for the LOCA analysis where you  
14 calculate a minimum pressure that all systems that can  
15 reduce the pressure have to be assumed to be operating  
16 and --

17 MEMBER WALLIS: To spray, the pumps have  
18 to work, so these --

19 MR. LOBEL: Fan coolers, containment  
20 sprays, maximizing the heat transfer to the  
21 structures.

22 DR. BANERJEE: Right. One would have to  
23 look through this and write down all the assumptions--

24 MEMBER WALLIS: That's what they did?

25 MR. LOBEL: Yes. Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: This is Ken Frederick.

2 MR. LOBEL: And that's in the table 4.3  
3 that I was referring to before. If you want to look  
4 at that, But that lists two pages, that list of  
5 variables.

6 DR. BANERJEE: So if you now compare the  
7 code with the data, it always under predicts the data  
8 then?

9 MR. LOBEL: Well, when they do the --

10 DR. BANERJEE: It has to.

11 MR. LOBEL: -- calculations for data,  
12 they're trying to do a best estimate calculation  
13 because presumably that's what the data is. It's the  
14 best estimate.

15 DR. BANERJEE: But if you make  
16 corresponding assumptions that you did for these  
17 calculations with the data --

18 MR. LOBEL: If I made -- well, there are  
19 some studies that were done by the Staff. The Office  
20 of Research published some reports. We in NRR asked  
21 Research to look at the CONTAIN code and make some  
22 recommendations of how to use the CONTAIN code as a  
23 design bases code. And they went through and did sort  
24 of what you're talking about in those reports. They  
25 compared with data and then they made different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 assumptions to show that they would be above or below  
2 the data or how it impacted comparisons for the data.  
3 And I can give you those references, if you want.

4 DR. BANERJEE: So there is a set of  
5 comparisons with CONTAIN at least --

6 MR. LOBEL: Right. Right.

7 DR. BANERJEE: -- with the data where they  
8 always under predict the data given a certain set of  
9 assumptions?

10 MR. LOBEL: Well, I don't want to over  
11 sell it. I think I want to stick with what I said that  
12 just they compared with data and then did some  
13 sensitivities to see how different parameters effected  
14 the results. They weren't trying to do -- you know,  
15 minimize, get a lower bound compared to the data. But  
16 it's done primarily with codes like GOTHIC and MAAP  
17 and even CONTAIN is the assumptions you make on the  
18 input more than the models that are in the code  
19 itself.

20 MR. FREDERICK: I just want to add  
21 something here. This is Ken Frederick.

22 In terms of the multiple node analyzes  
23 which we were using for NPSH and over pressure  
24 calculations, that typically uses a natural convection  
25 coefficient. And as part of our sensitivity studies we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 did multiples by that. WE increased it by a factor of  
2 4 or 5. And we don't see a whole lot of change based  
3 on that.

4 And one thing that becomes limiting for  
5 most of the heat sinks is conduction through paint and  
6 coatings actually become more limiting than the  
7 convection on the surface. So that's why it doesn't  
8 have a dramatic impact on the results.

9 DR. BANERJEE: So the limiting phenomena  
10 are conduction to structures in terms of --

11 MR. FREDERICK: For structures that are  
12 painted, yes.

13 DR. BANERJEE: So the --

14 MR. LOBEL: No. I think you have to  
15 understand what he was saying. For the structures,  
16 the paint is limiting.

17 DR. BANERJEE: Yes.

18 MR. LOBEL: But in terms of what minimizes  
19 the pressure, I don't think you would say it's the  
20 structure.

21 MR. FREDERICK: No. It's been effected by  
22 the heat transfer coefficient to a degree.

23 MR. LOBEL: Yes.

24 MR. FREDERICK: But you reach a point  
25 where it doesn't make any difference because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 conduction becomes limiting.

2 MEMBER WALLIS: So the sprays dominant in  
3 this circle, where if they work it means the pumps  
4 working and therefore everything is okay. So it's, you  
5 know, a self-correcting situation.

6 MR. FREDERICK: Right.

7 MEMBER WALLIS: That probably dominates  
8 everything.

9 DR. BANERJEE: Does the spray dominate  
10 everything?

11 MR. FREDERICK: Yes. Once the sprays come  
12 on, the heat transfer to the structures is relative  
13 unimportant because the sprays control the pressure.

14 MR. LOBEL: Especially for a plant like  
15 Beaver Valley that was sub-atmospheric, but there is  
16 sub-atmospheric containment because first of all there  
17 are three spray systems or two spray systems,  
18 depending on how you look at it. There is a quench  
19 spray system which is taking section from the RWST  
20 which for a sub-atmospheric containment is cooled. So  
21 it's not at assumed 90 degrees or a 100 degrees or  
22 whatever. It's down around 45 to 55 degrees for the  
23 quench spray.

24 And then there's the recirculation spray.

25 So you're putting an awful lot of water

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 into the containment atmosphere to lower the pressure  
2 because that's the way they were designed. They had to  
3 get down below atmospheric pressure in an hour. And  
4 that's the main way that was done with all the spray  
5 water into the containment.

6 So you have cooled spray water from one  
7 spray system and then two other spray systems that are  
8 spraying into containment.

9 DR. BANERJEE: Yes. I suppose the system  
10 is self-correcting, as Graham says. But leaving that  
11 aside for the moment, the voracity of MAAP-DBA with  
12 regard to establishing a lower pressure bound for the  
13 system, which is what we're looking for as opposed to  
14 an upper pressure bound which most of these codes are  
15 usually tuned to do, is sort of an issue which maybe  
16 you could just --

17 MEMBER WALLIS: Well, you're writing --

18 DR. BANERJEE: Yes, write a note or  
19 something which sort of establishes why we think that  
20 it's --

21 MEMBER WALLIS: You're writing new  
22 guidance on this whole issue, aren't you?

23 MR. LOBEL: In the Reg. Guide, yes.

24 MEMBER WALLIS: Can you come back to us  
25 with some of this other technical data, too, at that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 time?

2 MR. LOBEL: Sure.

3 MR. LOBEL: But I think the important  
4 point is that these newer codes, GOTHIC, CONTAIN which  
5 isn't a new code anymore, MAAP-DBA don't try to buy us  
6 things one way or another with the code itself as much  
7 as with the input data. So that gives the code more  
8 flexibility. I can use the same code to calculate  
9 peak pressure and minimum pressure. I just change the  
10 bias on the input, not the code itself.

11 DR. BANERJEE: Well, you'd have to  
12 demonstrate that that, that is true in some way.

13 MR. LOBEL: Well, I think if you look at  
14 this table, 4.3 in Attachment 1 to the June 2, 2004  
15 report, the licensee did a pretty good job of listing  
16 the biases and a lot of variables for the NPSH  
17 calculation and for the peak pressure calculation, and  
18 for some of the other calculations. So if you go  
19 through that you can see how things were biased to get  
20 a certain result.

21 DR. BANERJEE: Sure. But that's a sort of  
22 a sensitivity study. But what would be, perhaps, more  
23 convincing would be in this note to compare it with  
24 data where you actually do the similar sort of thing.  
25 You bias the input. And show that you under predict

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the data or over predict it. And that would be  
2 convincing that the same methodology applies to data.  
3 I mean, if it applies to itself, you're just doing a  
4 sensitive study. We don't know about the voracity of  
5 the code at this point.

6 MR. LOBEL: No. Are you asking the  
7 licensee to do that --

8 DR. BANERJEE: No, no, no.

9 MR. LOBEL: -- or are you asking the Staff  
10 to do it without a code or --

11 DR. BANERJEE: I don't know. In this note  
12 where you're establishing guidance, perhaps --

13 MR. LOBEL: Then it's the Reg. Guide that  
14 you've been talking about.

15 DR. BANERJEE: Yes.

16 MR. LOBEL: I think that's what we're  
17 talking about.

18 DR. BANERJEE: The supporting data or  
19 whatever for a methodology would be to show that a  
20 sensitivity study on a code somehow done on a scenario  
21 related to a reactor is equivalent or is supported by  
22 some sort of sensitivity study done on data which  
23 establishes that this type of variation of input  
24 parameters truly establishes a lower or upper bound.  
25 I mean, the only thing we know is data at the end;

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 nothing else.

2 MEMBER WALLIS: It's usually not up to the  
3 licensee, though --

4 DR. BANERJEE: Yes. Well, but it is.

5 MEMBER WALLIS: -- and the NRC will  
6 approve a code based on comparison of the data, then  
7 it gets used.

8 DR. BANERJEE: And if this is methodology  
9 is established that, yes, we can vary the input  
10 parameters and this will give us a lower bound because  
11 I've compared it with all this data, we're sure of it,  
12 then we --

13 MEMBER WALLIS: Well there's been a guide  
14 which says you can do uncertainty analysis, so --

15 DR. BANERJEE: Somewhere here.

16 CHAIRMAN DENNING: Actually, I don't thin  
17 that -- I think really, Sanjoy, the way to do it is to  
18 validate your code realistically against data.

19 MEMBER WALLIS: Right.

20 CHAIRMAN DENNING: Once you have a code  
21 that you believe, then it's not that hard to play the  
22 games of changing the parameters --

23 MEMBER WALLIS: Right.

24 DR. BANERJEE: Yes.

25 CHAIRMAN DENNING: -- to under estimate or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 over estimate.

2 MEMBER WALLIS: The way to do it.

3 DR. BANERJEE: All right. If you can  
4 assume an uncertainty at this time --

5 MEMBER WALLIS: Right. Right.

6 CHAIRMAN DENNING: But let's move on now  
7 because I think we've spent enough time on this for  
8 the moment, I mean other than your conclusions here.

9 MR. LOBEL: I can go to my conclusion.  
10 Can we go to the conclusion, the last slide. Okay.

11 The Staff has issued the SER approving the  
12 conversion from sub-atmospheric to atmospheric  
13 containments for Unit 1 and Unit 2.

14 And also approving MAAP-DBA as part of the  
15 same review.

16 CHAIRMAN DENNING: Actually, go back one  
17 slide to the validation slide. Because we ought to at  
18 least look at that since that's kind of the focus of  
19 this discussion you had there.

20 MR. LOBEL: Okay. There was a comparison  
21 with GOTHIC6. There was a comparison for the mass and  
22 energy release for small break with the NOTRUMP code.  
23 We did some calculations comparing MAAP-DBA for  
24 greater than one hour with RELAP. Those were the code  
25 comparisons.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Like I say, for a previous review where it  
2 was a MAAP5 code, I think we did quite a lot of  
3 comparisons with --

4           MEMBER WALLIS: RELAP can model the  
5 containment?

6           MR. LOBEL: I'm sorry, what?

7           MEMBER WALLIS: Can RELAP model the  
8 containment?

9           MR. LOBEL: No. In that case we were  
10 doing mass and energy release calculations.

11          MEMBER WALLIS: Oh, I see. Okay.

12          MR. LOBEL: And for the NOTRUMP  
13 calculations that was comparing MAAP-DBA to NOTRUMP  
14 for mass and energy release calculations.

15                 There were separate effects tests were  
16 done, condensation and spray tests. And then the  
17 integral test I talked about. The Canadian spray  
18 test, Japanese spray tests. There was the CVTR which  
19 stimulated a steamline break without sprays and with  
20 sprays. There is the HDR, which is a German reactor  
21 which doesn't look anything like a U.S. reactor, but  
22 there are international standard problems from that  
23 that the license compared with. And all those  
24 comparisons were pretty good.

25          CHAIRMAN DENNING: Thank you. And you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 done then?

2 MR. LOBEL: Pardon?

3 CHAIRMAN DENNING: You're done now?

4 MR. LOBEL: I'm done.

5 CHAIRMAN DENNING: Thank you very much.

6 Okay. Now we're going to hear about  
7 source terms and radiological consequences. And this  
8 is another presentation I think can really be pretty  
9 brief.

10 MEMBER WALLIS: Yes, let's move it along.

11 CHAIRMAN DENNING: Let's try to move  
12 quickly.

13 MEMBER WALLIS: Well, must give us some  
14 presentation and we'll listen.

15 MR. PARILLO: Good afternoon. My name is  
16 John Parillo. I'm a health physicist with the  
17 Accident Dose Branch in the Office of Nuclear Reactor  
18 Regulation. I'm here to --

19 CHAIRMAN DENNING: Mr. Parillo, speak into  
20 the microphone.

21 MR. PARILLO: All right.

22 Good afternoon. My name is John Parillo.  
23 I'm a health physicist in the Accident Dose Branch,  
24 and I'm here to discuss the source terms and  
25 radiological consequences analyses.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The first part of the discussion refers to  
2 the source terms for input into radwaste management  
3 systems. So basically how does the EPU effect the  
4 normal operations. This is covered in EPU Section  
5 2.9.1 of the SE.

6           Basically what you do here is just  
7 evaluate the radiological source term in the reactor  
8 coolant for the EPI conditions, the power uprate. And  
9 the evaluations performed show that the source term  
10 continues to meet the requirements of 10 CFR Parts 1,  
11 10 CFR Part 50, Appendix I and General Design  
12 Criteria-60.

13           The next portion of the discussion  
14 involves the design bases accident radiological  
15 consequences analyses. Again, this is covered in  
16 section 2.9.2 of the SE. And the licensee has  
17 implemented the alternative source term in all of the  
18 radiological analyses performed. For the actual EPU  
19 submittal, the analyses that needed to be looked at  
20 were the fuel handling accident because of an increase  
21 in fuel inventory and the main steamline break and the  
22 steam generator tube rupture for Unit 2 only due to  
23 change in mass release. All the other design bases  
24 accidents have been previously approved, and I'll go  
25 through that a little bit later.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           For the radiological consequence analyses,  
2           the EPU power -- the power level evaluated was 2,918  
3           megewatt thermal. And this represents a 100.6 percent  
4           of the rated power of 2,900. And this is based on the  
5           approval of a 1.4 percent measurement uncertainty  
6           recapture uprate.

7           And we also wanted to mention the NRC  
8           Staff performed an onsite audit of the radiological  
9           analyses supporting both the steam generator  
10          replacement license amendment request as well as the  
11          EPU.

12          Other DBAs have been evaluated as part of  
13          a selective implementations under 10 CFR 50.67. The  
14          loss of coolant accident and the control rod ejection  
15          accident were evaluated, Amendments 256 and 139 which  
16          were issued September 10, 2003.

17          The locked rotor accident and the loss of  
18          AC power and the small line break outside of  
19          containment for both units. And the main steamline  
20          break and the steam generator tube rupture accident  
21          for Unit 1 only. All those accidents were evaluated in  
22          Amendment 273 for the steam generator replacement  
23          issued February 8, 2006.

24          Put up a slide that concerned the control  
25          room. The evaluations for Beaver Valley and for those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 accidents in the EPU, the control room emergency  
2 ventilation system is credited for the main steamline  
3 break. They credit a pressurization mode, as it says,  
4 500 cfm filtered intake. And during that period the  
5 license is assuming 30 cfm of unfiltered inleakage.  
6 And the licensee performed tracer gas testing which  
7 support the unfiltered inleakage assumptions.

8 For the accidents discussed here, the  
9 licensee credits a control room purge, a post-release  
10 control room purge. And in order to do that they  
11 credit the control room emergency air cooling system.  
12 And this system is credit for post-release purging for  
13 the steamline break, the steam generator tube rupture  
14 and for the Unit 1 fuel handling accident. Again, at  
15 the times when those releases are assumed to have  
16 ended.

17 The purge credit was not needed for the  
18 Unit 2 field handling accident because of more  
19 favorable meteorology for that particular half.

20 And basically the design bases accident  
21 rate radiological consequences, the licensee has  
22 adequately accounted for the effects of the proposed  
23 EPU and all the design bases accidents meet the 10 CFR  
24 50.67 and Standard Review Plan 15.0.1 dose acceptance  
25 criteria for both offsite and the control room. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Staff finds the proposed EPU acceptable with  
2 respect to the radiological consequences of design  
3 bases accident.

4 CHAIRMAN DENNING: Well, thank you very  
5 much for a focused presentation.

6 Do you have a question.

7 MEMBER KRESS: Yes. Here the source term  
8 you're talking about, the AST, the source term into  
9 containment, did they then use the MAAP code to  
10 subsequently get the release to the environment and  
11 the transport to the control room?

12 MR. PARILLO: No. The guidance in the  
13 Standard Review Plan pretty much is a cookbook. It  
14 dictates the percentage of the radionuclides that are  
15 released to containment. And the codes that are used  
16 for radiological analyses are not quite as  
17 sophisticated. They don't need to be. They're just  
18 volumes. So you start with so much activity in this  
19 volume and it leaks into another volume and eventually  
20 to the environment, and then leaks back into the  
21 control room. So we don't use the MAAP code.

22 The licensee, their calculations were done  
23 with Stone & Webster proprietary code, but we did  
24 confirmatory analyses with the RadTRAC code, which is  
25 the code we use at the NRC for these types of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analyses.

2 CHAIRMAN DENNING: Okay, Tom. You happy?

3 MEMBER KRESS: No, but that's all right.

4 CHAIRMAN DENNING: Are you done?

5 MEMBER KRESS: Yes, I'm done.

6 CHAIRMAN DENNING: Okay. Thank you very  
7 much.

8 MR. PARILLO: Okay.

9 CHAIRMAN DENNING: Okay. And now we're  
10 going to hear about materials and reactor vessel  
11 integrity from FENOC.

12 MEMBER WALLIS: Just please start when  
13 you're ready.

14 MR. WEAKLAND: All right. My name is  
15 Dennis Weakland. I'm been with Corporate Materials  
16 for 3 or 4 years. Prior to that I've had 24 years  
17 experience with Beaver Valley primarily in the areas  
18 of materials inspections, analyses and the like at  
19 Beaver.

20 I've also been very active in the industry  
21 initiatives in materials -- owners group.

22 What I'd like to talk about a little bit  
23 on the materials construction, the integrity programs  
24 that we have, the Alloy 600 management and the vessel  
25 integrity.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The reason I emphasize the Alloy 600 and  
2 vessel integrity is I think these are the areas that  
3 are most important with the EPU uprate. And we'll  
4 discuss those in a little greater detail.

5           Our basic materials construction our  
6 reactor vessel, our steam generator and pressurizer  
7 are carbon steel vessels clad with stainless steel.  
8 Penetrations in these areas are stainless steel with  
9 a few Alloy 600 penetrations primarily at Unit 2.

10          RCS loop piping is Cast SS material. This  
11 is a really robust material in the RCS areas dealing  
12 with things like boric acid are not an issue. There  
13 is some concerns in license renewal license extension  
14 space as far as thermal embrittlement. Areas of that  
15 are not within the current license life.

16          And the balance of the RCS piping in both  
17 units is stainless steel, again robust material, high  
18 fracture toughness and not subject to boric acid  
19 corrosion.

20          The vessel components and welds are  
21 primarily stainless steel. A few at Unit 2 for Alloy  
22 600, and I'll touch on those a little bit later.

23          So in general the Westinghouse design with  
24 a combination of the Cast SS, the stainless steel  
25 really provides a pretty robust RCS system to minimize

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the number of vessel and component welds.

2 The investment integrity programs we have,  
3 the steam generator integrity program complies with  
4 the 97.06. We've adopted it at Beaver Valley. It  
5 performs operational assessment at every outage. So  
6 the effects of the EPU, and since there's virtually no  
7 change in the hot leg anyhow from 609 to 609.5, we  
8 expect a little change. But we did do an operational  
9 assessment coming out so we know the status of  
10 everything coming out of every outage.

11 The Alloy 600 program we complied with the  
12 industry standards, primarily MRP 126 and 139.

13 The boric acid program is run under the  
14 WCAP which is the industry program 15.988. And we're  
15 adopting the material degradation program under NEI or  
16 308 initiative to have an integrated materials program  
17 on our site, and those will be effective come June 1st  
18 this year in accordance with our 308 and the NEI  
19 initiative.

20 Together with the other operational  
21 programs we have and systems programs and things like  
22 system engineering routinely test our systems, our  
23 maintenance rule operational tools, BVTs that we run,  
24 we have a very good handle on the integrity of our  
25 systems and minimize the amount of damage. We see

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 anything occurring, it's back into the system, repairs  
2 do occur and we address the issues while they're  
3 small.

4 So, as you see, we take these programs as  
5 a whole. We ensure the system integrity is maintained  
6 and degradation issues are identified at our earliest  
7 possible times and take appropriate mitigative  
8 actions.

9 This carton I thought was appropriate  
10 because it kind of covers both units. The basic RCS  
11 is the same. And right here these surge nozzles are  
12 only in a tube that are Alloy 600. Unit 2 has the  
13 vessel piping along with an Alloy 600 weld that we'll  
14 have to address. And the balance of this is all 315,  
15 309 type material. So we have very, very limited  
16 amounts of Alloy 600 material.

17 The recent outage we've replaced all the  
18 Alloy 600 material at Unit 1 in the top of our head,  
19 taken it out of the picture, mitigated it and gone to  
20 690.

21 At Unit 1 all the Alloy 600 materials in the  
22 steam generator at Unit 1 have been removed and are  
23 now 690. And at Unit 2 that will be managed under the  
24 existing program.

25 MEMBER WALLIS: 690 is a pretty new

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 material, isn't it? We don't really know what the  
2 problems are with it yet?

3 MR. WEAKLAND: No. The information that we  
4 have from the industry looking at the Naval reactor  
5 information and overseas information on 690 appears to  
6 be extremely robust. We can't put on a number on what  
7 it is. So as a result, the testing protocols that are  
8 done by the industry in 03.009 will continue the  
9 timing models and the Uranus equations that are used  
10 for Alloy 600 as a very conservative measure. As more  
11 is learned, those may be relaxed. But currently we  
12 would follow the same protocols.

13 DR. BANERJEE: So there is information on  
14 exposure to boric acid and everything for 690?

15 MR. WEAKLAND: 690 is used widely within  
16 the nuclear Navy in the borated systems.

17 DR. BANERJEE: And no problems?

18 MR. WEAKLAND: And they're robust. And  
19 600 to the best of our knowledge.

20 MEMBER SIEBER: Navy plants are  
21 correlated, are they?

22 MR. WEAKLAND: Not the Navy, but the Alloy  
23 600 testing, there's Alloy 600 testing to 690 that's  
24 been done at Westinghouse Labs and whatnot has shown  
25 no issues with the nickel based alloys as referred to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Alloy 600 and boric acid.

2 The austenitic materials 316, 309 when it  
3 comes to Alloy 600, you have very little problems.

4 DR. BANERJEE: So 690 is used in the Navy  
5 but the Navy uses borated systems or not?

6 MR. WEAKLAND: No, no.

7 MR. KAMMERDINER: This is Greg Kammerdiner  
8 from FirstEnergy.

9 As far as industry experience with 690, at  
10 least in steam generators, Indian Point 3 was the  
11 first one to switch to 690 in 1989. So we have quite  
12 a bit of experience from that date forward with 690  
13 both domestically and internationally prior to 1989.  
14 I think Ringhalls was the first one to replace a steam  
15 generator with 690. And those steam generators have  
16 basically performed degradation free since the late  
17 '80s with 690.

18 MR. WEAKLAND: The next slide we cover the  
19 head inspections that we're doing at Beaver Valley  
20 Unit 2, which is mainly 600 material and these are the  
21 two heads at the two units. And this coming fall we'll  
22 doing -- well, the past fall, the fall of '03 we did  
23 bare metal visuals, found no degradation and  
24 volumetric of CDRM and J-welds, did an Eddy current  
25 examinations of the outside and no degradation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 In the spring of '05 we repeats in  
2 accordance with your order the bare metal visuals and  
3 we have volumetrics coming up this fall at the same  
4 unit for ongoing evaluations of the head inspections.

5 At Beaver Valley Unit 1 we've taken a very  
6 active approach on the mitigation of the Alloy 600.  
7 As I noted, we replaced the head, the steam generators  
8 and I just completed 1R17 outage this spring. This  
9 next fall we're planning on doing a weld overlay on  
10 the pressurized nozzles, which are the 600 dissimilar  
11 metal welds that we have to top the pressurizer. So  
12 we'll mitigate those, put them in a compressive state  
13 and we will continue to monitor them in accordance  
14 with the industry guidance.

15 MEMBER SIEBER: Do you have any  
16 indications on the places where you're going to do the  
17 weld overlays right now?

18 MR. WEAKLAND: No.

19 MEMBER SIEBER: So this is a preventive --

20 MR. WEAKLAND: Preventive overlay, yes.

21 MEMBER SIEBER: Okay.

22 MR. WEAKLAND: We're planning the same  
23 kind of preventive overlay in Unit 2.

24 MEMBER SIEBER: You're going to compress  
25 the fitting?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WEAKLAND: Correct.

2 MEMBER SIEBER: Okay.

3 MR. KAMMERDINER: Again, this is Greg  
4 Kammerdiner again.

5 Besides inducing a compressive stresses,  
6 will be full structural overlays also. So it's a  
7 double measure here. Inducing the compressive stress  
8 on the existing 82/182 weld material plus full  
9 structural overlay of 690 on top of that.

10 MEMBER SIEBER: Well, if you're going to  
11 have problems, that's a good place for you to have  
12 them.

13 MR. WEAKLAND: They would be the likely  
14 suspects?

15 MEMBER SIEBER: Yes.

16 MR. WEAKLAND: Right.

17 The remaining Alloy 600 therefore at Unit  
18 2 would be limited to the BMNs, the bottom mounted  
19 instrumentation. We'll continue to inspect those in  
20 accordance with the industry guidance. And then the  
21 reactor vessel internals, there's some Alloy 600 in  
22 there that we'll be addressing.

23 CHAIRMAN DENNING: Now to a large extent  
24 what you're talking about is not necessarily related  
25 to power uprates.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WEAKLAND: No.

2 CHAIRMAN DENNING: As far as power uprates  
3 are concerned though there is some temperature  
4 increases--

5 MR. WEAKLAND: Slight temperature  
6 increases. Unit 2, that half of degree is virtually  
7 nonexistent in the space.

8 CHAIRMAN DENNING: Yes.

9 MR. WEAKLAND: Unit 1 it's approximately  
10 a 4 degree increase and there's very limited material  
11 that would be effected here. So from a power uprate  
12 perspective the materials construction really don't  
13 see much different.

14 CHAIRMAN DENNING: Well, we're certainly  
15 interested in this.

16 MR. WEAKLAND: Okay.

17 CHAIRMAN DENNING: But it does seem that  
18 a lot of it, except within the context of some  
19 temperature increase is why would have some additional  
20 concern about it.

21 MEMBER SIEBER: Well, I think just to  
22 amplify that a little bit, some folks suspect that  
23 there's sort of a need in the curve, right around 610.  
24 When you go beyond that the rate of degradation in  
25 some folks speculation may increase. And so you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 right at that point. But I agree, the temperature  
2 increase is very small.

3 DR. BANERJEE: But isn't it very sensitive  
4 to temperature in this range, the susceptibility?

5 MR. KAMMERDINER: This is Greg Kammerdiner  
6 again.

7 I think the emphasis though is our  
8 degradation throughout the industry has primarily been  
9 at Alloy 600 locations.

10 DR. BANERJEE: Right.

11 MR. KAMMERDINER: And what Denny's trying  
12 to point out here at Unit 1 we've eliminated that, for  
13 the most part, from the equation by replacing the  
14 generators with 690, by replacing the head  
15 penetrations with 690, we're planning to overlay the  
16 pressurizer nozzles, which are essentially Alloy 600  
17 welds. There will be minimal amount of Alloy 600 left  
18 at Unit 1 and the bottom nozzles operate at cold leg  
19 temperature, so they should be on the lower  
20 susceptibility ranking of locations.

21 So as far as Unit 1 the 4 degree increase  
22 in temperature is somewhat mute at this point because  
23 we've basically taken the Alloy 600 out of the  
24 equation.

25 MEMBER MAYNARD: I believe it is sensitive

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in this range, but I think that for the temperatures  
2 you're going to they're still within what there's good  
3 history out there within industry. They're not  
4 becoming an outlier from breaking the ground.

5 DR. BANERJEE: Right. And Alloy 600 is  
6 out, this unit with the 4 degree rise. The other unit  
7 only has half a degree, right?

8 MR. WEAKLAND: Yes, sir.

9 MR. KAMMERDINER: Correct. Right.

10 MEMBER SIEBER: I think the interesting  
11 thing that sort of gives you some confidence is that  
12 one of the suspect heats was used in the Beaver Valley  
13 1 reactor vessel head nozzles, the same one that  
14 didn't do well at Davis-Besse.

15 MR. WEAKLAND: Right.

16 MEMBER SIEBER: And they have seen a  
17 leakage or other problems there. But they have still  
18 replaced the head.

19 MR. WEAKLAND: Yes, that's correct.

20 MR. PATNAIK: I'm Pat Patnaik from DCI,  
21 Dividend of Component Integrity.

22 I want to add one more thing here. That  
23 the cold leg temperatures go down actually by a couple  
24 of degrees. As a result I don't see any problems with  
25 the bottom mounted nozzles.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Right.

2 MR. WEAKLAND: Right. Thank you.

3 I will then just brush over what's at Unit  
4 2 just to give you an idea of what plans are on Alloy  
5 600.

6 We are planning mitigation in the areas  
7 for pressurizer nozzles for weld overlay. Management's  
8 currently looking at multiple approaches to address  
9 the cold leg loops, as we have Alloy 600 there. I  
10 think which will leave us with the BMNs, the  
11 internals, the generator tubing and the CRDM nozzles.  
12 And since the amount of temperature movement is very,  
13 very slight, we would expect no change from our  
14 current history, and we'll continue our inspections.

15 The other thing I want to touch on where  
16 the power uprate does have some effect because of the  
17 increase of fluence and the fluence impact is the area  
18 of materials for the two units. I'm going to talk a  
19 little bit more about the fluence, the uprate, the  
20 increases in improved capacity factor and what it has  
21 done with our projected EFP wise and end of expected  
22 life.

23 When we looked at the surveillance  
24 schedule, there will be no change in our schedule.  
25 We'll still pull five capsules for Unit 1, four for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Unit 2 in accordance with Appendix H. No changes  
2 there.

3 The upper shelf energy, both units at the  
4 end of -- actually at the end of extended life because  
5 I've done some of that with our projections there, are  
6 still good for upper shelf. So really the impact for  
7 the power uprate has been minimal for upper shelf.

8 Our PTS screening criteria for Beaver  
9 Valley Unit 1 and Unit 2, both our units are a little  
10 unusual in the industry in that they're both plate  
11 limited. Many vessels or most vessels are actually  
12 weld limited. Ours are plate. And I'll touch on the  
13 numbers we have those in the next slides.

14 We've looked at the applicability for the  
15 heat up and cool down curves. In the application what  
16 we did is we artificially took our existing heat  
17 up/cool curves for Unit 1, conservatively rolled back  
18 the effective dates so that until the LAR gets into  
19 position, that the effected curves have just been  
20 moved from 20.80 EFPY to 27.44 so that we know we  
21 don't exceed those limits. Base the fluence for heat  
22 up and cool down. As we do more testing and analysis  
23 then we'll adjust those in accordance with our PTLR  
24 and move forward.

25 Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           In the area of fluence in relationship to  
2           the uprate, we used a basis for WCAP Capsule &  
3           material at 3.54 E19 fluence. And our RTpts based on  
4           that fluence is 259. Capsule Y meant it was a major  
5           change in our fluence projections. We gained almost 12  
6           degrees, which is very good. And that assumed a 1.4  
7           uprate, but did not address the 8 percent uprate at  
8           the time that capsule was pulled. So when we made the  
9           uprate LAR and backed the effected EFPYs down,  
10          assuming that a power uprate would have done in June  
11          of '03 and holding the fluence constant at 3.54.

12                    At Beaver Valley Unit 2 we used a Capsule  
13                    Y data of 32 EFPY, fluence of 3.8 and RTpts of 149.

14                    And incidentally, the RTpts screening  
15                    number is 270 for plate for both units. It had  
16                    included the 1.4 percent uprated and the 8 percent  
17                    uprate. So the Unit 2 numbers were reflective of a  
18                    June '03 power uprate, so they are conservative.

19                    MEMBER SIEBER: Have you made any  
20                    projections for renewed license end of life?

21                    MR. WEAKLAND: Well, that's going to lead  
22                    to the next slide, Jack. Thank you.

23                    MEMBER SIEBER: Yes.

24                    MR. WEAKLAND: As a result of looking at  
25                    a potential extended license and the excellent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 operation of the past three cycles at Beaver Valley  
2 operating capacity factor in the high 90, 97, 98  
3 percent; projecting those kind of capacity factors  
4 into the future and the 8 percent power uprate based  
5 on June of '06 what we're seeing now is an expected  
6 end of life EFPY of about 30.5 at the same fluence.

7 MEMBER WALLIS: Doesn't the fluence change  
8 with the uprate?

9 MR. WEAKLAND: Well, the fluence in this  
10 particular case didn't happen to change from the  
11 projection because the projection was made assuming  
12 that the uprate would have occurred in June of '03.  
13 And since the fluence is really controlled by core and  
14 when the uprate occurred, the 3 years delay provided  
15 me that cushion. And the core design being maintained  
16 at L4P has maintained the fluence at 30.5, virtually  
17 3.54. The numbers like -- it's like 3.51 or 3.52 is  
18 very, very close to 3.54. At 30.5 at the end of our  
19 existing license life. That's reflective of the  
20 capacity factor and then this uprate in June this  
21 year.

22 At Unit 2, it's just coincidental I had a  
23 capsule due. It came to the NRC last week, so it's  
24 very new information to them, the submittal. And I  
25 did the projection of 36 EFPY for EOL. The reason I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 did that is when I did the projections looking into  
2 the future based on the higher capacity factors, it  
3 looks like we'll be at the end of our 40 years license  
4 somewhere around 35.1 to 35.2 actual EFPY. So 36  
5 pounds allows me to be conservative.

6 As you can see, both of them give me RTpts  
7 that are still well below the screening criteria.

8 MEMBER WALLIS: Well RTpts doesn't seem to  
9 change at all as you do all this --

10 MR. WEAKLAND: No. It's based on fluence,  
11 that's why.

12 MEMBER WALLIS: But your fluence has  
13 changed for BV2.

14 MR. WEAKLAND: BV2 the fluence -- the  
15 difference between the two numbers, too, it comes into  
16 rounding of RTpts. At the earlier fluence of 32 FPY I  
17 think it was 3.86. The actual number when you run it  
18 and if you run out a decimal point or two, it's like  
19 148.7.

20 MEMBER WALLIS: Well, it's so low it  
21 doesn't--

22 MR. WEAKLAND: It just doesn't matter.  
23 Right. And that's the reason for those activities.

24 MEMBER SIEBER: Well, what will it be  
25 after 60 years of licensed operation? Do you know

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that?

2 MR. WEAKLAND: On Beaver Valley Unit 1 we  
3 could reach 60 years of power operations and still be  
4 below the 270 criteria right now.

5 MEMBER SIEBER: You will?

6 MR. WEAKLAND: It's going to require some  
7 fuel management, some continued fuel management. We  
8 stay at L4P, we get within 2 years of extended license  
9 operation doing absolutely nothing different than  
10 we're doing today.

11 MEMBER SIEBER: I think you don't make it.

12 MR. WEAKLAND: We can make it.

13 MEMBER SIEBER: Oh, you can, okay.

14 MEMBER WALLIS: By then the PTS rule may  
15 have changed.

16 MR. WEAKLAND: Yes. Well, we believe it  
17 will be changed. Beaver Valley was the model plant  
18 for the NUREG and it's been very well studied by Oak  
19 Ridge. And if I look at their numbers, I'm probably  
20 good for a 100 EFPY, and I like their numbers.

21 MEMBER SIEBER: Too bad it's not  
22 regulation.

23 MR. WEAKLAND: Oh, yes. We're working on  
24 it.

25 In summary, the temperature assessment for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the two units show really no programmatic impact on  
2 either the Alloy 600 or the steam generator program.

3 Fluence assessments, no significant impact  
4 on either the vessel integrity, upper shelf.

5 Maintaining our core, I don't see any  
6 problem. There's some small changes in response to  
7 materials. It will be managed under the rest of our  
8 programs. That primarily deals with internals  
9 activities, BMNs and the rest. And we have programs  
10 in place to monitor and maintain those through the  
11 rest of plant life.

12 MEMBER SIEBER: How many tubes are plugged  
13 percentage wise in Unit 2, steam generator 2?

14 MR. WEAKLAND: Unit 2? Greg?

15 MR. KAMMERDINER: This is Greg  
16 Kammerdiner.

17 Approximately 4½ percent.

18 MEMBER SIEBER: Pretty much even across  
19 the--

20 MR. KAMMERDINER: Pretty much. Yes, it's  
21 not like Unit 1 where we're skewed the one generator  
22 there. They're pretty evening distributed.

23 MEMBER SIEBER: What's the main reason?

24 MR. KAMMERDINER: Primarily sludge pile  
25 ODSCC.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Thanks.

2 MR. WEAKLAND: Okay. That's all I have.

3 CHAIRMAN DENNING: Thank you very much.

4 MR. WEAKLAND: Any other questions?

5 CHAIRMAN DENNING: Hearing none, we will

6 move on.

7 MR. WEAKLAND: Very good. Thank you.

8 CHAIRMAN DENNING: However, this is our  
9 final presentation of the day.

10 MR. MEDOFF: Good afternoon. My name is  
11 Jim Medoff. I'm a materials engineer for the --

12 DR. BANERJEE: Where are the slides for  
13 this?

14 MR. MEDOFF: They're in this package.

15 MEMBER WALLIS: Yes, the pages keep  
16 starting all over again.

17 MEMBER SIEBER: And you thought you were  
18 going to talk about materials.

19 DR. BANERJEE: Yes. It's after the control  
20 room thing.

21 MR. MEDOFF: Right.

22 MEMBER KRESS: Let me ask you a question,  
23 what did you do about the containment?

24 MEMBER WALLIS: What don't you start with  
25 page 7?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Pretty good condition.

2 MEMBER WALLIS: A good slide to start  
3 with.

4 MR. MEDOFF: Good afternoon. I'm Jim  
5 Medoff. A materials engineer currently with the Flaw  
6 Evaluation and Welding Branch. My current supervisor  
7 is Dr. Kimberly Gruss. I just recently transferred  
8 over from the Reactor Vessels Internals Integrity  
9 Branch, which is currently being supervised by Mr.  
10 Matt Mitchell.

11 At the time of the EPU I was in the  
12 Reactor Vessels Internals Integrity program.

13 I'm here today to talk about our  
14 evaluation of the licensee's application with respect  
15 to the structural integrity of the reactor vessel and  
16 the reactor vessel internals components, and as well  
17 as the licensee's evaluations of its reactor coolant  
18 pressure boundary materials. And with respect to that,  
19 we're going to focus on the Alloy 600 and what they  
20 did to address it.

21 Next slide, please.

22 For the EPU we assessed the Staff's  
23 evaluation of how the EPU impacted the structural  
24 integrity of the Alloy 600 components, in particular  
25 whether it would change the crack growth rates if you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 postulated a crack occurring in the Alloy 600  
2 components. And these included Alloy 600 base metal  
3 components as well as Alloy 682 or 182 filler metal  
4 materials.

5 For the most part, the piping at Beaver  
6 Valley Unit 1 doesn't include Alloy 600 materials, so  
7 we don't see a big impact on that. And Mr. Weakland  
8 provided a good summary for where the few components  
9 are located and addressed how they addressed  
10 structural integrity there.

11 For the Alloy 600 and the Alloy 82/182  
12 welds in the Beaver Valley Unit 1 reactor vessel  
13 closure head, we determined that the licensee did  
14 replace the head in the last outage and we feel that  
15 the monitoring program that they're going to do this  
16 under the schedule for replacement head should address  
17 this. It includes not only Alloy 600 and 82/182  
18 materials, but the order that we issued to the  
19 industry on Inconel materials also covers Alloy 52,  
20 152 and Alloy 690 materials. So just the fact that  
21 they replaced the new materials doesn't change the  
22 requirements in the order and they're still required  
23 to follow that.

24 Next slide, please.

25 For Unit 2 the Alloy 600 and Alloy 82/182

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 materials in the Unit 2 reactor coolant pressure  
2 boundary are managed by the licensee's Alloy 600  
3 management program. And what this program does is it  
4 does a susceptibility ranking of the components based  
5 on -- the susceptibility program is basically Uranus  
6 program that is a function of the temperature of the  
7 components.

8 DR. BANERJEE: There's no effect of stress  
9 on the -- I thought there was, as well -- I mean  
10 temperature is one effect, but stress must be another.

11 MR. MEDOFF: Stress probably comes in it,  
12 but I think the big factor in the Uranus program is  
13 the temperatures.

14 MR. PATNAIK: This is Pat Patnaik from  
15 Dividend Component Integrity.

16 The analysis has been done at 617 degrees  
17 which bounds the temperatures for power uprate.

18 DR. BANERJEE: Right. But --

19 MR. PATNAIK: That was done, has been done  
20 at a bounding temperature of 617 degrees. And with  
21 power uprate your hot leg temperature is not going  
22 over 611.3 degrees.

23 DR. BANERJEE: I'm just saying about the  
24 susceptibility ranking.

25 MR. PATNAIK: Susceptibility ranking?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Yes.

2 MR. PATNAIK: Well, the components that  
3 are Alloy 600 and welded with 82/182 filler metal have  
4 been ranked based on stresses and also the time and  
5 temperature.

6 DR. BANERJEE: Right.

7 MR. PATNAIK: Yes, that ranking has been  
8 done. And their volumetric inspections will be  
9 performed according to the susceptibility ranking--

10 DR. BANERJEE: Which take both factors  
11 into account.

12 MR. PATNAIK: Oh, yes.

13 DR. BANERJEE: Yes.

14 MR. PATNAIK: Of course.

15 DR. BANERJEE: All right. I'm happy with  
16 that.

17 MR. PATNAIK: Go ahead.

18 MR. MEDOFF: Okay. and in accordance with  
19 this program what they're going to do is they select  
20 the susceptible components for augmented inspection  
21 and they put the inspection in accordance with the  
22 program. So they do monitor for their Alloy 600 and  
23 Alloy 82/182 materials in Beaver Valley Unit 2 plant.

24 With respect to the Alloy 600 nozzles and  
25 Alloy 81/182 partial penetration welds in the Unit 2

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 head, they are categorized as highly susceptible heads  
2 to primary water stress corrosion cracking and  
3 FirstEnergy does perform augmented inspections of  
4 these things in accordance with the criterion in the  
5 first order for high susceptible reactor vessel  
6 closure heads. And this complies with the rule and  
7 should address structural integrity for those  
8 components.

9 Next slide, please.

10 From my review I reviewed the impact of  
11 the EPU on the reactor vessel and the reactor vessel  
12 internals, the internals components.

13 With respect to the reactor vessel, we  
14 really focused on how the EPU would impact the  
15 fracture toughness assessments that we require for the  
16 ferritic  
17 materials in the reactor vessel. This includes the  
18 RTpts calculations to ensure integrity against the  
19 events of a pressurized thermal shock event. The  
20 RTpts calculations that go into the pressure  
21 temperature limit calculations, the upper shelf energy  
22 calculations for demonstrating margins against --  
23 tearing of the reactor vessels materials and each of  
24 those assessments requires that they account for the  
25 effects of irradiation and they monitor for that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 through their reactor vessel surveillance program. So  
2 we assess the impact of EPO on the withdraw schedule  
3 for that program.

4 We also looked at the impact on the  
5 structural integrity of the RV components. And I'll  
6 address that later on in the presentation.

7 Next slide, please.

8 With the impact on the RV surveillance  
9 capsule program, the program's required by 10 CFR Part  
10 50 Appendix H. And basically the rule requires them  
11 to withdraw surveillance capsules in accordance with  
12 ASTM Stand E1185-82. In accordance with that standard  
13 the licensee is required to pull 5 capsules from  
14 Beaver Valley Unit 1 and 4 capsules from Beaver Valley  
15 Unit 2. And it's really dependent on what the  
16 limiting shift in the reference temperature will be  
17 for that vessel at the end of life.

18 We found out that there were a few minor  
19 adjustments to the withdrawal schedules for the  
20 remaining capsules because each one has one remaining  
21 capsule to get pulled. And I'm not sure whether that  
22 report that Mr. Weakland referred to in his  
23 presentation was actually one of those capsules. But  
24 from the data I had, they were still required to pull  
25 two capsules for the plants.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Basically, we find that the changes that  
2 they propose to the schedules were still in accordance  
3 with the ASTM standard and so we found that the EPU  
4 didn't impact the overall schedules for the units. We  
5 found them to be acceptable.

6                   Next slide, please.

7                   For the PTS assessment, the calculation of  
8 RTpts values is required by 10 CFR 50.61. As Mr.  
9 Weakland said, the rule establishes screening criteria  
10 of 270 degrees for reactor vessel base metals and  
11 axial weld materials. And a screening criteria of 300  
12 degree for reactor vessel circumferential weld  
13 materials. And these are upper limits on the adjusted  
14 reference temperature for RTpts value.

15                   The licensee gave you his values. We did  
16 independent calculations of the RTpts values using our  
17 reactor vessel integrity which mods the methodology in  
18 the rule for doing these calculations. And we came up  
19 with an RTpts value 259.5 based on the fluence  
20 provided by the licensee for Unit 1. And RTpts value  
21 of 148.6 degrees F for Unit 2 based on their end of  
22 life fluences. And therefore, we didn't see any impact  
23 of the appeal in compliance with 10 CFR 50.61.

24                   Next slide.

25                   Basically we looked at the impact on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pressure temperature limits, but to make it sweet and  
2 short, Generic Letter 9603 allows them remove their  
3 pressure temperature when it's from the limiting  
4 conditions of operations in the technical  
5 specifications if they put them into a owner  
6 controlled documents called the Pressure Temperature  
7 Limits Reports. And they calculate them within an NRC  
8 approved methodology, any changes to those technical  
9 specifications PTLR figures are done through an  
10 administrative tech spec.

11 We granted license amendments for them to  
12 do this in 2002 and 2003. And although there may be  
13 changes in the RTndt calculations that goes into these  
14 PT limit calculations, they'll be done through the  
15 PTLR process, and that's acceptable to us.

16 Next slide, please.

17 Like the RTpts calculations, we looked at  
18 the impact on the effort of shelf energy assessment  
19 for the plant. Basically we used this parameter as a  
20 measure of looking at the remaining ability to  
21 withstand ductile taring in the reactor vessel  
22 materials. It's governed by 10 CFR Part 50, Appendix  
23 G.

24 The rule establishes that the upper shelf  
25 energy values must be greater than 75 foot pounds in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the unirradiated condition and greater than 50 foot  
2 pounds through the licensed life of the plant  
3 including all of accounting for the effects of  
4 irradiation.

5 We did our independent calculations of the  
6 upper shelf energy values for limiting materials and  
7 we agree that the limiting materials for Beaver Valley  
8 are all plant limited, both for RTpts and for upper  
9 shelf energy. We calculated for Unit 1 an upper shelf  
10 energy value at end of life under EPU conditions of  
11 53.8 foot pounds and for Unit 2 a 59.4 foot pounds.  
12 Both of these comply with the acceptance criteria 50  
13 foot pounds at end of life. So we didn't see an impact  
14 on the ability to comply with 10 CFR Part 50 Appendix  
15 G.

16 Next slide.

17 The last thing we assessed is the impact  
18 on the structural integrity for the reactor vessel  
19 internals. All of our assessments were done in  
20 accordance Matrix-1 of Review Standard RS-001. And  
21 with respect to this we really look at whether the  
22 fluence for these materials above a certain level, a  
23 certain threshold because above that threshold there  
24 is a concern that the materials, the components maybe  
25 susceptible to irradiation assisted stress corrosion

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cracking. And what the matrix specifies you should do  
2 if you're above the fluence is either provide a  
3 commitment and provide an augmented inspection program  
4 for these components or commit to participation in  
5 industry initiatives that are being performed on age  
6 related degradation of these components. And we sent  
7 out an RAI informing the licensee of this document,  
8 and they did provide the proper commitment to the NRP  
9 initiatives. And this satisfied the matrix. And so we  
10 concluded they were sufficient for the RV internals.

11 So basically we assessed six things: The  
12 Alloy 600 materials, the structural integrity of the  
13 RV internals, the PTS assessment and the upper shelf  
14 energy assessment and the RV surveillance program. And  
15 we concluded that an impact to safety margins or that  
16 they were providing commitments to provide augmented  
17 inspection programs.

18 CHAIRMAN DENNING: Questions?

19 MEMBER WALLIS: Thank you.

20 MR. MEDOFF: Thank you.

21 CHAIRMAN DENNING: According to the  
22 agenda, it is now 5:00 p.m., so we will recess.

23 (Whereupon, at 6:09 p.m. the hearing was  
24 adjourned until 8:33 tomorrow morning.)

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701





**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY**  
**COMMISSION**

Title:                   Advisory Committee Reactor Safeguards  
                              Subcommittee on Power Uprates

Docket Number:   (not applicable)

Location:            Rockville, Maryland

Date:                 Tuesday, April 25, 2006

Work Order No.:    NRC-982

Pages 1-396

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

MEETING OF THE SUBCOMMITTEE ON POWER UPDATES

+ + + + +

BEAVER VALLEY POWER STATION EXTENDED POWER UPRATE

+ + + + +

TUESDAY, APRIL 25, 2006

+ + + + +

The subcommittee meeting convened at the Nuclear Regulatory Commission, Two White Flint North, Room T-2B3, 11545 Rockville Pike, at 8:30 a.m., Richard B. Denning, Chair, presiding,

SUBCOMMITTEE MEMBERS PRESENT:

RICHARD B. DENNING, Chair

SANJOY BANERJEE

ACRS Consultant

THOMAS S. KRESS

OTTO L. MAYNARD

JOHN D. SIEBER

GRAHAM B. WALLIS

ACRS STAFF PRESENT:

RALPH CARUSO

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1     FIRSTENERGY STAFF PRESENT:

2             A.R. BURGER

3

4             FENOC

5             MATT CERRONE

6

7             Westinghouse

8             DON DURKOSH

9

10            FENOC

11            KEN FREDERICK

12

13            FENOC

14            DAVID FINK

15

16            Westinghouse

17            CHUN FU

18

19                    Westinghouse

20            NORM HANLEY

21

22            Stone &amp; Webster

23            JOSH HARTZ

24

25            Westinghouse

**NEAL R. GROSS**COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 GREG KAMMERDINER FENOC  
2 BRETT KELLERMAN  
3 Westinghouse  
4 JAMES LASH  
5  
6 FENOC  
7 MARK MANOLERAS  
8  
9 FENOC  
10 CHRIS MCHUGH  
11  
12 Westinghouse  
13 BRIAN MURTAGH  
14  
15 FENOC  
16 MAHESH PATEL  
17  
18 FENOC  
19 JACK PENKROT  
20  
21 Westinghouse  
22 PETE SENA  
23  
24 FENOC  
25 GEORGE STORLIS

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

FENOC

MIKE TESTA

FENOC

DENNIS WEAKLAND

FENOC

NRR STAFF PRESENT:

TIMOTHY COLBURN

RICHARD LOBEL

JIM MEDOF

SAMUEL MIRANDA

JOHN PARILLO

PAT PATNAIK

LYNN WARD

1  
2  
3  
4  
5  
6  
7  
8  
9  
10

A-G-E-N-D-A

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**Opening Remarks**, R. Denning . . . . . 4

**Background**, T. Colburn (NRR) . . . . . 7

**Introduction and Overview of EPU**, J. Lash (FENOC) 10

    P. Sena (FENOC) . . . . . 19

**Plant Changes**, M Manoleras (FENOC) . . . . . 29

**Fuel and Core**, A.R. Burger (FENOC) . . . . . 54

**Safety Analysis** K. Frederick (FENOC)) . . . . . 74

**Safety Analysis**, S. Miranda (NRR) . . . . . 165

**Safety Analysis**, K. Frederick (FENOC) . . . . . 213

**Safety Analysis**, L. Ward (NRR) . . . . . 289

**Containment Analysis**, R. Lobel (NRR) . . . . . 330

**Dose Analysis and AST**, J. Parillo (NRR) . . . . . 363

**Materials & RV Integrity**, D. Weakland (FENOC) . 368

**RV and Boundary Materials**, J. Medoff (NRR) . . 386

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



P-R-O-C-E-E-D-I-N-G-S

8:32 a.m

CHAIRMAN DENNING: The meeting will now come to order. This is a meeting of the Advisory Committee on Reactor Safeguards Subcommittee on Power Upgrades. I'm Richard Denning, Chairman of the Subcommittee.

Subcommittee members in attendance are Tom Kress, Otto Maynard, Jack Sieber, Graham Wallis who is virtually at the moment, but will be physically here later and our consultant Sanjoy Banerjee, who also seems to be virtually here.

The purpose of this meeting is to discuss the extended power upgrade application for the Beaver Valley Power Station. The Subcommittee will hear presentations by and hold discussions with representatives of the NRC Staff and the Beaver Valley Power Station licensee, FirstEnergy, regarding these matters.

The Subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberation by the full Committee. Ralph Caruso is the designated federal official for this meeting.

The rules for participation in today's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 meeting have been announced as part of the notice of  
2 this meeting previously published in the *Federal*  
3 *Register* on April 12, 2006.

4 A transcript of the meeting is being kept  
5 and will be made available as stated in the *Federal*  
6 *Register* notice.

7 It is requested that speakers first  
8 identify themselves and speak with sufficient clarity  
9 and volume so that they can be readily heard.

10 We have received any requests from members  
11 of the public to make oral statements or written  
12 comments.

13 We think that the agenda that we're going  
14 through today and tomorrow is quite well balanced  
15 towards addressing the principal interests and  
16 interests of the Subcommittee. We know that the power  
17 uprates will result in some eating into safety  
18 margins. WE need to know where that's occurring and  
19 become convinced that the margins are still adequate.

20 This is a very quantitative Committee. The  
21 Staff's review of the application must be  
22 comprehensive, our view must in many sense be in many  
23 aspects be more focused. We'd like you to spend  
24 minimal time on the aspects of plant safety that are  
25 not effected by the uprate. The nice thing about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 having the safety analysis results today is that there  
2 is always tomorrow to ask you to come back and give us  
3 more detail.

4 You'll notice our room has been modified  
5 somewhat over the last couple of weeks. I hope that  
6 everything's going to work okay. I know the screen  
7 isn't perfect, but we will proceed.

8 Now I would like to turn the meeting over  
9 to Mr. Colburn of the NRC Staff to begin.

10 MR. COLBURN: Thank you, Mr. Denning.

11 My name is Tim Colburn. I am a Senior  
12 Project Manager in the Division of Operating Reactor  
13 Licensing in the Office of Nuclear Reactor Regulation.  
14 I'm assigned to the Beaver Valley Power Station, Units  
15 1 and 2.

16 During the next two days presentations  
17 will be made by the Staff and the licensee concerning  
18 background information related to the application,  
19 plant changes associated with the application and fuel  
20 and core design changes, safety analysis including  
21 methodology used for conducting those safety analysis,  
22 discussion of non-LOCA events and large break LOCA.

23 The Staff and licensee will conduct  
24 discussions of the safety analysis.

25 The safety analysis discussion will also

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 include discussions by licensee and the Staff on small  
2 break LOCA, long term cooling and boron precipitation,  
3 containment over pressure credit and dose analyses.

4 The Staff will also provide a discussion  
5 of the containment analysis associated with the  
6 conversion from sub-atmospheric to atmospheric  
7 conditions and its dose analysis and implementation of  
8 the alternative source term.

9 CHAIRMAN DENNING: I think you can just  
10 arrow down, Tim, if you want to there.

11 MR. COLBURN: The Staff and the licensee  
12 will also discuss the materials and reactor vessel  
13 integrity issue associated with the safety evaluation  
14 for the power uprate.

15 On day two a discussion of the balance of  
16 plant issues associated with the power uprate, flow  
17 accelerate corrosion, vibration, corrosion erosion and  
18 risk evaluation will be conducted by both the Staff  
19 and the licensee.

20 Operations and testing associated with the  
21 power uprate including human factor issues, power  
22 ascension testing and the licensee test plan for  
23 basically what amounts to a two phrase implementation  
24 of the testing will be discussed. And then conclusions  
25 of the licensee and the Staff.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The licensee had several license amendment  
2 applications that they had submitted prior to the  
3 power uprate which were needed to support the power  
4 uprate review. These included:

5           Steam generator allowable value setpoint  
6 changes, which were to eliminate concerns the Staff  
7 had with measurement uncertainty;

8           A containment conversion license amendment  
9 application to convert the Beaver Valley Power Station  
10 1 and 2 containments from sub-atmospheric to  
11 atmospheric conditions;

12           Best estimate LOCA methodology approval  
13 for the large break LOCA analyses;

14           Steam generator replacement for Beaver  
15 Valley Power Station Unit 1 only. Replace the previous  
16 steam generators with the Model 54F steam generators;  
17 and

18           Implementation of the relaxed axial offset  
19 control methodology for both units.

20           These amendments have all been approved  
21 and all have been implemented for Unit 1.

22           Implementation of some of these will be for Unit 2 in  
23 the fall of 2006 outage.

24           The licensee's submittal originally was  
25 sent in on October 4, 2004. It had numerous

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 supplements. The licensee had submittals on February  
2 23rd and June 14 of 2005 which were necessary to  
3 consider the application a complete application. The  
4 Staff issued its acceptance review of the licensee's  
5 application in July of 2005 and indicated that it  
6 would be reviewing the application for basically  
7 within a one year time frame.

8 The licensee's application requested an  
9 increase in reactor power from the current 2689  
10 megawatts thermal to 2900 megawatts thermal. This is  
11 approximately an 8 percent increase in power and is  
12 considered an extended power uprate.

13 The Staff plans to issue its safety  
14 evaluation and amendment on or about the end of June  
15 2006. The licensee plans to implement the extended  
16 power uprate for Unit 1 within 120 days of receipt of  
17 the approval. And for Unit 2 in a phased approach  
18 concluding with the completion of balance of plant  
19 upgrades including a turbine upgrade in the spring of  
20 2008.

21 What I'd like to do now is turn the  
22 presentation over to the licensee's site Vice  
23 President Mr. Jim Lash for his opening remarks.

24 MR. LASH: First off, my name is Jim Lash.

25 CHAIRMAN DENNING: No. Hold on just a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 second.

2 MR. LASH: Okay. First off, my name is  
3 Jim Lash, site Vice President of Beaver Valley Power  
4 Station.

5 Good morning, Mr. Chairman and  
6 distinguished members, ACRS consultants. This morning  
7 I'd like to provide a brief introduction and some  
8 background to the Beaver Valley power uprate. Our  
9 decided outcome is to provide you with sufficient  
10 information and answer all relevant questions  
11 regarding the Beaver Valley power uprate so that you  
12 can form appropriate decisions and recommendations to  
13 the NRC Commissioners.

14 We've built this presentation to cover a  
15 number of areas effected by the uprate in areas that  
16 we believe are of interest to the Committee in  
17 fulfilling the desired outcome of these proceedings.

18 We have a full agenda of items to cover in  
19 the next two days, and that is shown here on this  
20 slide.

21 I'd like to introduce the presenters from  
22 FENOC. Other than myself will be Pete Sena will  
23 provide an overview. He is the Director of Engineering  
24 at Beaver Valley.

25 Mark Manoleras on plant changes. He is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Design Engineering Manager at Beaver Valley.

2 A.R. Burger will do reactor fuel and core  
3 design. He is a supervisor of core design.

4 Ken Frederick will address safety  
5 analysis. He is a nuclear safety analyst.

6 Dennis Weakland materials and reactor  
7 vessel integrity. He's a fleet material  
8 representative.

9 Mike Testa the mechanical plant VOP. He's  
10 the EPU Project Manager.

11 Risk evaluation Colin Keller, who is the  
12 supervisor of the PRA group at Beaver Valley.

13 And finally the operations and testing  
14 aspects of this project will be Don Durkosh, who is a  
15 senior reactor operator.

16 Each presenter will describe their area of  
17 expertise and introduce any subject matter experts  
18 that they'll use during the course of their  
19 presentation and at the time of their presentation.

20 In addition to the presenters we have  
21 subject matter experts here from Beaver Valley as well  
22 as some contractors, organizations supporting us,  
23 Westinghouse and Stone & Webster.

24 The balance of my comments will briefly  
25 focus on the history of Beaver Valley, the extended

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 power uprate time line, the peer units experienced  
2 with power uprate and the oversight of our power  
3 uprate project.

4 Okay. Beaver Valley units are three loop  
5 Westinghouse PWRs that achieved commercial operations  
6 in 1976 for 1776 Unit 1 and 1987 for Unit 2. The  
7 original core licensed power was 2652 megawatts  
8 thermal or 2660 megawatts thermal NSSS power. And  
9 both units have currently implemented a 1.4 percent  
10 uprate to 2689 megawatt thermal or 2697 megawatt  
11 thermal NSSS power. This uprate credited the improved  
12 feedwater flow measurements implemented in the fall of  
13 2001.

14 CHAIRMAN DENNING: Let me ask you just a  
15 couple of questions related to the differences between  
16 the two designs. Obviously there's a long distant  
17 time differential between when the two were started.  
18 But even before we get into the steam generator  
19 replacement there are some fairly significant  
20 differences. And you have, I gather, separate  
21 simulators for the two. Can you give me just a little  
22 feeling as to what the principal differences are just  
23 at this point prior to?

24 MR. LASH: Well, they're principally the  
25 same design, however there is a time difference

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 between the implementations of those units so there is  
2 a difference in some aspects of the systems for both  
3 units.

4 CHAIRMAN DENNING: Yes.

5 MR. LASH: We do qualify operators  
6 independently for those two units, so we have dual  
7 simulators to maintain a bank of SROs qualified  
8 personnel for each unit. We're not dual licensed on  
9 the plant.

10 The specific design aspects I think we'll  
11 get into in the safety analysis and how we've treated  
12 those differences later on with some of the other  
13 presenters.

14 CHAIRMAN DENNING: Yes. But the operators  
15 are licensed to operate just one or the other unit?

16 MR. LASH: That is correct?

17 CHAIRMAN DENNING: And do some of them  
18 learn how to do both or --

19 MR. LASH: We have had personnel licensed  
20 on both units. For example, Pete Sena who will follow  
21 me was licensed on both Unit 1 and Unit 2.

22 CHAIRMAN DENNING: But any particular time  
23 they're dedicated towards one or the other?

24 MR. LASH: Predominately the SROs are  
25 qualified and maintain a license, an active license,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 only on a single unit.

2 CHAIRMAN DENNING: Thanks.

3 MR. LASH: A time line of Beaver Valley.  
4 This is a recent time line starting in 1998. The  
5 first item I'd point out there is that FirstEnergy  
6 Nuclear Operating Company was formed in December of  
7 1998. And that operating company has now matured to a  
8 fleet organization and is staffed to support all  
9 functional areas at the three nuclear stations Beaver  
10 Valley, Davis-Besse and Perry.

11 FENOC Corporate is currently charged with  
12 providing governance and oversight of all station  
13 activities.

14 Beaver Valley was purchased by FirstEnergy  
15 from Duquesne Light & Power Company in late 1999  
16 through an asset swap of fossil fire units for the  
17 nuclear station.

18 In early 2000 FENOC implemented a full  
19 potential program for Unit 1 and Unit 2 with a key  
20 objective of managing design margins and increasing  
21 the electrical output of both units. The EPU project,  
22 which is a subset of this potential program, has  
23 updated the station's analyses to include the selected  
24 final design of the Unit 1 steam generators, which  
25 were already referenced as the Model 54, which were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 recently installed during the last outage at Unit 1.  
2 We'll talk about that briefly in a moment.

3 In total, the EPU project and its  
4 supporting projects, steam generator replacement,  
5 containment conversion, best estimate LOCA and others  
6 that will be referred to this morning span a period of  
7 6 years. As a result of the project, Unit 1 and Unit  
8 2 have established a revised baseline of supporting  
9 plant analyses that will be used to manage design  
10 margins for the remaining life of both units. This is  
11 in keeping with the original premises of the parent  
12 full potential program that I spoke of earlier.

13 I previously mentioned the recently  
14 completed outage at Unit 1. Let me briefly touch on  
15 the scope and significant accomplishments of that  
16 outage.

17 This is a picture of our containment. You  
18 can see that we replaced all three steam generators in  
19 this outage. By the way, this outage completed April  
20 19, last Wednesday at 2018. And Unit 1 has achieved  
21 100 percent power, full power operation on Sunday at  
22 1400 hours and it remains at 100 percent power.

23 So during the outage we replaced the steam  
24 generators and the reactor vessel head with a modified  
25 simplified design, and the major accomplishments in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 these replacements is obviously the elimination of the  
2 Alloy 600 aspect of materials that were associated  
3 with the older components.

4 Now shown here, because it's not in  
5 containment, is the main unit generator rotor was  
6 replaced. It has a short. We replaced it. And the  
7 main unit generator itself was rewound.

8 Now there were many other activities, but  
9 I won't go through all of those.

10 I would point out that the average time  
11 frame to do a steam generator outage first time for a  
12 station is about 82 days. Beaver Valley accomplished  
13 this outage in 65 days. And I believe that to be a  
14 very positive indication of both the strength of the  
15 organization as well as the level of planning and the  
16 preparedness for that outage.

17 The larger power uprate which we're  
18 referred to and why we're here today, 8 percent was  
19 initiated in mid-2000 and used an initial scoping  
20 phase to determine the best approach and the optimum  
21 targeted licensed power level. As a result of the  
22 scoping evaluation, a target power level of 2900  
23 megawatts thermal or 2910 megawatts thermal NSSS was  
24 selected.

25 As you can see, that target aligns us very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 well with our peer three loop Westinghouse units that  
2 have already previous uprated. We benchmarked closely  
3 these units, both their approach to uprate and their  
4 operating history since its implementation. We feel  
5 that collectively using the experience of these  
6 stations gives us confidence in the approach we have  
7 chosen. Specific examples of benchmarking in  
8 implementation would be the use, for example, of the  
9 specification for Model 54 steam generators used at  
10 Farley Station and now at Beaver Valley. And the  
11 phased approach to implementing the uprate, which we  
12 will be discussing in greater detail later on in the  
13 presentation.

14 MR. CARUSO: Have you ever considered  
15 doing the stretch uprate?

16 MR. LASH: No, we have.

17 MR. CARUSO: I mean, I don't know if  
18 you've ever --

19 MR. LASH: We've never discussed it.

20 MR. CARUSO: Never discussed that?

21 MR. LASH: Next slide, please.

22 In the area of oversight, executive and  
23 senior management oversight of the project has been in  
24 place since its inception. The site leadership team  
25 has been closely involved, and this team includes the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 site Vice President, myself, the Plant Manager and  
2 Engineering Director.

3 A FENOC executive leadership team has also  
4 provided oversight and this includes our Senior Vice  
5 President of Engineering currently Dan Pace who bring  
6 unique experience in operating activities from his  
7 previous role at Entergy.

8 Oversight of the engineering and licensing  
9 process that supports this uprate has been directly  
10 performed through implementation of the mentioned  
11 boards, committees and assessments. And an example of  
12 the independent assessment you find at the bottom  
13 there would be the NPR Associates for a review of our  
14 uprate supplemental.

15 That completes my introductory comments.  
16 And if there are no other questions, I will turn over  
17 the presentation to Pete Sena, the Director of  
18 Engineer for Beaver Valley. Thank you.

19 MR. SENA: Good morning. Again, I'm Pete  
20 Sena. I am the Director of Engineering at Beaver  
21 Valley. My previous position at Beaver Valley was as  
22 the Operations Manager and also as a senior reactor  
23 operator at both units. So I did hold a senior reactor  
24 operator license, active license for both units  
25 simultaneous. So I'd take a stand working both units

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one at a time, so I do have a unique perspective as  
2 far as the differences between the two units. And  
3 when we come into questions with respect to some of  
4 those specifics during the presentation, I can speak  
5 to it. And also we have one of our shift managers  
6 here, George Storlis, who is also licensed in both  
7 units, however at a different times. So we will be  
8 able to provide the Chairman with additional detail as  
9 you request.

10 I will speak to principally the  
11 preparations for the uprate, the general criteria, the  
12 project team and the technical reviews. And before I  
13 do so, I do want to comment that we at Beaver Valley  
14 did attend the previous Subcommittee meeting that  
15 Ginna participated in. We found that to be extremely  
16 helpful as we prepared for our presentation, and we  
17 have tailored our presentation we believe to what the  
18 Committee desires. We will focus heavily on our  
19 safety analysis so you can understand the margins that  
20 remain following the uprate. We will be going into  
21 great detail on our LOCA and our limiting non-LOCA  
22 transients, such as a loss of feedwater and  
23 uncontrolled rod withdrawal accident. So as we go into  
24 those details, I think you'll appreciate what margins  
25 do remain.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 All right. As you can see from this next  
2 slide there were several amendments that have prepared  
3 Beaver Valley for the power uprate. And again, the  
4 uprate project was a full potential project initiated  
5 back in the year 2000. Just that some of these  
6 amendments will be touched on as we go through the  
7 presentation, but I would like to speak to several of  
8 them right here.

9 The positive moderator temperature  
10 coefficient was previously approved and implemented  
11 back in the year 2002. So what that has enabled us to  
12 do is to gain operating experience on startup with a  
13 slightly positive MTC throughout the years now that  
14 we've had several cycles of operation. I personally  
15 was the first SRO to perform a reactor startup with  
16 that slightly positive MTC.

17 Now that experience and the lessons learned have  
18 been captured and formalized for subsequent crews and  
19 subsequent startups.

20 Also the alternate source term, we will speak  
21 about that again in the future, but we did selectively  
22 apply AST to several accidents such as a fuel handling  
23 accident LOCA, rod ejection. And what this permitted  
24 Beaver Valley to do was to eliminate or retire circle  
25 systems, and one in particular would be what's called

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the control room air model pressurization system  
2 which, Mr. Sieber, you may remember that that has  
3 challenged the plant in the past with an inadvertent  
4 actuation which had resulted in a dual unit shutdown,  
5 a tech spec 303 shutdown. So there were several  
6 benefits towards that selected implementation.

7 Finally, containment conversion and best  
8 estimate LOCA, those amendments were previously  
9 approved by the NRC in the first quarter of this year.  
10 On the containment conversion, there is an industrial  
11 safety benefit that the site has realized with respect  
12 to more frequent and safer containment entries at  
13 power to allow for inspection of various components as  
14 we see fit.

15 CHAIRMAN DENNING: What did you lose on  
16 that in terms of -- you know, it's never been  
17 absolutely clear to me why they were sub-atmospheric  
18 and what the perceived benefits were of that and how  
19 this might impact it.

20 MR. SENA: What I'd like to do is defer  
21 that because we have an entire presentation on the  
22 containment conversion and we're going to go through  
23 that in great detail.

24 CHAIRMAN DENNING: Okay.

25 MR. SENA: A couple of things, though. We

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 did not change the containment design pressure of 45  
2 pounds. We did not change the structural design  
3 temperature of 280 pounds. But there are several  
4 aspects that were a benefit to the plant. For  
5 example, the increased initial pressure provides  
6 additional back pressure for the loss of coolant  
7 accident. However, but we still need to meet our  
8 designed pressure of 45 pounds. So we will go into the  
9 detail on that particular amendment.

10 MEMBER SIEBER: Maybe before you soot away  
11 from that, the idea early on was to be able to build  
12 a smaller containment, spend less money on concrete  
13 and rebar. And if you started out at a sub-  
14 atmospheric pressure, the presumption was that you  
15 would not reach as high in ultimate pressure. On the  
16 other hand, the containment was built as a large dry  
17 strong containment and the sub-atmospheric really  
18 didn't change things all that much.

19 One of the advantageous, though, is you  
20 get increased head to the sump because you're starting  
21 at higher pressure, which could assist in the  
22 recirculation phase of a LOCA accident.

23 I have a question about the positive  
24 moderator temperature coefficient. It's quite common  
25 to have a positive moderator temperature coefficient

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 when the plant is cold. I presume that you're still  
2 positive when the plant is hot early in core life?

3 MR. SENA: It's --

4 MEMBER SIEBER: And that goes away  
5 sometime probably a third of the way through core  
6 life?

7 MR. SENA: At about 30 percent power.  
8 We're really starting off with zero feedback, around  
9 a zero moderator temperature coefficient upon initial  
10 criticality and the initial power ascension. Once you  
11 come up to around 30 percent power and increase power,  
12 it then starts --

13 MEMBER SIEBER: It goes the other way?

14 MR. SENA: -- inching it in the positive  
15 direction.

16 MEMBER SIEBER: Oh, okay. And does that  
17 stay throughout the life of the cycle?

18 MR. SENA: Well, again throughout the  
19 cycle the same. As --

20 MEMBER SIEBER: At burndown it changes?

21 MR. SENA: -- you bring up the boron --  
22 right. Then you're progressing towards a more  
23 traditional negative MTC.

24 MEMBER SIEBER: Right.

25 MR. SENA: To maybe minus 4 or minus 5.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: The increased pressure,  
2 does that lead to increased temperature in the sump  
3 water?

4 MR. SENA: I'll tell you what we're going  
5 to do is we're going to go through specifically the  
6 need for containment overpressure during our  
7 presentation.

8 DR. BANERJEE: Right.

9 MR. SENA: We currently at Unit 1 do  
10 credit containment overpressure and will continue to  
11 credit overpressure. And the onset of the accident,  
12 Mike, what's our initial steam temperature about 280  
13 degrees?

14 MR. TESTA: This is Mike Testa, the  
15 Project Manager at Beaver Valley.

16 Pardon, could you repeat?

17 MR. SENA: The initial temperature for the  
18 assumptions for containment overpressure, for  
19 containment sump temperature?

20 MR. FREDERICK: You want to answer. I'm  
21 here. This is Ken Frederick.

22 When the initial pumps start, the sump  
23 temperature is around 260 degrees.

24 DR. BANERJEE: And what would have been in  
25 the sub-atmospheric case?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: It's roughly the same.  
2 I'll show you some slides later that show you how that  
3 changes.

4 DR. BANERJEE: So you say it doesn't  
5 change?

6 MR. FREDERICK: It goes up a few degrees,  
7 not much. The initial pressure change does not really  
8 impact the transient conditions and some of that's due  
9 to some methodology changes that we've incorporated in  
10 its analysis.

11 DR. BANERJEE: Okay. You'll speak of this  
12 in detail, right?

13 MR. FREDERICK: Yes.

14 MR. SENA: Yes. We have a specific  
15 presentation talking specifically towards containment  
16 over pressure.

17 Finally on the best estimate LOCA again,  
18 that was recently approved. Both containment and  
19 conversion and best estimate LOCA were both approved  
20 first quarter of this year and have been implemented  
21 at Unit 1 upon the completion of the Unit 1 outage.

22 At Unit 2 we have a full outage, those two  
23 amendments will be implemented on the completion of  
24 the Unit 2 outage.

25 CHAIRMAN DENNING: Was that essentially to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be able to accommodate the uprate?

2 MR. SENA: Yes, it was.

3 All right. The best estimate LOCA that  
4 we're speaking of is not the ASTRUM methodology  
5 utilized by Ginna, but the more traditional  
6 COBRA/TRAC. And we will discussing best estimate LOCA  
7 in a future presentation. But it is the same  
8 methodology used by Gravewood, Byron.

9 Next slide, please.

10 Again, is the key elements of the uprate.  
11 I think I've spoken to these already with respect to  
12 the containment conversion and best estimate LOCA.  
13 And, again, we will go into great detail on analyses.

14 Next slide.

15 And the message about this slide is simply  
16 that we at Beaver Valley did not forge new ground  
17 here. We followed the same methodology used by other  
18 utilities in their uprate. There are no new or  
19 unlicensed industry methodologies being applied here.

20 Next slide.

21 As Mr. Lash said, this was a Beaver Valley  
22 led project. The ownership remained with us at the  
23 site. We did have corporate oversight, corporate  
24 oversight and governance. But, again, the ownership  
25 remained with our experienced site personnel.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We provided overall project management and  
2           direction. But, again, we had significant support from  
3           our teammates, from Westinghouse and Stone & Webster.  
4           And, again, many are here today in support and are  
5           various subject matter experts that we may call upon  
6           throughout the presentation.

7           Next slide.

8           Again, we at Beaver Valley, even though we  
9           did have vendor support, we reviewed and approved the  
10          design inputs and performed detailed owner acceptance  
11          of each vendor calculation.

12          Finally, I do want to make a comment in  
13          recognition of the NRC Staff. The NRC review and  
14          challenges and various RAIs were very detailed, very  
15          challenging and did result in a better project here  
16          today. And in particular, the Staff audits that were  
17          performed either at Westinghouse or at Beaver Valley  
18          in the area of PSA, safety analysis and radiological  
19          assessment did significantly help us to come to  
20          closure on many open items and also significantly  
21          streamlined the review process. So we do appreciate  
22          that from the NRC.

23          Next I'd like to introduce Mark Manoleras.  
24          Mark is the Manager of Design Engineering at Beaver  
25          Valley. Mark will be looking at the plant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 modifications that we had done and plan to do at  
2 Beaver Valley.

3 Thank you.

4 MR. MANOLERAS: Thank you, Pete.

5 My name is Mark Manoleras. I'm the Design  
6 Engineering Manager at Beaver Valley. I've been the  
7 Design Engineering Manager since 2002. My  
8 department's responsibility has been the oversight and  
9 performance of the modification packages and the  
10 safety analysis associated with the uprate.

11 At this time I'd also like to mention in  
12 the back, Mahesh Patel. Mahesh Patel is my lead  
13 electrical engineer. He will be here to support the  
14 second part of my presentation.

15 Next slide, please.

16 I'd like to discuss three areas today.  
17 I'd like to discuss the plant modifications that were  
18 performed to support the safety analysis for the power  
19 uprate. Many of these modification packages were  
20 performed to satisfy initial conditions in the safety  
21 analysis. I will touch on the modification package,  
22 discuss it briefly and we will discuss each  
23 modification in great detail when we come up to the  
24 safety analysis section.

25 I'd also like to spend a few minutes to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 talk about the electrical system summary. The  
2 electrical system summary we will spend some time on  
3 it. There was very minor changes associated with the  
4 electrical system associated with the power uprate.  
5 So we will touch on it in my portion of the  
6 presentation.

7 And we will also discuss the use of  
8 operating experience. The operating experience that  
9 we touched on during the project.

10 Next slide, please.

11 As you see, this is the start of a list of  
12 our plant modifications that were performed for the  
13 power uprate. I will discuss each modification and  
14 then I will identify its status whether it had been  
15 implemented at Unit 1 or Unit 2.

16 The first modification is replacement of  
17 our charging/safety injection pump rotating  
18 assemblies. This modification extends our pump runout  
19 flow limit and it improves high head margin and it  
20 improves small break LOCA margin.

21 At Unit 1 we have replaced all three of  
22 our charging pumps. At Unit 2 we have currently  
23 replaced two of those three pumps, and currently are  
24 planning to replace our third pump prior to our Unit  
25 2 outage, which will implement some of the amendments

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that you saw previously.

2 The next modification package I would like  
3 to discuss is the addition of fast acting feedwater  
4 isolation valves at Unit 1. These valves reduce  
5 containment pressure following a mainstream line break  
6 inside containment. And they also provide redundant  
7 isolation capability for feedwater isolation events.  
8 These feedwater isolation valves are already existing  
9 at Unit 2.

10 I'd also like to discuss briefly the  
11 addition of aux feed cavitating venturies at Unit 1.  
12 These venturies minimize mass input to containment and  
13 reduce aux feed flow on a feedline break and maintain  
14 minimum flow to the intact steam generator. These  
15 cavitating venturies already exist at Unit 2.

16 We also added a reactor cavity drainage  
17 port at Unit 1 to facilitate post-accident drain to  
18 improve NPSH performances as pump draw from the sump.  
19 We intend to install that reactor cavity drainage port  
20 at Unit 2 in our next outage.

21 We eliminated our quench spray cutback  
22 feature and it's not longer required due to the  
23 containment analysis at Unit 1. This quench spray  
24 cutback does not exist at Unit 2.

25 Additionally, we replaced our steam

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 generators at Unit 1 and that includes the narrow  
2 range level transmitters. We increased the narrow  
3 range span. And we'll talk about that in great detail  
4 in the non-LOCA analyses that follow.

5 DR. BANERJEE: Why was it necessary to put  
6 those auxiliary cavitating venturies?

7 MR. MANOLERAS: Yes. What we did that for  
8 was we wanted to make sure that we minimized the mass  
9 input to containment following that feedline break. We  
10 wanted to do that. Basically reduce the mass addition  
11 to the containment following a feedline break.

12 DR. BANERJEE: And that came about because  
13 of the uprate?

14 MR. MANOLERAS: That's correct. Basically  
15 part of the containment analyses.

16 MR. TESTA: Yes. This is Mike Testa again  
17 from Beaver Valley.

18 As Mark said, Unit 2 plant already had  
19 that feature, had cavitating venturies installed in  
20 the auxiliary feedwater system.

21 When we looked at Unit 1 we wanted to  
22 again, as Mark said, help support the revised mass and  
23 energy release to the containment for feedline break  
24 and a steamline break. And it also helps to protect  
25 the pumps from run off condition. So early on in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 project we decided to install those cavitating  
2 venturiers and then credit those in the mass and energy  
3 release for the containment analysis.

4 DR. BANERJEE: I guess a more general  
5 comment is I see a list of things you're doing, but I  
6 don't have a clear picture of why you do them. And  
7 does this come out later on or --

8 MR. MANOLERAS: Yes. Actually, when we  
9 get to the safety analysis section of the presentation  
10 we will identify which modification packages satisfy  
11 which initial conditions of those analyses.

12 DR. BANERJEE: Anyway, if you could just  
13 briefly mention the why, that would be very helpful.

14 MR. MANOLERAS: Okay. I will do that.

15 DR. BANERJEE: Why do you replace the  
16 steam generator? Maybe it's obvious, but we'd like to  
17 know.

18 MR. MANOLERAS: Yes. For example, our  
19 Unit 1 steam generators were the oldest steam  
20 generators in the country. We basically had very  
21 limited tube plugging margin there. So we installed  
22 new steam generators. The generators that we  
23 installed actually do not have any tubes plugged. So,  
24 obviously, that was the reason that we did that Unit  
25 1. That's an example.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Okay.

2 MR. MANOLERAS: Okay. Next slide, please.

3 We replaced our high pressure turbine at  
4 Unit 1 with a turbine with all reaction design. At  
5 Unit 2 we're going to do that also. We basically  
6 needed to do that to basically maximize our megawatt  
7 capacity; that's why we did that.

8 At Unit 1 we already installed stakes in  
9 our main condenser to eliminate any vibration issues.  
10 We intend to install those stakes in the Unit 2  
11 condenser so we do not have any flow induced vibration  
12 issues there.

13 MEMBER SIEBER: What's the tube material  
14 at Unit 2 condenser.

15 MR. TESTA: It's stainless.

16 MEMBER SIEBER: Stainless. Yes. Is the  
17 original.

18 MR. TESTA: Yes.

19 DR. BANERJEE: And the steam generator  
20 tubes?

21 MR. TESTA: Steam generator tubes?

22 MEMBER SIEBER: 690 for Unit 1, 600 for  
23 Unit 2

24 MR. MANOLERAS: 600. And we go into great  
25 detail. We have a materials presentation. We'll go

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 into great detail on that.

2 At Unit 1 we did not have to replace our  
3 cooling tower fill. We had adequate cooling tower  
4 fill. We did not have to replace that.

5 At Unit 2 we put in a high efficiency  
6 fill.

7 MEMBER SIEBER: You may want to tell what  
8 cooling tower fill is.

9 MR. MANOLERAS: Basically this is the  
10 material in the cooling tower that helps I guess the  
11 heat exchange capacity or capability of that cooling  
12 tower. So the fill material will allow the  
13 dissipation of heat in the cooling tower, I guess is  
14 the best way to describe it.

15 DR. BANERJEE: Why does it do that?

16 MR. TESTA: Again, this is Mike Testa.

17 For the cooling tower on the circ water  
18 side of the cooling tower, basically you pump the  
19 water into the tower and the water will rain down,  
20 basically, in effect over this fill. And the fill it  
21 helps to aerate, in effect break up the water and help  
22 aerate it. That way when you bring the natural draft  
23 of the tower through it, it'll help remove heat.

24 MEMBER SIEBER: In Unit 1 it looks like  
25 venetian blinds.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Huh?

2 MEMBER SIEBER: In Unit 1 it looks like  
3 venetian blinds and the water cascades down through it  
4 and the air is going through at right angles.

5 I take it that all the asbestos that was  
6 in there is now gone?

7 MR. MANOLERAS: That's correct.

8 DR. BANERJEE: Then the last point raise  
9 set pressure, is that just for the cycle or what?

10 MR. MANOLERAS: No. We intend to make a  
11 permanent change. We've actually made that change. We  
12 raised that setpoint to the MSR reheater relief  
13 valves. We did some analyses, BOP analyses that  
14 identified that we would have limited margin error. So  
15 we went out and we retested and reset our MSR relief  
16 valve setpoints.

17 DR. BANERJEE: Margin to what?

18 MR. TESTA: This is Mike Testa again.

19 As Mark said, we redid the heat balance  
20 for the power uprate and we looked at the operating  
21 pressure at the MSR. The operating pressure in effect  
22 went up about 10 pounds. Okay. We had relief valves  
23 that were set originally at 250 psig. And then  
24 because of the uprate and they increased in operating  
25 pressure of about 10 pounds, we modified the relief

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 valves to relieve at 260. So in other words, the  
2 operating pressure went up 10 pounds. We raised the  
3 set pressure 10 pounds.

4 MEMBER SIEBER: So you're still way under  
5 the design pressure?

6 MR. TESTA: Yes. Yes. Yes.

7 DR. BANERJEE: Do these relief valves  
8 latch open or do they close as the power goes back and  
9 forth, the pressure?

10 MR. TESTA: They basically have a set  
11 pressure. They will pop at that set pressure.

12 DR. BANERJEE: Right. And then--

13 MR. TESTA: And then they'll release and  
14 then reset.

15 DR. BANERJEE: At some other pressure?

16 MEMBER SIEBER: Will, you blow down for  
17 probably 5 percent.

18 MR. TESTA: Yes.

19 MEMBER SIEBER: It will close and then if  
20 the pressure goes up again, it'll open again at the  
21 original set pressure.

22 DR. BANERJEE: It doesn't factor?

23 MR. TESTA: No, does not.

24 MEMBER SIEBER: Hopefully.

25 MR. TESTA: Again, we've already done

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this. We have operating experience on Unit 2 in the  
2 past spring outage. We've already done that  
3 modification. And we've had no issues, no problems  
4 with that.

5 MEMBER SIEBER: The pressure is not high  
6 and there's a lot of volume there, so --

7 MR. TESTA: Yes.

8 MEMBER SIEBER: -- it shouldn't change.

9 MR. MANOLERAS: The next slide, please.

10 We increased the CD of our main feedwater  
11 control valves. At Unit 1 we replaced the control  
12 valve trim. At Unit 2 we are replacing the feed reg  
13 valves. We did that basically to improve their  
14 operating range and also to help stabilize our steam  
15 general level control.

16 MEMBER SIEBER: What kind of trim did you  
17 put in Unit 1 feed reg valves? It originally had what  
18 they called the hush trim, which was about the third  
19 mod.

20 MR. TESTA: This is Mike Testa.

21 We put in hush trims on Unit 1.

22 MEMBER SIEBER: That's what was in there.

23 MR. HANLEY: This is Norm Hanley from  
24 Stone & Webster. Repeat your question, please

25 MEMBER SIEBER: Ten or 15 years ago it had

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 hush trim in it and there was a lot of problems with  
2 the valve on ability to control the low flows. The  
3 valve was modified several times, all three of them  
4 were. I'm wondering what you did recently?

5 MR. HANLEY: The recent change really  
6 didn't modify the trims that you have in there now.  
7 It just increased the CV. The operating experience  
8 with the latest set of trims was well. So we didn't go  
9 into a redesign of the trim. It was just get us more  
10 CV so we'd get a better operating range.

11 DR. BANERJEE: Well, how did you get a  
12 better CV?

13 MR. HANLEY: Yes. We went back to the  
14 vendor. The original valves, I think, had a large of  
15 CV, about 1100. And right now we've got 1050 in  
16 there. So the valve could accommodate. So the vendor  
17 designed the CV to give us 1050 maximum and allowed us  
18 a good operating range during the power uprate. The  
19 values should operate between 75 and 80 percent open  
20 during the uprate.

21 MEMBER SIEBER: It seems to me the way  
22 that the plant was originally built those valves were  
23 throttled quite a bit. Since it has electric feed  
24 pumps instead of turbine drive feed pumps, turbine  
25 driven feed pumps have basically a constant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 differential across the reg valve. With electric  
2 pumps at low loads there's a big pressure drop there.  
3 It's very hard on the valves; that's why the valves  
4 were modified several times to try to tone down the  
5 energy dissipation. After the hush trim was  
6 installed, that was pretty much the end of the feed  
7 reg valve problem.

8 MR. HANLEY: In fact, we just installed  
9 them in Unit 1 and we did a start up and the valve  
10 behaved very well during start up.

11 CHAIRMAN DENNING: Be sure to speak into  
12 the mike.

13 MR. HANLEY: All right.

14 MR. SENA: This is Pete Sena.

15 Just one item, Mr. Sieber, that the  
16 operating crew from this last start up at Unit 1 did  
17 comment that the feed reg valve control was the best  
18 they had seen at low power operations for start up.  
19 There were no anomalies.

20 MR. MANOLERAS: Okay. Jim had already  
21 discussed the replacement of the rotor and the rewind  
22 of the starter.

23 We additionally modified our heater drain  
24 control valves at both units to increase operating  
25 range and improve capacity. And we replaced our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 instrument replacements for main steam and feedwater  
2 flow for the higher flow ranges that we'll discuss  
3 later in the safety analysis presentation.

4 CHAIRMAN DENNING: Before you move on to  
5 that, I do have a little digression. And that is  
6 regards to sump blockage. At some point, I presume in  
7 the near future, you're going to be making changes or  
8 can you tell us what the status is of that?

9 MR. MANOLERAS: Sure.

10 CHAIRMAN DENNING: And what the character  
11 of the changes will be and when they'll occur.

12 MR. MANOLERAS: Sure. We currently have  
13 about 120 square foot sumps. We're going to be  
14 expanding those sumps by a factor of at least 10. We  
15 are going to put much larger passage strainers in at  
16 Unit 1 and Unit 2. We intend to install the passive  
17 strainer system at Unit 1 in the upcoming outage and  
18 at Unit 1 in our next outage. We will also install  
19 that passage system at Unit 1.

20 We are currently doing the analysis  
21 associated with the strainer design, putting them in  
22 the actual mix of the insulation and boric acid, the  
23 mix, doing the testing of our strainer design to make  
24 sure that all the assumptions that we put into the  
25 analysis are put as far as DP across the strainers and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 whatnot. So we're going right down the path of the  
2 GSI-191 requirements.

3 CHAIRMAN DENNING: So the change for Unit  
4 2 it will occur prior to the power uprate, is that  
5 true?

6 MR. MANOLERAS: It's going to be installed  
7 in our next outage, the physical modifications to the  
8 sump, which our next outage is when we intend to begin  
9 our escalation and our power uprate.

10 CHAIRMAN DENNING: Whereas in Unit 1, of  
11 course, it would follow?

12 MR. MANOLERAS: Unit 1 we intend to  
13 perform a mid-cycle uprate and our next refueling  
14 outage before we went to the full power uprate, we  
15 would have the new sump in.

16 CHAIRMAN DENNING: Yes. And what kind of  
17 thermal insulation do you currently have?

18 MR. MANOLERAS: We have several types of  
19 thermal insulation. We have a metal-reflective. The  
20 majority of our containment we do have metal-  
21 reflective. We also have a material it's called, it's  
22 abbreviated name is CALSIL. It's a material that is  
23 like a plaster of Paris type of material that  
24 encapsulated with --

25 CHAIRMAN DENNING: We're familiar with it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MANOLERAS: Okay. So we have some of  
2 that.

3 And we have several other types of  
4 insulation also.

5 DR. BANERJEE: Do you have NUKON?

6 MR. MANOLERAS: Pardon me?

7 DR. BANERJEE: NUKON?

8 MR. MANOLERAS: NUKON? That's a term that  
9 I am not familiar with. So I don't want to say that  
10 we don't, but it's not a prevalent use of material in  
11 our containment.

12 CHAIRMAN DENNING: You don't have a  
13 fiberglass?

14 MR. MANOLERAS: Fiberglass?

15 CHAIRMAN DENNING: Fiberglass? Fiberglass  
16 mats in any places.

17 DR. BANERJEE: Fibrous material?

18 MEMBER SIEBER: Yes, they're like blankets

19 MR. MANOLERAS: Yes. We don't have  
20 significant quantities of any fibrous material. We  
21 would have very limited fibrous material, maybe in an  
22 application like around a loop stop valve where we  
23 would have -- and I'm talking very, very small  
24 quantities of that where we would have some space  
25 limitations. Like we would pack it in around a valve,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but it would be in very small quantities. And what  
2 we're going to do is in each refueling outage we're  
3 going target and take a hard look at that material to  
4 see if we can get it out of there and replace with  
5 metal reflective.

6 DR. BANERJEE: What are you insulating  
7 your steam generators with?

8 MR. MANOLERAS: The replacement steam  
9 generators? We replaced the CALSIL associated with  
10 those steam generators and put metal reflective in  
11 during this last outage in every area that we could.

12 DR. BANERJEE: All the new steam  
13 generators will have metal reflective?

14 MR. MANOLERAS: That's correct.

15 MEMBER SIEBER: Unit 1.

16 MR. MANOLERAS: In Unit 1

17 CHAIRMAN DENNING: At Unit 1.

18 MR. MANOLERAS: When we replaced our steam  
19 generators -- to make sure we're very clear. At Unit  
20 1 when we replaced our steam generators we put in  
21 metal reflective insulation and we took out those  
22 materials that have been identified in that GSI-191.

23 CHAIRMAN DENNING: Will there be a future  
24 replacement of steam generators at Unit 2 or how much  
25 margin do you still have there?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. MANOLERAS: We have significant tube  
2 plugging margin at Unit 2. I'm sure that in our long  
3 range plan that's something that we'll look at. But at  
4 the present time we have not targeted that  
5 replacement. We have significant margin at Unit 2.

6 CHAIRMAN DENNING: And plant life  
7 extension is still to come?

8 MR. MANOLERAS: That's correct. We are  
9 currently working on what we term to be a license  
10 renewal submittal.

11 DR. BANERJEE: How do you control pH?

12 MR. MANOLERAS: Our chemical addition  
13 system we currently use an additive. It's sodium  
14 hydroxide, NaOH.

15 DR. BANERJEE: Do you have any aluminum in  
16 the containment?

17 MR. MANOLERAS: Yes, we do. We keep track.  
18 We have a very detailed program to keep track of  
19 aluminum in containment so that we don't have, for  
20 example, hydrogen generation is always a big concern.  
21 So we have a very detailed program to keep track of  
22 any aluminum that we place in containment. We have  
23 very small quantities of aluminum in containment. We  
24 know where it's at.

25 DR. BANERJEE: Well, will you address

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 these issue related to the sump and the change from  
2 sub-atmospheric to atmospheric pressure and all that  
3 sort of thing? Is there going to be a talk on this  
4 sometime?

5 MR. MANOLERAS: You know, there's actually  
6 a very detailed presentation that we've put in on the  
7 containment conversion submittal.

8 DR. BANERJEE: And will it be done,  
9 something?

10 MR. MANOLERAS: It will be done this  
11 morning, I believe, or early in the afternoon. And I  
12 believe we actually brought a slide to show our  
13 conceptual design for our new sump strainer. We  
14 actually have a picture of our sump strainer that we  
15 are currently designing.

16 MEMBER SIEBER: But the conversion of the  
17 containment to an atmospheric containment is already  
18 approved and implemented?

19 MR. MANOLERAS: That's correct. That  
20 license amendment has been approved and it has been  
21 implemented at Unit 1.

22 MEMBER SIEBER: Okay. Before you jump  
23 into the electrical system, when I was reading through  
24 the application in the SER, particularly the marked-up  
25 tech specs, I stumbled across a place where you are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 eliminating the negative rate trip?

2 MR. MANOLERAS: That's correct.

3 MEMBER SIEBER: What's that have to do  
4 with EPU or anything else, or did you figure that was  
5 just a good chance to get rid of something you didn't  
6 like?

7 MR. MANOLERAS: Well, you hit right on the  
8 head. The negative rate trip was not used in our  
9 plant safety analysis. Additionally, there was an  
10 owners group program to eliminate that trip. We took  
11 this opportunity to implement that. That will reduce  
12 surveillance burden for us at the station.

13 MEMBER SIEBER: Yes. The reason why it was  
14 in there originally, though, was in case you dropped  
15 a rod that the plant would trip before you started  
16 operating with a big imbalance in the core. There was  
17 a reason to do that. Did you change your operating  
18 procedures to tell the reactor operator to trip the  
19 plant when it gets to that condition?

20 MR. DURKOSH: This is Don Durkosh from  
21 Operations.

22 Yes, we have immediate operator actions  
23 for any dropped rod.

24 MEMBER SIEBER: Okay.

25 MR. DURKOSH: If we have more than one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 dropped rod, we immediately trip the reactor.

2 MEMBER SIEBER: More than one?

3 MR. DURKOSH: More than one, that's  
4 correct. More than one.

5 MEMBER SIEBER: So what kind of offset do  
6 you get if you just drop one rod all the way in in a  
7 critical area, do you know? Has anybody done those  
8 calculations? That's why we had the trip so you  
9 wouldn't have to do the calculation.

10 MR. MURTAGH: This is Brian Murtagh from  
11 Design Engineering.

12 The Westinghouse WCAP that evaluated the  
13 elimination of the negative rate trip essentially,  
14 from what I remember, it was if you evaluated the most  
15 reactive rod worth and that were to trip, you would  
16 still not be tripping on negative rate. So because we  
17 do not credit that in the safety analysis, that's why  
18 it was eliminated.

19 MEMBER SIEBER: Okay. But that's  
20 different for every cycle. The Westinghouse WCAP was  
21 done for the envelop of cores that you could design  
22 and could put into that kind of a plan. I take it  
23 during the reload safety evaluation that's analyzed  
24 again?

25 MR. PENKROT: This is Jack Penkrot from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Westinghouse.

2 We do evaluate the dropped rod.

3 MEMBER SIEBER: Okay.

4 MR. PENKROT: For all the values up to  
5 1,000 pcm. Whenever the negative rate trip was  
6 eliminated, we increased the span that we evaluated  
7 from zero to 500 to zero to 1,000. We're able to show  
8 that peaking factors are adequate to handle any  
9 dropped rod.

10 MEMBER SIEBER: Do you know the number and  
11 the date of the WCAP so I could read it?

12 MR. PENKROT: I don't have that  
13 information.

14 MEMBER SIEBER: Well, could you get it?

15 MR. PENKROT: Oh, yes. Sure.

16 MEMBER MAYNARD: This trip has been  
17 eliminated at a number of plants. In fact, for most  
18 plants most rods, a single rod, wouldn't give you the  
19 negative rate trip anyway. But you have procedures  
20 for recovering that rod --

21 MEMBER SIEBER: Yes, I know.

22 MEMBER MAYNARD: -- that limit. You can't  
23 just pull it right back out and go to operating. So  
24 you do have an off normal procedure that controls the  
25 recovery from that to keep you within your safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis.

2 MEMBER SIEBER: I'd still like to read the  
3 WCAP.

4 I was just trying to figure why it was  
5 stuck in with all this other stuff as opposed to  
6 standing out there by itself because it really is not  
7 related to EPU or the containment change or alternate  
8 source term or anything else. It's just out there.

9 MR. MURTAGH: Mr. Sieber, this is Brian  
10 Murtagh again.

11 I can certainly get you that WCAP, a copy  
12 of the WCAP.

13 MEMBER SIEBER: Well, we probably have it.  
14 If the Staff's approved it, it's here. All I need is  
15 the number. It'll be in our file.

16 MR. MURTAGH: Okay. We'll do our best to  
17 try to find that number.

18 MEMBER SIEBER: If you want to give it to  
19 me, that's even better. You know, I'm in love with  
20 paper. You know, I get tons of it every week.

21 CHAIRMAN DENNING: Thank you.

22 MR. MANOLERAS: Yes. I believe Chris --

23 MR. MCHUGH: Chris McHugh from  
24 Westinghouse.

25 I have that number on my laptop. I'll

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 look it up and give it to you in a couple of minutes.

2 MEMBER SIEBER: Thanks.

3 MR. MANOLERAS: Thank you, Chris.

4 Any further discussion before I move on to  
5 electrical system?

6 We added the slide here to discuss the  
7 electric system impacts, the actual system impacts  
8 because of the power uprate were actually extremely  
9 minimal. I brought Mahesh Patel, as I mentioned  
10 before, in case any questions are beyond me and we'll  
11 have Mahesh answer those.

12 Our initial electrical system design is  
13 robust. We basically took a look at all of our  
14 electrical components. We looked at our Unit 1  
15 transformer. We did not have to do any upgrades to our  
16 Unit 1 transformer.

17 Our Unit 2 transformer we had to upgrade  
18 that cooling system. And we did upgrade that cooling  
19 system. We have several cycles of operation now with  
20 that transformer and that cooling system. And the  
21 modification packages that we did make basically had  
22 their intended results. So our cooling system for our  
23 transfer has been upgraded.

24 Our isophased bus duct, one of the issues  
25 is OE and the industry looked as isophased bus duct

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 temperatures. We went out and did extensive  
2 maintenance our bus duct cooling systems at both units  
3 to make sure that the material condition of those  
4 cooling systems -- material condition was there. We  
5 did not require any modification packages to those  
6 cooling systems.

7 We did install temperature indicators in  
8 those cooling systems so that we can do operator  
9 rounds and ensure that the bus duct cooling system  
10 meets its performance.

11 We obviously have operating limits on our  
12 grid voltage, which we did not have to change in  
13 reactive loads to look at post-trip voltages on our  
14 buses. We did not have to make any modifications to  
15 any of those limits because of the uprate.

16 Our grid we did detailed grid stability  
17 studies and Beaver Valley can both receive and accept  
18 trips on the grid without any impact. And we did not  
19 effect our 4-hour station blackout coping study  
20 because of the uprate.

21 MEMBER SIEBER: In Unit 1 are you  
22 replacing the main unit transformer or are you going  
23 to use the one that's still there?

24 MR. MANOLERAS: We're going to use the  
25 existing transformer.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER SIEBER: You know that that had  
2 faults in it a couple of times?

3 MR. MANOLERAS: We have had to replace  
4 that transformer. We had an inadvertent spraydown of  
5 that transformer several years ago and it was  
6 replaced, as you remember.

7 MEMBER SIEBER: Well, the replacement  
8 transformer, the internal impedance was such that it  
9 represented an unusual condition on the grid. I  
10 presume that you know that.

11 MR. MANOLERAS: Yes, we do.

12 MEMBER SIEBER: But it called into  
13 question the breaker capacity if you had to trip that  
14 transformer free from the grid interrupting capacity.

15 MR. MANOLERAS: Mahesh Patel.

16 MR. PATEL: Yes. This is Mahesh Patel.

17 When we had a fault on the original  
18 transformer, we had it built with a little bit higher  
19 than the previous transformer. And we evaluated the  
20 breaker capacity and that reduce the fault coming from  
21 the system. And that makes the breaker capacity. And  
22 the newer transformer is rated is 1058 MBA at 65  
23 degree temperature rise.

24 MEMBER SIEBER: Okay. Thank you.

25 MR. MANOLERAS: The next slide, please.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Yes. In this last slide I'd like to just  
2 go over some of the industry OE and things we looked  
3 at. Each specific presenter will discuss the specific  
4 OE in his area.

5           We looked at, obviously, vibration issues.  
6 We talked about staking the condenser. We looked at  
7 things like the turbine control system running with  
8 valves wide opened. We looked at the isophase bus duct  
9 cooling capacity and transformer cooling. And Jim  
10 discussed earlier we installed the leading edge  
11 technology -- the leading edge flow meter for  
12 measurement uncertainties.

13           Each presenter will discuss OE in his  
14 particular area.

15           If there are no additional questions, I  
16 would like to introduce A.R. Burger, our fuels  
17 analyst.

18           MR. BURGER: Thank you, Mark.

19           Good morning.

20           As Mark indicated, my name is A.R. Burger.  
21 I'm currently the supervisor of core design and  
22 physics support. And I'm responsible currently for  
23 the design oversight for not only Beaver Valley, but  
24 also the Perry and also Davis-Besse unit.

25           I have supporting person Jack Penkrot.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 He's a Westinghouse core designer. He's done core  
2 design for both Beaver Valley units for quite a few  
3 years.

4 To give you a little background, I started  
5 out in '82 as a reactor engineer down at Beaver  
6 Valley. Starts physics testing at Unit 2 and power  
7 central testing. Moved on to the fuel procurement and  
8 contract administration in the '90s. And '98 to 2004  
9 I became the core design, reload design coordinator  
10 for Beaver Valley interfacing with all the contract  
11 administration in implementing the core designs. And  
12 currently I'm in the supervisor position.

13 I've been involved in EPU since the  
14 inception back in 2000 and so we've preparing in the  
15 core design area for that.

16 What I'm going to touch upon is the fuel  
17 design and the core design aspects.

18 This represents the current design that we  
19 have Beaver Valley. It's called the robust fuel  
20 assembly. It's the same array, 17 by 17 as the  
21 previous, which was a Vantage 5H that we had prior to  
22 the RSA. We maintained the enrichment, the geometric  
23 fuel geometry, the cladding, the loading of the  
24 uranium, axial blanket height; all that has remained  
25 the same.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The changes with the RFA that we've put  
2           in, we have six cycles operating history on the RFA.  
3           We implemented back at Unit 1 starting with cycle 15  
4           in 2001 and that Beaver Valley introduced in cycle 10  
5           2002. We did that for several reasons, one being the  
6           uprate coming. We saw that coming and so we wanted to  
7           get in to look at the RFA design. There's  
8           intermediate flow mixers on the top three spans. That  
9           will give you GMD margin that we would implement to  
10          give us for the uprate.

11                   MEMBER SIEBER: You have to change the  
12          pressure drop across the core?

13                   MR. BURGER: Yes.

14                   MEMBER SIEBER: By how much?

15                   MR. BURGER: There was a couple of pounds  
16          difference.

17                   MEMBER SIEBER: That's pretty much.

18                   MR. BURGER: And that's why you have a  
19          transition core penalty in that time. We've now got  
20          fuel, RFAs in the entire core so we have a whole core  
21          of that. We don't have any transition penalty and  
22          things like that going on.

23                   MEMBER SIEBER: Well, you have flow  
24          distribution problems when you have a mixed core.

25                   MR. BURGER: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SIEBER: On the other hand it seems  
2 to me the core flow went up instead of down in your  
3 list of parameters. And I would expect it would have  
4 gone down with this kind of fuel by a little bit.

5                   MR. BURGER: Well, they're going to go  
6 into that in the safety valve section.

7                   MEMBER SIEBER: The pressure drop across  
8 the steam generators, the new steam generators, is  
9 less, right? Is that true? Less than the Model 51s?  
10 54 is less DP than Model 51, is that true?

11                  MR. BURGER: Excuse me. Could you repeat  
12 the question, please?

13                  MEMBER SIEBER: Is the pressure drop  
14 across the new steam generators, the Model 54, less  
15 than the pressure drop across the old steam  
16 generators, which is Model 51?

17                  MR. HALL: Yes. This is Jeff Hall,  
18 Westinghouse.

19                  That's correct. The Unit 2 generators are  
20 Model 51.

21                  MEMBER SIEBER: So you end up with higher  
22 DP across the core, lower DP across the steam  
23 generators and an overall slight increase in flow for  
24 the whole system?

25                  MR. HALL: That's correct.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Okay. You just moved the  
2 DPs around? Okay. Thanks.

3 CHAIRMAN DENNING: But of course they  
4 would be different for Unit 1 and Unit 2 then?

5 MEMBER SIEBER: Yes, they are right now  
6 because they haven't replaced steam generators in Unit  
7 2.

8 MEMBER MAYNARD: Well, you'll also be  
9 operating at a little bit different RCS temperature,  
10 won't you, for your uprated condition?

11 MEMBER SIEBER: Well, yes. And that comes  
12 about because of the change in flow and the change in  
13 materials and the change in surface.

14 MR. BURGER: You have the 576.2 plus or  
15 minus a couple of degrees of where we're at currently  
16 for the uprate.

17 MEMBER SIEBER: Right.

18 MR. BURGER: And they'll go into that in  
19 the safety analysis section where we're targeting to  
20 go for two and a half for each unit.

21 MEMBER SIEBER: And your hot leg trip is  
22 what? 617, something like that? They would normally  
23 be operating at about 610 or 611 on the hot leg?

24 MR. BURGER: On the hot leg, yes.

25 MEMBER SIEBER: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: This is Ken Frederick.

2 Yes, that's correct, Jack. We'll go over  
3 that later in my slides.

4 MEMBER SIEBER: Well, it sounds like it's  
5 the same as Ginna. Same core parameter set.

6 MR. FREDERICK: In terms of the  
7 temperatures, yes, it's very similar.

8 DR. BANERJEE: Was there any DNB testing  
9 done on a prototype bundle or something?

10 MR. BURGER: Yes, there were supposedly  
11 tests done for the RFA by Westinghouse when they  
12 originally came out with them in 2002 and 2001. The  
13 RFA has actually been out in the industry for quite a  
14 few years.

15 MEMBER SIEBER: Yes.

16 MR. BURGER: There's 33 plants operating  
17 with the RFA fuel design.

18 DR. BANERJEE: What are these mixes like  
19 that give you better performance?

20 MR. BURGER: They just provide extra flow  
21 mixing --

22 DR. BANERJEE: What are these mixes?

23 MR. BURGER: They're just an extra grid  
24 that's put between the upper grid span. You'll notice  
25 they're a little bit thinner than the standard grid

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and, again, they're must meant to get flow mixing into  
2 the assembly so that that's all they're there for.  
3 They provide a little bit more structural integrity  
4 for the assembly also, a little bit more stiffer  
5 assembly.

6 MEMBER MAYNARD: They just have little  
7 pads in them that kind of redirect flow and mix the  
8 flow right?

9 MR. BURGER: Mix the flow right.

10 MEMBER SIEBER: In a mixed core there are  
11 some grids that don't contact the adjacent fuel  
12 assembly grid. So from the seismic standpoint it's  
13 meaningless.

14 MR. BURGER: Yes. There is no impact on  
15 the seismic parameters.

16 DR. BANERJEE: And these tests were done  
17 in a flow loop they had with heaters?

18 MR. BURGER: That's right.

19 DR. BANERJEE: Electrical heaters?

20 MR. BURGER: I believe they were, yes. The  
21 VIPRE loop that they use for Westinghouse.

22 MR. CARUSO: Yes.

23 MEMBER SIEBER: Yes.

24 MR. CARUSO: Westinghouse has a test loop  
25 that they run down in Columbia.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. BURGER: VIPRE loop down there that  
2 they run.

3 MEMBER SIEBER: Yes. They've been doing  
4 that for years.

5 What correlation are they on now? It used  
6 to be --

7 MR. BURGER: We'll go into that. There's  
8 a WRB-2M correlation that they'll be using for the RFA  
9 and we'll be implementing that with the uprate. Right  
10 now we're not utilizing it. But when we uprate, we'll  
11 implement the WRB-2M. And, again, they'll go into  
12 that in the safety analysis.

13 MEMBER SIEBER: And here you can't have a  
14 mixed core to implement that correlation?

15 MR. BURGER: Right. We were going to  
16 implement an older design, put it in there. We have to  
17 go and use the other correlations which are still  
18 applicable.

19 MEMBER SIEBER: Right.

20 MR. BURGER: When we originally did the  
21 analysis back in 2000 we were going to have a mixed  
22 core, but it's delayed enough that we now have a full  
23 core of RFAs, so we won't need that.

24 MEMBER SIEBER: Well, you have to go to  
25 the most conservative correlation that you have.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BURGER: Right.

2 DR. BANERJEE: So the increased power is  
3 accommodated by --

4 MR. BURGER: Why don't we go to the next  
5 slide and that will show.

6 DR. BANERJEE: This increase in DNB?

7 MR. BURGER: We'll let into it, after this  
8 one. This one will show you that the DNB margin and  
9 we're going to use the WRB-2M correlation, as I  
10 mentioned, for the IFMs being in there. The RFA also,  
11 as I mentioned, provides a better grid design for  
12 grid-to-rod fretting issues. Beaver Valley and the  
13 industry had had issues with grid-to-rod fretting and  
14 so we went to that RFA design early on for fuel  
15 failures to get rid of those.

16 We also at that time, there was issues  
17 with incomplete rod insertion in the industry. So the  
18 RFA provides a slightly increased the I2 giving a  
19 stiffer assembly and more margin --

20 MEMBER SIEBER: A larger diameter guide,  
21 too?

22 MR. BURGER: Yes. The IB stayed the same  
23 and the OD increased slightly.

24 MEMBER SIEBER: Okay. And I take the  
25 grid-to-rod fretting you're using the -- you have two

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       dimples and two springs made out of Zircaloy. And  
2       those springs as the become irradiated, they relax.

3               MR. BURGER: Right. Correct.

4               MEMBER SIEBER: To the point where they  
5       aren't springs anymore?

6               MR. BURGER: Yes. They redesigned those  
7       assemblies so they had more contact surface area with  
8       the springs. And we have not had any grid-to-rod  
9       fretting with those assemblies and we have three  
10      cycles of operation. So they basically have gone  
11      through a full lifetime of those.

12              MEMBER SIEBER: That wasn't really an  
13      issue at that plant anyway.

14              MR. BURGER: What? At Beaver Valley?

15              MEMBER SIEBER: Yes.

16              MR. BURGER: Yes. We had grid-to-rod  
17      fretting issues with the 5H, yes.

18              MEMBER SIEBER: Oh, okay.

19              MR. BURGER: Yes. We had fuel failures  
20      associated with that.

21              DR. BANERJEE: But to get the increased  
22      power out, does the surface area in contact with the  
23      coolant increase or not?

24              MR. BURGER: No. We'll go to the next  
25      slide. What we'll do is we did conceptual core designs

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for the uprate conditions. We did that both with the  
2 Westinghouse codes, the ANC codes. We also run in-  
3 house down at our offices. Basically to get the  
4 increased power out we're going to go from equilibrium  
5 to core cycles of 18,800, 20,200.

6 We have had cycles up above 20,200 just  
7 because of the way the outages were scheduled. Beaver  
8 Valley Unit 2 cycle 10 was 20,400. So we have had  
9 cores where there's much energy as we'll be doing for  
10 the uprates.

11 Basically your linear heat generation  
12 rate's going to go up. So the fuels all stayed the  
13 same on the surface area and everything else. Just  
14 put --

15 DR. BANERJEE: So your heat flux goes up?

16 MR. BURGER: Right. And it's in the same  
17 vein as the others that we mentioned earlier, kilowatt  
18 p er foot is in that same range --

19 DR. BANERJEE: So what allows you to get  
20 more heat out of the same surface area fuel?

21 MEMBER SIEBER: Higher temperature.

22 MR. BURGER: Higher temperature. Yes.

23 DR. BANERJEE: No, no. I mean from the  
24 point of view of limits?

25 MR. BURGER: Our peaking factors will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 remain the same.

2 MEMBER SIEBER: You got closer to the  
3 point of 200.

4 DR. BANERJEE: What?

5 MR. BURGER: The peaking factors were to  
6 remain the same. What we did was to get more margin on  
7 the fuel is we put in the IFM, so that gives DNB  
8 margin and --

9 DR. BANERJEE: So you get your DNB margin  
10 by doing better mixing?

11 MR. BURGER: Right. In the hottest --

12 DR. BANERJEE: And this is a fairly well  
13 understood process?

14 MR. BURGER: Yes.

15 DR. BANERJEE: How much increase in DNB do  
16 you get?

17 MR. BURGER: About a 20 percent increase.

18 DR. BANERJEE: Remarkable. And what about  
19 the LOCA limits?

20 MR. BURGER: We'll go into that later in  
21 the safety analysis and they'll actually show you the  
22 markups of where the DNB margin limit, where the  
23 correlation is, how much safety margin in. And we'll  
24 go into that in the safety analysis.

25 DR. BANERJEE: So basically you have the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 same surface area fuel, the same subdivision and  
2 you're getting 10 percent more power?

3 MEMBER SIEBER: Yes.

4 DR. BANERJEE: By doing something to the  
5 DNB limit and the LOCA limits?

6 MEMBER SIEBER: Well --

7 DR. BANERJEE: Is that a correct  
8 statement?

9 MEMBER SIEBER: Well, there's a couple of  
10 effects going on. The other thing that gets effected  
11 is the number of rods that have an increased peak clad  
12 temperature during a LOCA, and usually with an  
13 improved core design the approach to the 2200 degrees  
14 doesn't change very much, but the number of rods who  
15 make that approach does change because you're  
16 flattening the power distribution.

17 MR. BURGER: Right. And you'll see that,  
18 as we said, there's going to be 64 more feet  
19 assemblies. So to get that extra power out, you'll  
20 need more feed assemblies to go into the core. So  
21 that's where you're getting extra power; you're going  
22 to spread that power out over --

23 MEMBER SIEBER: That's where you get the  
24 neutrons from.

25 DR. BANERJEE: You're not increasing the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 surface area of the fuel? You're just bringing in  
2 fresher fuel?

3 MR. BURGER: Right. Distribute the burnup  
4 along the assembly --

5 DR. BANERJEE: So that means you get a  
6 high heat flux, too, right? So the issue really, and  
7 hope you'll address is, is to understand how you can  
8 get more power out of the same fuel, basically the  
9 same fuel surface area. Maybe it's by sharpening the  
10 pencils and doing a few experiments, but we want to be  
11 convinced that this is really not. Maybe other people  
12 have done that, but you would have to do it at some  
13 point.

14 MR. FU: Okay. This Chun Fu, Westinghouse,  
15 thermal hydraulic design.

16 So basically you have IFM, it enhance your  
17 mixing an in an analysis area we have WRB-2M  
18 correlation, which give you 20 percent or even a  
19 little more than 20 percent in the margin. So you  
20 will see that.

21 DR. BANERJEE: Yes, we'll look at it. And  
22 the basis for it.

23 CHAIRMAN DENNING: This is probably an  
24 irrelevant question, but why didn't you decide to go  
25 to higher burnups?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BURGER: Higher burnups?

2 CHAIRMAN DENNING: Yes.

3 MR. BURGER: The average actually  
4 discharge we're putting in four more assemblies.  
5 You'll spread the burnup among those. So the average  
6 discharge on the assemblies will remain about the  
7 same. So you'll just put that burnup on more  
8 assemblies. But you really, the overall will be in  
9 the 50,000.

10 CHAIRMAN DENNING: What's your refueling  
11 cycle then?

12 MR. BURGER: We're on 18 month refueling  
13 cycles.

14 CHAIRMAN DENNING: You're on 18 month  
15 refueling cycle?

16 MEMBER SIEBER: These are cycle burnups as  
17 opposed to assembly burnups?

18 MR. BURGER: Discharge assembly will be in  
19 the 50,000 --

20 MEMBER SIEBER: Right.

21 CHAIRMAN DENNING: That's what I didn't  
22 understand.

23 MEMBER SIEBER: Which is a moderate. It's  
24 sort of in the middle of where everybody's running.

25 MR. BURGER: Right. Yes. And there's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 other plants that are operating at 5.69 and 2900 and  
2 they're in the similar area.

3 MEMBER SIEBER: Right.

4 MR. BURGER: Next slide.

5 Our current maximum riching is 5 weight  
6 percent. We currently put in a split four of usually  
7 495 right now and 46 enrichment, so it'll be no change  
8 to the maximum enrichment that we'll see.

9 With  $T_{avg}$  remaining approximately the same  
10 plus or minus 2 degrees of the current, you don't see  
11 a whole lot of change in the flux profile on the  
12 assemblies.

13 Again, we're operating with a full core of  
14 RFA, full units so we won't have any transition four  
15 penalties impacted.

16 And another item that we implemented was  
17 separate from the EPU was RAOC. That was basically to  
18 give more operating flexibility to the Operations.  
19 They were doing that separately but when we went to  
20 the EPU we also incorporated EPU conditions into the  
21 RAOC curves that we came up with.

22 We've now implemented RAOC, start up of  
23 Unit 1 here is with RAOC. So they're operating right  
24 now with RAOC at the current --

25 MEMBER SIEBER: That's already been

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 approved?

2 MR. BURGER: Yes, it's been approved.  
3 Right. And we're actually operating it for the first  
4 cycle right now.

5 MEMBER SIEBER: There are a number of  
6 other plants that have already have this.

7 MR. BURGER: Right. And you have a tech  
8 spec out of that one.

9 MEMBER SIEBER: Usually on the maximum  
10 enrichment it's the spent fuel pool that governs how  
11 high you can go.

12 MR. BURGER: Yes. We're currently at five  
13 weight percent for both units.

14 MEMBER SIEBER: Okay. Do you take burnup  
15 credit?

16 MR. BURGER: At Unit 1 we have Borel in  
17 the Unit 1 fuel pool and so there's distinct regions  
18 for that of where the fuel goes.

19 Unit 2 we have Borelfex. We're not  
20 crediting the Borelfex in there. So we credit the  
21 soluble boron in there. And we're trying to get a  
22 rerack in there for Unit 2 to get rid of the Borel.  
23 Also, to get more room in the spent fuel pool. And  
24 that analysis will be done in the late 2009/2010 area.

25 MEMBER SIEBER: Do you have enough extra

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 spaces to wait that long?

2 MR. BURGER: Apparently we can go that  
3 long. We have submittal later this year for spent  
4 fuel criticality analysis to maybe get a better  
5 checkerboard pattern out of that and maximize those  
6 areas in the pool.

7 MEMBER SIEBER: Well, the checkerboard  
8 pattern ought to spread out the deposition of heat  
9 modes, too.

10 MR. BURGER: Right. Exactly.

11 MEMBER SIEBER: For obvious reasons.  
12 Okay.

13 MR. BURGER: And that's all I had in the  
14 fuel and core design area.

15 CHAIRMAN DENNING: I think there is  
16 something we want to pursue just a little bit here.  
17 Because obviously we're on a tight time schedule  
18 related to when we're going to have our full  
19 Committee. And I see an issue here related to the  
20 change in the DNB correlation associated with that  
21 mixing. And I can see Sanjoy is ready to jump onto  
22 this issue.

23 I'm wondering how quickly could we get  
24 some information on the validation of this revision to  
25 the DNB model? And presumably Westinghouse has some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 results.

2 MR. BURGER: Yes. That's already been  
3 previously approved the correlation. And it's already  
4 in use.

5 CHAIRMAN DENNING: Okay. So that's the  
6 other element I wanted to --

7 MEMBER SIEBER: I think there's a WCAP on  
8 that one.

9 MR. BURGER: Yes, there's a WCAP out there  
10 for the WRB-2M right. And then we're applying it now  
11 with the use of the VIPRE code and --

12 MEMBER SIEBER: Maybe we could just get a  
13 copy of the WCAP?

14 MR. CARUSO: I can give you a copy of the  
15 WCAP.

16 MEMBER SIEBER: Oh, okay.

17 DR. BANERJEE: And it's been applied to  
18 this specific fuel?

19 MR. BURGER: Five or six years ago, yes.

20 DR. BANERJEE: To this specific fuel  
21 design?

22 MR. BURGER: Yes.

23 DR. BANERJEE: And at these ratings?

24 MR. BURGER: Yes.

25 DR. BANERJEE: Where?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes, before they sell it  
2 they usually have the correlation and have it  
3 approved.

4 MR. CARUSO: The plants are using this  
5 that have not done the uprate. Haven't done uprates.  
6 They just use it to increase margin to improve their  
7 fuel performance. There's a lot of reasons why they  
8 would want to use that are --

9 DR. BANERJEE: So I think we could just  
10 review what's being done right now.

11 MR. CARUSO: I think I can get a copy. I  
12 know the guy who did the review.

13 DR. BANERJEE: Review the review?

14 MR. CARUSO: We could talk about that  
15 offline. But that's not hard to get for you.

16 DR. BANERJEE: Okay.

17 CHAIRMAN DENNING: Okay. Very good. Thank  
18 you very much.

19 We're now going to take a 15 minute break  
20 and we start up again at five after 10:00.

21 (Whereupon, at 9:52 a.m. off the record  
22 until 10:09 a.m.)

23 CHAIRMAN DENNING: Okay. We're now back  
24 in session. And we're going to start up with Mr.  
25 Frederick on safety analysis.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: I wanted to thank the  
2 Committee for allowing us the opportunity to come and  
3 talk to you.

4 As the slide says, my name is Ken  
5 Frederick I'm the lead safety analyst at Beaver  
6 Valley. By background I've worked at Beaver Valley  
7 for 27 years, most of that time has been spent in the  
8 engineering department, only a few years in the  
9 operations.

10 For the last five years I've been assigned  
11 to the uprate project and also the other projects that  
12 we mentioned here, the containment conversion and the  
13 best estimate LOCA.

14 Next slide.

15 Just to give you a brief objective for  
16 what we consider the safety analysis of the plant.  
17 First of all, we want to demonstrate that we have  
18 compliance with all the regulatory limits and the  
19 acceptance criteria . And also we want to show that  
20 Beaver Valley has adequate safety margins at the EPU  
21 conditions.

22 Next slide.

23 So basically we'll be talking about the  
24 specific analysis areas that are listed here as well  
25 as some of the methodologies and the setpoint changes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and design parameters associated with the EPU  
2 conditions.

3 This slide shows the design parameters for  
4 the uprate condition as well as the current  
5 operations. Basically here we're showing that the mass  
6 flow through the reactor essentially is unchanged.  
7 The thermal design flow, which is the tech spec value  
8 which is in volumetric units gallons per minute stays  
9 the same. So in order to get increased power out of  
10 the core, we have to increase the enthalpy rise across  
11 the core. So you see an increase in the hot leg  
12 temperature and a slight decrease in the cold leg  
13 temperatures.

14 CHAIRMAN DENNING: And the difference  
15 between EPU low and EPU high is what?

16 MR. FREDERICK: We've analyzed a range for  
17  $T_{avg}$ . The low temperature being 566.2 and the upper  
18 end is 580 degrees.

19 CHAIRMAN DENNING: And you would expect at  
20 different times to be operating throughout that range  
21 depending upon what was?

22 MR. FREDERICK: Yes, we have target  
23 values. And you want to pull up the backup slide?

24 This slide shows the target values that  
25 we're intending to operate at, although we could

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 revise the  $T_{avg}$  parameter in that range that we have  
2 the analyzed, 566.2 to 580.

3 For Unit 1 you can see  $T_{avg}$  as compared to  
4 the current operation will go up a little less than 2  
5 degrees. And the hot leg temperature will go up about  
6 4 degrees.

7 And this is basically what we targeted and  
8 we've optimized our turbine, our replacement high  
9 pressure turbine for this steam pressure for the EPU  
10 condition. Again, depending on our new generators,  
11 our new replacement generators operate. And they do  
12 seem to match up pretty well with the pre-EPU estimate  
13 there of 822 psia. They're pretty much right on that.  
14 So we probably won't be needing to make any  
15 adjustments in  $T_{avg}$  but if --

16 MEMBER WALLIS: What do you mean psia?

17 MR. FREDERICK: Pardon me?

18 MEMBER WALLIS: Did you adjust for  
19 atmospheric everyday? Don't you measure psig?

20 MR. FREDERICK: Yes. We actually measured  
21 810 psig is what we're seeing out of the replacement  
22 generators.

23 Move on to the next slide it shows the  
24 Unit 2 target values. In Unit 2 we're actually  
25 intending to reduce  $T_{avg}$  a couple of degrees. And the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 intent here is to try and maintain the hot leg  
2 temperature at approximately where we are now, which  
3 is at 609. That will minimize any impacts on the  
4 materials.

5 MEMBER MAYNARD: Now Unit 2 is the one  
6 that still has the 600 --

7 MR. FREDERICK: Yes.

8 MEMBER MAYNARD: Is that the main reason  
9 you're trying to keep the --

10 MR. FREDERICK: That's correct.

11 MEMBER SIEBER: Unit 2 has 600? Okay.

12 MR. FREDERICK: And again, a  $T_{avg}$  results  
13 in a reduced steam pressure here. So when we replace  
14 our high pressure turbine in Unit 2, we'll be  
15 targeting a lower steam pressure for the optimum  
16 design in that turbine.

17 In the area of safety setpoints, we have  
18 made a couple of changes to reactor trip setpoints.  
19 Primarily these are the delta T trips, the  
20 overpressure and over temperature delta T trips.

21 We've reduced the primary setpoint for  
22 these trips. If you're familiar with the trips, that's  
23 the  $K_1$  and  $K_4$  terms.

24 We've also added some filters on the  
25 equations, the functional equations. I can pull up a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 slide. You're looking puzzled, so we'll pull it up  
2 here.

3 MEMBER WALLIS: I'm puzzled.

4 MR. FREDERICK: This is the actual  
5 equation that models this trip. And again, that's all  
6 done electronically.

7 The  $K_1$  term for the OT delta T trip and  
8 the  $K_4$  term for the OPR, the primary trip and then the  
9 rest of the terms there are basically lag and lead  
10 functions and also some adjustments based on actual  
11 temperature and pressure conditions.

12 MEMBER WALLIS: How long are these times  
13 typically that are in the --

14 MR. MURTAGH: This is Brian Murtagh.

15 The filtering is about 6 seconds for the  
16  $T_{avg}$  and delta T filters. All the other time  
17 constraints are typically for the lead lag function  
18 would be 30 over 4. Tile 1 and tile 2 would be tile  
19 130, tile 24.

20 MR. FREDERICK: Does that answer your  
21 question?

22 MEMBER WALLIS: Yes. I was just going to  
23 get an order of magnitude of the tiles to see what  
24 sort of times you're dealing with.

25 MR. FREDERICK: Right. The filters,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 again, were added essentially to give us additional  
2 operating margin so we don't see inadvertent trips  
3 from temperature spikes and that type of thing.

4 MEMBER WALLIS: To wipe out the bouncing  
5 array?

6 MR. FREDERICK: The noise, right.  
7 Correct. And with the reduced trip setpoint and the  
8 additional filters we're not really losing any  
9 operating margins.

10 Some other --

11 DR. BANERJEE: Does this sort of take out  
12 some specific frequency component and above? When  
13 looking at this equation I can't tell anything. So  
14 what is the frequency cut off --

15 MR. FREDERICK: Brian?

16 MR. MURTAGH: Well, if you were to look at  
17 it in terms of a low pass filter --

18 DR. BANERJEE: Yes.

19 MR. MURTAGH: -- then the cut of frequency  
20 would be the inverse of one over 6 seconds, say.

21 DR. BANERJEE: One over 6 seconds?

22 MR. MURTAGH: Yes.

23 DR. BANERJEE: Why 6 seconds? Why not 10,  
24 why not 3?

25 MR. MURTAGH: Well, I believe probably as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 much as you increase the filtering, you're going to  
2 have to decrease the setpoints. Okay. So it's an  
3 optimization of how you want the circuit to function.  
4 You know, it's a trade off between that protects part  
5 of it --

6 MEMBER WALLIS: If it's too long, then you  
7 don't respond quickly enough.

8 MR. MURTAGH: Right.

9 MEMBER WALLIS: And if it's too short, you  
10 respond to every little transient.

11 MR. MURTAGH: And if it doesn't respond  
12 quickly enough, you'll have to reduce the set point.

13 DR. BANERJEE: So is this judgment call?  
14 Is it a judgment call or is it an optimization?  
15 Optimization assumes there's a function you're trying  
16 to maximize, right?

17 MR. MURTAGH: Yes. I believe the code for  
18 it is OptiMax code -- OptoX code used by Westinghouse.

19 DR. BANERJEE: What is it you're trying to  
20 optimize?

21 MR. DURKOSH: This is Don Durkosh.

22 What I wanted to point out was the time  
23 constants here. These were established many years ago  
24 at Westinghouse and they were optimized based on the  
25 plant design. And for the most part these constants

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have stayed pretty much the same and have been used by  
2 just about all Westinghouse plants.

3 As part of this project all they did was  
4 they looked at this and they tried to optimize. As  
5 Ken pointed out, what they did was they lowered the  
6 steady state trip value of small mount and by doing  
7 that they were able to add a small time delay so that  
8 if a particular noise event occurred, it wouldn't  
9 bring that channel into a partial trip condition. So  
10 it's just a small trade off as steady state versus a  
11 transient change.

12 DR. BANERJEE: So how small was this?  
13 What was small here?

14 MR. DURKOSH: Well, I don't have the  
15 numbers memorized, but I did talk to the Westinghouse  
16 and-- DR. BANERJEE: Rough terms.

17 MR. DURKOSH: Basically these values are  
18 representative of what other plants have. They are  
19 not out of line.

20 MEMBER KRESS: Don't you need some sort of  
21 measure of the normal oscillations to do this  
22 optimization?

23 DR. BANERJEE: What does that mean in  
24 delta T? I can't tell that with the ratio?

25 MR. DURKOSH: Well, let's take the first

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bullet here.

2 DR. BANERJEE: Yes.

3 MR. DURKOSH: At steady state conditions  
4 for  $K_1$ , 1.259. What that means is if loop delta T got  
5 up to 25.9 percent above nominal, it would actuate.  
6 So we've lowered that value a little bit. We've  
7 reduced the steady state trip value from 25.9 percent  
8 to 24.2 percent at Unit 1. And we traded that margin  
9 off against just delaying the signal and the length of  
10 the signal that requires actuation.

11 DR. BANERJEE: By how much? It would be  
12 nice to have real numbers instead of percentages  
13 because I can't tell what they are looking at them.  
14 Whether there's a degree, 10 degrees, 5 degrees; what  
15 is the number?

16 MEMBER WALLIS: Well, I guess our interest  
17 would be --

18 MR. DURKOSH: The number for --

19 DR. BANERJEE: How many seconds, how much  
20 average --

21 MR. MURTAGH: The  $K_1$  number means for your  
22 at nominal delta T that you have measured at 100  
23 percent power. If you reach a 124 percent of that  
24 value, you will trip.

25 DR. BANERJEE: Right. But you know the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 normal operating temperature --

2 MR. FREDERICK: The nominal delta T is  
3 about 60 degrees.

4 DR. BANERJEE: Sixty degrees?

5 MR. FREDERICK: Right.

6 DR. BANERJEE: So you've reduced that by  
7 how many degrees?

8 MR. FREDERICK: The trip?

9 MR. MURTAGH: The trip will be 124 percent  
10 of the nominal value.

11 MR. FREDERICK: Well, 2 percent of 60 is  
12 roughly one degree.

13 DR. BANERJEE: This is my head, I need a  
14 calculator.

15 MR. FREDERICK: It's roughly 1 degree  
16 delta.

17 DR. BANERJEE: Okay. One degree. And the  
18 time?

19 MR. FREDERICK: I'm not sure. Brian, do  
20 you know what the time change was? In addition to the  
21 filter, what does it --

22 MR. MURTAGH: Well, there's no direct  
23 correlation between filtering and --

24 MEMBER WALLIS: The only thing that  
25 matters to me really is the impact of these things on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the plant.

2 DR. BANERJEE: Yes. So one degree change  
3 is a small change, but that has given you a big change  
4 in the time available?

5 MR. MURTAGH: Has that given you a big  
6 change?

7 DR. BANERJEE: How much?

8 MR. MURTAGH: The time delay is going to  
9 be built into the safety analysis where the function  
10 is no longer credited as an immediate trip. It would  
11 be assumed to be delayed in a safety analysis.

12 DR. BANERJEE: By how much?

13 MR. FREDERICK: If I understand what  
14 you're asking, we'll get that number for you.

15 DR. BANERJEE: You know, I just want to  
16 get a feel for does 1 degree change in this give you  
17 twice as much time or is it --

18 MR. FREDERICK: Yes, I understand.

19 DR. BANERJEE: -- five percent, or  
20 nothing?

21 MR. FREDERICK: We'll have to get back to  
22 you on that.

23 MEMBER SIEBER: Well, there's an inherent  
24 time delay anyway.

25 DR. BANERJEE: If it's small, it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 irrelevant. Yes.

2 MEMBER SIEBER: That's because of the  
3 instrument response.

4 DR. BANERJEE: Yes.

5 MEMBER MAYNARD: But it's still a trade  
6 off, but you're not approaching any limits anymore.  
7 You're trading off the point at which it trips or a  
8 time. It's still within that time. It can't exceed  
9 any of your safety analysis requirements or anything.  
10 So it's not changing a limit that you're going to get  
11 to.

12 MEMBER SIEBER: Right.

13 DR. BANERJEE: Anyway, appreciate having  
14 the time.

15 MEMBER WALLIS: And I think our main  
16 message should be it changes to what? What's the  
17 adverse consequence because we haven't said anything  
18 about the consequence here.

19 MR. FREDERICK: Right. Yes, the delta T  
20 trips are primarily DNBR protection trips --

21 MEMBER WALLIS: So the thing is by  
22 changing this, have you reduced the DNBR margin  
23 significantly? That's what really we should look at?

24 MR. FREDERICK: Yes.

25 MEMBER WALLIS: Maybe you could tell us--

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: Yes, well we'll talk about  
2 that in some detail later.

3 MEMBER WALLIS: We'll get to that, I  
4 presume.

5 MR. FREDERICK: Right. Right.

6 MEMBER WALLIS: You heard about how we  
7 probed the last applicant on this question?

8 MR. FREDERICK: Yes. Yes.

9 MEMBER WALLIS: Thank you.

10 MR. FREDERICK: Okay. Let me go back to  
11 the original slide here.

12 Other protection system changes. We've  
13 changed the low steam generator level trip for Unit 1,  
14 and that's associated with changes in the instrument  
15 span for that replacement generator. Has a larger,  
16 narrow range span.

17 Again, as we talked about before, we were  
18 eliminating the flux rate trip. And that, again, was  
19 a generic approved, not associated with EPU, but  
20 included.

21 The containment set point changes were  
22 associated with containment conversion. Those have  
23 already been implemented. We've raised the setpoint  
24 since we've increased the normal operating pressure.

25 And we also at that time, we revised the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 low level RWST recirc setpoint. And that was --

2 MEMBER WALLIS: You went from a reduced  
3 pressure containment to an atmospheric, is that what  
4 happened?

5 MR. FREDERICK: That's correct.

6 MEMBER WALLIS: Why did you do that?  
7 Maybe you've explained that already, but why?

8 MR. FREDERICK: Yes, we can talk about it  
9 later. But primarily the reason is --

10 MEMBER SIEBER: To make old guys breath  
11 easier, right?

12 MR. FREDERICK: That is a very key factor,  
13 yes. We have an aging workforce and wearing 40 pound  
14 biopacks in containment is certainly not very  
15 comfortable. So it does add a --

16 MEMBER WALLIS: An aging workforce is  
17 what--maybe we should pressurize this room.

18 DR. BANERJEE: Oxygenate.

19 MR. FREDERICK: Consideration of personnel  
20 safety and we also see some other benefits in the  
21 analysis from the increased pressure. And we'll talk  
22 about that later.

23 DR. BANERJEE: What is the RWST level low-  
24 low setpoint lowered? What is the implication of  
25 this?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I'm sure safety injection  
2 is --

3 MR. FREDERICK: The setpoint is where  
4 transfer from injection mode to recirc mode. And by  
5 lowering that setpoint we end up with more water in  
6 the sump whenever we do that transfer so that  
7 increased the NPSH margin for primarily the low head  
8 safety injection pumps.

9 DR. BANERJEE: Do you have a problem with  
10 NPSH margin?

11 MR. FREDERICK: Yes, we're pretty close to  
12 the limit.

13 DR. BANERJEE: Is that why you're doing  
14 that?

15 MR. FREDERICK: That was one of the  
16 reasons, yes.

17 DR. BANERJEE: And the water is hotter  
18 because your containment is at a higher pressure now?

19 MR. FREDERICK: Yes. It is slightly  
20 higher. And we'll talk about some of that in the  
21 containment portion of the --

22 MEMBER SIEBER: Yes, that shouldn't be by  
23 much, though.

24 MR. FREDERICK: Yes.

25 Next slide, please.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We have changed some of the control system  
2 setpoints. Again, these were just setpoint changes,  
3 none of the control schemes were function changes in  
4 the plant.

5           Pressurizer level is something that's  
6 programmed to  $T_{avg}$  so that the maximum or the normal  
7 operating level is a function of what  $T_{avg}$  we're  
8 operating at. So raising  $T_{avg}$  a couple of degrees will  
9 increase pressurizer level by a couple of percent of  
10 full power.

11           MEMBER SIEBER: Well the controller will  
12 do that, but you program it to make it happen, right?

13           MR. FREDERICK: Yes. There is a little  
14 rescaling involved. But, yes.

15           MEMBER SIEBER: I take it you've analyzed  
16 the response of the pressurizer for various transients  
17 and accidents to show that it is still of adequate  
18 size?

19           MR. FREDERICK: Yes. We've analyzed for  
20 the full range of accidents and also margin to trip  
21 analyses.

22           MEMBER SIEBER: Okay.

23           MR. FREDERICK: The more normal  
24 occurrences. And we'll talk about it --

25           MEMBER SIEBER: And the change you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 making is not that great, so it shouldn't have a big  
2 impact on the pressurizer size.

3 MR. FREDERICK: Right. Right.

4 MEMBER SIEBER: Okay.

5 MR. FREDERICK: We're also changing some  
6 of the steam dump. This is essentially the turbine  
7 bypass system. The control setpoints there are  
8 optimized to operate for the EPU condition.

9 Steam generator level again for Unit 1  
10 with the replacement generator, we have to increase  
11 the setpoint for normal water level. Essentially it  
12 stayed the same where we were before because of the  
13 increased span on the tape settings.

14 DR. BANERJEE: I didn't get that last  
15 point. Why did you have to increase the --

16 MR. FREDERICK: The replacement steam  
17 generators, they have a 212 inch span for the narrow  
18 range. The old ones had about 144 inch range. So to  
19 get to the same level now we're at 65 percent, which  
20 before we were at 44 percent. So it's just a change  
21 based on the span.

22 Next slide.

23 MEMBER SIEBER: These slides that have the  
24 little boxes like this one to the right, that's a  
25 backup slide?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: That's correct.

2 MEMBER SIEBER: Are they in this book some  
3 place?

4 MR. FREDERICK: No, they're not. We do  
5 have copies available.

6 MEMBER SIEBER: I think we would need the  
7 copies of the slides that you show?

8 MR. CARUSO: I have those. I'll print them  
9 up for you. I have an electronic copy of this.

10 MEMBER SIEBER: Oh, okay.

11 DR. BANERJEE: If you have an electronic  
12 copy of all this --

13 MEMBER SIEBER: Why don't you just give us  
14 the electronic copy and --

15 DR. BANERJEE: So then we just may get the  
16 electronic copy from you rather than this.

17 MR. CARUSO: Sure.

18 MR. FREDERICK: This slide basically  
19 outlines the methodologies that we used for the safety  
20 analysis. And it also shows what the current  
21 methodologies were. So for large break LOCA we are  
22 changing from the Westinghouse BASH methodology, which  
23 was Appendix K method, to the BE LOCA methodology,  
24 which uses the COBRA/TRAC code.

25 And as we mentioned previously, this is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the original BE LOCA methodology approved in 1996 when  
2 we started this program, ASTRUM, which is what Ginna  
3 used, wasn't approved at that time. So we're not using  
4 that.

5 DR. BANERJEE: Do you do these  
6 calculations yourself or somebody else does it?

7 MR. FREDERICK: Westinghouse has performed  
8 these calculations for us.

9 DR. BANERJEE: I see.

10 MEMBER SIEBER: You have access to their  
11 codes, though, right?

12 MR. FREDERICK: I have access to LOFTRAN,  
13 but not the LOCA codes. Just the non-LOCA.

14 DR. BANERJEE: So you sort of contract  
15 them to do this work?

16 MR. FREDERICK: That's correct.

17 DR. BANERJEE: And how much audit  
18 capability do you have of what's going on there?

19 MR. FREDERICK: We have reviewed all of  
20 the calculations that were done for the uprate. In  
21 other words --

22 DR. BANERJEE: You don't have a copy of  
23 the code to test out or anything like that?

24 MR. FREDERICK: Well, again, in the case  
25 of non-LOCA I do have a copy of the LOFTRAN code which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 I do run. I don't have a copy of NOTRUMP or  
2 COBRA/TRAC. Our review is basically limited to making  
3 sure that they use the inputs that we specify and  
4 making sure the output looks reasonable.

5 As I mentioned, large break we have  
6 changed to BE LOCA. The small break still uses  
7 NOTRUMP, which is the Westinghouse small break  
8 approved methodology.

9 MEMBER WALLIS: Now you've changed to best  
10 estimate method. Did you try to use BASH on the power  
11 uprate?

12 MR. FREDERICK: No, we did not.

13 MEMBER WALLIS: Because I was wondering if  
14 you would be over the limit if you used it? Did you  
15 use BE LOCA because you have to because otherwise  
16 you'd--

17 MR. FREDERICK: It was a decision that we  
18 made to regain some margin which would help us out  
19 with the --

20 MEMBER WALLIS: It's so conservative. It  
21 looks like it would drive you over the limit if you  
22 gain power too much.

23 MR. TESTA: Ken, if I can input here. I'm  
24 Mike Testa, I'm the Project Manager at Beaver Valley.

25 When we first set out on this project with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the extended power uprate, you know, we were going to  
2 do an extensive reanalysis. And part of that is we  
3 wanted to bring the design up to the later design  
4 codes. So that was an opportunity for us. We knew we  
5 had to redo the LOCA analysis and we choose to go to  
6 the BE LOCA methodology.

7 MEMBER WALLIS: And my question really was  
8 if you'd used BASH, because I'd like to compare the  
9 new with the old when you give us, say, 2190 degrees  
10 or something.

11 MR. TESTA: Yes. We did not run--

12 MEMBER WALLIS: And maybe the temperature  
13 actually goes down with the new prediction method  
14 because it's because of the method, rather than the  
15 physics.

16 MR. FREDERICK: Yes. But we did not run  
17 that.

18 MEMBER WALLIS: But I think we'll get into  
19 that later, perhaps.

20 DR. BANERJEE: Was there industry  
21 experience with something equivalent to BASH that  
22 suggested you should do BE LOCA?

23 MR. FREDERICK: Certainly the BE LOCA was  
24 known to provide better results just because of the  
25 methodology --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: There were lower --

2 MEMBER SIEBER: That's correct. Yes.

3 DR. BANERJEE: Lower results? Better we  
4 don't know for sure.

5 MEMBER WALLIS: From the point of view of  
6 safety, better is higher.

7 DR. BANERJEE: Better results?

8 MEMBER SIEBER: Lower results.

9 MEMBER WALLIS: Because then you could  
10 back off.

11 MEMBER SIEBER: Well, there is a typical  
12 for BE LOCA in an SER which would -- I don't know  
13 whether that --

14 MR. FREDERICK: This version of BE LOCA  
15 was actually approved in 1996 and a lot of other  
16 plants have been using it.

17 DR. BANERJEE: Yes, but --

18 MEMBER SIEBER: You may want to look at  
19 that topical in the SER to determine what the  
20 equivalence, if any, there is. Because there probably  
21 isn't much of an equivalence because one uses an  
22 extreme boundaries of everything whereas BE LOCA is  
23 best estimate with uncertainty. Get a different  
24 answer.

25 MR. CARUSO: I believe the Committee has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 written a letter on this method.

2 MEMBER SIEBER: I suspect they have.

3 MEMBER WALLIS: Well, it came up with the  
4 last applicant that they had used the Appendix K  
5 method. I think they went over 2200 degrees. BE LOCA  
6 put them way below. So it makes a big difference.

7 MEMBER SIEBER: Yes.

8 DR. BANERJEE: But going back, I just want  
9 to be -- have any of these other uprates that were  
10 listed which are somewhat similar to these used  
11 something equivalent to BASH in doing that, do you  
12 know?

13 MR. FREDERICK: I don't know. I'm sure  
14 that some of the older uprates would have used BASH  
15 because that was what the licensed code was at that  
16 time.

17 Matt, do you have any --

18 MR. CERRONE: Yes. Hi. My name is Matt  
19 Cerrone with Westinghouse.

20 All recent uprates are all done with best  
21 estimate methods for the large break accident.

22 DR. BANERJEE: When was the last one done  
23 with BASH?

24 MR. CERRONE: I don't know.

25 DR. BANERJEE: Was there one done with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 BASH?

2 MR. CERRONE: I can't imagine. I mean, my  
3 experience would have it that -- basically all my  
4 experience with Westinghouse was whenever we would  
5 move to a new product or especially with uprates, the  
6 best estimate technology using COBRA/TRAC is the  
7 methodology of choice because it is capable of  
8 modeling the phenomena that's expected out of these  
9 codes for large break accidents these days.

10 DR. BANERJEE: Now just to follow this.  
11 The BASH number for the unuprated plant were  
12 acceptable, I take it? Now, this 10 percent increase  
13 must then give some problem with BASH, otherwise why  
14 would people go running to the best estimate.

15 MR. FREDERICK: I do have a slide later  
16 that shows the BASH results with current power level.

17 MEMBER WALLIS: I take it we're going to  
18 get into each of these in detail later on?

19 MR. FREDERICK: That's correct.

20 MEMBER WALLIS: Okay.

21 MEMBER KRESS: When you do the large break  
22 LOCA did you take advantage of the new break size that  
23 NRC is flirting with?

24 MR. FREDERICK: No, we did not.

25 MEMBER KRESS: You used the actual large

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 double winded --

2 MR. FREDERICK: Yes, double winded  
3 rupture.

4 MEMBER SIEBER: When you did the  
5 calculations for the alternate source term in your  
6 containment parameters, you used the latest DKE curve?  
7 Does BELOCA use the same DKE curve or the earlier  
8 versions that the Appendix K used?

9 MR. FREDERICK: BE LOCA methodology uses  
10 the 79 curve with 2 sigma, not the 71.

11 MEMBER SIEBER: Okay. That's the later?

12 MR. FREDERICK: That's correct.

13 For non-LOCA events we've changed the DNBR  
14 calculation methodology from THINC to VIPRE. LOFTRAN  
15 is still used for the thermal hydraulics.

16 In the containment area again, as part of  
17 the containment conversion submittal which was  
18 recently approved, we have gone to MAAP-DBA.  
19 Previously we used a Stone & Webster code named  
20 LOCTIC, called LOCTIC.

21 And again, in dose assessment area we have  
22 implemented -- we have gone to a full implementation  
23 of the alternative source term and we're also using  
24 ARCON 96 now for on-site --calculations.

25 Essentially this is just a list of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 non-LOCA events that we've analyzed or evaluated.  
2 These are categorized by the Standard Review Plan  
3 categories. I'm not going to read them all. You can  
4 look at them there. The next couple of slides here.  
5 In total there's 18 events in the non-LOCA area that  
6 were again looked at for EPU and these have new  
7 analyses associated with them.

8 MEMBER WALLIS:

9 You're going to give us a table of results  
10 somewhere?

11 MR. FREDERICK: Yes, we'll get into that.

12 For condition II events which comprises a  
13 majority of the non-LOCA events, the acceptance  
14 criteria are meet the DNBR limits, heat generate rate  
15 has to remain within the acceptable limits. The RCS  
16 and the secondary pressures need to stable to 110  
17 percent of the design. And the event cannot progress  
18 to a more series level 3 or level 4 event.

19 DR. BANERJEE: Does this also apply for  
20 steam line breaks?

21 MR. FREDERICK: Yes. Well, steam line  
22 break, as we'll see, is actually a condition IV event.  
23 But when we analyze it we use condition II criteria.  
24 So it does apply, yes.

25 MEMBER WALLIS: Now you've seen these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 slides before. Is something wrong with the screen  
2 here? Is that why it doesn't look good?

3 DR. BANERJEE: Yes.

4 MEMBER WALLIS: Why did the NRC, we  
5 designed this room and give us a far worse screen than  
6 we had before.

7 MEMBER KRESS: That's a good question.

8 MEMBER WALLIS: I think we should put that  
9 on the record.

10 CHAIRMAN DENNING: I don't think we're  
11 going to demand that you answer that.

12 MEMBER WALLIS: Well, I just want to make  
13 sure it's not just me. I mean, when you get --

14 MEMBER KRESS: It's not just you. Rest  
15 your eyes.

16 MEMBER WALLIS: It's a good slide.

17 MR. FREDERICK: Next slide.

18 The first acceptance criteria we're going  
19 to talk about is the DNBR limits. As we mentioned  
20 earlier, DNBR is calculated using approved  
21 correlations. For Beaver Valley we use three  
22 correlations, WRB-1. WRB-2M and W-3. And the  
23 application of these is essentially controlled by what  
24 conditions they're approved for and also what the  
25 operating conditions are for the analysis. And we'll

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 get into some examples later.

2           Primarily WRB-2M is used because that is  
3 specifically for the RFA fuel, which we use, and for  
4 the high temperature regions of the fuel with the  
5 mixing vanes.

6           Something else that's used here is called  
7 revised design thermal design procedure. And that is  
8 a methodology, again an NRC approved method which  
9 takes the uncertainties on power, flow, temperature  
10 and pressure and combines those into essentially a  
11 penalty that's applied to the DNBR limits. And we'll  
12 see that again on the next slide.

13           One thing to mention here is that at  
14 Beaver Valley, primarily because of the change to WRB-  
15 2M and the RFA fuel we actually have 21 percent margin  
16 between what we use as a safety analysis limit and the  
17 actual design limits for the fuel. And essentially  
18 that margin is retained to give the core designer some  
19 flexibility in the reload process so that if an issue  
20 comes up or a penalty that needs to be applied and  
21 they have the flexibility to do that without having to  
22 go back and redo all the safety analysis.

23           So if you look at the next slide, this  
24 kind of gives you a picture of how the limits are  
25 developed. On the left is the DNBR ratio. And on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 right is the corresponding limit. So 1.0 obviously is  
2 critical heat flux.

3 The correlation limit is actually a tech  
4 spec value and it reflects the uncertainty in the  
5 correlation that corresponds to the 95/95 confidence  
6 level.

7 From there we go up to 1.22, which is what  
8 we get when we add in the uncertainties associated  
9 with the initial conditions in the core for power  
10 flow, pressure and temperature.

11 And finally, the 1.55 is what we're using  
12 as the safety analysis limit. So in between the 1.22  
13 and the 1.55 essentially is margin which is retained  
14 by the thermal hydraulic people in the --

15 MEMBER WALLIS: Now the previous applicant  
16 used 1.38.

17 MR. FREDERICK: That's correct.

18 MEMBER WALLIS: So it seems there's a lot  
19 of flexibility in what you choose to use.

20 MR. FREDERICK: Yes. That limit is  
21 something that is somewhat negotiated between the fuel  
22 designers and the safety analysis people within  
23 Westinghouse in this case.

24 MEMBER WALLIS: So should we give you high  
25 marks for having a high DNBR? More safety,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 presumably.

2 MR. FREDERICK: Yes. The limit is set  
3 high primarily because in the past we had transition  
4 core penalties which have since gone away since we're  
5 into all RFA fuel at this point. But we haven't  
6 changed the limit.

7 MEMBER WALLIS: I wasn't here earlier. Are  
8 you changing the fuel when you do the uprate?

9 MR. FREDERICK: No.

10 MEMBER WALLIS: Not at all?

11 DR. BANERJEE: But it's all RFA fuel?

12 MEMBER SIEBER: I guess the more important  
13 question when you talk about margins is do you have  
14 somebody in your organization who is the keeper of  
15 margins? For example, you know there are things you  
16 can do when you refuel the reactor if you don't put in  
17 the flow limiting devices, that changes the core flow  
18 significantly and trades margin around. And if you  
19 don't have a single person who is watching what the  
20 condition of the core and all the modifications to the  
21 plant and changes in operating procedures, you may be  
22 giving up margin that you would rather have someplace  
23 else, or maybe two people taking a bite out of the  
24 same margin unbeknownst to one another.

25 MR. FREDERICK: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Do you have somebody that  
2 does that?

3 MR. FREDERICK: Well, primarily that's me,  
4 yes. We're very aware --

5 MEMBER SIEBER: Do you do a good job of  
6 that?

7 MR. FREDERICK: I think so.

8 MEMBER SIEBER: You want to write that  
9 down?

10 MR. FREDERICK: I'm very aware of where  
11 our margins lie, particularly in terms of accident  
12 analysis, results, PCTs for LOCA events and DNBR  
13 margins. Those values are associated are actually  
14 published every time we do a reload safety analysis.  
15 So we understand what the margins are and we provide  
16 the majority of the inputs for the reload evaluation.  
17 So there's margins that have to move around or to  
18 trade off operating margins. And we're part of that  
19 process and we're aware of it.

20 MEMBER SIEBER: And so are you on the on-  
21 site safety committee?

22 MR. FREDERICK: No, I'm not.

23 MEMBER SIEBER: But you are the keeper of  
24 the margin.

25 MR. FREDERICK: Our on-site safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 committee--

2 MEMBER SIEBER: Do you have somebody in  
3 your organization who is on that committee?

4 MR. FREDERICK: We do.

5 MEMBER SIEBER: Okay. Since you're the  
6 keeper of the margin --

7 MR. FREDERICK: He sits right across from  
8 me, so --

9 MEMBER SIEBER: Okay.

10 MR. MANOLERAS: Yes, Jack. And this Mark  
11 Manoleras.

12 We do sit on the Core Reload Safety  
13 Process. We have a sign-off on that, a design  
14 engineering manager and Ken. We have a sign-off on  
15 that Core Reload Safety Process. We have a direct  
16 input to that process.

17 MEMBER SIEBER: Okay. Yes, what I concern  
18 myself with is sometimes there are subtle little  
19 changes in the operation and maintenance of the plant  
20 that can change these margins.

21 MR. BURGER: Yes. This A.R. Burger again.

22 What we do in the core design process, we  
23 have a reload project team. Ken will be part of that.  
24 We have operations training, chemistry, design  
25 engineering. What we'll do is look at that on each

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reload and decide: (a) what changes are being made in  
2 the plant with other items that are out there and then  
3 we'll determine where we can put our DNB margin based  
4 on what's going on in each reload.

5 MEMBER SIEBER: And the refueling  
6 supervisor is part of that?

7 MR. BURGER: Yes.

8 MEMBER SIEBER: Okay.

9 MR. FREDERICK: Can I move on? Okay.

10 This is a table that shows the results for  
11 events which primarily are looked at for DNBR as one  
12 of their limits. And as you can see here, some of the  
13 events use correlations other than WRB-2M. For  
14 example, the first one is a rod withdrawal from  
15 subcritical so the correlation essentially does not  
16 apply in that power range, so we used W-3 and WRB-1  
17 which are applicable at that condition.

18 Also for the hot zero power steamline  
19 rupture we used W-3 for that. For similar reasons it's  
20 not a full power event.

21 CHAIRMAN DENNING: And the reason on the  
22 first one, the RCCA bank withdrawal was acceptable is  
23 you believe the 1.65 on the W-3 more than the WRB-1 or  
24 what's --

25 MR. FREDERICK: Actually, Chun, maybe you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can explain this. But both of those are used in  
2 various regions of the --

3 MR. FU: This is Chun Fu, Westinghouse.

4 The used of WRB-1 correlation is because  
5 for this rod withdrawal from subcritical the similar  
6 condition is out of the applicable range of WRB-2M  
7 correlation. But we did confirm, you know, that DNB  
8 criteria is met with WRB-1 correlation.

9 MR. FREDERICK: I think he was asking why  
10 we used both W-3 and WRB-1.

11 MR. FU: Both W-3 correlation, you know,  
12 WRB-1, WRB-2M correlation is applicable only for the  
13 mixing in grid spans. So we still use W-3 for the  
14 first span just from the inlet to the first mixing  
15 grid. So W-3 is always correlation.

16 MR. FREDERICK: So it's the position on  
17 the fuel rod where --

18 MEMBER WALLIS: So this doesn't indicate  
19 two different results from two correlations for the  
20 same place?

21 MR. FREDERICK: That's correct.

22 MEMBER WALLIS: It's different places,  
23 right?

24 MR. FREDERICK: Yes.

25 As you can see here the limiting case in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 terms of DNBR margin is the rod withdrawal of power  
2 event. And we're going to talk about that in some more  
3 detail here in a little bit.

4 CHAIRMAN DENNING: How does the positive  
5 moderator coefficient impact some of these as far as  
6 if you had zero moderator coefficient versus the small  
7 positive? Is it measurable in terms of the DNBR as to  
8 what result you get?

9 MR. FREDERICK: Chun, could you answer  
10 that?

11 MR. FU: I don't know --

12 MR. McHUGH: This is Chris McHugh from  
13 Westinghouse.

14 The positive moderator temperature  
15 coefficient does show up in the analysis if you have  
16 a heat up event and you analyze the zero MTC versus a  
17 small positive, you will see a difference in the  
18 results.

19 To correlate that to a change in DNBR  
20 would be a function of which event you're talking  
21 about.

22 CHAIRMAN DENNING: But for example in this  
23 bank withdrawal of power, is that --

24 MR. McHUGH: In the bank withdrawal at  
25 power --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER SIEBER: It would be part of it.

2 MR. MCHUGH: It would be a small penalty,  
3 yes.

4 MR. FREDERICK: As I mentioned earlier,  
5 the steamline ruptures are actually condition IV  
6 events but we do analyze them to the DNBR --

7 MEMBER WALLIS: Now there seem to be fewer  
8 items in this table than there were on pages 33536?

9 MR. FREDERICK: Yes. Again, these are  
10 primarily the events which challenge the DNBR limits.

11 MEMBER WALLIS: We have to assume that the  
12 other ones are milder?

13 MR. FREDERICK: Either they're not  
14 analyzed for DNBR because of the nature of the event  
15 would not cause DNBR to decrease or they're just not  
16 anywhere near limiting.

17 MEMBER WALLIS: But how do you evaluate  
18 something like uncontrolled boron dilution? Are you  
19 going to tell us that or --

20 MR. FREDERICK: Chris, can you answer  
21 that?

22 MR. MCHUGH: We do an uncontrolled boron  
23 dilution calculation. We take the active mixing  
24 volume, the initial and critical boron concentrations  
25 and calculate a time that it takes to dilute it and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 lose shutdown --

2 MEMBER WALLIS: You say that the operators  
3 have enough time to take action?

4 MR. McHUGH: Right. We conclude that they  
5 have in excess of 15 minutes.

6 MEMBER WALLIS: You don't calculate any  
7 kind of adverse effect. You just assume it's avoided?

8 MR. McHUGH: Right.

9 MR. FREDERICK: Next slide.

10 CHAIRMAN DENNING: One more thing, and  
11 that is pre EPU what did the RCCA bank withdrawal look  
12 like.

13 MR. FREDERICK: I have that on that slide  
14 when we talk about that event.

15 CHAIRMAN DENNING: Okay.

16 MR. FREDERICK: One of the other key  
17 criteria for the condition II events in the RCS or  
18 primary and secondary pressure. This shows the primary  
19 pressure limits in terms of how they correspond to the  
20 ASME service level stress limits. So, for example,  
21 starting at the bottom there at 2250 is our normal  
22 operating pressure. The design pressure system is  
23 2485 psig. For service level B, which is used for  
24 condition II events, the ASME stress limit is 1.1  
25 times the allowable stress. Conservably, that's just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 taken to mean a 110 percent of the design pressure  
2 even though if you looked at every component, you may  
3 be able to exceed 110 percent of design.

4 Similarly for level C we use a  
5 conservative criteria for locked rotor of 120 percent.  
6 Locked rotor is a condition IV event.

7 For ATWS the approach taken there was to  
8 actually go and look at all the components. And the  
9 limit arrived at in that manner was 3200 psig. So  
10 that is the limits applied to ATWS events.

11 MEMBER WALLIS: Again, these pressures  
12 aren't all to be engaged because that's what the  
13 vessel fields, isn't it?

14 MR. FREDERICK: That's correct.

15 MEMBER WALLIS: The vessel doesn't know  
16 anything about absolute pressure.

17 MR. FREDERICK: The analyses --

18 MEMBER WALLIS: If you put it in a  
19 different containment --

20 MEMBER SIEBER: Do you happen to know the  
21 number where you would actually get a failure of the  
22 vessel?

23 DR. BANERJEE: You could have a vacuum.

24 MEMBER WALLIS: Never been tested, has it?

25 MR. FREDERICK: Yes. I don't know that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 number, Jack. 3200 was based on --

2 MEMBER SIEBER: It's like three times 25,  
3 right?

4 MR. FREDERICK: Yes.

5 MEMBER SIEBER: Twenty-five hundred?

6 MEMBER WALLIS: Seven thousand psi or  
7 something like that?

8 MEMBER SIEBER: Yes, something like that.

9 MEMBER WALLIS: Because it stretches bolts  
10 before that.

11 MEMBER SIEBER: Well, I would be heading  
12 out of town if it was going up there.

13 MR. FREDERICK: This table shows the  
14 results from the events which challenge the over  
15 pressure limits. As you can see here, loss of load is  
16 a limiting event for condition II events. At 2747 for  
17 Unit 1 --

18 MEMBER WALLIS: That's pretty close, isn't  
19 it? That's pretty close.

20 MR. FREDERICK: Yes. We're going to talk  
21 about that event in more detail soon.

22 MEMBER WALLIS: No uncertainty? This is  
23 just one spot calculation, best estimate?

24 MR. FREDERICK: No. This is a very  
25 conservative analysis, and that's what we're going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 demonstrate.

2 MEMBER WALLIS: That's why it's okay.

3 MR. FREDERICK: This also shows locked  
4 rotor, which again is below the 120 percent limit and  
5 the ATWS analyses for both units.

6 DR. BANERJEE: What were these limits  
7 before the uprate?

8 MR. FREDERICK: The limits have not  
9 changed.

10 MEMBER WALLIS: No, but what were your  
11 values?

12 DR. BANERJEE: I mean the peak primary  
13 pressure values?

14 MR. FREDERICK: I do have that for the  
15 limiting case here. The loss of load I don't have that  
16 value.

17 MEMBER WALLIS: You sat in on the last  
18 presentation?

19 MR. FREDERICK: Yes.

20 MEMBER WALLIS: Where I asked for a table  
21 comparing before and after?

22 MR. FREDERICK: Again, we do have that for  
23 all the limiting cases that we're talking about.

24 MEMBER WALLIS: It gives us some  
25 perspective on what's going on.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: Yes.

2 DR. BANERJEE: Loss of load may be ATWS  
3 and locked rotor, only of significance of right there,  
4 the rest of them --

5 MEMBER SIEBER: ATWS is a service level D  
6 event.

7 DR. BANERJEE: Yes.

8 MEMBER SIEBER: And loss of load is a  
9 service level B event

10 MR. FREDERICK: That's correct.

11 MEMBER SIEBER: They're different limits,  
12 right?

13 DR. BANERJEE: Yes, they have the same  
14 pressure limits as well, right?

15 MEMBER SIEBER: Right.

16 MR. FREDERICK: Right.

17 DR. BANERJEE: But it would be interesting  
18 to see what it was before.

19 MR. FREDERICK: What the results were  
20 before?

21 DR. BANERJEE: Yes, compared to now. I  
22 mean before and after.

23 MR. FREDERICK: Okay. I think we have  
24 those. Do we have those, Chris, before?

25 MEMBER WALLIS: Yes. If they're not ready

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this morning, you could flash them up this afternoon.

2 MR. MCHUGH: Right.

3 MR. FREDERICK: Yes.

4 MEMBER WALLIS: Now what limits your power  
5 uprate? Is it secondary side or is it some of the  
6 safety limits? Why don't you go to higher power  
7 uprate? Is it safety limits that limit you?

8 MR. TESTA: This is Mike Testa again,  
9 Beaver Valley.

10 When we first started the project and as  
11 we showed in the beginning presentation, we looked at  
12 where the industry was operating the Westinghouse 3  
13 loop PWRs. And we basically are aligned with them. So  
14 when we looked at the power level, we went to 2900  
15 NSSS power, core power and that aligned us with the  
16 other --

17 MEMBER WALLIS: So you looked at similar  
18 plants and what they can do?

19 MR. TESTA: And then of course then we  
20 looked at the modifications that we needed to perform  
21 on the balance of plant side to achieve that.

22 MEMBER SIEBER: How much it --

23 MEMBER WALLIS: But conceivably if you've  
24 gone to higher power, you might get a 2750 something  
25 loss of load.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN DENNING: Well, I have a relevant  
2 question to that, and that is what -- it's not chance  
3 that the pressure has come to 2747/2746 right there.  
4 Have you modified something like a setpoint or  
5 something like that that brings you there? What is it  
6 that --

7 MR. FREDERICK: Yes. One of the key inputs  
8 to this analysis is the tech spec limit on the  
9 tolerance for the setpoint for the safety valves. And  
10 in the case of Unit 1 we increased that from one  
11 percent to a three percent tolerance. And Unit 2  
12 increased from 1 to 1.6. So it does drive the results  
13 much closer to the limit. And we'll talk about that a  
14 little later.

15 MEMBER WALLIS: You will talk about that?

16 MR. SENA: And this is Pete Sena, Director  
17 of Engineer.

18 Again, Dr. Wallis, our goal here was to go  
19 through the non-LOCA transients, take out the two most  
20 limiting transients and then go into great detail so  
21 you can see what margins do remain. That's what's Ken  
22 is going to get to next.

23 MEMBER WALLIS: Thank you. That makes  
24 sense. That's sort of thing we asked for last time.  
25 So thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. FREDERICK: This slide looks at some  
2 of the other more unique criteria. Pressurizer filling  
3 is a concern essentially for progression. If we fill  
4 the pressurizer, then the chances are we could evolve  
5 into a small break LOCA which we don't want to happen.  
6 So we look at that for some of the analysis which  
7 challenged the overfill.

8 As you can see there, in the limiting case  
9 the spurious SI, we do actually fill the pressurizer  
10 and we'll have a more detailed discussion on that  
11 event and what we've looked at to convince ourselves  
12 that that's okay.

13 Margin to hot leg saturation or no boiling  
14 in the hot leg is a criteria that's applied for  
15 feedline break, which again is a condition IV event.  
16 So this is a conservative criteria for that event.  
17 And as you can see there, we have a margin to the hot  
18 leg boiling.

19 MEMBER WALLIS: Loss of control you're  
20 worried about, not popping something in the  
21 pressurizer?

22 MR. FREDERICK: I'm sorry?

23 MEMBER WALLIS: The relief valve opens on  
24 the pressurizer and then it fills up?

25 MR. FREDERICK: Yes. The concern there is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 if you're passing water through a safety valve it's  
2 not really designed for --

3 MEMBER WALLIS: All right. But it can pass  
4 with this water?

5 MR. FREDERICK: Yes.

6 MEMBER WALLIS: Right. But you lose  
7 control, that's what you're worried about. You lose  
8 pressure control?

9 MR. FREDERICK: Well, our concern would be  
10 that the valve might stick open --

11 MEMBER WALLIS: It does happen.

12 MR. FREDERICK: -- which would reduce  
13 pressure, yes. Yes.

14 MEMBER SIEBER: You have some other  
15 problems, too. You have this huge water slug going  
16 down the discharge line to the --

17 MR. FREDERICK: Yes, it would also  
18 challenge the --

19 MEMBER SIEBER: -- to the PRT, which is  
20 not a good thing.

21 MEMBER MAYNARD: You have separate power  
22 operated type relief valves and code safeties?

23 MR. FREDERICK: Yes, we have power  
24 operated relief valves as well as code safeties.

25 MEMBER MAYNARD: So the idea would be that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 those would open up, use those before the code  
2 safeties lifted, primarily?

3 MR. FREDERICK: That's correct. Yes.

4 MEMBER MAYNARD: Yes.

5 MR. FREDERICK: The last even there shown  
6 is the rod ejection where fuel stored energy limit the  
7 acceptance criteria. And as shown there, we meet that  
8 limit.

9 Next slide, please.

10 Again, this is a detailed discussion on  
11 the loss of load event. Basically provide a flavor  
12 for the level of conservatism --

13 MEMBER WALLIS: That BTU, what is that in  
14 calories per gram.

15 CHAIRMAN DENNING: Calories per gram?

16 MR. FREDERICK: Pardon me?

17 MEMBER WALLIS: Usually it calories per  
18 gram that we see. What is it?

19 CHAIRMAN DENNING: BTU per pound on max  
20 fuel stored energy. Do you know what that is  
21 conversion into calories per gram.

22 MR. FREDERICK: 260 or so.

23 MEMBER WALLIS: Or less?

24 MR. FREDERICK: Chris, if you want to look  
25 it up, it's in the licensing report on that computer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there, I believe.

2 MEMBER WALLIS: Okay. We can do that.

3 CHAIRMAN DENNING: We can probably handle  
4 this conversion, but given half an hour.

5 DR. BANERJEE: And more oxygen.

6 MR. FREDERICK: Again, we're going to talk  
7 about loss of load transients in detail here. And the  
8 purpose is to give you an idea of the level of  
9 conservatism that these analyses are done to.

10 And this event produces the highest  
11 primary and secondary pressure of the condition II  
12 events. And the results from either a loss of load  
13 off the generator or a turbine trip that is caused by  
14 other inputs.

15 The reactor protection for this event, we  
16 have essentially five trips there that provide  
17 protection. Two aren't credited; the high water level  
18 trip and the pressurizer. That's just a conservatism  
19 in the analysis. And the reactor trip on turbine trip  
20 which is essentially the most direct trip for this  
21 event, that's not credited because that is not  
22 considered a qualified trip since it comes out of the  
23 turbine building, which is a non-seismic building.

24 We do actually run two cases for this loss  
25 of load, one to look at DNBR and one to look at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pressure. We're not going to talk about the DNBR case  
2 here. It's not close to being limiting.

3 In the analysis we, of course, bias all  
4 the input initial condition parameters to give us the  
5 worst results. Initial pressurizer pressure and level  
6 and the RCS power flow and temperatures; these are all  
7 biased in the actual run as opposed to done separately  
8 as we do for DNBR cases.

9 Also, we bias the reactivity feedback and  
10 we use manual rod control for this analysis.

11 CHAIRMAN DENNING: These are all realistic  
12 conditions, but it's just that you happened to pick  
13 them all in combination in their worst --

14 MR. FREDERICK: That's correct. Their  
15 initial control system setting, for example,  
16 pressurizer level at 53 percent, 7 percent is added on  
17 to that for uncertainty. So that's our initial  
18 condition for this analysis.

19 We don't take any credit for any of the  
20 control systems. Now essentially there's four control  
21 system that would come into play here. You know,  
22 condenser steam dumps. We also have atmospheric steam  
23 dumps on the secondary side. On the primary side we  
24 have pressurizer pressure control through the spray.  
25 And we also have power operator relief valves which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would normally open up to 100 pounds below the code  
2 safeties.

3 For the code safety modeling we do use the  
4 maximum setpoint allowed by the tech spec. In the  
5 case of, for example, Unit 1 that is the setpoint plus  
6 3 percent, which is our allowed tolerance or that  
7 changes part of the EPU package.

8 Also in the valve modeling there's delays  
9 model in the opening and that accounts for the time  
10 that it takes to purge the water out of the loop seal.  
11 In some cases, for example Unit 1 there's an opening  
12 time associated with the valve. It's a target rock  
13 valve. And there's also an additional shift put on  
14 the setpoint based on the loop seal being present on  
15 Unit 2.

16 The actual total impact of these changes  
17 represents about a 200 pound increase above what they  
18 would normally lift if we didn't include all these  
19 conservatism.

20 Next slide.

21 This just gives you a very rough estimate  
22 of the timing of the event. Essentially there's a  
23 delay between the initial event and when the actual  
24 trip begins of .5 seconds, which is very conservative  
25 and then there's an additional two seconds before the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rods drop. And when the safety valves open is when we  
2 get peak pressure, and that occurs at 8 seconds.

3 And this plot basically just shows you the  
4 pressure transient. Again, we're seeing from the  
5 initial condition up to the peak it's about a 500  
6 pound increase in pressure. And again, at 8 seconds  
7 when the valve opened, the pressure drops.

8 DR. BANERJEE: What code was used, just  
9 for my own?

10 MR. FREDERICK: LOFTRAN.

11 MEMBER WALLIS: Extraordinary accurate  
12 code, as you can see.

13 DR. BANERJEE: Huh?

14 MEMBER WALLIS: Extraordinary accurate  
15 code.

16 DR. BANERJEE: Right. Right. A  
17 significant figure.

18 MR. FREDERICK: This slide shows you the  
19 pre-EPU results. For Unit 1 that's a good comparison  
20 because the same safety valve tolerance was used for  
21 both cases, the 3 percent. So you see about a 15 pound  
22 increase in the peak pressure associated with EPU.

23 On Unit 2 we actually lowered the  
24 tolerance so actually you see the numbers dropping  
25 there a pound or so.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           If we do a more realistic analysis, and we  
2           have, which credits control systems, we actually see  
3           a peak pressure much lower of about 2340 absolute. And  
4           at that pressure we don't actually even lift any of  
5           the safety valves on either side, primary or  
6           secondary, or the pore for that matter.

7           If you go to the backup slide, and this is  
8           a plot of that particular analysis both for pre-EPU  
9           and EPU. And essentially they look identical. There  
10          was no real impact of EPU in terms of the peak  
11          pressure that we see in this analysis.

12          DR. BANERJEE: Well, why is that? What's  
13          the physics?

14          MR. FREDERICK: Essentially the control  
15          systems --

16          DR. BANERJEE: Safety valves are the same,  
17          right?

18          MR. FREDERICK: Yes. And you're not even  
19          opening safety valves here. So it's just a matter of  
20          the control system acting the same and giving you the  
21          same response out of the system.

22          DR. BANERJEE: But what does the control  
23          system do here?

24          MR. FREDERICK: The control system opens  
25          up the turbine bypass, the condenser steam dump

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 system. And that keeps the primary system from  
2 heating much, I mean as much as you would normally  
3 see. And also --

4 DR. BANERJEE: Does it open the bypass  
5 earlier or something just to shave the peak off? What  
6 is happening? I'm trying to understand why the two are  
7 so close to each other in spite of the fact that you  
8 have 10 percent more power?

9 MR. FREDERICK: Right.

10 DR. BANERJEE: So what's the physics?

11 MR. FREDERICK: Yes. Well, the power  
12 doesn't really enter into it much at this point. Yes,  
13 it does cause a general heat up and so --

14 DR. BANERJEE: And that causes --

15 MEMBER SIEBER: That's small.

16 DR. BANERJEE: -- total pressure to peak?

17 MR. FREDERICK: Well, after the reactor  
18 trip and then once the valves open, then it turns  
19 around all these --

20 DR. BANERJEE: Do the valves open earlier  
21 in the --

22 MR. SENA: Again, this is Pete Sena,  
23 Director of Engineering.

24 I think the difference between the two  
25 analysis is that the original analysis takes no credit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for any control systems so the steam dump systems do  
2 not operate at all. And in the realistic analysis  
3 we've done here we are taking credit for the operation  
4 of those systems.

5 DR. BANERJEE: So the pre-EPU doesn't take  
6 credit for the --

7 MR. FREDERICK: Pete, he's asking --

8 DR. BANERJEE: All right. There has to be  
9 a good reason?

10 MR. SENA: Well, the pre-EPU and the post-  
11 EPU analysis use the same --

12 DR. BANERJEE: It's done differently?

13 MR. SENA: No, no. They use the same  
14 modeling. Why don't you go back, Ken, for the pre and  
15 post-EPU

16 DR. BANERJEE: Then the question is why  
17 does it?

18 MEMBER WALLIS: I think because it's  
19 controlled.

20 CHAIRMAN DENNING: It's controlled.

21 MEMBER WALLIS: It's because it's  
22 controlled. It's the same.

23 DR. BANERJEE: Something opens earlier,  
24 right?

25 CHAIRMAN DENNING: Or bigger or more.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Controlled means they have  
2 to control the flow on a valve or something.

3 MEMBER WALLIS: It might open more, the  
4 control.

5 MEMBER SIEBER: It doesn't open more. I  
6 think --

7 DR. BANERJEE: It might open earlier.

8 MEMBER SIEBER: -- the differences between  
9 these two curves are so subtle that you really can't  
10 pick them out.

11 MR. FREDERICK: Yes, I would say that they  
12 are not exactly the same, but on here they look pretty  
13 close.

14 MEMBER WALLIS: Because they look exactly  
15 the same.

16 MR. FREDERICK: And, again, we haven't  
17 changed the control system so we'd expect it to  
18 operate.

19 DR. BANERJEE: Right. So what are the  
20 control events here? Like what's happening?

21 MR. FREDERICK: You have the loss of load  
22 times zero.

23 DR. BANERJEE: Right. And then there's  
24 some trip?

25 MR. FREDERICK: And the reactor trips, in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this case on turbine trip but there's a 2 second delay  
2 model.

3 DR. BANERJEE: But both of them trip at  
4 the same time?

5 MEMBER SIEBER: No.

6 DR. BANERJEE: Why not?

7 MR. FREDERICK: Well, the condenser steam  
8 dumps this and responds to the trip signal. And also  
9 it's based off of a delta T. Essential it looks at  $T_{avg}$   
10 and where  $T_{avg}$  should be post-trip,  $T_{ref}$  we call it.  
11 And that delta drives the valve. So that program in  
12 the system isn't changing, so it's essentially  
13 maintaining the RCS conditions in a very similar  
14 manner so you see a very similar result here.

15 MEMBER SIEBER: But the heat up is  
16 slightly faster so the system operates slightly  
17 quicker?

18 MR. FREDERICK: Yes. I mean it's a  
19 proportional --

20 MEMBER SIEBER: I mean you could pick it  
21 out here.

22 MR. FREDERICK: -- band. So if the system  
23 demands more, the values will open faster and more.

24 DR. BANERJEE: I know what you're saying  
25 probably makes some sense, but what I'm really trying

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to understand is when you show the curve, like this  
2 curve here, this curve is the result of a very complex  
3 set of -- relatively complex set of control actions.

4 Now between the pre-EPU and the post --

5 MR. FREDERICK: That curve does not  
6 actually use any of the control systems.

7 DR. BANERJEE: Okay. Take one which does.  
8 Let's say --

9 MR. FREDERICK: This one does.

10 DR. BANERJEE: Yes, this one. So that  
11 there are several control actions taking place. And  
12 the fact that the two curves look so similar is  
13 because there could be subtle differences. But the  
14 fact they look so similar is due to control actions  
15 taking place at different times in the two.

16 MEMBER SIEBER: Slightly different times.

17 MR. FREDERICK: The valves could be  
18 opening faster because that's what they're programmed  
19 to do.

20 DR. BANERJEE: Yes.

21 MR. FREDERICK: They look at an error  
22 signal.

23 DR. BANERJEE: Well, whatever it is.

24 MR. FREDERICK: And if the error signal is  
25 higher, than the valves will open faster and further.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: And once they're open,  
2 they're the same in the pattern.

3 DR. BANERJEE: Ten percent more power is  
4 produced in the other, right?

5 MR. FREDERICK: That's correct.

6 DR. BANERJEE: So it has to go somewhere?

7 MR. FREDERICK: That's correct.

8 MR. FREDERICK: So something must open  
9 faster?

10 MEMBER SIEBER: Yes.

11 DR. BANERJEE: There's no other way.

12 MR. FREDERICK: Yes.

13 DR. BANERJEE: Right. Okay. So that's, I  
14 guess, what doesn't come out clear.

15 MEMBER WALLIS: That's what turns things  
16 around?

17 DR. BANERJEE: Yes. So what doesn't come  
18 across is what are the actions which are turning  
19 things around here? What's happening? So in one case  
20 things are happening faster; that's why it's  
21 happening.

22 MR. FREDERICK: Yes. The actions that are  
23 occurring, again, the control system is trying to  
24 drive  $T_{avg}$  down to the no load value, post-trip.

25 DR. BANERJEE: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: And the system responds  
2 based on the delta. You know, where  $T_{avg}$  is versus  
3 where I want it to be. So if in the case of EPU that  
4 delta is higher initially, then the valves will open  
5 faster and further so that you would see the same type  
6 of response --

7 MEMBER WALLIS: The system is actually  
8 programmed to produce a curve like this?

9 MR. FREDERICK: That's correct.

10 MEMBER WALLIS: By control.

11 MR. FREDERICK: Yes.

12 MEMBER WALLIS: That's why the two curves  
13 are the same.

14 MR. FREDERICK: Yes.

15 DR. BANERJEE: So what would be sort of  
16 valuable to know is how much more rapidly do these  
17 control actions have to occur in the second case. The  
18 curves look the same but the control actions are  
19 occurring faster or something is happening, otherwise  
20 they wouldn't.

21 MR. FREDERICK: Right. Yes. I'd say it's  
22 a very small difference. This whole peak occurs within  
23 8 second.

24 DR. BANERJEE: One second makes a  
25 difference, right, and 8 seconds --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes, but it's 50 seconds  
2 just for that first --

3 MEMBER WALLIS: Depressurization.

4 MEMBER SIEBER: -- pressure peak and drop.  
5 So that's a long time compared to the response time of  
6 the control system itself, which is on the order of 6  
7 to 10 seconds.

8 CHAIRMAN DENNING: Is pressurizer spray  
9 having any impact here as well? I mean we've focused  
10 on kind of the relief, but is it -- I know that you  
11 don't credit it in the other analysis, but is that one  
12 of the control functions that's impacting the  
13 similarities here?

14 MR. FREDERICK: I'm not sure. Chris, can  
15 you answer that

16 CHAIRMAN DENNING: Okay. I think we can  
17 on.

18 MR. FREDERICK: Okay.

19 MEMBER SIEBER: I think the big thing is  
20 a lot of heat removal through the turbine bypass  
21 valves.

22 DR. BANERJEE: Right.

23 MEMBER SIEBER: That's the big --

24 DR. BANERJEE: That has to open a bit  
25 faster?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER SIEBER: Yes. Maybe a couple of  
2 seconds.

3 DR. BANERJEE: Yes. I wanted to know how  
4 much.

5 MEMBER SIEBER: Yes.

6 DR. BANERJEE: In 8 seconds? Is it 6  
7 seconds versus 8 seconds?

8 MEMBER SIEBER: It's hard to pick off that  
9 graph.

10 DR. BANERJEE: Right.

11 MEMBER MAYNARD: Well, the rate is going  
12 to depend on how much a discrepancy between --

13 MEMBER SIEBER: How big the delta is, yes.

14 MR. FREDERICK: Actually, just a couple of  
15 weeks ago we had a loss of load event on Unit 2. And  
16 we captured some of the data from that, the pressure  
17 data.

18 MEMBER WALLIS: You arranged it to happen?

19 CHAIRMAN DENNING: Yes, you didn't do this  
20 just for us?

21 MR. FREDERICK: No.

22 DR. BANERJEE: What's that slide number?

23 MR. FREDERICK: It's a backup slide. It's  
24 not in your book.

25 DR. BANERJEE: This is one we must have,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 right?

2 MR. FREDERICK: I'll get that for you.

3 MEMBER SIEBER: Ralph says he has it.

4 MR. FREDERICK: You see here again the  
5 LOFTRAN prediction with the control cases. Generally  
6 overall the modeling responds pretty well to the  
7 actual event, the difference here being the initial  
8 spike. And that's primarily because of the LOFTRAN  
9 analysis assumes a 2 second delay from the time the  
10 turbine trips until the reactor trips. And that's  
11 what's making that. So in reality when we had this  
12 event, we didn't see any pressure increase at all.

13 Just to give you an overall flavor, you  
14 know, our safety analysis says that pressure is going  
15 to go up 500 pounds. This is an actual event.

16 MEMBER WALLIS: The LOFTRAN can be off by  
17 what? Quite a bit.

18 MEMBER SIEBER: Fifty pounds.

19 MEMBER WALLIS: Seventy pounds or  
20 something?

21 MEMBER SIEBER: Fifty pounds.

22 MR. FREDERICK: We modeled the event  
23 exactly as it happened. We were confident that we  
24 would get very similar results.

25 DR. BANERJEE: No, no. But it's much

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 better you did it this way, really. Because if it  
2 agreed too well, then we'd just think you tuned it.

3 MR. FREDERICK: That ends my discussion on  
4 loss of load. We're going to move on and talk about  
5 rod withdrawal power unless there's any other  
6 questions.

7 Again, the rod withdrawal power is the  
8 limiting event in terms of the DNBR. And this event  
9 can be initiated by either a malfunction in the rod  
10 control system or an operator error.

11 As you can see, there's numerous reactor  
12 protection trips.

13 MEMBER WALLIS: So how many rods are  
14 withdrawn? How many rods are involved in this?

15 MR. FREDERICK: Is it one bank, Chris?

16 MEMBER WALLIS: One bank?

17 MR. MCHUGH: We don't do it that way. We  
18 do it by inserting reactivity into the core and we do  
19 a range of reactivity insertion --

20 MEMBER WALLIS: Okay.

21 MR. MCHUGH: -- from 110 pcm per second  
22 all the way down to nearly nothing. We don't  
23 explicitly model a certain number of rods. We model  
24 it in terms of reactivity.

25 MR. FREDERICK: But that bounds

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 essentially one bank at maximum speed.

2 MR. MCHUGH: Yes.

3 MEMBER WALLIS: Well, I'm just trying to  
4 figure out what kind of operator error could produce  
5 this. Is he limited to withdrawing one bank and so  
6 on.

7 MEMBER SIEBER: Well, you're normally set  
8 to withdraw or insert a bank at a time. But if  
9 there's a malfunction or an error, it's probably going  
10 to be one bank

11 MEMBER WALLIS: But an operator who had  
12 some malfunction in his head, presumably withdraw a  
13 lot of rods.

14 MEMBER SIEBER: I don't think he can do  
15 that.

16 MEMBER WALLIS: He can't do that?

17 MEMBER SIEBER: He can pick out what bank.  
18 You can circle all the rods.

19 MR. SENA: Again, this is Pete Sena.

20 For operator action, only one rod bank can  
21 be withdrawn at a time unless you're in the overlap  
22 region where two banks can be moving simultaneously.

23 MEMBER WALLIS: So you bounded what's  
24 possible?

25 MR. SENA: That's correct.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Yes.

2 MR. FREDERICK: Some of these trip  
3 functions also generate rod withdrawal blocks in the  
4 system, but those are not credited as part of this  
5 analysis.

6 As Chris mentioned, we do a range of  
7 reactivity insertion rates and we also analyze this at  
8 three distinct power levels, as shown there. In  
9 total, there's about 90 cases that are run.

10 Again, this is a very conservative  
11 analysis. Initial conditions are biased, again to  
12 give us the worst case results in terms of DNBR.

13 MEMBER WALLIS: Now Chernobyl happened 20  
14 years ago tomorrow. And I guess what they did was  
15 they put a lot of reactivity into their reactor. A  
16 tremendous amount.

17 CHAIRMAN DENNING: But not by rod  
18 withdrawal.

19 MEMBER WALLIS: Not by rod withdrawal?

20 CHAIRMAN DENNING: No. No. They did it --

21 MEMBER KRESS: They did it by moderator.

22 CHAIRMAN DENNING: Moderator.

23 MEMBER KRESS: Negative coefficient. Not  
24 moderator. Coolant.

25 MEMBER MAYNARD: Starting from a very low

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 power.

2 MEMBER KRESS: Yes, it was extremely low.

3 MR. FREDERICK: Again, the conservative  
4 values for trip functions as well as initial  
5 conditions and reactivity feedback reviews. The  
6 highest worth rod is actually assumed to be stuck out  
7 of the core.

8 One thing to note is that at Beaver Valley  
9 we have actually eliminated the capability to pull  
10 rods in the automatic mod. So when our rod control  
11 system is in automatic, the rods cannot be withdrawn.  
12 So it just eliminates some potential for this event to  
13 happen.

14 Slide, please.

15 Difficult to see here, I guess, but the  
16 curve here basically shows you a plot of what the DNBR  
17 result is versus the range of reactivity insertion  
18 rates that we've analyzed for both minimum and maximum  
19 feedback. Essentially you see the limiting case here,  
20 the 1.57 result. We're actually at a very low  
21 reactivity insertion rate. Essentially the lower  
22 rates cause the system to respond slower so you tend  
23 to get a worse result in that case.

24 The table shows the pre-EPU and the EPU  
25 result. Essentially there was very insignificant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 change in the result. Primarily that is due to the  
2 fact that we've changed the correlation from the old  
3 correlation to the WRB-2M in which we gained some of  
4 the margin. Again, that's associated with the real  
5 effect of the RFA fuel and the intermediate flow  
6 mixers. So essentially we gained a margin back that  
7 the power uprate would have used here for this event  
8 by changing the fuel pipe.

9 And again, I just want to mention that the  
10 1.55 limit that's applied to this event and the other  
11 ones, we also have 20 percent of margin in that limit.  
12 So it's a conservative analysis and we have margin.

13 CHAIRMAN DENNING: Not to imply you have  
14 the old fuel in there, but you've said before it's  
15 something like a 20 percent effect on DNBR, the mixing  
16 that's occurring there?

17 MR. FREDERICK: Yes.

18 CHAIRMAN DENNING: So that if you had done  
19 the power uprate with old fuel, you would have had  
20 something like 1.37 or is that over estimating what  
21 the impact would be? Okay. Suppose you had done  
22 power uprated but you had old fuel in there --

23 MR. FREDERICK: Right.

24 CHAIRMAN DENNING: -- would you have  
25 gotten about a 1.37 here? Is that your assumption?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: Chris, can we predict  
2 that?

3 MR. McHUGH: I can look that up. I think  
4 we actually made those runs. Because we had planned  
5 to do the power uprate before we had a complete  
6 transition to RFA fuel. I believe I have that on my  
7 laptop.

8 CHAIRMAN DENNING: Okay.

9 MR. McHUGH: We were going to limit  
10 peaking factors on the burnt fuel, and so it wouldn't  
11 have been a direct --

12 CHAIRMAN DENNING: There would have been  
13 other things that could have done --

14 MR. McHUGH: Right.

15 CHAIRMAN DENNING: -- that it would have  
16 reduced the --

17 MR. McHUGH: Correct.

18 DR. BANERJEE: Is it 20 percent  
19 difference, the new fuel in rough terms?

20 MR. McHUGH: Twenty percent margin was  
21 what they gained by adding the IFM grids to the RFA  
22 fuel. So, yes, it was about a 20, 21 percent increase  
23 in DNB margin from the old fuel to the new.

24 DR. BANERJEE: Magic.

25 CHAIRMAN DENNING: Magic.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. BURGER: Yes. If we were to have the  
2 old B5H design in there, the peaking, like Chris said,  
3 would have been a lower limit that we do have, because  
4 you don't have those IFMs and so they would have been  
5 the limiting assembly in the core.

6 MEMBER WALLIS: And all good engineering  
7 seems like magic to the layman.

8 DR. BANERJEE: I think Jeff Hewitt might  
9 disagree on this one.

10 MR. FREDERICK: Okay. The next event that  
11 we're going to talk about in some detail is the  
12 spurious SI or invertent DCCS. Again, this is another  
13 condition II event, which is initiated by either a  
14 malfunction in the system which trips the SI signal or  
15 perhaps some error in doing some testing of the  
16 systems.

17 The SI or the safety injection signal will  
18 generate a reactor trip and a subsequent turbine trip.  
19 DNBR for this event really isn't challenged because  
20 you're adding cold borated water into the system.

21 The primary concern here is filling the  
22 pressurizer, which again can enlist the valves and  
23 actually water through the safety valves.

24 Again, this is a very conservative  
25 analysis and we have actually done better estimate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 type analyses which show we do not overfill. But in  
2 the conservative safety analysis we do fill the  
3 pressurizer and lift the safeties.

4 Now the conservatism that go into this  
5 analysis, again, are primarily in the initial  
6 pressurizer level again assumed to be setpoint plus  
7 uncertainty at a high condition and also at the high  
8  $T_{avg}$  condition, which raises the level again.

9 The initial conditions in temperature and  
10 flow are all biased for the worse results.

11 We actually run this with and without  
12 pressurizer heaters, which is a control system but it  
13 ends up effecting the temperature of the water, which  
14 is one of the inputs into the valve operability  
15 analysis. Colder water generally is worse for the  
16 valves than hotter water.

17 Again, two high head pumps start, and  
18 that's essentially what fills the system. For this  
19 analysis the PORVs which normally would open and  
20 prevent the safety valves from opening for this,  
21 they're not credited essentially because they are a  
22 control system.

23 One assumption that we also make in here  
24 is that when cool water enters the pressurizer as it's  
25 filling up, that water is assumed to mix

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           instantaneously with the bulk fluid where you would  
2           expect some stratification normally. That, again,  
3           minimizes the temperature in the pressurizer and  
4           that's an input into the value operability analysis  
5           and it makes it more conservative.

6                       Essentially this event ends when the  
7           operator takes action to either open the PORVs or  
8           shutdown and reset the SI signal and turn off the  
9           pumps.

10                      If you look at the next slide, the  
11           assumption made here is that occurs at 10 minutes.  
12           And we've done simulator studies to assure ourselves  
13           that we can meet that limits.

14                      MEMBER WALLIS: Isn't he watching his  
15           pressurizer level all this time?

16                      MR. FREDERICK: George, do you want to  
17           speak to that?

18                      MR. STORLIS: Yes. I'm George Storlis.  
19           I represent Operations and my background has been  
20           years of controlling Operations.

21                      The pressurizer level is a key parameter  
22           that's monitored and it's the duty of the licensed  
23           operator at all times. And managing that level in the  
24           crises of an inadvertent SI is of utmost importance.

25                      The automatic features systems prevent the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 manual shutdown for a period of time at the onset.  
2 But the parameters are monitored. The procedures are  
3 detailed, emergency operating procedures are followed  
4 and the termination of the flow rates when determined  
5 not required are of immediate importance.

6 CHAIRMAN DENNING: What's your backup  
7 slide here? Everything you took there, I get curious.

8 MEMBER WALLIS: Curious about it, huh?

9 MEMBER SIEBER: Sure do.

10 MR. FREDERICK: This is just plots from  
11 the analysis results. We see here that a pressurizer  
12 goes to its maximum level in about 7 minutes.

13 Next slide.

14 This shows the pressure as the safety  
15 valve cycle opened and closed. In cycling, the number  
16 of cycles is another important parameter that we need  
17 for our valve analysis. And for this case you can see  
18 we have five cycles of the valve before the operator  
19 mitigates the event.

20 MEMBER SIEBER: And that's in a 100  
21 seconds, roughly, 150 seconds?

22 MR. FREDERICK: That's correct. Yes.

23 DR. BANERJEE: Do you get any two phase  
24 flow through these valves or is it just blowing steam?

25 MR. FREDERICK: Well, in this case the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       pressurizer is full, so --

2                   DR. BANERJEE:   So you get water?

3                   MR. FREDERICK:   -- a water discharge.

4                   MEMBER WALLIS:   But doesn't it flash when  
5       it gets --

6                   DR. BANERJEE:   Yes.

7                   MEMBER SIEBER:   Yes, it does.

8                   MR. FREDERICK:   Yes. It flashes in the  
9       discharge --

10                   MEMBER WALLIS:   Now there's indication of  
11       temperature in the discharge line, isn't there, in the  
12       control room?  Probably rings a bell or something.  
13       When there's a temperature in the discharge line from  
14       the pressurizer it's measured, isn't it?

15                   MR. FREDERICK:   Yes. There is a tailpipe  
16       alarm, yes.

17                   MEMBER WALLIS:   He's told.  As soon as  
18       this thing happens, he's told if he doesn't know  
19       already.

20                   MR. FREDERICK:   Yes.

21                   MEMBER SIEBER:   You can assume that the  
22       water in the pressurizer is saturated.

23                   DR. BANERJEE:   In which case it will get  
24       critical fast.

25                   MEMBER WALLIS:   Critical flaw at pressure.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Right.

2 DR. BANERJEE: So do you use a critical  
3 flow calculation at that point once it comes out?

4 MR. FREDERICK: Chris, the safety valve  
5 flow model, is that --

6 MR. McHUGH: I believe it's critical flow  
7 -- the first cycle usually starts out with a little  
8 bit of steam and then the pressurizer rapidly fills  
9 once it opens and the remainder of the cycle is water.  
10 And then the remaining cycles are typically all water.  
11 The first one does start with steam typically.

12 MR. FREDERICK: This slide just shows how  
13 the pressurizer water temperature drops as your  
14 discharging water out of and it's insurging. And  
15 again, it's assumed to instantly homogenize and reach  
16 a bulk temperature.

17 DR. BANERJEE: Do you have a graph of the  
18 discharge rate? I mean, how the discharge varies?  
19 You showed a slide previously, I think that was --

20 MEMBER WALLIS: It seems to depressurize  
21 very rapidly on that slide.

22 DR. BANERJEE: Yes.

23 MEMBER WALLIS: There seems to be plenty  
24 of flow there.

25 MR. FREDERICK: The mass flow rate out of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the valve, is that what you're asking?

2 MEMBER WALLIS: Yes.

3 DR. BANERJEE: It must be very high.

4 MR. FREDERICK: Yes, it is.

5 MR. MCHUGH: I think I have that  
6 information on my laptop.

7 MEMBER SIEBER: So you're solid, there's  
8 no cushioning effect from any steam in there. So the  
9 pressure is going to go up very rapidly.

10 DR. BANERJEE: Can I see the previous  
11 slide, please?

12 MEMBER WALLIS: See how rapidly it comes  
13 down?

14 MEMBER SIEBER: Again, because you're  
15 solid.

16 DR. BANERJEE: Yes. You don't have to do  
17 it now, but if you've got it on your laptop, nice to  
18 see it.

19 MR. FREDERICK: Chris, it's in the RAI  
20 responses that we submitted, so --

21 DR. BANERJEE: Is it?

22 MR. FREDERICK: Yes.

23 DR. BANERJEE: The 3,000 pages or  
24 something, no?

25 MR. FREDERICK: So, again, yes this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis does generate overflow of the pressurizer and  
2 as such, the results are essentially used as inputs to  
3 an evaluation that we do to determine whether or not  
4 the safety valves are going to function under the  
5 conditions that we're presenting to them.

6 The valve evaluation uses WCAP 11677  
7 methodology. And that's primarily based on results  
8 from the EPRI valve testing that was done post-TMI  
9 where they actually put water through the valves at  
10 various conditions and temperatures.

11 The PORVs are also qualified. We looked  
12 at those in terms of water discharge as well as the  
13 discharge piping on both the PORVs and the safety  
14 valves. We've analyzed all the lines for these  
15 conditions and shown that we met the limits.

16 MEMBER WALLIS: Because you can get  
17 choking in the discharge line. Can get critical flow  
18 in the discharge line because the depressurization is  
19 tremendous.

20 MR. FREDERICK: Yes. Was it a RELAP  
21 analysis to generate the forcing functions on that,  
22 Mike?>

23 DR. BANERJEE: Yes, you can get multiple  
24 choking in lines like this, but RELAP wouldn't  
25 calculate that, I would think.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER SIEBER: Yes. There's a number of  
2 elbows in that line. I think the analysis that was  
3 done was to make sure that the line would stay intact.  
4 There's tremendous forces on that line as this slug of  
5 water goes --

6 MEMBER WALLIS: Well, if it chokes at the  
7 discharge into the drain tank, that's where you worry  
8 because then you get a pressurization of the whole  
9 line.

10 MEMBER SIEBER: Yes. Well, I would imagine  
11 almost immediately the drain tank ruptured just with--

12 MEMBER WALLIS: No. There is a while,  
13 isn't there, before that happens?

14 MEMBER SIEBER: Pardon?

15 MEMBER WALLIS: Isn't there quite a while  
16 before that happens?

17 MR. TESTA: Yes. This is Mike Testa.

18 We analyzed the piping from the  
19 pressurizer from the pressurizer itself and including  
20 the piping down to the PRT. And as Ken said, you know  
21 once we overfill, of course, and we're putting water  
22 down the line, we used the RELAP computer code to  
23 derive the forcing functions. And then incoded that  
24 into the piping analysis, piping model to make sure  
25 that the piping and the supports would remain intact

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or acceptable.

2 MEMBER WALLIS: You don't challenge the  
3 rupture disk of the drain tank?

4 MR. TESTA: No, I don't believe we did.

5 MEMBER SIEBER: To what, 50 pounds?

6 CHAIRMAN DENNING: We're running behind,  
7 but that's okay. We're going to let this go.

8 MEMBER WALLIS: You mean we may be a  
9 little late tonight?

10 CHAIRMAN DENNING: Exactly.

11 MR. FREDERICK: I just have one more area  
12 before --

13 CHAIRMAN DENNING: That's okay.

14 MEMBER WALLIS: Are you going to do large  
15 break LOCA before you --

16 MR. FREDERICK: Yes.

17 CHAIRMAN DENNING: Yes.

18 MR. FREDERICK: One other issue which the  
19 Staff raised on the concern here was if the PORVs  
20 opened, they wanted us to demonstrate that we had a  
21 qualified signal for them to close, even though the  
22 PORVs are considered a control grade. However, they  
23 do have a signal which comes out of the protection  
24 grid systems which close the valves on a low pressure  
25 signal from the pressurizer. So the concern here was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 if you needed to rely on block valves which would be  
2 available then that was more of a condition III, that  
3 we were able to demonstrate that we do have a  
4 qualified signal to close the valves.

5 So summary on the spurious SI, we have analyzed  
6 the valves for the water discharge condition was  
7 identified and we're convinced the valves can pass  
8 water without damage. Likewise, for the PORVs and the  
9 PORVs do have the qualified signal to close. And this  
10 event will not promulgate a condition III event.

11 MR. SENA: Again, this is Pete Sena.

12 I just want to also reemphasize a couple  
13 of things.

14 Jack, you asked about the PRT, the  
15 ruptured disk goes at a 100 pounds, not 50 pounds. And  
16 additionally, we've simulator crews both units through  
17 an inadvertent SI scenario. And they are able to  
18 diagnose the event, confirm that we do not have the  
19 actual real event such as a LOCA or a tube rupture,  
20 and terminate the SI prior to going to solid  
21 conditions. And actually, in 2002 we had a real  
22 inadvertent SI on Unit 1. And based on that real  
23 plant data we also did go solid in that case.

24 CHAIRMAN DENNING: What was the nature of  
25 the event that occurred? How did it --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SENA: What happened in 2002 at Unit  
2 1, one of our main steam isolation valves closed due  
3 to a human performance error involving the building of  
4 scaffolding. The closure of that valve then resulted  
5 in a low steamline pressure from the other two steam  
6 generators supplying the turbine. So again, you do  
7 not have a valid steamline break, but that's what it  
8 sensed at 500 pounds low steamline pressure. So a  
9 safety injection signal was actuated and a reactor  
10 trip from full power.

11 CHAIRMAN DENNING: Two high pressure  
12 points?

13 MR. SENA: Yes, two high pressure safety  
14 injection pumps actuated, all ECCS pumps actuated.  
15 Operators were able to progress through the EOPs and  
16 terminate the SI prior to going solid.

17 MR. FREDERICK: Just to wrap the non-LOCA  
18 discussion here. Again, for the analyses that we've  
19 done we've shown that we meet all the DNBR limits as  
20 well as the pressure limits for primary and secondary.  
21 And all the acceptance criteria for the condition II,  
22 III and IV events are met at the EPU conditions.

23 Again, that's it for the non-LOCA and  
24 we'll move on to large break LOCA unless there's any  
25 questions on that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           For EPU we have, again, gone to the best  
2 estimate LOCA methodology, as we discussed before.  
3 And, again, this is the original 1996 approved  
4 methodology that Westinghouse has used for many  
5 plants.

6           Due to the methodology, there is some  
7 benefit in terms of the PCT result as well as changes  
8 that were made in the containment and accumulator  
9 minimum pressure, which also provides some benefit in  
10 terms of the PCT. The container pressure associated  
11 with conversion increases the initial operating  
12 pressure about 4 psi. And that increase in the back  
13 pressure transient that associated with the LOCA event  
14 does provide a benefit in terms of PCT. And primarily,  
15 this is due to a reduction in what we call downcomer  
16 boiling. The downcomer boiling tends to impede vessel  
17 refill and that is very sensitive to the containment  
18 back pressure.

19           Also we did primarily for small break  
20 analysis we raised the minimum accumulator pressure  
21 and that had a small benefit here as well.

22           So essentially some of the margin that we  
23 would lose from EPU we have regained by some of the  
24 other plant changes that we've made.

25           And the results, as shown on the next

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 slide here --

2 DR. BANERJEE: What is the small slide?

3 MR. FREDERICK: Okay. This is a general  
4 discussion about what DE methodology is. If you're  
5 interested, we can talk about it.

6 MEMBER WALLIS: No. They're conservative  
7 assumptions, all of these things.

8 MR. FREDERICK: Yes. This basically goes  
9 through what assumptions are bounding and then the  
10 balance that I talked about how the uncertainties were  
11 rolled into the final PCT value.

12 MEMBER WALLIS: A response surface type of  
13 thing, is it?

14 MR. FREDERICK: That methodology, yes, it  
15 does use the response surface.

16 MEMBER WALLIS: Now what surprised me  
17 here, maybe I'm ignorant of these, it looks as if  
18 you're limited by your maximum hydrogen generation.  
19 Usually the peak clad temperature that limits. And  
20 you seem to have an awful lot of oxidation in yours.

21 MR. FREDERICK: In the BELOCA methodology  
22 is --

23 MEMBER WALLIS: Is it because it stays hot  
24 for a long time or something, is that what it is?

25 MR. FREDERICK: Pardon me?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Why are the oxidation  
2 numbers pushing the limit? Usually it's the peak clad  
3 temperature. Is it because --

4 MR. FREDERICK: For the hydrogen  
5 generation.

6 MEMBER WALLIS: -- the temperature stays  
7 high for a long time or something?

8 MR. FREDERICK: Right. Matt, do you want  
9 to address that in terms of the conservatism?

10 MEMBER WALLIS: A bit strange to me.

11 MR. CERRONE: Yes. This is Matt Cerrone  
12 with Westinghouse.

13 Well, first of all, you're right. They do  
14 have an extended reflood period so they have a higher  
15 PCT and you can see this manifests itself in the core  
16 wide oxidation number.

17 In the methodology, the development of  
18 that number is conservative. It's very conservative  
19 in that the transient used to generate the numbers  
20 developed based on PCTs that are beyond the 9th  
21 percentile and it has -- the transient goes for a  
22 longer period of time than the PCT transient.

23 So basically what you're doing is you're  
24 making sure that you have a high transient that has a  
25 high PCT and has an extended reflood period. Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And then beyond that, the local  
2           uncertainty code that we use extends the reflood heat  
3           transfer longer in time. So basically it's a  
4           conservative number. And the methodology allows for  
5           additional COBRA/TRAC calculations to be performed as  
6           a measure to reduce the additional -- reduce the  
7           conservatism until ultimately you show success at the  
8           hydrogen generation, 1 percent acceptance criterion.

9           Three's an additional work that could be  
10          performed to show additional margin in that number.

11          MR. FREDERICK: Yes. I guess the answer  
12          there is we do enough to show we meet the limit and we  
13          don't push it beyond that, although there are  
14          additional margin to be gained.

15          MEMBER WALLIS: But the question for  
16          Westinghouse, is this an unusual plant where the CWO,  
17          the core wide oxidation seems to be the limit here?  
18          It doesn't seem to be in my memory a very common  
19          thing.

20          MR. CERRONE: Well, no, it's not all that  
21          common, certainly.

22          MEMBER WALLIS: Is there something unusual  
23          about this plant or the method of analysis, or what?

24          MR. CERRONE: No. It's not unusual. The  
25          evaluation techniques were in line with what was in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the approved evaluation model. So I think here we're  
2 just seeing a PCT and a high oxidation, a higher  
3 oxidation number. But like I had said additional work  
4 could be performed if it was so needed to generate  
5 additional margin and the maximum hydrogen generation  
6 number.

7 DR. BANERJEE: Are you going to show us  
8 some curves or clad temperature with times so we get  
9 a feel for what's going on?

10 MR. FREDERICK: I did not include those,  
11 no for the large break. I do have some for small  
12 break.

13 DR. BANERJEE: So it would help, I think,  
14 in answering some of these questions to see how long  
15 the fuel clad temperature remained high or whatever  
16 and when reflood came in.

17 MR. FREDERICK: Matt, do we have the  
18 BELOCA WCAPS here?

19 MR. CERRONE: Yes, I brought Unit 1 and  
20 Unit 2 reports with me.

21 MR. FREDERICK: Okay. Well, the technical  
22 reports do have that information if you want to look  
23 at it.

24 DR. BANERJEE: Yes. We don't need all the  
25 details, but at least a few for the temperature

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 transient. And they can show it later, maybe.

2 MR. CERRONE: I could check to see if am  
3 electronically, if not I have I think a reference  
4 transient with the one break would show an  
5 illustration.

6 MR. FREDERICK: Yes. Just make some copies  
7 of those graphs.

8 DR. BANERJEE: Right.

9 MR. FREDERICK: And then you can pass them  
10 out.

11 DR. BANERJEE: Of the relevant graphs.

12 MR. FREDERICK: Right.

13 CHAIRMAN DENNING: And we could do that  
14 during lunchtime and then look at them after lunch if  
15 we want to take a look at that.

16 MR. FREDERICK: So essentially a PCT  
17 transient --

18 MR. CERRONE: OF the large LOCA.

19 MR. FREDERICK: For the large LOCA.

20 CHAIRMAN DENNING: Yes. I think  
21 particularly --- yes. You'd like to see also if you  
22 can in what time period is the hydrogen being  
23 generated. Over what time period --

24 MEMBER WALLIS: Right. Right.

25 CHAIRMAN DENNING: -- is hydrogen

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 generation occurring.

2 MR. CERRONE: It'll help illustrate that.  
3 I mean, the time at the transient is above 1700 degree  
4 is when you'll be oxidizing.

5 MR. CARUSO: The transient, though, that  
6 you're going to show us is that necessarily the one  
7 that produces the maximum hydrogen generation?

8 MR. CERRONE: No.

9 MR. CARUSO: That's a problem. Because  
10 you probably don't have the graph that generates  
11 maximum hydrogen generation. So --

12 MEMBER WALLIS: It's not the same as the  
13 PCT graph.

14 MR. CARUSO: It's not the same as the PCT.

15 MR. CERRONE: For each period; blowdown,  
16 early reflood and late reflood. A PCT at the 95th  
17 percentile is developed in this methodology. In the  
18 95 EM an additional COBRA/TRAC transient's computed  
19 where the PCT calculated goes beyond that of the 95th  
20 for each of the three periods. So what you do them is  
21 you capture the oxidation period above the 95th  
22 percentile with the COBRA/TRAC calculation. So you  
23 oxidize above the temperatures all experienced in each  
24 period at the 95th percentile an you capture the time  
25 and temperature.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CARUSO: Is that the scenario you're  
2 going to present to us?

3 MR. CERRONE: Well, I was just thinking  
4 through that. The engineering report, I do not  
5 believe, provides the oxidation transient that was  
6 developed.

7 MR. CARUSO: That's what I was wondering.

8 MR. FREDERICK: Yes, I think it will be  
9 somewhat representative.

10 MR. CARUSO: Okay.

11 MR. FREDERICK: Kind of a general --

12 MR. CARUSO: Because you just have to be  
13 careful, Sanjoy. I think you're looking for the  
14 actual transient that generates that .98 percent and  
15 you're not going to see that. You're going to see  
16 something similar.

17 MR. CERRONE: Yes. I think what we can do  
18 is take each time period --

19 DR. BANERJEE: The reason, of course, is  
20 that what -- at least the way you're putting it, it's  
21 a very conservative calculation, right?

22 MR. CERRONE: Correct.

23 DR. BANERJEE: Maybe we need to have that  
24 when you show -- well, the first thing it would be  
25 nice to get the curve which produces that .98, which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is relatively close to the limit, right?

2 The second is that the conservatism maybe  
3 should be just listed as a snapshot for us to see so  
4 that we can say okay, that .98 is really an upper  
5 limit, I mean it's very conservative or something like  
6 that. Did I come across? I mean, do you have a feel  
7 for it?

8 MEMBER WALLIS: Because we're discussing  
9 a power uprate and it hasn't changed tremendously from  
10 .91.

11 DR. BANERJEE: Right. That was pretty  
12 high already.

13 MEMBER WALLIS: Yes, that as pretty high  
14 already.

15 DR. BANERJEE: It went from a very  
16 conservative calculation of .91 to a best estimate of  
17 .98?s

18 MR. CERRONE: Well, we need to keep in  
19 mind that the oxidation calculation is conservative  
20 even in the original '96 evaluation model using  
21 COBRA/TRAC. And keep in mind also that additional  
22 COBRA/TRAC calculations could be performed at various  
23 power levels to capture the rod power senses  
24 throughout the core to give you more and more -- to  
25 give you additional levels of margin. The idea is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that there's a regulatory limit that we must comply  
2 with. And we basically provide a sufficient amount of  
3 evidence that we've met that limit.

4 DR. BANERJEE: Yes. I guess when you say  
5 best estimate here, you really have markings in this  
6 best estimate.

7 MEMBER WALLIS: Yes. It's not totally best  
8 estimate..

9 DR. BANERJEE: Yes.

10 MEMBER WALLIS: There's a lot of  
11 conservatism on top of it.

12 MR. CERRONE: Yes. Especially in the  
13 oxidation calculation. We look forward to the ASTRUM,  
14 when we move to ASTRUM with this because there is  
15 oxidation margin.

16 DR. BANERJEE: Perhaps that could be at  
17 least clarified. Because I'm confused.

18 MEMBER WALLIS: Well, I think the best  
19 estimate number would be much lower if you went from  
20 the mean rather this 95th percentile in that.

21 MR. CERRONE: I would agree.

22 MEMBER SIEBER: The difficulty, though, is  
23 in regulatory space you either meet the number or you  
24 don't.

25 MEMBER WALLIS: That's right. That's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 right.

2 MEMBER SIEBER: And the conservatism you  
3 have --

4 MEMBER WALLIS: And you do have enough to  
5 do that. Right. Right.

6 MR. CERRONE: There's always been plenty  
7 of ways to find margin --

8 MEMBER WALLIS: That's why it came out to  
9 .98 because you had to be under one.

10 MR. CERRONE: Sure. I mean you did a  
11 sufficient number of calculations, you show  
12 compliance.

13 MEMBER WALLIS: That's right. I  
14 understand.

15 DR. BANERJEE: Anyway, we want listing the  
16 assumptions and conservatism with that curve, then at  
17 least we have a feel for it.

18 CHAIRMAN DENNING: Okay. I think we can  
19 proceed.

20 MR. FREDERICK: Okay. Yes, we're done  
21 after this one.

22 The one thing I wanted to point out here  
23 was that the P-clad temperature that you see there for  
24 Unit 1 will be a different number as even the draft  
25 SER. When we did the original Unit 1 analysis the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 result came out to 2144. And those original analyses  
2 were based on different containment operating  
3 conditions that we had in place at the time or we're  
4 proposing for the containment conversion. When we  
5 changed those initial conditions, we went back and  
6 reanalyzed both units. And the number for Unit 1  
7 dropped primarily because we lowered our peaking  
8 factor limits associated with Unit 1 analysis because  
9 we were seeing an unacceptable increase due to the  
10 containment pressure change. So that's the result  
11 that we will be reporting essentially is official  
12 50.46 type results is the 21 number.

13 DR. BANERJEE: What is the reason for the  
14 different between Unit 1 and Unit 2?

15 MR. FREDERICK: In the results?

16 DR. BANERJEE: Yes.

17 MR. FREDERICK: The major difference  
18 between the plants is in the downcomer area. One unit  
19 has what they call thermal shields and the other one  
20 has the neutron blanket. And those represent,  
21 basically, fairly significant thermal masses but they  
22 are different between the plants. So Unit 2 tends to  
23 be a lot less sensitive to downcomer boiling type  
24 conditions, low pressure in containment than Unit 1.

25 Initially actually Unit 1 resolve was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 actually much higher, was 2144 for similar input  
2 conditions. For example, the peaking factors were  
3 originally all the same. The result here is that  
4 they're not that different here, but actually Unit 1  
5 here is restricted to a lower peaking factor limit  
6 than 2. The difference in the plant is reflected  
7 in the analysis.

8 DR. BANERJEE: Raising of the containment  
9 pressure didn't take care of this downcomer boiling  
10 problem?

11 MR. FREDERICK: It helps, but it does not  
12 completely eliminate.

13 That's all I had on large break. I guess  
14 we're going to shift over to the NRC now.

15 CHAIRMAN DENNING: Yes. We'll at least  
16 start the Staff's presentation here and then we'll see  
17 if we want to have a breaking point in the middle of  
18 it, if that's okay.

19 MR. MIRANDA: Okay. The answer to your  
20 first question is we're using this overhead projector  
21 because I have some transparencies with some transient  
22 plots on there and I'd like to have the ability to  
23 draw on them.

24 My name is Sam --

25 MEMBER WALLIS: On the screen, whatever

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you do.

2 DR. BANERJEE: Well maybe draw on the  
3 screen so we can have it changed and focused.

4 MEMBER SIEBER: We already tried that.

5 MR. MIRANDA: My name is Sam Miranda. I  
6 work at the PWR Systems Branch of NRR as a technical  
7 reviewer.

8 I've been with the NRC for a little more  
9 than 5 years. And before that time I worked for  
10 Westinghouse as a nuclear safety analyst for almost 25  
11 years, during which time I used LOFTRAN code and  
12 worked with the author of LOFTRAN, Toby Burnett to  
13 write several routines in LOFTRAN.

14 First I will go quickly through the --

15 DR. BANERJEE: Where are these slides?

16 MEMBER SIEBER: They're in here, I think.  
17 I'm going blind.

18 MEMBER WALLIS: That's almost as good as  
19 the other one.

20 MR. MIRANDA: Okay. For the EPU at Beaver  
21 Valley there is no change in the fuel design. By the  
22 time the EPU will be implemented, the entire core will  
23 be composed of robust fuel assemblies. And there's  
24 been no change in the methodology used for the nuclear  
25 design.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           As far as thermal hydraulics is concerned,  
2           since the entire core is robust fuel assemblies,  
3           there's no DNBR penalty for the fuel transition. And  
4           the THINC IV code has been replaced by the VIPRE code  
5           in the DNBR evaluations.

6           Both --

7           DR. BANERJEE: The difference between  
8           these codes?

9           MR. MIRANDA: The VIPRE code seems to be  
10          more flexible. You can model cores with, for example,  
11          hexagonal lattices rather than just square lattices.  
12          There are features in VIPRE that allow it to do things  
13          that THINC has problems doing.

14          DR. BANERJEE: Are these subchannel codes  
15          or what?

16          MR. MIRANDA: They're detailed core models  
17          where you can have a hot channel and you can have  
18          surrounding fuel assemblies and you can also model the  
19          fuel itself, the pellet, the gap and the clad,  
20          calculate temperatures and stresses and heat flux.

21          Both the revised thermal design procedure  
22          and the standard design procedures were used in the  
23          analyses depending upon the limits of these methods  
24          and the requirements of the accident analyses  
25          themselves, as discussed earlier by Mr. Frederick.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 This is a review of the large break LOCA  
2 analyses and as compared to the 10 CRF 50.46 limits.

3 CHAIRMAN DENNING: And you're showing the  
4 older version of the peak clad temperature for Beaver  
5 Valley 1?

6 MR. MIRANDA: The older version?

7 CHAIRMAN DENNING: That's not 2144  
8 anymore.

9 MEMBER SIEBER: Yes, that's one cycle  
10 before the cycle --

11 MR. MIRANDA: Revised.

12 MR. FREDERICK: Ken Frederick.

13 That is the value that we had on our  
14 original analysis before we reanalyzed.

15 MR. MIRANDA: Yes. We didn't incorporate  
16 the new number in this slide, but yes the licensee has  
17 submitted a new number.

18 MEMBER WALLIS: This is something that we  
19 don't have, this slide, is that right?

20 DR. BANERJEE: Do we have this slide?

21 MR. MIRANDA: No, you don't have this  
22 slide. This was added at the last minute.

23 CHAIRMAN DENNING: So you'll get us a copy  
24 of this. Okay. But there's nothing new on there?

25 MR. MIRANDA: No.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN DENNING: Stick it up just  
2 another second. That's basically just supposed to show  
3 us what the applicant calculated.

4 MR. MIRANDA: Right.

5 CHAIRMAN DENNING: Right. And we've  
6 already seen that.

7 MR. MIRANDA: And to show you that the  
8 limited have been met, yes.

9 CHAIRMAN DENNING: Okay. Good. Thanks.

10 MR. MIRANDA: I'm going to get into a  
11 discussion here about the margins and acceptance  
12 criteria and then which will lead into a discussion of  
13 the results for three examples of transient analyses.  
14 And this is going to be very basic.

15 We have on the left hand column the ANSI  
16 criterion that defines conditions I, II, III and IV  
17 events and the acceptance criteria and how we get from  
18 there to the analysis criteria.

19 The ANSI standard from 1973 defines  
20 anticipated transients condition II events, otherwise  
21 known as anticipated operational occurrences. As  
22 events that could occur during the calendar year of  
23 operation at a plant. And it's defined basically as an  
24 event that basically requires no more than a reactor  
25 trip. Plant trips you correct a condition and you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 back to power in short order.

2           There are basically three analysis  
3 criteria that apply to condition II events. One is  
4 that the RCS does not overpressurize and also the main  
5 steam system does not overpressurize. Another is that  
6 you have no fuel clad damage, and this demonstrated by  
7 showing that you meet the DNBR safety analysis limit.  
8 And finally, that the condition II event does not  
9 develop into a more serious event. And this criterion  
10 is designed to prevent a shortcut or short circuit in  
11 the sense that you can't have a condition III or IV  
12 event that originates as a condition II event with a  
13 condition II frequency of occurrence. Because a  
14 condition III or IV event has other acceptance  
15 criteria.

16           And as far as analyses are concerned, this  
17 last condition that the event does not promulgate into  
18 a more serious event is shown by demonstrating through  
19 analyses that the pressurizer doesn't fill. And this  
20 is done to preclude the possibility of passing water  
21 through any of the pressurizer relief or safety valves  
22 which may not be qualified for water relief. And in  
23 deterministic accident analysis if a valve is not  
24 qualified for water relief, it's assumed to stick  
25 upon. And a stuck open valve then constitutes a small

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 break LOCA in the steam space of the pressurizer.

2 Another option to satisfy this criterion  
3 is to qualify the valves in question, either the  
4 pullers or the safeties or both. And in this case  
5 Beaver Valley is qualified to safety valves.

6 Condition III events which may occur  
7 during the lifetime of the plant, there is some  
8 allowance for fuel clad damage. And these are  
9 governed mainly by the dose consequences which have to  
10 meet the 10 CRF 20 release limits. But in many cases  
11 in accident analyses this is satisfied merely by  
12 meeting the more stringent condition II criteria.

13 As far as condition IV events are  
14 concerned, the limiting faults also dose criteria  
15 apply, 10 CFR Part 100. And, again, a lot of the  
16 accident analyses, steamline break is one example,  
17 where this is satisfied by meeting the condition II  
18 criteria.

19 There's also 10 CFR 50.46 with the PCT  
20 limits and so on. And that's all aimed at the ANSI  
21 standard from 1973 which talks about maintaining the  
22 ability of protection systems that are needed to  
23 mitigate the event. And that goes to the -- of the  
24 core and maintaining core geometry.

25 In accident analyses found in Chapter 15

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the non-LOCA events, this is often shown by showing  
2 that there's no boiling in the RCS system and no hot  
3 leg saturation. And this happens to be a Westinghouse  
4 internal criterion. By showing that there's no  
5 boiling in the RCS, you can show that the core will  
6 not uncover and the event ends there. The evaluation  
7 need not continue to more complicated factors. It  
8 also happens, it's very convenient for Westinghouse  
9 since LOFTRAN is not capable of modeling a two phased  
10 flow. So when you reach a hot leg saturation you  
11 should be done with that analysis.

12           There's another category here they added,  
13 ATWS. ATWS is not covered by this ANSI standard.  
14 ATWS was invented in 1969 by an ACRS consultant named  
15 Dr. Epler. And the Staff issued guidelines for  
16 analysis of that ATWS and acceptance criteria in WASH-  
17 1270. And ATWS was the first category that was to be  
18 analyzed according to a probabilistic safety goal of  
19 no core damage. I believe it was something like 10 to  
20 the minus 5, then it went to 10 to the minus 7, then  
21 it went back to 10 to the minus 6. But the various  
22 vendors submitted analyses in 1974 to show the  
23 consequences of ATWS. And this issue continued until  
24 the promulgation of the ATWS rule in 1986, 10 CFR  
25 50.62 which actually does not require analyses. It

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 just requires the installation of certain hardware.

2 For PWRs this is a diverse SCRAM system  
3 and an ATWS mitigation systems actuation circuitry.  
4 And for Westinghouse plants it's just the AMSAC  
5 system, because Westinghouse demonstrated that DSS was  
6 not justified.

7 ATWS analyses are conducted on a best  
8 estimate basis. And the principal criterion there is  
9 RCS overpressurization. And the level C stress limit  
10 was chosen as the acceptance criteria, 3200 psig. And  
11 this is based on review of the various components of  
12 the RCS system and picking the weakest component. In  
13 many cases that is the reactor coolant pump cases.

14 And another item that's important in this  
15 level C stress limit is the valve disks for valves  
16 that are needed to proceed to safe shutdown. The  
17 pressure has to be kept to a level such that there  
18 would be no deformation of the valve disks so that  
19 they remain operable and the plant can proceed to safe  
20 shutdown after a ATWS.

21 This is similar to what you've seen  
22 before. This example, which is based on the WRB-2M  
23 correlation shows that the correlation limit, the 95  
24 percentile ability, the 95 percent confidence level is  
25 1.14. And this includes uncertainties that are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 encountered during the development of the correlation.

2 And then the design limit 1.22 includes  
3 the operational uncertainties on power level,  
4 temperatures and flow rate mainly.

5 And then to this is added some margin.  
6 For Beaver Valley's case it's about 21 percent. And  
7 this margin would include, for example, transition  
8 core DNBR penalty, would include rod bow. In this  
9 case, the transition core, the DNBR penalty doesn't  
10 apply.

11 For the reactor coolant pressure boundary,  
12 I've chosen the level C stress limit, I'll call that  
13 the best estimate since it's used for ATWS analyses.  
14 And then the safety analysis limit is the 110 percent  
15 of design pressure, which leaves us a margin of about  
16 17 percent.

17 CHAIRMAN DENNING: One second. On the  
18 1.55, Staff has accepted lower values than 1.55 for  
19 these kinds of transients, is that true on a CHF?

20 MR. MIRANDA: Yes. Yes. That's true.

21 CHAIRMAN DENNING: This is a reasonably  
22 conservative value from your interpretation?

23 MR. MIRANDA: Yes. Yes, it's reasonable.  
24 I've actually compared to other plants, this has more  
25 margin.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN DENNING: Thank you.

2 MR. MIRANDA: Now I'm going to talk a  
3 little bit about margins and where they're found. And  
4 in the first grouping is in the acceptance criteria  
5 themselves. And from a prior slide we saw that the  
6 analysis criteria are more stringent, there's more  
7 margin in there in order to show that the standard  
8 acceptance criteria met. The standard acceptance  
9 criteria sometimes can be a little bit hard to  
10 measure, but the analysis criteria have to be  
11 measurable.

12 So in the acceptance criteria themselves,  
13 some events are analyzed according to more stringent  
14 criteria. For example, the steamline break, a  
15 condition IV event, or the complete loss of flow, a  
16 condition III event, are both analyzed according to  
17 condition II acceptance criteria meaning no clad  
18 damage.

19 Then there's also some margin between the  
20 acceptance criteria and the standard in terms of  
21 shortcuts like the pressurizer no fill criterion. And  
22 also as far as the fraction failed fuel rods. And the  
23 condition III and IV event, for condition IV events  
24 for example, the fraction of failed fuel rods is  
25 largely determined by the dose consequences. And the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fraction of failed fuel rods some value is chosen that  
2 is known to produce acceptable dose consequences. In  
3 a prime reading for Ginna, for example, there was a  
4 statement in the Ginna SE which talked about the  
5 assumed level of failed fuel rods. This refers to the  
6 practice of doing an analysis, doing a rod census and  
7 calculating the number of rod failure. And if it  
8 meets some predetermined level, for example, 10  
9 percent, then it's acceptable. Very often that number  
10 is much less than that, maybe 2 or 3 percent. The 10  
11 percent value would be used by the dose people as  
12 standard practice. Get the dose consequences for a 10  
13 percent level of fuel rod failures when the analysis  
14 actually shows something much less.

15 In the initial conditions and parameter  
16 values, the initial conditions for the accident  
17 analysis are taken in the conservative direction.  
18 Power level, for example, would be at 102 percent  
19 power. RCS temperatures depending upon the accident  
20 analysis and what they are looking for, very often the  
21 RCS temperature would be about 4 degrees higher than  
22 nominal. There's also some level of steam generator  
23 tube plugging that's assumed as well as pressurizer  
24 and steam generator water levels.

25 The protection system setpoints are also

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 taken in the conservative direction.

2 MEMBER WALLIS: This is what's done by  
3 this plant. It's not always done, is it?

4 MR. MIRANDA: It's always done, yes.

5 MEMBER WALLIS: Always done?

6 MR. MIRANDA: Always done.

7 MEMBER WALLIS: Even in a best estimate  
8 with uncertainty, you still have these conservatism?

9 MR. MIRANDA: Well, these are not best  
10 estimate analyses. These are conservative analyses.

11 MEMBER WALLIS: Conservative?

12 MR. MIRANDA: Yes.

13 In practice, taking all of these  
14 uncertainties in the conservative direction could  
15 actually wind up with a plant in a configuration  
16 that's not possible physically, but they do it anyway.  
17 You might, for example, take the under block values  
18 for core reactivity and beginning of life values for  
19 temperatures.

20 Core reactivity feedback, for example.  
21 They might take a most negative moderator temperature  
22 coefficient which would occur at end of life, it might  
23 be much more negative than actually expected. And  
24 then at beginning of life you would have a zero  
25 coefficient or positive coefficient. The object there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is not only conservatism, but also to produce a very  
2 wide range of analyzed space so that in the future for  
3 core reloads of different core designs with different  
4 core moderator temperature coefficients and other  
5 coefficients, doppler for example, if those values for  
6 the characteristic of the core reload fall within this  
7 range, that would tend to eliminate the need for new  
8 analyses.

9 And Westinghouse calls this their reload  
10 safety evaluation checklist.

11 There's also margin added to key parameter  
12 values used in the accident's analyses. Rod drop  
13 time, for example, was typically 2.8 seconds. The  
14 actual value is closer to 1½ seconds. Safety  
15 injection flow if it's conservative to have a minimum  
16 flow of, then the pump, the performance codes are  
17 taken at a minimum value.

18 Decay heat generation is another example.  
19 Decay heat generation --

20 MEMBER WALLIS: Is this stuff in a Reg.  
21 Guide somewhere or is it actually in the rule, or is  
22 it just the way it's done?

23 MR. MIRANDA: This is the practice. Yes.

24 MEMBER WALLIS: This is precedent. It's  
25 not rule?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MIRANDA: No. It's experience.

2 MEMBER WALLIS: This is the way it's  
3 normally done?

4 MR. MIRANDA: Yes. Yes.

5 Decay heat generation is another one I'm  
6 sure you're familiar with. It's either 1971 model plus  
7 20 percent or a 1979 model plus 2 sigma.

8 And Scram worth, typically for a  
9 Westinghouse plant that might be 4 percent. The actual  
10 value is closer to 6 percent because they assume that  
11 the most reactive rod is stuck out of the core.

12 Just in response times. The same thing.  
13 Typically rods don't get begin to drop until maybe 2  
14 seconds after the signal was received. And that actual  
15 value is closer to 1 second or .8 seconds

16 Also response times in terms of pump  
17 startup times to reach full speed or opening valves.  
18 For example in the safety injection system before flow  
19 delivery could occur to the RCS, it might be 10  
20 seconds. It's actually less than that, especially if  
21 you consider for example the relationship between flow  
22 area and valve position.

23 MEMBER WALLIS: All of this sounds  
24 qualitatively good. But until you put it in a terms  
25 of a probability distribution or something, I don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really know what you're gaining. I mean you say we're  
2 going to assume 2 seconds when reality is more like 1.  
3 But presumably it's one with some uncertainty.

4 MR. MIRANDA: Yes.

5 MEMBER WALLIS: Your two is somewhere way  
6 beyond the uncertainty bound or it's sort of 99.9999  
7 percentile or something, or what is it? It sounds  
8 good, but I don't have an idea.

9 MEMBER SIEBER: You do rod drop tests and  
10 I think two is the ultimate limit, but most of the  
11 time a rod will drop around 1 second or 1.2 seconds.

12 MEMBER WALLIS: That's a qualitative  
13 statement.

14 It all sounds good, but I just wonder why  
15 it isn't all put into some soundness, sort of  
16 probabilistic basis and then we can do a bounding  
17 best estimate with uncertainty.

18 MR. MIRANDA: This method predates PRA.

19 MEMBER WALLIS: Yes, it does. It seems to  
20 be a bit archaic. That's why you're using this  
21 particular projector, isn't it?

22 MR. MIRANDA: It's consistent, yes.

23 MEMBER SIEBER: It's structural.

24 DR. BANERJEE: But it actually focuses  
25 better.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER WALLIS: The focus is much better,  
2 right.

3 MEMBER SIEBER: Structuralist.

4 MEMBER WALLIS: It's cheaper to do it this  
5 way?

6 DR. BANERJEE: Sounds like these are sort  
7 of limiting values that you use?

8 MEMBER SIEBER: Yes.

9 MEMBER WALLIS: They are.

10 DR. BANERJEE: One end of the probability  
11 distribution?

12 MR. MIRANDA: That's right. It is possible  
13 sometimes to do sensitivity studies where you isolate  
14 some of these things and you might do the same  
15 analysis, for example, with a 2.8 second drop time and  
16 a 1 second drop time and see what effect it has on  
17 your parameter of interest. And you can do this for  
18 hundreds and hundreds of cases and come up with some  
19 kind of a relationship. But it hasn't been necessary  
20 as long as you show that the safety analysis limit is  
21 met, there's no point in going any further.

22 DR. BANERJEE: And maybe you don't know  
23 the probability distributions anyway, you know.

24 MEMBER MAYNARD: Right.

25 MR. CARUSO: That costs money to determine

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that.

2 MR. MIRANDA: Well, okay.

3 MEMBER SIEBER: Well, from a legal  
4 standpoint this method is much easier to defend; you  
5 either make it or you don't. You build a box and the  
6 reactor fits in there, it's good. If it doesn't fit in  
7 there, it's not good.

8 MR. CARUSO: And if you have a problem  
9 meeting your criteria at some point, then you go look  
10 at an individual factor and say, well, is it necessary  
11 for me to refine that value in order to meet the  
12 criteria. And then you have to develop the data  
13 that's needed to support the value that you use. But  
14 it's easier to use the limiting value until you need  
15 to.

16 MEMBER SIEBER: That's the old regulatory  
17 system. And it is still used pretty widely.

18 MEMBER WALLIS: It produces the same  
19 results on Monday as it does on Tuesday.

20 MEMBER SIEBER: That's great.

21 MEMBER WALLIS: Well, is an interesting --

22 MEMBER SIEBER: And Plant A and Plant B  
23 look the same if they are the same.

24 MR. MIRANDA: There' margin also in the  
25 methods used in the analyses. We heard a little bit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 earlier about critical flow through the pressurizer  
2 safety valves. LOFTRAN has several critical flow  
3 correlations in it and you use the appropriate model.

4 For example, steamline break you might  
5 want a very high flow through the break.

6 For a case where you're worried about RCS  
7 overpressurization and you're looking at flow through  
8 the pressurizer safety valves, you might use a flow  
9 correlation that produces a lower flow.

10 And it has, for example, homogeneous  
11 equilibrium subcooled and saturated models, and moody  
12 models.

13 Again, for steamline break make an  
14 assumption that the steam break flow is dry steam.  
15 This maximizes the cool down that the steam break  
16 produces in the core and maximizes the core reactivity  
17 response.

18 In actuality, a steamline break would have  
19 considerable entrainment in it. And I know this from  
20 experience because Turkey Point Unit 3 had a steamline  
21 break in 1971 when they were doing pre-startup  
22 testing. The core was not loaded at the time, but  
23 they blew a safety valve off the header on the  
24 steamline and the steam generator blew dry in a time  
25 that was much faster than predicted by the computer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 code. And the difference was attributed to water  
2 entrainment.

3 DR. BANERJEE: But I guess conservative  
4 here must be carefully defined, right? It's  
5 conservative with regard to some specific parameter  
6 that is of concern, like peak clad temperature,  
7 reactivity or whatever.

8 MR. MIRANDA: That's right. We'll see some  
9 examples of that in the plots.

10 There's also as far as --

11 MEMBER WALLIS: What you're describing is  
12 just what these guys did at Beaver Valley?

13 MR. MIRANDA: Yes.

14 MEMBER SIEBER: Yes.

15 MR. MIRANDA: Yes. This is standard  
16 Westinghouse methods.

17 MEMBER WALLIS: I thought Westinghouse had  
18 better methods now.

19 DR. BANERJEE: Well, only when they need  
20 it.

21 MEMBER SIEBER: The answer is no? This is  
22 the licensing approach.

23 MR. MIRANDA: Yes. This is methodology  
24 that the Staff has seen before, it's familiar with and  
25 has approved of.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   LOFTRAN and RETRAN, but in this case we're  
2 talking about LOFTRAN has a derivative method. They  
3 call it to estimate the DNB ratio. And this is a  
4 shortcut.

5                   Rather than go through the VIPRE analysis  
6 to actually calculate a DNB ratio, LOFTRAN has the  
7 results of sensitivity studies of the effect on DNB  
8 ratio due to changes in pressure and temperature. And  
9 during a transient, as you move through the transient  
10 and you change temperature and pressure, it calculates  
11 a DNB ratio. And this deliberately programmed into  
12 LOFTRAN to give you a lower than expected DNB ratio.  
13 And then the practice is depending upon what the DNB  
14 ratio is. For example, if you do a raw hydraulic  
15 power analysis, then you come up with a DNB ratio of  
16 1.5 and the safety analysis limit is 1.55. You know  
17 that 1.5 of value is conservative from LOFTRAN but you  
18 can't prove it. So you take some stake points from  
19 the analysis and you put them through a VIPRE analysis  
20 and you come up with a better DNB ratio. And that's  
21 very often much higher, 1.6, 1.65, whatever. But it  
22 does eliminate a lot of VIPRE analyses to go through  
23 this estimate.

24                   MEMBER WALLIS: I believe this is all  
25 going back to the days when it was expensive to use a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 computer?

2 MR. MIRANDA: Yes. It goes back to those  
3 days. And furthermore, not only was it expensive to  
4 use the computer, but you had to use several codes.

5 MEMBER WALLIS: Took a long time to run,  
6 too, I think.

7 MR. MIRANDA: Took a long time to run. And  
8 you had to physically take those stake points and put  
9 them into another --

10 MEMBER WALLIS: Take some perforated paper  
11 from one computer to another, or something.

12 MEMBER SIEBER: And boxes of cards.

13 DR. BANERJEE: Boxes of cards.

14 MR. MIRANDA: Yes. Yes. And a technician  
15 with a piece of graph paper.

16 MEMBER SIEBER: Yes.

17 MEMBER WALLIS: Now are we back in the  
18 '60s or something here? This is very interesting.

19 MR. MIRANDA: Yes. Actually we're in the  
20 '70s.

21 MEMBER WALLIS: Back in the '60s.

22 MEMBER SIEBER: No, that's 1970s  
23 technology.

24 MEMBER WALLIS: We should all feel really  
25 young and full of energy, right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MIRANDA: LOFTRAN was written in 1970  
2 and was in full use for licensing analysis by 1971.  
3 LOFTRAN is an abbreviation for loss of flow transient  
4 and it was written to do the loss of flow transient  
5 analysis for the Zorita Plant in Spain, a one loop  
6 plant.

7 As far as transient assumptions are  
8 concerned, the worse single act of failure in the  
9 protection system is assumed, and this goes to the  
10 IEEE 279 requirements 279 requirements. And then  
11 again, the scram worth is based on the most reactive  
12 rod stuck outside the core.

13 And we heard a little bit about this  
14 earlier, about no credit for operation of control  
15 grade systems. And typically these are the  
16 pressurizer PORVs, heaters and spray. And such systems  
17 are assumed not to be operating in a transient unless  
18 their operation would tend to make the transient  
19 worse.

20 Sometimes you'll see in a set of accident  
21 analyses several cases performed with and without the  
22 operation of the control grade system to see the  
23 effect.

24 And then there are some trips that are  
25 just not taken credit for. And the example of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reactor trip on turbine trip was alluded to earlier.  
2 And also the rods don't fall into the core when  
3 offsite power is lost. The rods fall into the core  
4 only after reactor trip signal is received.

5 I can discuss, by the way, before I get  
6 into the transients, if you're interested I could talk  
7 a little bit about the overtemperature delta T trip  
8 and how that's determined.

9 At this point I'll go to the conclusions.  
10 The bottom line, very simple, when we look at an  
11 analysis, for example the DNBR limit. If the minimum  
12 calculated DNBR from the transient is greater than the  
13 safety analysis limit, then the analysis is  
14 acceptable.

15 If the minimum calculated DNBR should  
16 equal the safety analysis limit, then the analysis is  
17 still acceptable because we know that we have margin  
18 in both the limit and in the accident analysis.

19 And if the minimum calculated DNBR should  
20 fall below the safety analysis limit, now we can't  
21 accept the analysis because it hasn't been  
22 demonstrated that there's adequate margin still  
23 available. There's obviously been some erosion of  
24 that margin and we have no idea of how much is  
25 remaining. And this goes back to what you said, Dr.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Wallis. We don't have that relationship between the  
2 best estimate value and the uncertainty.

3 MEMBER WALLIS: Now when the licensee  
4 calculates these numbers, he's not able to tweak his  
5 code to make it less than or more than? We all know  
6 that by changing nodalization and time steps and all  
7 sorts of things you can tweak codes to get different  
8 results. He's not allowed to tweak his code? How do  
9 you prevent him from just dialing a lot of tweaks and  
10 eventually getting within the regulations?

11 MR. MIRANDA: Well, we can't prevent him  
12 from doing that. And if the modeling has been  
13 accepted; an acceptable model should not be very  
14 sensitive to things like time steps and nodalization  
15 for a non-LOCA analysis.

16 DR. BANERJEE: They generally are, that's  
17 the problem. I mean, essentially all these finite  
18 difference code depend on nodal volumes and time  
19 steps. They're not mathematically convert in any sense  
20 of the word. They're too nonlinear. There's also  
21 some weird things in them.

22 MEMBER WALLIS: Like the business of  
23 matching the currant number at one and not somewhere  
24 else, and therefore getting distortion there.

25 MR. MIRANDA: You can tweak the code a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 little bit, but only a little bit with LOFTRAN because  
2 LOFTRAN is not like a LOCA model. It's a hard wired  
3 simulation. It has a pressurizer. It has steam  
4 generators. And you have very little leeway as far as  
5 nodalization is concerned. You can put three nodes in  
6 the hot leg or you can put 20 nodes in the hot leg;  
7 the results should not be that much different.

8 The same thing with the core. You can put  
9 several nodes axially and radially in the core but, it  
10 won't have that much of a difference.

11 MEMBER WALLIS: That's why we've always  
12 said that the Staff should have the ability to run  
13 these codes itself. Find out how sensitive they are to  
14 these various things rather than just taking something  
15 submitted by the licensee, who has obviously optimized  
16 things to make it look good.

17 MR. MIRANDA: As a matter of --

18 MEMBER WALLIS: Or he has the chance to do  
19 that, let's say. But you don't have these  
20 Westinghouse codes run by the Staff, do you?

21 MR. MIRANDA: Well, for Beaver Valley and  
22 Ginna we do have use of the LOFTRAN code. We have  
23 access to the LOFTRAN code through Westinghouse's  
24 office in Rockville. And we have the LOFTRAN manual  
25 and we have the safety analysis standards.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS:  When they report a number  
2                   like, whatever it is, 2748.5 when it should be 2750,  
3                   you can run your own LOFTRAN or whatever it is and  
4                   figure out if you can get it to 2502.1 or something?

5                   MR. MIRANDA:  We could, yes.

6                   MEMBER WALLIS:  2750.3 or whatever it is.

7                   MR. MIRANDA:  Yes.  Yes.  We could change  
8                   a few parameters --

9                   MEMBER WALLIS:  You have a really good  
10                  idea of how much tweaking they could do to get what  
11                  they want?

12                  MR. MIRANDA:  I've done this tweaking  
13                  myself.

14                  MEMBER WALLIS:  That's it, you're an  
15                  insider.

16                  MR. MIRANDA:  There isn't that much you  
17                  can do.  You might be able to change the result by a  
18                  couple of psi, but unless you make some basic changes  
19                  in the assumptions.  You would need, for example you  
20                  would need to change the critical flow model that  
21                  you're using.  And making changes like that require  
22                  justification.  You need to have a reason for doing  
23                  that.

24                  MEMBER WALLIS:  It really takes a Staff  
25                  member who has done this stuff him or herself to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 able to understand what the licensee is doing or what  
2 Westinghouse is doing. Otherwise you can be  
3 bamboozled.

4 DR. BANERJEE: Or have an equal  
5 capability, which is not LOFTRAN, which is in your  
6 hands.

7 MEMBER WALLIS: Like TRAC?

8 DR. BANERJEE: Whatever, yes.

9 MEMBER SIEBER: Yes. Well, LOFTRAN is only  
10 one code. There's a lot of codes that are used here.

11 DR. BANERJEE: Yes.

12 MEMBER SIEBER: There are VIPRE, MAAP.

13 DR. BANERJEE: At least to keep them  
14 honest to do a few spot checks here and there.

15 MR. MIRANDA: Yes. And we have done a  
16 couple of those.

17 MEMBER SIEBER: They do audit. You do  
18 audits?

19 MR. MIRANDA: Yes. We did an audit for  
20 Beaver Valley in November of last year, three days at  
21 Westinghouse's offices in Pittsburgh where we looked  
22 at the --

23 MEMBER WALLIS: When are we going to take  
24 a break?

25 MR. MIRANDA: -- analyses, we looked at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the calculation notes behind the analysis and also the  
2 safety analysis standards. And we talked to the  
3 people who performed these analyses.

4 CHAIRMAN DENNING: Sam, let me interrupt  
5 you at this point. I think this is a good breaking  
6 point, would you not agree?

7 MR. MIRANDA: Sure.

8 CHAIRMAN DENNING: Well in that case,  
9 we're going to adjourned then until by that clock 25  
10 after 1:00.

11 (Whereupon, at 12:30 p.m. the meeting was  
12 adjourned, to reconvene this same day at 1:30 p.m.)

13

14

15

16

17

18

19

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

2 1:30 p.m.

3 CHAIRMAN DENNING: Okay. We are now back  
4 in session.

5 And, Sam, you can start anytime you want.

6 MR. MIRANDA: Okay. I will step through  
7 three example of non-LOCA transients. And we have the  
8 same three transients that Beaver Valley was talking  
9 about earlier.

10 The first is a loss of external load. And  
11 this is the event that causes a very high reactor  
12 coolant system pressure. And followed by the rapid  
13 draw of power for the channels to DNB. And finally  
14 the spurious actuation of ECCS. And this event is the  
15 one that we look at in order to show that the event  
16 will not progress to a condition III or IV event.

17 The first event, the loss of external load  
18 I might comes in several varieties. There is a  
19 condition I loss of external load, an operational  
20 transient which is also known as a load rejection. We  
21 can reduce load by 50 percent and show that the plant  
22 will not trip.

23 There's also a loss of load ATWS, which is  
24 the limiting ATWS event in terms of pressure which  
25 will reach pressures very close to the 3200 psi limit.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The loss of external load, and moving to  
2           the earlier discussion, the best estimate case that  
3           showed there was no difference between pre-EPI and  
4           post-EPU, I might add that in that instance if you  
5           have a loss of load and you have the steam dumping  
6           available, basically that amounts to a 60 percent loss  
7           of load. Steam dumping to the condenser will take up  
8           about 40 percent of nominal steam flow. So comparing  
9           that to an accident analysis loss of load, a 100  
10          percent load rejection, there's a big benefit there;  
11          first of all. And secondly, if you use the pressure  
12          control system pulls and spray the spray will be  
13          working during that event. So that seeing two curves  
14          that are identical is not a surprise because here you  
15          only have a 60 percent load rejection and you have  
16          pressure being controlled by the sprays. And that is  
17          very likely to be more than enough to handle the 8  
18          percent power increase.

19                 So for this event there are two cases  
20                 analyzed. I'm going to talk about both of them and  
21                 you'll see why in a few minutes.

22                 The first case we have a case that's  
23                 analyzed for channels to the DNB. And in that case as  
24                 expected the overtemperature delta T trip is reached.  
25                 And the minimum DNBR occurs shortly after the rods

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 begin to drop.

2 Typically the minimum DNBR will occur even  
3 before the rods reach of the bottom of the core. When  
4 most of activity has been inserted, transient is  
5 already -- DNB ratio begins to increase again.

6 One thing I would look for in as a  
7 reviewer in a case like this would be for a reactor  
8 trip that comes from the part of the reactor  
9 protection system that is designed to protect against  
10 a parameter of interest. In this case we're worried  
11 about DNB and the reactor protection system function  
12 that protects against DNB is overtemperature delta T.  
13 So if I saw a trip occurring from another source that  
14 is not related to DNB, I would have questions.

15 So here we have the overtemperature delta  
16 T trip operational.

17 The second case is the case that challenge  
18 the RCS pressure limit. So here we have the nuclear  
19 power and heat flux. Then I have drawn on this the  
20 time of the reactor trip right here. And you'll see  
21 that the nuclear power begins to drop quite soon. Heat  
22 flux begins to drop just a little bit later. And  
23 that's just due to the thermo-lag heat flux through  
24 the fuel.

25 And this is the pressure and pressurizer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 volume.

2 MEMBER WALLIS: Now it peaks out at the  
3 flat top because it actually blows a relief valve, the  
4 pressurizer?

5 MR. MIRANDA: This is the answer to your  
6 question right there.

7 MEMBER WALLIS: Okay. That's it. Thank  
8 you.

9 MR. MIRANDA: Now this is an example of  
10 conservatism in the setpoints. The pressurizer safety  
11 values are set to open nominally at 2500 psia with a  
12 tolerance of plus or minus 3 percent. This is Beaver  
13 Valley 1. And in this case since they are looking for  
14 a low DNB ratio, they're want to keep the pressure  
15 low. Therefore, they're using the low setting on the  
16 pressurizer safety valves, opening them at 24, 25  
17 psia, nominal minus 3 percent.

18 They're also using pressure control.  
19 Pressurizer spray and pressurizer power operator  
20 relief valves. So you see the first plateau is when  
21 the relief valves open at 2350 psi and a second  
22 plateau is when the safety valves open. Both of those  
23 serve to keep the pressure low and keep the DNB ratio  
24 low.

25 And then finally as a verification that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this is not an event that could proceed to a more  
2 serious event, we see that the pressurizer does not  
3 fill.

4 MEMBER WALLIS: Where is full pressurizer?

5 MR. MIRANDA: It's about 1428 cubic feet.  
6 1420 cubic feet for the pressurizer and another 28  
7 cubic feet for the surge line.

8 CHAIRMAN DENNING: Now, in this case if  
9 they had the valves opening later, would it have  
10 threatened the pressurizer more filling the  
11 pressurizer?

12 MR. MIRANDA: If the valves were opening  
13 later --

14 MEMBER WALLIS: It's not turned around by  
15 the valves.

16 MR. MIRANDA: No, actually if the valves  
17 opened earlier, the pressurizer level might be higher  
18 because you're squeezing the steam out.

19 This is the last of that transient. This  
20 mainly shows that the reactor coolant system pressure  
21 here, this is the value that comes very close to the  
22 2750 psi limit. And this is higher than the  
23 pressurizer pressure because this pressure is measured  
24 at the reactor coolant pump discharge. It's the  
25 highest pressure in the system

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CARUSO: Do we have that one?

2 CHAIRMAN DENNING: I don't think we do.

3 MR. MIRANDA: No. No, I just added that  
4 just to show this. I don't think you have any of the  
5 curves, do you?

6 MEMBER KRESS: Yes.

7 MR. MIRANDA: Okay. I just added that.

8 And then finally we have the parameter of  
9 interest, the DNB ratio to show that it doesn't reach  
10 the safety analysis limit. The limit is 1.55. This  
11 is the same curve that the reactor trip noted there.  
12 And you see that the reactor trip and the minimum DNB  
13 ration are related. The reactor trip is what  
14 mitigates this event. This is the classic definition  
15 of a condition II event. All it takes is a reactor  
16 trip.

17 Now we have another case without pressure  
18 control. This is a case that's designed to maximize  
19 the reactor coolant system pressure. And this will  
20 have a higher pressure than the previous case. It's  
21 still within the limit.

22 A similar behavior, there's the reactor  
23 trip and the response in nuclear flux and heat flux.  
24 And this occurred you saw earlier today was the peak  
25 reactor -- here's a peak pressurizer pressure. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 then you come down, on the way down, you see there's  
2 a little plateau here. This is at 2575 psia

3 MEMBER WALLIS: It doesn't look right.

4 Oh, yes it does. It's okay.

5 MR. MIRANDA: 2575 --

6 MEMBER WALLIS: Yes, it's okay.

7 MR. MIRANDA: -- that is nominal subpoint  
8 for the pressurizer safety valve.

9 MEMBER WALLIS: Around the peak. There's  
10 a very sharp peak there.

11 MR. MIRANDA: Oh, that's the reactor trip.

12 MEMBER WALLIS: The reactor trip is what  
13 cuts if off at 2700 or something. That's the way you  
14 want to avoid. It just trips in time, doesn't it?

15 MR. MIRANDA: Yes. Yes. That's right.

16 MR. FREDERICK: This is Ken Frederick.

17 Actually, what we've seen is that when the  
18 valves open is where we reach the peak. We actually  
19 ran an additional case where we didn't credit the  
20 first trip, we credited the second trip. And that  
21 trip actually occurred after the peak. And the peak  
22 was pretty much the same but it occurs right when the  
23 valves open.

24 MEMBER WALLIS: So it's a valve opening  
25 that causes the peak?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MIRANDA: Well, the valve opening  
2 helps. In fact, this 2575 here, that's when the valve  
3 begin to reseal. And that's the higher -- that's the  
4 nominal setpoint plus 3 percent. Because the object  
5 here is to maximize pressure. So they're using the  
6 higher setpoint for the safety valves. And also in  
7 this case we see that the pressurizer doesn't fill.

8 This is another curve that you don't have.  
9 This is the reactor coolant system pressure to show  
10 the maximum value. That's the number that you saw  
11 earlier, the 2747 psia.

12 We can skip this one.

13 MEMBER WALLIS: So you're making FENOC's  
14 presentation for them here?

15 MR. MIRANDA: Excuse me?

16 MEMBER WALLIS: This is all their results,  
17 right?

18 MR. MIRANDA: Their results, yes.

19 MEMBER WALLIS: And so you're just showing  
20 that you understand them? There's nothing that you  
21 did to calculate anything separately?

22 MR. MIRANDA: Actually, I did --

23 MEMBER SIEBER: He probably do it.

24 MR. MIRANDA: I did the analysis that Mr.  
25 Frederick was referring to.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS: Oh, you did the analysis  
2 that they're using now?

3                   MR. MIRANDA: No, no, no no. The one  
4 where they took the second trip, I verified the  
5 LOFTRAN ran.

6                   MEMBER WALLIS: Okay.

7                   MR. MIRANDA: That is designed to show  
8 that these valve sizing meets the ASME design  
9 criteria. That's according to Section 5.2.2 in the  
10 FSAR.

11                   Any questions on the loss of load?

12                   As I said, the loss of load there's a  
13 different of different variation. We've already  
14 referred to four variations. The accident analysis,  
15 the condition I event which could be a load rejection  
16 anywhere from 40, 50, 60 percent, the ATWS analysis;  
17 that's three variations.

18                   Okay. Rod withdrawal with power. Rod  
19 withdrawal with power is actually a series of  
20 transient analyses that could be -- let's see, close  
21 to a 100 different analyses that are performed. I'm  
22 going to talk about two example.

23                   One, at full power and 80 PCM reactivity  
24 insertion rate, a high reactivity insertion rate and  
25 another one at full power with a very slow reactivity

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 insertion rate.

2 And these two events show that the high  
3 neutron flux trip will protect against a high  
4 insertion rate and the overtemperature delta T trip  
5 will protect against very slow insertion rates.

6 There are other trips that come in, but  
7 these are the ones that we look for in a rod  
8 withdrawing power since these are directly related to  
9 the event.

10 Here's the high reactivity insertion rate.  
11 And we see we get the high flux trip. And there's  
12 about a half a second delay and the rods begin to  
13 fall. And as the rods fall, you can see the power  
14 dropping. This is a very short time scale. It's only  
15 7 seconds.

16 And since this is a condition II event,  
17 they're also in addition for looking for the DNB ratio  
18 limit, we're also making sure that the pressurizer  
19 doesn't fill. In this case there's lot of margin to  
20 filling.

21 DR. BANERJEE: What is the water volume  
22 for filling the pressurizer?

23 MR. MIRANDA: 1400 cubic feet plus another  
24 28 cubic feet for the surge line.

25 So the DNBR safety analysis limit is 1.55

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 and this particular case the ADPC per second  
2 reactivity insertion rate at full power meets the  
3 limit.

4 And then for the slow reactivity insertion  
5 rate, you can see this is a much longer transient. We  
6 have about 2 minutes represented here. And the trip  
7 comes from the overtemperature delta T trip. And this  
8 event, by the way, is crucial to determining the  
9 setpoints for the overtemperature delta T trip.

10 And in this case we see that the  
11 pressurizer power operator relief valves opened right  
12 here. But the pressurizer is still not full.

13 And here's the DNB ratio. And in this  
14 case we come closer to the limit. I think that might  
15 be the 1.57 case. DNB ratio is reached soon after the  
16 -- while the rods are falling into the core.

17 And those are two cases, as I said, of  
18 many more, possibly up to a 100. And the results of  
19 all these cases are plotted in something like this.

20 As I said earlier, the cases that have a  
21 very high reactivity insertion rate along here are  
22 protected by the high flux trip. And the cases that  
23 have slow reactivity insertion rates are protected by  
24 the overtemperature delta-T trip. And actually these  
25 curves continue. I think they go like this. Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 But this plot shows that it was protected through this  
2 very wide range of reactivity insertion rates, wider  
3 than you might expect during operation by these trips,  
4 the overtemperature delta T and the high neutron flux.

5 And I have more results along those lines.  
6 This is at 60 percent power. And then at 10 percent  
7 power.

8 That's the rod withdrawal of power  
9 analysis. Any questions on that?

10 Okay. These DNB ratios, by the way, that  
11 you see here are calculated by LOFTRAN, not by VIPRE.  
12 And they used that derivative estimation method.

13 Now the next event, the spurious actuation  
14 of safety injection at power is probably the only  
15 event in Chapter 15 that actually challenges that  
16 criterion that prohibits escalation of a condition II  
17 event into a more serious event, at least that's the  
18 only one we know of. And the mechanism is that you  
19 have a spurious SI signal, a fairly common event, a  
20 condition II event and causing the safety injection  
21 system to actuate. And in some plants, like Beaver  
22 Valley, the safety injection system includes the  
23 charging pumps. And the charging pumps are capable of  
24 pumping into the RCS at nominal pressure. In fact,  
25 their shut off head is at 2600 psi. So they can not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 only can they pump into the RCS nominal pressure, they  
2 can lift safety valves.

3 If they fill the pressurizer and lift out  
4 of the PORVs or the safety valves, then the question  
5 is if these valves are not qualified for water relief,  
6 the deterministic accident analysis methods assume  
7 that such valves once opened would stick open. And  
8 that would be a condition III event, a small break  
9 LOCA.

10 Beaver Valley is a little bit unusual  
11 compared to other Westinghouse plants. Beaver Valley  
12 has three PORVs rather than two.

13 Another interesting aspect of this  
14 accident is that it's misunderstood, it has been  
15 misunderstood in terms of its analysis. I've seen  
16 analyses in licensing basis that talk about DNB ratio  
17 and how DNB ration safety analysis is met. Even some  
18 analyses that talk about RCS pressurization or  
19 overpressurization. Neither is of concern.

20 First of all, the safety injection signal  
21 will automatically trip the reactor that's in the  
22 protection system. The reactor trips immediately. So  
23 there's no danger of DNB.

24 And secondly, since the shut off head of  
25 the charging pumps is only 2600 psi, there is no

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 danger of exceeding 110 percent of design pressure.

2 So those two concerns go away and we're  
3 left with the escalation to a condition II event.

4 So this illustrates how the graphic trip  
5 occurs immediately. And we have the core temperature,  
6 core average temperature dropping and then eventually  
7 coming up to this level here. This is about 563. And  
8 basically what this temperature is determined by the  
9 secondary side temperature.

10 The steam generators sitting at about 1100  
11 or 1200 psi perhaps the safety valves are open.  
12 Saturation temperature at that pressure is about here.

13 This is the pressurizer volume, the  
14 pressurize fills here. And we see that the cycle to  
15 safety valves, we have four openings. And doing the  
16 review I questioned the PORVs. Certainly the licensee  
17 said, well we don't need the PORVs. We're not going  
18 to take credit for the PORVs. We're qualifying the  
19 safety valves for water relief. So we'll use the  
20 safety valves to mitigate this event as we see here.  
21 Safety valves are opening and closing. And they  
22 qualify for water relief, so we can expect them to  
23 close as designed.

24 However, the PORVs are going to be there.  
25 And the PORVs will open first unless you have them

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 blocked. I don't think that would be very likely. But  
2 the PORVs once opened, you have to be sure that they  
3 will close.

4 To qualify PORVs for water relief it takes  
5 two steps: (1) the valves themselves have to be  
6 qualified for water relief along with the discharge  
7 piping, and; (2) the automatic control circuitry for  
8 the PORVs has to be safety graded. And normally  
9 that's not safety graded.

10 And that's there to guarantee that the  
11 PORVs will open when required and will close when  
12 required.

13 In this case since the PORVs are not being  
14 credited for mitigation of the event, we need to worry  
15 only about the closing. In other words, if the  
16 pressurizer fills and pressurized by the charging  
17 pumps, it's possible that the PORVs will open. If they  
18 open, we need to know that they'll close. If they  
19 don't open, then we know that we have the safety  
20 valves available. And this is what the transient here  
21 shows; that the safety valves will handle this event.

22 So in response the applicant pointed out  
23 the protection grade signal on low pressurizer  
24 pressure that will automatically close the PORVs if  
25 they should open.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SIEBER: On the other hand if the  
2 PORV is not tested and qualified to pass water, even  
3 though you get a close signal, it may not close,  
4 right?

5                   MR. MIRANDA: Yes. The EPRI valve tests  
6 were used to qualify the PORVs for water --

7                   MEMBER SIEBER: So they will close?

8                   MR. MIRANDA: They will close if they get  
9 a signal.

10                  MEMBER SIEBER: Okay.

11                  MR. MIRANDA: This is the mass flow rate  
12 for the safety valves on the four openings.

13                  MEMBER WALLIS: They will close if they  
14 get a signal? Don't they sometimes stick?

15                  MR. MIRANDA: Well, for the purpose of the  
16 analysis if the valve is qualified under these  
17 conditions, if PORV is not only used for steam  
18 release; if it's qualified for water relief, we will  
19 assume that it operates as designed. Because the  
20 valve is qualified for water relief. And it is safety  
21 graded, by the way. The PORVs themselves, the  
22 components are safety grade. The problem is that the  
23 circuitry is not safety graded. There are a couple of  
24 single point failure vulnerabilities in the circuitry  
25 that need to be corrected. That's for the opening

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 circuitry.

2 For the closing circuitry that signal  
3 comes from the protection system. So there will be a  
4 reliable close signal.

5 MEMBER WALLIS: I thought TMI had a signal  
6 that didn't close for mechanical reason. TMI had  
7 boron deposits or something that stopped that closing.  
8 Hey, you have plenty of signal.

9 MEMBER MAYNARD: Okay. But for this  
10 accident you could have the same situation if a  
11 qualified safety relief valve sticks open. Hence, you  
12 go into your small break LOCA analysis. For this  
13 analysis you're assuming that the valve closes there.  
14 It for any reason it did not, you're still covered by  
15 your small break LOCA analysis.

16 CHAIRMAN DENNING: And if you have a  
17 monitor that says it didn't close, then you can close  
18 a block valve the PORV?

19 MR. MIRANDA: Yes. Those are practical  
20 considerations which are not relevant here.

21 CHAIRMAN DENNING: In regulatory space  
22 you're saying?

23 MR. MIRANDA: Right. Because here they're  
24 concerned about meeting that ANS criteria that says  
25 you can't go to a condition III event. So if it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sticks open and if you're doing things like closing  
2 the block valve, you're mitigating a condition III  
3 event. You've already violated the criteria.

4 This is also important here. This  
5 pressurizer water temperature. The EPRI valve tests  
6 showed that safety valves and PORVs, but safety valves  
7 can be expected to function as designed if the water  
8 temperature does not get too cold. For Crosby safety  
9 valves which are installed in Beaver Valley Unit 2,  
10 the temperature must not go below about 613 degrees.

11 MEMBER SIEBER: Put them in a box and put  
12 a heater in there.

13 MR. MIRANDA: Excuse me?

14 MEMBER SIEBER: Put them in a box and put  
15 a heater in there, which is what they did.

16 MR. MIRANDA: And for Beaver Valley Unit  
17 1, which has Target Rock safety valves, they're much  
18 better off with the water temperature for those valves  
19 has to be above 330 degrees.

20 So these two plots are fairly important.  
21 Eventually if you continue this, you will get below  
22 613 degrees. But we can expect operator action to  
23 occur before then. And this is the way the event is  
24 mitigated. There's no automatic protection system  
25 function such as reactor trip or other function that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 will mitigate this event. It takes operator action.  
2 An operator must shut down the charging pumps. And  
3 once that's done, the event is basically over. And  
4 that will occur before the temperature reaches 613  
5 degrees.

6 Westinghouse plants, there's a class of  
7 Westinghouse plants in which Beaver Valley is included  
8 but Ginna is not which use the charging pumps in the  
9 safety injection system. And therefore, are  
10 susceptible to this kind of a situation. And there  
11 are ways to show that ANSI criteria is met.

12 One is to show that the operator acts  
13 before the pressurizer fills to shut off the charging  
14 flow. Another is to qualify the PORVs and to relieve  
15 water by qualifying the PORVs themselves and the  
16 discharge piping, and correcting the automatic control  
17 system's circuitry. And six plants have done that;  
18 Diablo Canyon, Callaway, Millstone have done that and  
19 Salem also.

20 And the other option which Beaver Valley  
21 has taken is to qualify the safety valves along with  
22 taking credit for the closing signal coming from the  
23 protection system.

24 So those are the three transients. Any  
25 questions on those?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN DENNING: Large LOCA lines, too?  
2 I didn't see it in the handout.

3 MR. MIRANDA: No.

4 CHAIRMAN DENNING: No? So you don't have  
5 any large LOCA --

6 MR. MIRANDA: No, I don't.

7 CHAIRMAN DENNING: So basically for this  
8 part you're done then?

9 MR. MIRANDA: I'm done, unless you have  
10 any questions or you wish to talk about  
11 overtemperature delta T or anything else. Do you want  
12 to see transients like this for Ginna on Thursday.

13 CHAIRMAN DENNING: Yes.

14 MR. MIRANDA: Okay.

15 CHAIRMAN DENNING: Okay. We're done? Yes.  
16 Okay. Thank you.

17 MEMBER WALLIS: Let's go back to modern  
18 technology now. Note how sharp the last slides were.  
19 You could even read the small print on those.

20 MR. FREDERICK: Again, I'm Ken Frederick.  
21 I'm here to talk about the balance of the safety  
22 analysis for Beaver Valley.

23 The last four subject areas we're going to  
24 talk about small break LOCA, close LOCA long term  
25 cooling and boron precipitation as well as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 containment, containment conversion program primarily,  
2 containment overpressure credit and we'll briefly  
3 touch on the dose assessment results.

4 To start off with small break LOCA. As  
5 mentioned earlier, we're using NOTRUMP, which is the  
6 current licensing basis for Beaver Valley and  
7 Westinghouse approved methodology.

8 We have made some modifications to the  
9 plant in order to retain or regain some of the margin  
10 that we're losing for the EPU. The primary change  
11 here is the higher head or higher capacity, high head  
12 safety injection pumps. The increased flow associated  
13 with that modification is around 5 percent.

14 We're also replacing some instrumentation  
15 that gives us lower uncertainties which are factored  
16 into how we set up the system, throttling.

17 We also increased the minimum SI  
18 accumulator pressure and that provides some benefit  
19 for the small break LOCA analysis.

20 During the course of the Staff review for  
21 the small break analysis several questions were raised  
22 for us to address. The first one dealt with the  
23 methodology which Westinghouse was using concerning  
24 the break spectrum.

25 Typical practice having to analyze

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 integer break sizes, for example 2", 3", 4". And the  
2 Staff felt that that was too course to capture the  
3 maximum PCT.

4 Another issue which was raised was loop  
5 seal clearing assumptions. The approved methodology  
6 allowed for loop seal clearing on the broken loop but  
7 not the intact loops. And our EPU analysis we had  
8 other opinions of that methodology. Had actually  
9 credited loop seal clearing on the intact loops as  
10 well. So the Staff asked us to address that.

11 Another request from the staff was that  
12 oxidation results for local oxidation needed to  
13 include pre-transient oxidation. That's the oxidation  
14 which occurs over the normal life of the fuel.

15 Another issue which was raised here was  
16 for some of the smaller small breaks in the analysis  
17 these things tend to hang up in terms of the PCT. And  
18 primarily that's -- in fact, we reached kind of a  
19 stagnation point.

20 The operators normally have a response  
21 within a fairly small time frame. And we see the  
22 slides of the PCT curves, we'll maybe talk about this  
23 some more. Basically the concern here was that the  
24 operator actions needed to be done in a timely manner  
25 so that we could demonstrate refill of the core.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: There's lots of little  
2 slides that we are missing.

3 MR. FREDERICK: Pardon me?

4 DR. BANERJEE: The previous one you had  
5 those --

6 MEMBER SIEBER: He wants to see in that  
7 little box.

8 DR. BANERJEE: Then give us an option.

9 MR. FREDERICK: This is basically a  
10 pictorial explanation of loop seal clearing if you had  
11 a question about what that is. Loop seals, of course,  
12 are across under leg

13 CHAIRMAN DENNING: Go ahead. You can  
14 proceed.

15 MR. FREDERICK: So we addressed the Staff  
16 questions in this area. We did the analyses. We've  
17 looked at break sizes down to quarter inch increments.  
18 The allowance for loop seal clearing on the intact  
19 loops within the analysis.

20 We also do -- normally this is always  
21 done, but the burnup studies we did for oxidation and  
22 that's looking at oxidation over the life of the fuel.  
23 And we've included the pre-transient oxidation in that  
24 calculation to show that we met with the pre-  
25 transient.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           This is the spectrum sizes that we've  
2 analyzed starting at 2 inch and going all the way up  
3 to 6 inch. And in between 2 inches and 3 inches we  
4 ran these smaller increments.

5           You can see there that the case of Unit  
6 1 the peak clad temperature, the highest case ended up  
7 being 2.75 inches where previously I think it was 3  
8 inches. And for Unit 2 the worse case is still 3  
9 inches. But, yes, there is a small -- something on  
10 the order of for these analyses I think up to 60  
11 degrees. For example 3 inches or 2 3/4 inches.

12           The other thing to note there as you get  
13 into the smaller break sizes you can see that the  
14 transients well out here past close to an hour. And  
15 the theory there was that we need to take operator  
16 actions, which is primarily to pull down,  
17 depressurize, which allows the vessel to refill in  
18 that time frame.

19           DR. BANERJEE: Do you get reflux  
20 condensation in the steam generators for any of these  
21 break sizes?

22           MR. FREDERICK: Josh from Westinghouse.

23           MR. HARTZ: Yes, this is Josh Hartz from  
24 Westinghouse. I'm in charge of the neutron small break  
25 LOCA evaluation model.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Yes, after the single and two phase  
2 natural circulation period when that mechanism breaks  
3 down, the steam generators go into reflux cooling mode  
4 and NOTRUMP does model that.

5 DR. BANERJEE: And all break sizes or some  
6 break sizes and when does natural circulation stop and  
7 when did you get into refluxing?

8 MR. HARTZ: Well, it's going to vary with  
9 break size. If you get into larger break sizes, you  
10 depressurize so quickly that you lose two phase  
11 natural circulation so quickly that the break becomes  
12 the dominant means of energy removal. So the reflux  
13 condensation aspects tends to increase as break size  
14 increases.

15 DR. BANERJEE: So at 2 inch, say, you'd  
16 get refluxing but at 6 inch you wouldn't?

17 MR. HARTZ: More so than you would in the  
18 6 inch break, that's correct.

19 DR. BANERJEE: Okay. Now you're going to  
20 get more steam flow to the steam generator because  
21 your power is greater by 10 percent, roughly, here?

22 MR. HARTZ: That's correct. Your boil off.

23 DR. BANERJEE: Now refluxing is effected  
24 by flooding at the steam generator tube sheet inlet,  
25 right? So can your steam generator inlet flow is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 roughly the same because it's the same flow area that  
2 you have. Does the 10 percent increase in steam flow  
3 lead to more water hold up in the steam generators or  
4 not?

5 MR. HARTZ: NOTRUMP does show some liquid  
6 hold up in the steam generators, but it doesn't tend  
7 to dominate the results too much because we only see  
8 it in the smaller breaks. But the --

9 DR. BANERJEE: Do you get any core level  
10 depression due to that?

11 MR. HARTZ: Due to liquid holdup in the  
12 steam generator we have seen it, but that tends to  
13 make the results more conservative because the  
14 differential pressure is driven up and it tends to  
15 drive mixture level down. And sometimes make the  
16 break flow stay at a low quality two phase mixture for  
17 a longer period of time.

18 DR. BANERJEE: When you do these reflux  
19 calculations, do you get flooding at the inlet of the  
20 steam generators due to the steam flow or are you away  
21 from flooding? Flooding defined as Graham Wallis  
22 would.

23 MEMBER WALLIS: CCFL.

24 DR. BANERJEE: CCFL.

25 MR. HARTZ: The mechanism that we've seen

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 for these, and in some cases we have seen some  
2 flooding, but again it was for smaller breaks and that  
3 mechanism tends to break down rather quickly. And so  
4 it doesn't tend to have much dominance on the  
5 transient.

6 DR. BANERJEE: Well, I'd be interested to  
7 see the difference in this due to the increased steam  
8 flow rates as to whether you get a more extended  
9 period of flooding or not compared to pre-EPU as  
10 opposed to post-EPU conditions. Because you're  
11 getting 10 percent more flow rate, right? Now whether  
12 this is giving you a larger period of flooding or not  
13 is interesting for me to know.

14 So you take the 2 inch break, it doesn't  
15 really matter.

16 MR. HARTZ: Okay.

17 DR. BANERJEE: Okay. Because you say  
18 flooding breaks down quickly. It would only break  
19 down if the core level went down somewhat so your  
20 steam generation rate went down or because you're  
21 getting the same stuff out of the break anyway,  
22 right, in rough terms?

23 MR. HARTZ: That's correct, yes.

24 DR. BANERJEE: At these conditions. So  
25 whatever goes to the steam generator is coming from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the core. So you're getting 10 percent more the core.  
2 So you would expect you'd get a more extended period  
3 of flooding and more liquid hold up in the steam  
4 generators and a larger core level depression. So I'd  
5 like to see how -- just if we do this by hand, you can  
6 more or less work it out using Graham's flooding  
7 criteria CCFL to see whether this is in correspondence  
8 with what you would expect by a hand calculation or  
9 not.

10 MR. HARTZ: Well, one thing I might add is  
11 there were some air water tests done with the steam  
12 generator inlet plenum that were performed very early  
13 on in NOTRUMP's development. And the model would be  
14 based on that data. And what we could do is take a  
15 look and see how the EPU would impact that.

16 DR. BANERJEE: Right. But there was  
17 periods of this that occurred in Semiscale as well, if  
18 I remember. So presumably NOTRUMP has been sort of  
19 validated against those data as well?

20 MR. HARTZ: Yes, we used Semiscale as part  
21 of our validation package.

22 DR. BANERJEE: So you've got some high  
23 pressure validation data, too, right?

24 MR. HARTZ: That's correct.

25 DR. BANERJEE: Hopefully. So anyway, it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 worth finding out. Because one of the key aspects of  
2 this higher steam generation rate is the potential for  
3 more liquid hold up. I'm not saying it would happen  
4 here. It depends on the flow area of the steam  
5 generator, all these things, obviously. So we take a  
6 look at this aspect.

7 Thanks.

8 MR. HARTZ: Okay.

9 DR. BANERJEE: How many tubes are plugged,  
10 you know, all this.

11 MR. HARTZ: Well, we assume different  
12 plugging levels for each unit because Unit 1 has the  
13 newer generators. Obviously, there would be less tube  
14 plugging involved.

15 I believe Unit 1 assumed 10 percent and  
16 Unit 2 22 percent.

17 DR. BANERJEE: Okay.

18 MR. FREDERICK: Let's go to the next  
19 backup slide.

20 This is a plot which shows the transient  
21 oxidation which is calculated over the burn up life of  
22 the fuel, the red line. The green line is a  
23 representation of a pre-transient type oxidation.  
24 Normally that would go to zero at zero burn up.  
25 However, this is cut off here at conservatively at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about 4 percent.

2 And blue line is the addition of those  
3 two.

4 So we show that over the life of the fuel,  
5 17 percent criteria including pretransient oxidation.

6 MEMBER WALLIS: There's that much  
7 pretransient oxidation? Yes, there is.

8 MR. FREDERICK: Yes. Essentially that  
9 number corresponds to a fuel design limit. Now,  
10 typically the actual does not approach that limit and  
11 it's probably 50 to 75 percent of that. But it does  
12 represent an upper bound that we use in the fuel  
13 design.

14 Next slide, please.

15 This shows the results for the EPU  
16 analysis as well as the current small break LOCA  
17 analysis. You see here all the acceptance criteria  
18 are met plus some 2200 for PCT and the hydrogen are  
19 below the respective limits.

20 And this analysis reflects the  
21 modifications we made to increase SI flow as well as  
22 the accumulator pressure. So those changes tend to  
23 offset the effects of EPU.

24 MR. HARTZ: Dr. Wallis, in case you're  
25 wondering, those maximum hydrogen generation rates, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 just look at the hot assembly average. And if it's  
2 less than 1 percent, that's what we declare. But in  
3 reality, as you know, not all the assemblies operate  
4 at that power. So if you were to do an actual rod  
5 census, it would be something much less than that.

6 MR. FREDERICK: No more questions on small  
7 break. We're move on to post-LOCA long term cooling.  
8 And this is the analysis that we do to demonstrate  
9 that we do not reach precipitation limits for boron in  
10 the core following a LOCA. And another criteria for  
11 this analysis is that we show that we have enough flow  
12 to meet the boron off and the flushing requirements.

13 CHAIRMAN DENNING: And what did you have  
14 as the backup on this one. Because I'm definitely  
15 interested in some particular. What's your backup  
16 say?

17 MR. FREDERICK: This backup just shows the  
18 alignment, the system type alignment for hot leg  
19 recirculation.

20 CHAIRMAN DENNING: Okay. We may come back  
21 to it. So go forward.

22 DR. BANERJEE: So you switched to hot leg?

23 MR. FREDERICK: On Unit 1 we switched to  
24 a simultaneous hot and cold leg injection.

25 Again, as part of the NRC review we had

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some questions in this area. Some of these were  
2 associate with I think some issues that came up from  
3 Waterford. There were issues that we were asked to  
4 address for this particular analysis, the first one  
5 being core voiding must be part of the calculation for  
6 the boron build up. There's some effects such as low  
7 pressure drops are needed to be included.

8 If we were using a boric acid solubility  
9 limit higher than base do pure water and boron or  
10 elevated temperatures, then we needed to justify that.

11 And the Appendix K decay heat was the used  
12 analysis.

13 So, again, in this case we redid the  
14 calculations taking into consideration these issues.

15 CHAIRMAN DENNING: Now you're going to  
16 have to help me because -- maybe it'll be clear on the  
17 next. I'll wait before I ask some more questions.

18 MR. FREDERICK: So for the core voiding  
19 aspect of this, we did more voiding calculations on a  
20 transient basis using a modified Yeh Correlation.

21 CHAIRMAN DENNING: Now I don't understand  
22 that. What does that mean, Yeh? You're using what  
23 kind of analysis to determine what's happening within  
24 the core and --

25 MEMBER WALLIS: Some sort of heat flux or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 something or it's a -- isn't that the same thing.  
2 It's how you calculate the void fraction.

3 MR. FREDERICK: I'll ask --

4 MR. FINK: My name is David Fink. I work  
5 for Westinghouse.

6 Dr. Wallis, that's correct it's kind of a  
7 drift flux. It's a way just to calculate the voiding.

8 MEMBER WALLIS: I think it's actually  
9 benchmarked against the rod bundles and things. Real  
10 Geometry is like this, so --

11 MR. FINK: I believe it is.

12 CHAIRMAN DENNING: Okay. Now tell me  
13 again. The vehicle that's doing the analysis, how is  
14 it modeling the system?

15 MR. FREDERICK: It's a fairly simplistic  
16 analysis. Essentially you're looking at the core and  
17 then the boil off rate and the --

18 CHAIRMAN DENNING: So it's the equivalent  
19 of a RELAP analysis where you would look in -- and why  
20 not? I'm missing how you're going to determine -- I'm  
21 concerned about the way volumes are mixed under the  
22 assumption of when the boron concentrates and you get  
23 increased density there, it's not clear to me that  
24 you're adequately considering what's really happening  
25 axially up the channel and whether as you get more and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 more bubble formation within the channel, whether  
2 that's offsetting the increased density due to  
3 concentration of boron. Can you give me a better idea  
4 as to how you're actually analyzing the flow  
5 characteristics of what's happening in the core.

6 MR. FREDERICK: Dave, do you want to take  
7 that?

8 MR. FINK: Yes. This is David Fink again.

9 If I could take a minute here and just  
10 explain. The original analysis that we did for the  
11 Beaver Valley EPU actually in the time line was  
12 several years ago. So they were actually pre-  
13 Waterford uprate. Okay. Those analyses used a simple  
14 control volume calculation and much as we've done for  
15 25, 30 years for hot leg switch over calculations.

16 And in those simplified control volume,  
17 you have a boiling pot, you have steam coming out, you  
18 have borated water going in and you build up boric  
19 acid in the core region. Okay.

20 So for the uprate the difference is more  
21 power, more boil off, faster build up. Okay.

22 In that very simplified approach there  
23 were two big conservatism at least as we believe it.  
24 And the first was how we selected the control volume.  
25 Okay. The control volume that's historically been

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 used didn't include any of the lower plenum. It didn't  
2 include any of the volume --

3 MEMBER WALLIS: Uniform mixing in this  
4 whole control volume? Surely when you have boiling in  
5 a channel the boron is sort of pumped along and then  
6 as the steam evolves, the boron's left behind. So it  
7 concentrates at the top, doesn't it?

8 MR. FINK: Well, our simplified model  
9 assumed complete mixing in the core region.

10 MEMBER WALLIS: There's some experiments  
11 that show that's reasonable?

12 MR. FINK: Well, we believe there's quite  
13 a bit of circulation going on in the core region. For  
14 example --

15 CHAIRMAN DENNING: Why do you believe  
16 that? Why do you believe that? That's what I want to  
17 know.

18 MR. FINK: Well, we've looked at our large  
19 break LOCA WCOBRA/TRAC code and we've looked at what  
20 happens in the core region in that code.

21 CHAIRMAN DENNING: Now, which specific  
22 accident is the one of concern here?

23 MR. FINK: This is all large break.

24 CHAIRMAN DENNING: Large break?

25 MR. FINK: Yes, sir.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN DENNING: Okay. So that you have  
2 essentially atmospheric conditions at the outlet, is  
3 that true?

4 MR. FINK: Yes, sir.

5 CHAIRMAN DENNING: Okay. And you have a  
6 big level swell kind of situation in terms of the  
7 voiding -- as you get near the upper part, there's a  
8 bigger and bigger froth.

9 MR. FINK: Okay. Well, I can just  
10 continue here.

11 CHAIRMAN DENNING: Yes.

12 MR. FINK: So that was what we originally  
13 did for the first go around.

14 MEMBER WALLIS: Dry regions? If you have  
15 dry regions presumably the boron's left behind on the  
16 wall.

17 DR. BANERJEE: If there was core uncovering.

18 MEMBER WALLIS: Right. Or you had  
19 spattering, a spattering of cooling and you have  
20 spattering cooling rather than froth cooling, but the  
21 boron's left behind on the wall.

22 CHAIRMAN DENNING: If you'd like to use  
23 that board over there to illustration, you can also do  
24 that. If that would help.

25 DR. BANERJEE: Back to that screen.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN DENNING: But not the screen.

2 MR. FINK: I might do that.

3 So in response to NRC RAIs, and this was  
4 largely I guess posed Waterford fallout and specific  
5 RAIs asked by the Staff for these calculations, we did  
6 this work. Okay. And we addressed the four things  
7 that are listed up on the board, most significantly  
8 was the use of Appendix K decay heat, which these  
9 calculations have always been based on a best estimate  
10 decay heat. And so we used Appendix K decay heat. We  
11 also calculated a time based core voiding. And all  
12 that does is that reduces the liquid volume in your  
13 control volume. Okay.

14 So we did those calculations. Because we  
15 are now taking a lot of liquid volume out of the core  
16 region we choose to credit some volumes that were not  
17 previously credited, and probably the most significant  
18 is the one that was discussed during the Waterford  
19 EPU, which is the lower plenum.

20 MEMBER WALLIS: There's an experiment. I'm  
21 trying to remember the name of it, isn't there?

22 MR. FINK: It was the MHI BACCHUS Test.

23 MEMBER WALLIS: BACCHUS. It was a god of  
24 some sort. BACCHUS. This seemed to show that things  
25 really were mixed?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FINK: Yes. Yes, it did.

2 MEMBER WALLIS: Surprising to us.

3 MR. FINK: It clearly showed --

4 DR. BANERJEE: Yes, it is surprising. Can  
5 you explain that test again.

6 MR. FINK: Well, the test clearly showed  
7 the point at which the denser higher concentrated  
8 region up in the core becomes dense enough to displace  
9 the less concentrated volume in the lower plenum. So  
10 in the test you could clearly see as the --

11 MEMBER WALLIS: Heavy concentrate --

12 DR. BANERJEE: I mean isn't there a  
13 countervailing flow which is balancing that?

14 MR. FINK: Well, under this scenario this  
15 is a cold leg break where all your excess SI flows out  
16 the break. So more SI doesn't help you. You  
17 basically have a stagnant boiling pot and you're  
18 feeling through the lower plenum enough to make up boil  
19 off, but --

20 DR. BANERJEE: And that's not enough for  
21 the density head being developed? It allows you to  
22 settle the borated water against that flow?

23 MR. FINK: Well, the flow that's coming in  
24 is coming from the sump and it's coming --

25 MEMBER WALLIS: In the BACCHUS report?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Who did these experiments?

2 MR. FINK: MHI.

3 DR. BANERJEE: Who is that?

4 MR. FINK: Mitsubishi Heavy Industries.

5 DR. BANERJEE: And these were done where  
6 in --

7 MR. FINK: These were done in a scale  
8 facility they did specifically to look at this.  
9 Because Japanese plants to this day still use a 24  
10 hour switchover time, which was the original  
11 Westinghouse design.

12 MEMBER WALLIS: So it's a big facility, as  
13 I recall. It was scale, but it was still fairly big?

14 MR. FINK: Yes. It was a slab model, so it  
15 was like full length, 180th scale, I believe.

16 DR. BANERJEE: And so they had borated  
17 water boiling off on heaters or something?

18 MR. FINK: Correct.

19 DR. BANERJEE: And they had a lower plenum  
20 markup and they looked at the density profile?

21 MR. FINK: Well, they had it highly  
22 instrumented with boron sensors and temperature  
23 sensors. And we wrote a summary report that was  
24 presented for the Waterford EPU. And I'm sure the NRC  
25 has a copy of it. It's very interesting.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: But do you have a copy of  
2 the BACCHUS report itself?

3 MR. FINK: It's a MHI test, so we wrote a  
4 summary report that is part of --

5 MEMBER WALLIS: Right. I saw it. I think  
6 it was in the Waterford context. We spent some time  
7 on this.

8 MR. FINK: Yes.

9 DR. BANERJEE: So your contention is that  
10 the whole thing is well mixed, not just the core.

11 MEMBER WALLIS: So what's your point? But  
12 once you get enough density difference it turns over,  
13 doesn't it?

14 MR. FINK: That's correct. And we'd like  
15 to credit the whole lower plenum to give us a little  
16 better answer, but we conservatively credited as was  
17 done for Waterford. We just credited 50 percent of the  
18 lower plenum as being a reasonably conservative  
19 approach.

20 DR. BANERJEE: What happens if you don't  
21 credit it?

22 MR. FINK: Well, it's just how much liquid  
23 volume you have in your calculations. So you have --

24 DR. BANERJEE: Right. So suppose you just  
25 stayed with your old assumption of allowing mixing in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the core region and nowhere else?

2 MR. FINK: Well, then the boric acid would  
3 build up faster.

4 MEMBER WALLIS: I guess we had a lot of  
5 questions previously about whether just looking at  
6 solubility limits was good enough when you're boiling  
7 off this -- when it gets concentrated the boron,  
8 presumably, can precipitate around nucleation sites  
9 and things like that. It's not as if just solubility  
10 alone is governing whether or not you get some  
11 precipitation. And if you have some drop wise  
12 cooling, then if a drop evaporates it leaves behind  
13 its boron. So we had questions of that type. I don't  
14 know if they were ever answered. Because you just  
15 look at the overall solubility, don't you?

16 MR. FINK: That's correct.

17 MEMBER WALLIS: I think we asked the Staff  
18 to look into this, didn't we, Ralph?

19 MR. CARUSO: Yes. And they presented.

20 MEMBER WALLIS: Yes, then we were  
21 satisfied. We spent some time on it, I know.

22 DR. BANERJEE: So are we revisiting  
23 something that was --

24 MEMBER WALLIS: Yes, we went into it. We  
25 spent a whole day or something like this.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Done.

2 MR. CARUSO: Yes.

3 MEMBER WALLIS: But you should get the  
4 BACCHUS report.

5 DR. BANERJEE: All right.

6 MEMBER WALLIS: It's all about Roman  
7 orgies and things like that.

8 DR. BANERJEE: It sounds like it.

9 MEMBER WALLIS: It's a good report. You  
10 should get it. It could tell you some things that  
11 wouldn't be intuitive if you just thought about it.

12 CHAIRMAN DENNING: I'd like some  
13 information on the third bullet on --

14 MR. KELLERMAN: Yes. My name is Brett  
15 Kellerman. I'm with Westinghouse. And we can get  
16 access to a summary report of the BACCHUS test that we  
17 brought for the Waterford --

18 MEMBER WALLIS: We probably have that in  
19 the record somewhere. The Waterford record, we have  
20 it. You can just pull it out and give it to him.

21 CHAIRMAN DENNING: But you do it, like in  
22 the third bullet there, you do have some information  
23 on sump additives as they effect boric acid  
24 solubility, is that what I'm seeing there?

25 MR. FREDERICK: Yes. Similar to what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Waterford had at I believe their TSP plant.

2 MR. FINK: Yes. This is Dave Fink again.

3 In these analyses we do not credit any  
4 elevated solubility limit due to sump additives for  
5 this uprate.

6 MEMBER WALLIS: Additives are presumably  
7 chemicals?

8 MR. FINK: Yes.

9 MEMBER WALLIS: They're not fibers?

10 MR. FINK: I hope not.

11 DR. BANERJEE: There's also a possibility  
12 that it wouldn't mix because there'll be enough fiber  
13 at the core inlet, right?

14 MEMBER WALLIS: Well, that's another  
15 question. Yes.

16 MR. FREDERICK: We did a test using sodium  
17 hydroxide and we found that the precipitation limit  
18 increased from 29 percent up to about 48 percent. But  
19 we are not crediting that as part of our analyses.  
20 And we did use decay heat.

21 MEMBER WALLIS: It should be part of the  
22 sump question, though, when you get fines going  
23 through the screens. Would that make any difference  
24 to his picture?

25 MR. FREDERICK: Yes. That's something that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I believe is going to be addressed as part of the  
2 downstream --

3 MEMBER WALLIS: Under GSI-191.

4 MEMBER WALLIS: -- effects under GSI-191.  
5 Yes.

6 DR. BANERJEE: Suppose that it didn't mix  
7 outside the core region, for whatever reason, it could  
8 be that the core inlet is blocked with debris --

9 CHAIRMAN DENNING: The problem may be  
10 worse than that if that happens.

11 DR. BANERJEE: Well, there's some bypass  
12 paths through the --

13 MEMBER WALLIS: The sump?

14 DR. BANERJEE: Yes. So then what happens  
15 to the boron if it's boiling off happily in the core  
16 without this assumption of mixing with the lower  
17 plenum? Is it then an untenable --

18 MR. FINK: Yes. You'd have a  
19 precipitation limit much sooner and --

20 DR. BANERJEE: Yes. Is it an untenable  
21 situation then or is it still okay? Do you have to  
22 make this assumption or do you not to make it  
23 liveable?

24 MR. FREDERICK: Well, if we ended up with  
25 a shorter time, say 3 hours or 4 hours or something,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not necessarily --

2 DR. BANERJEE: Is that still okay?

3 MR. FREDERICK: --untenable but we would  
4 have to look at what our makeup rates could be. So we  
5 did a test here as we need enough flow to meet the  
6 boil off and also flush the core.

7 DR. BANERJEE: Because if I remember the  
8 report that was circulated by Ralph, you have 6 hours  
9 to do the switchover, is that right?

10 MR. FREDERICK: That's correct.

11 DR. BANERJEE: Yes. So at the moment if  
12 you didn't credit half the lower plenum, which is a  
13 large volume, and only had the core, would this be  
14 like 2 hours, 1 hour, 3 hours? What would be that  
15 number?

16 MR. FREDERICK: Do you have a feel for  
17 that, Dave?

18 DR. BANERJEE: Because the volume is very  
19 different, right?

20 MEMBER SIEBER: Yes.

21 MR. FINK: This is Dave Fink.

22 The lower plenum's actually a pretty good  
23 size volume, but because we're crediting half of it,  
24 it probably represents maybe one-fourth -- maybe one-  
25 third, one fourth of the total volume. So it would --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: So it would feed or  
2 something in total --

3 MR. FINK: Correct.

4 MEMBER WALLIS: And the core --

5 MR. FINK: So is representing a third of  
6 the volume you'd increase.

7 DR. BANERJEE: Well, what is the core  
8 volume that you're crediting?

9 MR. FINK: I believe with the one-half  
10 lower plenum volume and the core voiding, we're  
11 probably -- I'd say approximately 900 cubic feet.

12 DR. BANERJEE: And of that about 300 is  
13 lower plenum?

14 MEMBER WALLIS: Half of it. Half of it.

15 DR. BANERJEE: Half of it.

16 MEMBER WALLIS: A 150.

17 MR. FINK: I'd say that's --

18 DR. BANERJEE: So the core volume is so  
19 large.

20 MEMBER WALLIS: Don't get it all because  
21 there are voids in it.

22 DR. BANERJEE: I see.

23 MR. FINK: Well, it's core and upper  
24 plenum, so it's --

25 DR. BANERJEE: Well, why the upper plenum

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 if it's boiling off. Wouldn't that get full of steam  
2 or something?

3 MR. FINK: Well, we look at the way this  
4 calculation is done, we do the voiding at the top of  
5 the core at the core exit. And we apply that voiding  
6 up through the upper plenum. So the upper plenum does  
7 contribute.

8 DR. BANERJEE: But the upper plenum is not  
9 empty in this case?

10 MR. FINK: That's correct.

11 DR. BANERJEE: So the steam is going out  
12 through the hot leg, is that right?

13 MR. FINK: Correct.

14 DR. BANERJEE: Eventually it makes its way  
15 out to the cold leg break somehow, around the circuit?

16 MR. FINK: Correct.

17 DR. BANERJEE: So why is the upper plenum  
18 not full of steam?

19 MR. FINK: The upper plenum would be full  
20 of some mixture, some voided --

21 MEMBER WALLIS: Otherwise you can't drive  
22 the water along the hot leg, presumably.

23 DR. BANERJEE: There's no water going on--

24 MEMBER WALLIS: Right. You dry out --

25 DR. BANERJEE: It's mainly steam, right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It's mainly steam going along?

2 MEMBER WALLIS: Yes, but --

3 DR. BANERJEE: Maybe a sketch would help  
4 because I'm sort of a bit lost as to where all the  
5 water is in this system. So can you just sketch it?

6 MR. FINK: Ken, do we have a backup slide  
7 that might have that?

8 DR. BANERJEE: I mean the simple control  
9 volume approach is great, but we got to put the water  
10 in the right places here.

11 MR. FINK: Well, we don't credit anything  
12 outside of the vessel, outside of the inside of the  
13 core barrel actually in this calculation. So we don't  
14 credit any of the volume in the former region or the  
15 downcomer.

16 MEMBER SIEBER: Or that?

17 MR. FINK: No, no.

18 MEMBER SIEBER: That's a significant  
19 amount of water.

20 MR. FINK: Yes, sir.

21 DR. BANERJEE: Yes. Show us what you're  
22 crediting --

23 MEMBER WALLIS: Here are the levels down  
24 below the hot leg.

25 DR. BANERJEE: That's what I thought it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would be, but for some reason you have a volume of  
2 mixing above.

3 MR. FINK: Well, in that picture  
4 everything we're crediting is right inside that inside  
5 cylinder that represents the core. So we don't  
6 crediting anything outside of that.

7 MEMBER WALLIS: Credit the downcomer at  
8 all?

9 MR. FINK: Correct.

10 DR. BANERJEE: Okay. So how much is that  
11 volume that you would credit if you didn't credit any  
12 piece of the lower plenum here?

13 MR. FINK: Up to the bottom of the hot  
14 leg, I believe it would be 1,000 cubic feet.

15 MEMBER WALLIS: With the bubbles or not?

16 MR. FINK: That would be total volume.

17 DR. BANERJEE: Only the core?

18 MR. FINK: Correct.

19 DR. BANERJEE: Okay. And then if you  
20 credited 50 percent of the lower plenum, it's another  
21 300.

22 MEMBER WALLIS: One fifty.

23 MR. FINK: Approximately.

24 DR. BANERJEE: One fifty. Okay. So it's  
25 not such a big deal.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FINK: It's actually a little more  
2 than 150, I believe.

3 DR. BANERJEE: All right. I think that's  
4 fine. If that -- that sounds good.

5 MEMBER WALLIS: Well, I think the thing is  
6 when you're so close to the limit, you've got to darn  
7 sure that it's well mixed. Because all you need is to  
8 have a little bit of nonmixing and you have twice as  
9 much concentration in the top as in the bottom and you  
10 get precipitation. So you really have to study the  
11 BACCHUS report to be convinced that there's good  
12 mixing.

13 MR. FINK: There are some other  
14 conservatism in the methodology. For example, we don't  
15 credit any entrainment around the loops that might  
16 take place early on where you'd expect to carry a lot  
17 of water around the loops. So we start our problem  
18 from the beginning. And that probably represents a  
19 great deal of conservatism.

20 We've always had trouble identifying  
21 exactly how much entrainment you'd get around the  
22 loops.

23 CHAIRMAN DENNING: Do you know offhand  
24 what the void fraction is in the upper plenum that  
25 you're talking about? What's the void fraction?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. FINK: Probably I'm guessing 70  
2 percent.

3 CHAIRMAN DENNING: Seventy percent?

4 MR. FINK: Seven percent.

5 CHAIRMAN DENNING: Even though there's  
6 that much void fraction, the density of that material  
7 is higher than the density of the material than the  
8 cold water in the lower plenum?

9 MR. FINK: It would be the density of the  
10 liquid, and you'd have to as you went down into the  
11 core and into the periphery is where you'd be much  
12 less voiding.

13 MR. FREDERICK: This slide actually shows  
14 the collapsed liquid load that was calculated.

15 DR. BANERJEE: Where's the bottom of the  
16 core?

17 MR. FINK: The 12 foot level there is the  
18 top of the core. So that's collapsed liquid level.

19 DR. BANERJEE: Right. But where is the  
20 bottom of the core?

21 MR. FINK: Zero.

22 DR. BANERJEE: Zero? All right.

23 MEMBER WALLIS: At some previous time this  
24 was dried out on top?

25 DR. BANERJEE: At zero -- time zero.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN DENNING: Right. This is much  
2 later. Sometime it was dried out.

3 DR. BANERJEE: Early times.

4 MEMBER WALLIS: And when it was dried out  
5 didn't you get boron precipitation on the dried out  
6 part?

7 DR. BANERJEE: That was the large break  
8 LOCA.

9 MEMBER WALLIS: Yes, but you get it in the  
10 small break, too, otherwise you never get these high  
11 temperatures. Well, they get boron plating on these  
12 tubes. But anyway Staff convinced us that we're not  
13 to worry about it I think before.

14 MR. FREDERICK: Go back one slide.

15 MEMBER WALLIS: Move on probably.

16 CHAIRMAN DENNING: Yes. Right. Let's move  
17 on. I think some of us are going to want to look at  
18 that BACCHUS report again today.

19 MEMBER WALLIS: Because it's a very  
20 interesting subject.

21 MR. FREDERICK: In the draft SER there was  
22 an item identified as a contingency for this  
23 particular analysis. And it has some discussions with  
24 the Staff about that issue. It's described here, and  
25 basically the concern was that for smaller breaks we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 need to demonstrate the capability that we'll be able  
2 to cool down before the precipitation time in order to  
3 be able to -- the actual injection on the hot legs.  
4 An we've had some discussions with the Staff on that  
5 issue. And Dr. Ward will be talking about that later.  
6 At this point we're convinced we have a --

7 CHAIRMAN DENNING: I guess I'm a little  
8 bit confused about the difference between large LOCA  
9 case and then the small LOCA cases that you were  
10 talking about as far as what the conditions are that  
11 could lead to precipitation and can you help me there?

12 MR. FREDERICK: Well, I think for small  
13 breaks typically and your temperature and your  
14 pressure is going to hang up. So precipitation limits  
15 are very high under those conditions. The concern  
16 would be that borrowing that scenario who hold on the  
17 pressurization mode, want to make sure that you get to  
18 the cooled down condition before you reach  
19 precipitation limit for the cold condition. That,  
20 again, is a function of the operator response to the  
21 event.

22 DR. BANERJEE: Because if you inject in  
23 the hot leg, you get cold water into the core, right?  
24 Is that the concern?

25 MR. FREDERICK: That's not the major

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 concern. The major concern is depressurizing enough so  
2 we get hot leg flow. Because for Unit 1, anyway, we're  
3 aligning the low head pumps to the hot legs and it  
4 would have a shot off pressure of around --

5 MEMBER WALLIS: Once you get hot leg flow,  
6 you just flush the boron out.

7 DR. BANERJEE: Yes.

8 MR. FREDERICK: Again, Dr. Ward will be  
9 discussing --

10 MEMBER WALLIS: Now you need to keep  
11 enough boron in to avoid criticality concern? And  
12 you've already scrambled the reactor --

13 DR. BANERJEE: Well, the water's is  
14 borated, isn't it?

15 MEMBER WALLIS: Yes. Don't you need still  
16 boron for the criticality.

17 DR. BANERJEE: In the injection --

18 MEMBER SIEBER: The injection water is  
19 refueling water.

20 MR. FREDERICK: So again, we have  
21 addressed the questions that were raised by the Staff  
22 for this analysis and the results showed for Unit 1 6½  
23 hours is the required switchover time, 6 hours for  
24 Unit 2.

25 In our procedures we actually make

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 preparations to do that realignment an hour ahead of  
2 time. The actually alignment is only a matter --

3 MEMBER WALLIS: This time depend on the  
4 break size?

5 MEMBER SIEBER: It should.

6 MR. FREDERICK: Essentially no, because at  
7 the point where we're starting the calculations you're  
8 fixed in terms of the volume of water in the --

9 DR. BANERJEE: Well, in long term cooling,  
10 which is within an hour --

11 MEMBER WALLIS: -- off to atmospheric  
12 without any break size contributing.

13 MR. FREDERICK: Yes, heat boil off at that  
14 point.

15 MEMBER WALLIS: At the point of water  
16 boiling, essentially an open top.

17 CHAIRMAN DENNING: But it's still  
18 pressurized.

19 MR. FREDERICK: Large break, it's not in  
20 the small break.

21 CHAIRMAN DENNING: Right. But in the  
22 small break it is.

23 MEMBER WALLIS: Well then how much is  
24 pressurized must depend on the break size?

25 CHAIRMAN DENNING: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: And so the time surely  
2 depends on the break size, doesn't it?

3 MR. FREDERICK: David?

4 MR. FINK: This is David Fink again.

5 The effect of some pressure assumption in  
6 the vessel really helps you in the voiding. So at  
7 higher pressures you get a lot of this voiding --

8 MEMBER WALLIS: You have more water there.

9 MR. FINK: A lot more water.

10 MEMBER WALLIS: So there's nothing magic  
11 about 5 hours, is there? I mean sometimes it depends  
12 on the break size. So what it is the operator  
13 measures so that he knows he has to do something?

14 MR. FREDERICK: From the start of the  
15 event.

16 MEMBER WALLIS: But he doesn't know the  
17 break size, so he doesn't really know --

18 MR. FREDERICK: Yes. The time that we're  
19 calculating it represents the bounding case.

20 CHAIRMAN DENNING: The bounding case?

21 DR. BANERJEE: Doesn't he have some  
22 indicator to know when it would be prudent to  
23 switchover? Like isn't there a measurement of some  
24 sort that --

25 MR. DURKOSH: I'm going to try to answer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that. This is Don Durkosh from FirstEnergy.

2 The emergency operating procedures are  
3 based on the limiting large break LOCA switchover  
4 time. We do not have any other measurements. We  
5 basically will follow our EOP network and we'll be in  
6 our E1 procedure waiting for this switchover time to  
7 occur, and then we'll be preparing for it. And we'll  
8 initiate switchover. So there is no other  
9 measurements. In theory, we don't know where the  
10 break size is so we set it up for the most limiting  
11 conditions there.

12 MEMBER WALLIS: If it were smaller, he  
13 would have longer time?

14 DR. BANERJEE: So there are no criteria  
15 which requires switchover?

16 MR. FREDERICK: They're all the type  
17 criteria --

18 DR. BANERJEE: No, no, no. Physical  
19 criteria.

20 MEMBER WALLIS: There's not a measurement  
21 that you compare with some other measurement --

22 DR. BANERJEE: Now I'd better switch  
23 because things are getting bad or something.

24 MEMBER WALLIS: No. He's just told within  
25 so many hours to do it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: There's no way to measure  
2 the boron --

3 MEMBER WALLIS: He has to remember?

4 DR. BANERJEE: Really of the neutron flux,  
5 right, in the core? You still have some sort of a flux  
6 measurement, right, something?

7 MR. FREDERICK: Yes. I guess if the  
8 source range was operational still, yes, we would have  
9 some indication. I'm not sure how you would correlate  
10 that to boron levels, though.

11 DR. BANERJEE: So you don't have a measure  
12 of boron? So you have no measure of boron in the core  
13 basically?

14 MR. FREDERICK: Dave, did you have  
15 something?

16 MR. FINK: This is Dave Fink.

17 Actually, they don't do it but you could  
18 in theory measure the boron by the boron concentration  
19 in the sump because all the boron that you're leaving  
20 behind in the vessel is coming from somewhere. And  
21 that somewhere is the sump. So as the vessel  
22 concentration's building up, the sump is diluting. So  
23 theoretically you could --

24 DR. BANERJEE: But is the sump so large in  
25 volume that dilution would be relatively small

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 compared to the --

2 MEMBER SIEBER: It would not look the same  
3 as the core condition from a chemistry standpoint.  
4 Concentrating mechanisms in the core, the sump has  
5 everything else.

6 DR. BANERJEE: Right.

7 MEMBER SIEBER: And so the concentrations  
8 would be different.

9 DR. BANERJEE: Would be not -- yes.

10 MEMBER SIEBER: Does -- help you at all in  
11 knowing where you're at?

12 MEMBER WALLIS: At levels lower in the  
13 core?

14 MEMBER SIEBER: Yes.

15 MR. DURKOSH: This is Don Durkosh again.

16 MEMBER WALLIS: EOPs don't speak to that.

17 MR. DURKOSH: Yes. The switchover time is  
18 institutionalized in the EOPs. They're consistent for  
19 all Westinghouse plants. And this is the approach  
20 that we've been using since literally day one. We use  
21 these times as the time to go ahead and initiate  
22 switchover to hot leg recirc.

23 DR. BANERJEE: It could be too early, it  
24 could be too late; we don't know. There's no way to  
25 know.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Well, it's based on the  
2 analyses.

3 DR. BANERJEE: On calculations, right?  
4 Who knows what these calculations mean, how good they  
5 are.

6 MEMBER WALLIS: But it's been done since  
7 day one.

8 MEMBER SIEBER: The calculations were done  
9 by the Westinghouse owners group at the time that the  
10 guidelines were done.

11 DR. BANERJEE: Therefore they must be  
12 good?

13 CHAIRMAN DENNING: So this is how it's  
14 changed by the EPU?

15 MEMBER SIEBER: That was back in 1981 or  
16 '82.

17 MR. FREDERICK: If you consider the  
18 calculations bounding and very conservative, as this  
19 slide shows you here, we actually ran cases with more  
20 realistic assumptions. And you can see trying to get  
21 to the limit, which is 29 percent here. Well, you  
22 can't actually see it. But considerable difference  
23 when you consider better estimate type assumptions.  
24 And, Dave, maybe you can --

25 MEMBER WALLIS: More significant perhaps

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is the effect of EPU on this?

2 MR. FREDERICK: No, this is just --

3 MEMBER WALLIS: No. More significant  
4 would be to show the effect of EPU?

5 MR. FREDERICK: Well, the EPU ended up  
6 reducing the time from 8 hours to 6½.

7 MEMBER WALLIS: Yes.

8 MEMBER SIEBER: And that's basically due  
9 to the increased decay heat.

10 MEMBER WALLIS: Yes. But you assume  
11 that's not critical? I mean, it's still got an awful  
12 long time.

13 MR. FREDERICK: Yes. Again, it's not  
14 challenging the operators to get it done. So the more  
15 meaty concern with shortening that time is that the  
16 higher you go up on the decay heat curve, the more  
17 flow you need. And --

18 MEMBER WALLIS: There's some sort of alarm  
19 clock that starts when there's a break and then after  
20 6 hours says you'd better switchover injection or is  
21 he supposed to keep track of all the time?

22 MEMBER SIEBER: You have blogs.

23 CHAIRMAN DENNING: That's a good EOP  
24 question, I think.

25 MR. FREDERICK: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DURKOSH: This is Don Durkosh again.

2 The operating crew would keep track of  
3 what time the reactor trip and we'd have the technical  
4 support center available to us, we have our STAs  
5 available to us. So we have multiple people basically  
6 keeping track. And we have an explicit step in our E1  
7 emergency procedure. We would transition back into our  
8 E1 procedure and we'd basically, the next step would  
9 be when you approach the hot leg switchover time,  
10 begin making your preparations.

11 So we have various people that would tab  
12 of that time.

13 MEMBER WALLIS: It still would be good if  
14 you had something that alerted him. I mean, if I have  
15 to cook something, I don't really look at my watch all  
16 the time. I like to have a timer that tells me when  
17 to switch things off or take them out of the oven.  
18 But this is an EOP question.

19 I think the more you can take away from  
20 the operator having to remember things, the better.  
21 You have something which actually tells him he's got  
22 to do something.

23 But anyway, it's not really --

24 CHAIRMAN DENNING: I think we're ready to  
25 move out of that into containment analysis.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Yes, I think -- yes.

2 MR. DURKOSH: This is Don Durkosh.

3 We do have timers in the control room

4 MEMBER WALLIS: You do?

5 MR. DURKOSH: But unlike cooking, we do  
6 also have a lot of people available to us.

7 MEMBER WALLIS: Too cooks --

8 MR. FREDERICK: Too many cooks in the  
9 kitchen.

10 MEMBER SIEBER: You have to remember to  
11 turn the timers over.

12 CHAIRMAN DENNING: Go ahead and continue.

13 MR. FREDERICK: Okay. I'm going to move  
14 on to containment analysis. Again, the containment  
15 analysis was submitted actually a little earlier than  
16 EPU in June of 2004, and that was approved in February  
17 of this year.

18 And it was a conversion, which mean we  
19 went from a sub-atmospheric design to an atmospheric.  
20 The difference there being that in the atmospheric  
21 design there's no requirement to contain or to get  
22 back to sub-atmospheric conditions post accident,  
23 which we had previous to the change.

24 The primary effect of EPU, which was  
25 factored into this containment conversion program, was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the M&Es from the primary system and the steamline  
2 break. Those are really the things that are directly  
3 affected by the increase in power.

4 The mass and energy release calculations  
5 for this program use the Westinghouse approved  
6 methodologies, and that wasn't a change.

7 For the containment integrity, part of the  
8 calculations, we utilized MAAP-DBA, which is a  
9 modification to MAAP 4 which changed some of the  
10 containment calculations.

11 It's similar to the other codes which have  
12 been used or approved for applications such as GOTHIC,  
13 COCO.

14 The program the containment uses  
15 traditional heat transfer correlations such as Tagami  
16 and Uchida. That's consistent with other  
17 applications.

18 For the NPSH calculations we've  
19 incorporated a multi node model. And that allows us to  
20 get better details on where water is held up in  
21 containment and certain volumes. At the box area you  
22 can jus see the nodal model that we used. Eighteen  
23 nodes.

24 For small break analyses, and we've done  
25 a much more extensive look at small break primarily

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for sump inventory questions. For that analyses the  
2 mass and energy releases were calculated using MAAP.  
3 And those results were benchmarked against the code  
4 primarily.

5 The actual operating containment pressure  
6 will still be slightly sub-atmospheric at the site  
7 14.3 approximately is atmospheric pressure. And our  
8 operating range will be 12.8 to 14.2 absolute.

9 The older operating pressure, which is  
10 actually an air partial pressure limit, was about 4  
11 pounds lower. So at these higher pressures we  
12 eliminate the need for applied air when we do make  
13 entries, which is a very nice benefits in terms of  
14 personnel safety.

15 MEMBER SIEBER: Well, and you have  
16 decompression in the airlock, which is a time consumer  
17 and hard on some people, hard on your ears.

18 MR. FREDERICK: As part of this analysis  
19 we've also credited the various modifications which  
20 are beneficial. Replacement steam generators for Unit  
21 1, for example. These generators have the restriction  
22 nozzle in the outlet where our old ones did not. So  
23 we're looking at 4.6 square foot main steamline break  
24 versus a 1.4 square feet. So that is a big benefit  
25 for the steamline break analysis.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Also the feed isolation and the cavitating  
2 venturies, again, limit the mass energy release during  
3 a steamline break.

4           MEMBER MAYNARD: Are those new valves or  
5 just new actuators or --

6           MR. FREDERICK: They're brand new valves  
7 and actuators.

8           MEMBER MAYNARD: Okay. Are they replacing  
9 existing valves that are there or --

10          MR. FREDERICK: There was an existing  
11 valve there. I believe we turned that into a check  
12 valve, is that right?

13          MR. TESTA: Yes. This is Mike Testa,  
14 Beaver Valley.

15                 Yes, like Ken was saying, we had a check  
16 valve in the system that had a motor on it. And what  
17 we ended up doing was we restored that to just a  
18 normal or simple check valve. And then in the piping  
19 system we added a brand new feed isolation valve. New  
20 valve, new actuator controls.

21          MEMBER SIEBER: It is hydraulic or  
22 electric or --

23          MR. TESTA: Hydraulic. Yes.

24          MR. FREDERICK: We've also added a cord  
25 from the reactor cavity so there's the general

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 basement area that allows the water that normally hold  
2 up in that cavity to drain back into the sump, which  
3 helps out with our inventory issues.

4 This QS cutback was a feature that we used  
5 to extend the spray at Unit 1 that helped us maintain  
6 some of the spurious condition. We don't need that  
7 any longer so we're eliminating it.

8 And again, the setpoint for transfer to  
9 recirc was lowered under this program and that gives  
10 us a little higher sump level at recirc, which helps  
11 out with the NPSH.

12 For the analysis, essentially acceptance  
13 criteria that we look at:

14 Peak pressure, of course, less than the  
15 design, which is 45.

16 Containment pressure reduction of 50  
17 percent, that's essentially an assumption that's made  
18 in the offsite dose analysis so we need to demonstrate  
19 that we can meet that;

20 NPSH. We need the required NPSH for the  
21 pumps which takes suction out of the sump, and;

22 When the pumps start we look at minimum  
23 pump inventory to make sure we don't have any  
24 vortexing issues.

25 MEMBER WALLIS: Of course, that's all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 assuming that the screens don't have too much  
2 deposited on them?

3 MR. FREDERICK: Correct.

4 MEMBER WALLIS: What kind of insulation do  
5 you have on this?

6 MR. FREDERICK: Insulation?

7 MEMBER WALLIS: Yes. Kind of insulation?  
8 Do you have fiberglass or --

9 CHAIRMAN DENNING: That's the physics.

10 MEMBER WALLIS: But I wasn't here. I  
11 wasn't here. I'm sorry.

12 CHAIRMAN DENNING: If you could give a  
13 little summary.

14 MEMBER SIEBER: It's reflective.

15 MR. FREDERICK: But I know and then Mark  
16 can maybe jump in. We do have RMI reflective on many  
17 of the components. We do have CALSIL.

18 MEMBER WALLIS: You have CALSIL?

19 MR. FREDERICK: Yes. We have CALSIL and we  
20 have something Min-K, which I -- it's a fiber.

21 MR. MANOLERAS: This is Mark Manoleras.

22 We have very small quantities of that  
23 material. We're going to target that for removal, that  
24 material for removal.

25 DR. BANERJEE: That's the only fibrous

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 material? Is that the only fibrous material?

2 MR. MANOLERAS: That would be our  
3 predominant fibrous material.

4 DR. BANERJEE: And do you have aluminum as  
5 well?

6 MR. MANOLERAS: Yes, we do. Yes, we do.  
7 And we actually have a program which takes a look and  
8 monitors and maintains the quantities of aluminum in  
9 containment. We know exactly what we have. Zinc and  
10 aluminum in containment.

11 MEMBER WALLIS: You have TSP in the sump?

12 MR. MANOLERAS: No, we do not.

13 MR. FREDERICK: Carbon hydroxide.

14 MEMBER WALLIS: Carbon hydroxide.

15 MR. MANOLERAS: Correct.

16 DR. BANERJEE: Carbon hydroxide and  
17 aluminum is --

18 MEMBER WALLIS: Yes.

19 CHAIRMAN DENNING: You can continue.

20 Thanks.

21 MEMBER WALLIS: Yes.

22 DR. ELAWAR: This table shows the peak  
23 pressure results for the LOCA and steamline breaks as  
24 well as the pre-EPU results.

25 You see here, for example, Unit 1

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 steamline break, that pressure actually went down even  
2 though we're analyzing for EPU conditions. And, again,  
3 that's reflecting the beneficial modifications that  
4 were made there.

5 And essentially all these results benefit  
6 to some degree from the methodology change to MAAP-  
7 DBA. Again, we're raising initial pressure 4 pounds  
8 for these, so obviously we're getting some margin.

9 CHAIRMAN DENNING: When you show the pre-  
10 EPU, is that post-containment conversion?

11 MR. FREDERICK: No.

12 CHAIRMAN DENNING: No, that's pre-  
13 containment--

14 MR. FREDERICK: Prior.

15 MEMBER WALLIS: That's using a previous  
16 method of calculation?

17 MR. FREDERICK: Yes. It's using the Stone  
18 & Webster program.

19 MEMBER WALLIS: Okay.

20 DR. BANERJEE: What is the difference in  
21 the methods of calculations which give you the slide  
22 again?

23 MR. FREDERICK: Hit the backup slide.

24 This slide shows essentially how the peak  
25 pressure is sensitive to airborne water fractions. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that water fraction is essentially the water coming  
2 out of the break, what percentage of it is actually  
3 entrained into the atmosphere. In the previous  
4 methodology essentially there was no entrainment  
5 assumptions. It looked at other programs such GOTHIC.  
6 GOTHIC actually assumed a 100 percent entrainment.

7 MEMBER WALLIS: Oh.

8 MR. FREDERICK: And when we looked at  
9 this, the curve basically once you get to 10 percent,  
10 you don't get much more benefit. But 10 percent --

11 MEMBER WALLIS: There's a fog in there,  
12 you're saying there's a fog in there?

13 MR. FREDERICK: Yes. The water at  
14 entrainment essentially acts like an additional heat,  
15 so it gives you a benefit in the peak pressure.

16 MEMBER WALLIS: Airborne water fraction is  
17 the faction of the water which is entrained?

18 MR. FREDERICK: Yes.

19 DR. BANERJEE: Emitted?

20 MR. FREDERICK: The fraction of the water  
21 that is coming out of the break that is entrained.

22 MEMBER WALLIS: I would think getting a  
23 100 percent of it would be a bit of a struggle,  
24 getting it all help up in the air. It's going to fall  
25 out, isn't it?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: Well, some of it is, yes.

2 DR. BANERJEE: I think, I mean most of it.

3 MEMBER WALLIS: Most of it.

4 MR. FREDERICK: Well, we did provide as  
5 part of the submittal, we provided some comparisons to  
6 experimental data. I don't remember the experiments  
7 right off hand. But those results showed somewhere in  
8 the 50 to 60 percent range were entrained.

9 DR. BANERJEE: But you have surfaces where  
10 the water jet impacts, right?

11 MR. FREDERICK: Yes, and that does account  
12 for that. If there is collisions with surfaces and  
13 poor condensation for that matter, it is removed in  
14 that--

15 DR. BANERJEE: But nonetheless, it's a  
16 heat sink?

17 MR. FREDERICK: Yes, essentially.

18 MEMBER WALLIS: When you start out you've  
19 got to make a lot of dispersion. But as you put more  
20 and more water in there, there must be a lot of it  
21 that comes out?

22 MEMBER KRESS: Why isn't that below 45?

23 MR. FREDERICK: It's absolute. But this is  
24 not for our plant in particular. This is just --

25 MEMBER KRESS: Oh, I see. This is just for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some plant.

2 MEMBER WALLIS: So what do you do? You  
3 assume something here or what?

4 MR. FREDERICK: Actually, for MAAP we  
5 assume 10 percent entrainment.

6 MEMBER WALLIS: It's just someone's  
7 educated guess?

8 MR. FREDERICK: It was a conservative  
9 relative to what we saw in the experiments.

10 MEMBER WALLIS: Well, it's interesting.  
11 How much mass of water is it then when it's 10  
12 percent? Later in a LOCA it's a lot, isn't it? The  
13 air is holding all that up?

14 MEMBER SIEBER: You get a number of them.

15 CHAIRMAN DENNING: Well, wait a second.  
16 This is the large break and early time peak.

17 MEMBER WALLIS: Time is --

18 MR. FREDERICK: Yes, this is all currently  
19 in the first 20 seconds.

20 MEMBER WALLIS: So it's probably okay.  
21 Early time, yes.

22 MR. FREDERICK: Yes.

23 MEMBER WALLIS: Everything's stirred up.

24 MR. FREDERICK: Yes, it's very quick. Yes.

25 MEMBER WALLIS: I was concerned when you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 say you assume something.

2 MR. FREDERICK: Just to cover the other  
3 criteria and results, we did show that we met the  
4 depressurization rate, time. NPSH requirements were  
5 satisfied. We also look at EQ, for example, if the  
6 envelopes change, we look at the equipment and we've  
7 done that. And as well as the structural issues, the  
8 piping and the sump inventory.

9 The next subject which is related --

10 MEMBER SIEBER: Before you leave, you said  
11 that even with the relaxation of the sub-atmospheric  
12 requirement you still returned to some sub-atmospheric  
13 condition following a LOCA. How long does that take?  
14 An hour?

15 MR. FREDERICK: I'm not sure I said that,  
16 Jack. But we can still get there is the river is cold  
17 enough. I mean, this is very much a function of the  
18 service water temperature.

19 MEMBER SIEBER: Okay.

20 MR. FREDERICK: Typically though --

21 MEMBER SIEBER: You don't necessarily go  
22 sub-atmospheric.

23 MR. FREDERICK: That's right. Right.

24 MEMBER SIEBER: And so from a Part 100  
25 standpoint if you have some positive pressure --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. FREDERICK: And if some leakage  
2 occurs--

3 MEMBER SIEBER: -- you may see it on the  
4 outside, right?

5 MR. FREDERICK: For the dose analyses we  
6 assume leakage occurs for 30 days.

7 MEMBER SIEBER: Okay.

8 MEMBER KRESS: I think the section there  
9 is you use that high for the peak pressure after 24  
10 hours, right?

11 MR. FREDERICK: That's reduced to half of  
12 that within 24 hours.

13 MEMBER KRESS: Regardless of what it  
14 really is? I mean, it's usually lower than that.

15 MR. FREDERICK: Yes.

16 MEMBER KRESS: But it's a conservative  
17 calculation?

18 MR. FREDERICK: Oh, yes.

19 Moving on to containment overpressure.  
20 For Beaver Valley Unit 1 the recirc spray pumps have  
21 credited in the past containment overpressure as part  
22 of our existing licensing basis. And for this analysis  
23 containment conversion and EPU we're continuing to  
24 credit that.

25 Unit 2 does not require any containment

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 overpressure --

2 MEMBER WALLIS: Are you crediting the same  
3 amount of overpressure for the same amount of time?

4 MR. FREDERICK: I'll touch on that. We  
5 have some slides that show that.

6 Unit 2 does not credit overpressure and  
7 never has. Physically the pumps are a lot lower so  
8 they don't have a need for that.

9 The Beaver Valley recirc spray system,  
10 essentially this is our heat removal function post-  
11 LOCA in the environment that each train consists of a  
12 pump, heat exchanger and spray ring. And it takes  
13 suction directly from the sump and delivers a spray  
14 flow for Unit 1.

15 MEMBER WALLIS: When you need it is when  
16 you have the high pressure in the containment.

17 MR. FREDERICK: That's correct, yet. The  
18 system was primarily designed to give you a rapid  
19 depressurization so you could meet the one hour sub-  
20 atmospheric requirement.

21 The backup slide just shows a sketch of  
22 the system, basically.

23 MEMBER WALLIS: Does it show the pressure  
24 needs versus time or something like that and how much  
25 you're actually crediting?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: They're different.

2 MR. FREDERICK: Yes.

3 MEMBER WALLIS: That's coming up?

4 MR. FREDERICK: About 2 slides.

5 MEMBER WALLIS: We're waiting for that.

6 That's the bottom line.

7 MR. FREDERICK: We're there. This slide  
8 shows you the containment over pressure required.

9 MEMBER WALLIS: You need 10 psi.

10 MR. FREDERICK: The COP required is  
11 basically how much pressure do I need above the  
12 initial pressure in containment to get enough NPSH.  
13 So, yes, when the pumps first start out, and again  
14 these pumps start relatively early, 5 minutes after we  
15 reach the high pressure setpoint in containment. So  
16 the sump is relatively hot at that point and there is  
17 not a lot of level. So the NPSH is somewhat limited.  
18 So we need containment overpressure at that point.

19 Well, let me make another point here. This  
20 shows the previous results from pre-EPU and actually  
21 pre-containment conversion.

22 MEMBER WALLIS: The Staff didn't give you  
23 any trouble with the blue lines so then they're going  
24 to accept the red line?

25 MR. FREDERICK: Yes. The blue line is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 occurring, as you can see, for the EPU we're  
2 increasing--

3 MEMBER WALLIS: And you already have? You  
4 already have that approved the blue line?

5 MR. FREDERICK: That's correct, yes. The  
6 increase in actual pressure requirement is on the  
7 order of 2 pounds. Duration wise this requirement goes  
8 below zero, which means that we don't really need  
9 overpressure at that point.

10 MEMBER WALLIS: Not a very long a period  
11 of time compared with some plants.

12 MR. FREDERICK: That's correct, yes. The  
13 point here is that it's roughly ten minutes past the  
14 start of the pump.

15 MEMBER WALLIS: And for hours?

16 MR. FREDERICK: Right.

17 MEMBER SIEBER: For the inside research  
18 spray pump.

19 MR. FREDERICK: Correct. And this is for  
20 the outside.

21 MEMBER SIEBER: Right.

22 MR. FREDERICK: It's very similar.

23 MR. MANOLERAS: This is Mark Manoleras  
24 again.

25 Ken, why don't you go into detail on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 testing of the pumps.

2 MR. FREDERICK: Yes, I'll get to it. It's  
3 a couple of slides away yet.

4 MEMBER WALLIS: Run without this COP?

5 MR. FREDERICK: Next one.

6 This slide shows the available  
7 overpressure against the required, the two bottom  
8 lines being the required. And what you can see here  
9 is actually when the pumps start. They actually start  
10 delivering flow about 300 seconds.

11 MEMBER WALLIS: Now this pressure that's  
12 available looks very high. Usually people make a lot  
13 of conservative assumptions. This looks like the real  
14 pressure. You're going up to 40 psi.

15 MEMBER SIEBER: Yes.

16 MEMBER KRESS: This is atmospheric.

17 MR. FREDERICK: This is actually  
18 overpressure.

19 MEMBER WALLIS: Yes.

20 MEMBER SIEBER: Containment pressure.

21 DR. BANERJEE: You have a pretty small  
22 containment, right, to get that?

23 MEMBER SIEBER: Smaller than --

24 MEMBER WALLIS: Usually you have a  
25 containment pressure that's high like that which you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 use to evaluate the integrity of the containment.

2 MR. FREDERICK: Right.

3 MEMBER WALLIS: And then you have a sort  
4 of minimum curve which has all kinds of conservative  
5 assumptions, which is much lower. And I don't see  
6 that there.

7 MR. FREDERICK: Well, again, you may not  
8 see it so much in the peak because that's not really  
9 effected by what we do in terms of trying to minimize  
10 the pressure.

11 MEMBER WALLIS: It's not?

12 MR. FREDERICK: You know, it's when you  
13 start the sprays and the peak is basically a function  
14 of how Tagami ends up. It's based on volume, energy  
15 release and the timing. So that's not something that  
16 would really change much.

17 MEMBER WALLIS: So is this blue curve  
18 conservatively estimated to be below the real  
19 pressure?

20 MR. FREDERICK: Yes. We do sensitivity  
21 studies that look at really the whole event, not just  
22 pressure because it's also a function of sump  
23 temperature. And some things that tend to reduce  
24 pressure also reduce sump temperature. So both of  
25 those are in the NPSH equation. So what we have done

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 historically is we do sensitivity studies on all the  
2 sensitive parameters and determine what is the minimum  
3 NPSH available case, which is what's shown here.

4 MEMBER WALLIS: Well, this really should  
5 say minimum available overpressure or something, not  
6 a best estimate kind of calculation.

7 MR. FREDERICK: No. This is actually the--

8 MEMBER WALLIS: The conservative minimum.

9 MR. FREDERICK: This case reflects the  
10 minimum NPSH available result.

11 DR. BANERJEE: No. I mean the blue curve  
12 is the minimum containment pressure available? I mean  
13 if it's just about --

14 MR. FREDERICK: It may not necessarily be  
15 the minimum available. It's the minimum available  
16 associated with the set of conditions that come to  
17 this analysis.

18 DR. BANERJEE: With this -- yes. Sure.  
19 But for this set of conditions it's a large break LOCA  
20 or something, right?

21 MR. FREDERICK: Yes.

22 MEMBER KRESS: We once wrote a letter that  
23 said those calculations ought to have probabilities in  
24 them to see how much the probabilities overlap to get  
25 some sort of probability that you would have --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: No. Uncertainty anyway.

2 MR. FREDERICK: And we actually have some  
3 stuff in here on that, too.

4 MEMBER KRESS: Yes.

5 DR. BANERJEE: If not probability, at  
6 least uncertainty.

7 MEMBER KRESS: Uncertainty. Yes.

8 MEMBER WALLIS: We did write the letter.  
9 We got several members who endorsed additional  
10 comments, wasn't that --

11 MEMBER KRESS: Yes, as I recall.

12 CHAIRMAN DENNING: You only spray in  
13 recirculation mode? You don't spray from the  
14 refueling water start --

15 MR. FREDERICK: No, we do both.

16 CHAIRMAN DENNING: You do both?

17 MR. FREDERICK: Yes, and that's what you  
18 can see here. I mean, we're going from 40 pounds down  
19 to nothing in a little over 10 minutes.

20 CHAIRMAN DENNING: That's due to spray?

21 MR. FREDERICK: Yes. So once the spray  
22 start, we have a quench spray system which comes from  
23 the RST which is --

24 MEMBER WALLIS: If the pumps weren't  
25 working, the blue code would be higher? So it's a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 kind of self-controlling situation?

2 MR. FREDERICK: That's correct, yes. The  
3 reason we need overpressure is because we're running  
4 the sprays. And you can see the pressure comes down  
5 pretty quickly once those sprays go on.

6 MEMBER WALLIS: The sprays themselves  
7 reduce the overpressure?

8 MR. FREDERICK: That's correct.

9 MEMBER SIEBER: And if you didn't have the  
10 overpressure, you wouldn't need the sprays.

11 MR. FREDERICK: The problem with not  
12 having the sprays is that it's our only means of  
13 getting heat out of the sump.

14 MEMBER SIEBER: Right.

15 MR. FREDERICK: We need the heat  
16 exchangers more than we need the sprays.

17 MEMBER SIEBER: Right.

18 MEMBER WALLIS: When you need the sprays,  
19 they work?

20 MR. FREDERICK: Yes.

21 DR. BANERJEE: Those little side diagrams,  
22 maybe we should get copies of those because they have  
23 -- yes.

24 MR. FREDERICK: Just a point there. Again,  
25 that was the NPSH limited case. It's not necessarily

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the longest duration. For all the cases we look at,  
2 the most amount of time that we need for overpressure  
3 credit is 20 minutes after the pump starts.

4 And we did do some testing of these pumps  
5 way back in the late '70s. Actually, it was North  
6 Anna pump that was tested, but they're basically  
7 identical to ours.

8 Hit this backup slide. They actually ran  
9 these pumps at reduced NPSH all the way down to about  
10 4 feet available, the left line there. And basically  
11 you can see, as you reduce NPSH below the required,  
12 the performance suffers. But they ran these up to  
13 about a half hour in this reduced NPSH mode.

14 MEMBER SIEBER: And they still pump?

15 MR. FREDERICK: And they still pumped and  
16 they tore them down, and there was no damage to the  
17 pumps.

18 DR. BANERJEE: Well, there was some  
19 cavitation, but --

20 MR. FREDERICK: Yes, obviously it's  
21 offering in a cavitation --

22 DR. BANERJEE: Not significant. Not until  
23 to --

24 MEMBER WALLIS: Until they fall off the  
25 cliff there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Even with the required net  
2 positive suction you had some cavitation, right?

3 MR. FREDERICK: Yes, 3 you're percent  
4 reduced by definition.

5 MEMBER KRESS: Yes. Yes.

6 MR. FREDERICK: Go back.

7 DR. BANERJEE: Excuse me. Go back to that  
8 slide.

9 What is there, I can't read that very  
10 well, but what is the suction head required. Yes, I  
11 can't read the ones on top there.

12 MR. FREDERICK:

13 (Off microphone).

14 MEMBER SIEBER: You have to talk into a  
15 microphone.

16 MR. FREDERICK: Right.

17 DR. BANERJEE: Is that 16, 14? The four  
18 I can read, but beyond 4 I can't read any of those.  
19 They're blurred.

20 MEMBER WALLIS: Are you saying that even  
21 if there were no overpressure available they'd still  
22 work? If you lacked 10 psi, will they still work or  
23 not?

24 DR. BANERJEE: These are in feet of water,  
25 I take it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Twenty feet of water, do  
2 they still work at 20 feet of water.

3 DR. BANERJEE: No, there are 4 feet of  
4 water, they would work.

5 MEMBER WALLIS: Yes, but not at 20?

6 DR. BANERJEE: No, at 20 they'd work  
7 perfectly.

8 MEMBER WALLIS: Oh. Well, you've got 4  
9 feet, don't you? What is that you need? You need--

10 DR. BANERJEE: 11.5 feet. Is that your  
11 reference is, 11.5 feet of NPSH on this?

12 MR. FREDERICK: For these pumps the  
13 minimum required that we use is 9.8 feet.

14 DR. BANERJEE: 9.8 feet. All right. So  
15 that's the one, Graham, which is the fourth line down  
16 from the top.

17 MEMBER WALLIS: That one there?

18 DR. BANERJEE: That's your reference,  
19 right?

20 MR. FREDERICK: Yes.

21 MEMBER WALLIS: And how compact can it get  
22 and still satisfy your needs there?

23 MR. FREDERICK: Four feet available, that  
24 would be something around 2 psi overpressure --

25 MEMBER WALLIS: It's still pumping.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: -- still required.

2 MEMBER WALLIS: But that's much less than  
3 you're asking for?

4 MR. FREDERICK: Yes. This is a kind of  
5 margin we don't use these lower limits in anyway or we  
6 don't model the pumps in a degraded performance.

7 MEMBER WALLIS: It seems to depend a lot  
8 on the dynamic head required. How much is the dynamic  
9 head required? There's a load line somewhere here.

10 DR. BANERJEE: Right, that's what I was  
11 going to ask. Where is that load line? Just  
12 conceptually if you sketch it.

13 MR. FREDERICK: Well, these pumps normally  
14 operate around 33 to 3500 so your system curve comes  
15 through here somewhere.

16 MEMBER WALLIS: So some of those have  
17 already crashed and gone over the -- they went over  
18 the precipice by the time they come down to the load  
19 line?

20 MR. FREDERICK: Well, yes, you would see  
21 a much reduced flow but you would still get some flow.

22 CHAIRMAN DENNING: But in reality isn't it  
23 just a matter that you don't want them to fail.  
24 Because suppose for 20 minutes they didn't work and  
25 they didn't remove heat, isn't this really a real long

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 term problem that you're concerned about, which is  
2 long term heat removal.

3 MR. FREDERICK: Yes.

4 CHAIRMAN DENNING: So the fact that  
5 they're not able to keep up with heat rejection during  
6 this period when you really need it doesn't really  
7 matter.

8 MR. FREDERICK: If we have reduced heat  
9 removal, the ultimate effect is that the sump's a  
10 little hotter a little longer.

11 MEMBER WALLIS: So you'll get 2000 GPM  
12 instead of 3500 or something?

13 MR. FREDERICK: Right.

14 MEMBER WALLIS: And it's no big deal?

15 CHAIRMAN DENNING: As long as you --

16 MR. FREDERICK: It only last for 10 or 20  
17 minutes, yes.

18 MEMBER MAYNARD: I think the more  
19 significant part of this what shows is that they  
20 operated for a long period of time, it reduced NPSH  
21 and did not fail the pumps and they were still in good  
22 shape.

23 MR. FREDERICK: Yes.

24 CHAIRMAN DENNING: Okay. Continue.

25 MR. FREDERICK: Next.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   We looked from the PRA aspect of this, you  
2 know what's the probability of losing containment  
3 isolation which could lead to loss of overpressure.  
4 And we estimated that to be about one times 10 to the  
5 minus 8. And that's based on the LOCA coincident with  
6 failure of isolation for the lines that communicate  
7 directly with the containment atmosphere. And those  
8 lines for Beaver Valley are actually pretty small. The  
9 largest such line is a 2 inch line.

10                   CHAIRMAN DENNING: Since you're still  
11 operating a little bit sub-atmospheric, does that help  
12 your probability here? Do you know that you're  
13 isolated?

14                   MR. FREDERICK: Yes. Essentially we would  
15 screen out any large preexisting failure because we  
16 would notice that if it occurred.

17                   DR. BANERJEE: Is there any interaction  
18 with a LOCA which would sort of tend to make you lose  
19 containment isolation?

20                   MR. FREDERICK: No. All of our  
21 containment --

22                   DR. BANERJEE: Nothing that --

23                   MR. FREDERICK: -- systems are fully  
24 qualified.

25                   DR. BANERJEE: Completely independent?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: Yes. We actually did an  
2 analysis where we looked at -- you know, essentially  
3 run the NPSH cases with holes in containment. And we  
4 did up to a 3 inch based on what our penetration size  
5 are.

6 And if you look at the next slide here  
7 essentially all the results are on top each other so  
8 there is no significant effect of opening a small hole  
9 in containment. Again, that was the most probable  
10 based on the actual penetration sizes that are open to  
11 containment atmosphere.

12 DR. BANERJEE: But then what happened to  
13 the pressure as you open the hole?

14 MR. FREDERICK: It didn't change much.

15 CHAIRMAN DENNING: You can't tell at that  
16 small hole size.

17 MR. FREDERICK: Right. Essentially  
18 there's a minimal change in the pressure response such  
19 that the NPSH margin doesn't change much.

20 Next slide.

21 We do a conservative analysis in terms of  
22 minimizing the overpressure available. We do not ask  
23 the operators to intervene in anyway to try and  
24 maintain pressure at a certain value or certain limit  
25 to try and assure that we have available COP.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   MEMBER WALLIS:  Suppose the screens were  
2 getting block, how would the operator know it and what  
3 would he do?

4                   MR. FREDERICK:  I'll let my operator  
5 handle that one here.

6                   MR. DURKOSH:  This is Don Durkosh again.

7                   Recently, probably within the last year or  
8 so, we've implemented sump blockage guidelines.  And  
9 we've updated our emergency procedures.  So basically  
10 when we enter the recirc mode we have RNO, response  
11 not obtain actions where we would start a pump or  
12 verify a pump is running.  And we would monitor things  
13 like pump amps, discharge pressure and flow.  And if  
14 we see any variations, then we have a sump blockage  
15 guidelines available to us.

16                   And in the big scheme what the sump  
17 blockage guidelines really do is have you look for  
18 ways to reduce flow, which would reduce the line  
19 losses across the sump screens.  So basically kind of  
20 get you to reduce the flows, get NPSH back into an  
21 acceptable range and operate in that mode.

22                   MEMBER WALLIS:  You don't backflush or  
23 anything like that?

24                   MR. DURKOSH:  Not at this time.

25                   MEMBER MAYNARD:  I wouldn't think that the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 things you would be looking for would be much  
2 different than what you in mid-loop operation, making  
3 sure that your RA pumps are cavitating or lose  
4 suction. I mean it would be a similar situation with  
5 the sump.

6 MR. DURKOSH: I agree.

7 MEMBER MAYNARD: Yes.

8 DR. BANERJEE: Are we going to talk about  
9 sump blockage at some point?

10 MEMBER WALLIS: Yes, you are.

11 CHAIRMAN DENNING: You already have as  
12 much as we are.

13 DR. BANERJEE: Because it was be  
14 interesting to know how difficult it would be to  
15 backflush.

16 MEMBER WALLIS: I think it's taboo,  
17 though.

18 CHAIRMAN DENNING: Yes, I think we  
19 shouldn't be talking about that now, no.

20 MEMBER WALLIS: That's another subject.

21 CHAIRMAN DENNING: I mean it's interesting  
22 to see what they are going to do.

23 DR. BANERJEE: But you're going in for an  
24 EPU. You may as well put it in.

25 MEMBER WALLIS: Yes, but it's a generic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issue.

2 MR. CARUSO: Yes, but it's a generic issue  
3 and we don't resolve generic issues.

4 DR. BANERJEE: Okay. We won't resolve it.

5 MEMBER WALLIS: You don't dump it all on  
6 one licensee.

7 CHAIRMAN DENNING: We just initiate  
8 generic issues under this.

9 Okay. Proceed.

10 MR. FREDERICK: Just to finish up this  
11 slide, we did look at potential modification that  
12 could be made to eliminate the need for containment  
13 over pressure and essentially they're all impractical.

14 MEMBER WALLIS: I'm curious. You're  
15 putting in a bigger screen. What design is it?

16 MR. FREDERICK: Design in terms of -- hit  
17 the back slide.

18 MEMBER WALLIS: This is a whole lot of  
19 cylinders or --

20 MR. FREDERICK: Yes, it's an array of  
21 cylinders.

22 MEMBER WALLIS: An array of cylinders.

23 DR. BANERJEE: But is this the top hat  
24 design.

25 MR. FREDERICK: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Okay. Ah, so the problem  
2 there is to figure out how that performs when you've  
3 only tested one?

4 DR. BANERJEE: Yes, it's the same problem-

5 MR. FREDERICK: Our testing is actually  
6 looking at it.

7 MEMBER WALLIS: Testing arrays?

8 MR. FREDERICK: I think we're do a 9 set  
9 of array.

10 MEMBER WALLIS: Oh, okay. Okay. Thank  
11 you. That's better than one.

12 MEMBER SIEBER: It looks like that would  
13 take up a lot of space.

14 DR. BANERJEE: Then it would be prudent to  
15 do backflushing.

16 MEMBER WALLIS: It's not difficult to  
17 figure out that works.

18 MR. FREDERICK: Just summarizing I guess  
19 for the containment overpressure, COP is required for  
20 Beaver Valley Unit 1 RS pumps. And it's part of the  
21 licensing basis. And it's continued to be credited in  
22 the recently approved submittal.

23 We have run these pumps at reduced NPSH  
24 with satisfactory results. And we looked at the risk  
25 of losing overpressure, and it's very low. And we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 also looked at modifications to eliminate the need,  
2 and they're not practical.

3 The next two slides --

4 CHAIRMAN DENNING: You can go quickly on  
5 these I think.

6 MR. FREDERICK: Yes. These essentially  
7 summarize the dose assessment results from the  
8 accident analyses.

9 Again, we're moving to full implementation  
10 of the alternative source term and we've updated X/Qs  
11 with more recent meteorological data and we've also  
12 switched to ARCON 96 for the onsite X/Qs.

13 We've incorporated the results from our  
14 control room tracer gas testing.

15 Unit 2 continues to use the alternate  
16 repair criteria, which develops the accident induced  
17 leakage limits. And all the results are within the  
18 50.67 limits, as you can see on the next slide.

19 Again, here the Unit 2 value is maximized  
20 based on the alternate repair criteria methodology.

21 Just to summarize for safety analysis.  
22 Again, we've looked at the required events. All the  
23 acceptance criteria seem to be met at the EPU  
24 conditions. And we feel like we have enhanced the  
25 plant in some way with the modifications we've made

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and are beneficial impacts in terms of the safety  
2 margin. And we've been able to retain a lot of the  
3 safety margin.

4 That's it. Any questions?

5 CHAIRMAN DENNING: Are there any questions  
6 on safety analysis here? Anything that we want to  
7 prod for more information tomorrow?

8 MEMBER WALLIS: I want to know what the  
9 Staff thinks about the containment overpressure, but  
10 that's not any of that today.

11 CHAIRMAN DENNING: That's to come.

12 Okay. Thank you very much.

13 We're now going to go in recess until by  
14 that clock up there it's going to be -- we'll make it  
15 a quarter of by that clock.

16 (Whereupon, at 3:33 p.m. a recess until  
17 3:50 p.m.)

18 CHAIRMAN DENNING: Okay. We're now back in  
19 session. And we're now going to hear about the  
20 Staff's view of safety analysis SBLOCA.

21 DR. WARD: Can you hear me? Okay.

22 My name is Len Ward, I'm in NRR in the  
23 code review analysis branch. And what I'm going to  
24 talk about, I'm going to talk basically about post-  
25 LOCA long term cooling, and that's large and small

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 break, but then I'm also going to talk about short  
2 term behavior small break LOCA.

3 But before I do that, what I wanted to do  
4 is just quickly go over the ECCS system that's used to  
5 control boric acid, what's the approach. And then I'll  
6 talk about large break LOCA and small breaks.

7 Now Beaver Valley, it's a 3 loop plant.  
8 It's about an 8 percent power increase.

9 MEMBER SIEBER: Do you want a pointer?

10 MR. LEE: Yes, you know, I thought I had  
11 one here. Here we go.

12 A key ingredient here in this plant is  
13 that it has three accumulators. And as you heard  
14 earlier, the pressure was increased to 625 pounds and  
15 that's key for short term small break LOCA behavior.

16 And I'll also be talking about the switch  
17 to simultaneous injection and because of the way the  
18 ECCS is aligned, because of the ECCS configuration,  
19 cold let breaks are limiting in this plant for boron  
20 precipitation.

21 As I said, large breaks to control boric  
22 acid, you realign the ECCS, that's the high pressure  
23 safety injection pump to deliver half the flow in the  
24 hot leg and the other half in the cold leg. And I'll  
25 be showing you some calculations that I did to audit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the precipitation times that the licensee performed.

2 I'm also going to talk about small breaks.

3 And it was mentioned before, but small breaks you can  
4 hang up at a higher pressure. You don't go down to 147  
5 where you're basically at run out on that high  
6 pressure pump. You had some intermediate pressure.  
7 It could be 200 pounds, 100 pounds. When you split  
8 the flow between both legs it's not enough the flush  
9 the core. So what do you do? Well, you cool the  
10 plant down. And you cool the plant down to a low  
11 enough pressure so that you either get it low enough  
12 so that you can flush the core when you switch  
13 simultaneous injection or you've cooled it down low  
14 enough and fast enough so that you refill the RCS with  
15 ECCS coolant, you reestablish single phase natural  
16 circulation and you disperse the boron. Okay? And  
17 I'll show you some calculations that we did to  
18 illustrate that.

19 MEMBER WALLIS: Even though there's a  
20 break, you can fill that whole thing?

21 DR. WARD: That's right. We're talking  
22 small breaks, one inch, two inch, three inch; they're  
23 really tiny. You'll fill it back up. I'll show you  
24 that when I get to the slide.

25 MEMBER SIEBER: It's the pot. The break's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 above the pot.

2 DR. WARD: The break's in the cold leg.

3 MEMBER SIEBER: Right.

4 DR. WARD: Or the hot leg. And the  
5 alignment is done such that you don't need to know  
6 where the break is. And the analysis is done so you  
7 don't need to know necessarily. It's nice to know what  
8 the concentration in the core and vessel is, but you  
9 don't need to know that. If you do a bounding  
10 calculation on precipitation time, all the operators  
11 have to know is when the accident started and at  
12 certain times you just go switch. And it doesn't  
13 matter what the break location is or where the break  
14 is.

15 DR. BANERJEE: When the HPSI are there  
16 line sizes indicator of the flows or is it --

17 DR. WARD: No, that's just where it's  
18 going.

19 MEMBER WALLIS: It's not to scale or  
20 anything?

21 DR. WARD: This is not to scale. So what  
22 I want to do is to show you for a cold leg break,  
23 before you switch to simultaneous injection you're  
24 injecting into the downcomer. You're storing some of  
25 it out the break.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Right.

2 DR. WARD: But because there's no flush,  
3 okay, you're going to concentrate boric acid in the  
4 vessel, in the upper plenum in the core. And  
5 basically -- let me use this. This is better.

6 I mean what happens is you're going to  
7 fill the downcomer to the bottom of the cold leg. You  
8 can't get anymore water in there because the break's  
9 there. Anymore water you add spills.

10 The water that flows in is dependent on  
11 the low pressure drop. And the model I'm going to  
12 show you, and it's consistent with the licensee and  
13 vendor, it considers the pressure drop. So I have a  
14 fixed head here. Depending on the core power level,  
15 time and the event, that determines the steaming rate.  
16 And that determines where the two phase level is. So  
17 in the beginning of the transient very early the two  
18 phase level is low. It will grow --

19 MEMBER WALLIS: It's not on top?

20 DR. WARD: In the beginning, that's right,  
21 you've blown down the core. I mean, the whole core is  
22 voided. Now you're refilling. This is early. And it's  
23 slowly going to fill up. And I'm only going to be  
24 able to get enough water in here that the loop  
25 resistance will allow me. My ability to get water into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this core isn't any better than my ability to relieve  
2 the steam around the loop.

3 MEMBER WALLIS: And the boron comes in and  
4 doesn't leave, so it just builds up?

5 DR. WARD: No. It just builds up. Right.  
6 And that's why with cold side injection, that's why  
7 cold leg breaks are worse for boron precipitation.

8 MEMBER WALLIS: You get some water in is  
9 because there are other cold legs from that one, so  
10 the water can get in?

11 DR. WARD: That's correct. Yes. There are  
12 two other loops. So this is spilling and the other  
13 one's keeping me full here. For this plant within  
14 about 45 minutes to an hour, the two phased level is  
15 up here above the bottom of the hot leg.

16 DR. BANERJEE: What's the partition  
17 coefficient of boron between the steam and the water.

18 DR. WARD: What's the what?

19 DR. BANERJEE: Partition. I mean it's  
20 partitioned, right?

21 MEMBER KRESS: It depends strongly on the  
22 pressure and temperature.

23 DR. BANERJEE: I see.

24 MEMBER KRESS: Low pressure it stays  
25 behind and high pressure it goes with the steam. It's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a variable

2 MEMBER WALLIS: With these pressures it  
3 stays behind.

4 MEMBER MAYNARD: Not much stays behind.

5 DR. WARD: We're assuming the steam does  
6 not remove any of the boric acid nor is there taking  
7 any credit for any entrainment. You look at the UPTF  
8 tests, they show entrainment for about the first 15  
9 minutes. For every pound of steam you're producing,  
10 you're taking 2 or 3 pounds of liquid out. So you're  
11 not going to build up very fast at all in the first 45  
12 minutes. But that's neglected as well.

13 I mean so basically what I was going to  
14 say, if you want steaming in the core and I fill the  
15 vessel up, I'd have water here. But since I had void  
16 in it and if the loop pressure drop isn't a  
17 consideration, I' going to swell up into the hot leg.  
18 And I'll probably swell -- I won't swell the two phase  
19 level any higher than within maybe a half of foot to  
20 the top of this hot leg because the steam's got to get  
21 out and it's going to pressurize. And you're going to  
22 sit there concentrate.

23 Now, they don't take credit for the volume  
24 above the bottom of the hot leg. They're just taking  
25 credit for the mixing volume here, the core and half

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of lower plenum. And the void fractions coming off  
2 the top of the core early in the event throughout to  
3 about 6 hours is anywhere from 80 to about 65/70  
4 percent. So it's pretty high. There's not much liquid  
5 in this region hardly at all. I mean, it's very hard.  
6 The void fraction, a very healthy steep gradient from  
7 zero to 70/80 percent at the top of the core.

8 MEMBER WALLIS: I asked the question  
9 previously, when you begin to get very high  
10 concentrations of boron, doesn't that change the  
11 formability and the drift flux and all that kind of  
12 thing?

13 DR. WARD: Yes, i think it does.

14 DR. BANERJEE: I probably does.

15 DR. WARD: Yes. I mean --

16 MEMBER WALLIS: But that would make a  
17 difference to the carryover.

18 DR. WARD: What I did in sensitivity  
19 studies, you saw the Waterford report in there.

20 MEMBER WALLIS: Yes.

21 DR. WARD: I varied the drift velocity by  
22 a plus or minus 25 percent. And, I mean, I'll show  
23 some precipitation times. But when you're  
24 precipitating out around 6 to 8 hours and in reality  
25 you're really not going to get there until about 15,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 14 or 15 hours and that's where this plant's at. And  
2 I'll show you why that is.

3 A change of 25 percent in the drift  
4 velocity is probably not going to make much  
5 difference. I mean, if the drift velocity goes down,  
6 then I'm going to swell more, I'm just distributing  
7 the liquid and steam over a larger volume. I still  
8 got the same amount of liquid.

9 MEMBER WALLIS: The question we raised,  
10 which I don't think was every answered, you know when  
11 you boil down something like maple syrup it's just  
12 like boiling water. But when you get it up to the  
13 point where it's strong enough, it boils like milk.  
14 It's overflow and go all over the kitchen because the  
15 foaming --

16 DR. WARD: If it foams --

17 MEMBER WALLIS: It doesn't break. It  
18 just--

19 DR. WARD: I don't think the BACCHUS test  
20 showed that, but -- Yes but I mean those are good  
21 questions. But what we have done, and I mentioned this  
22 to you the last time we talked -- you had a lot of  
23 questions --

24 MEMBER WALLIS: Yes, but answers --

25 DR. WARD: And you've had a lot of good

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 questions today, and you haven't got all the answers.  
2 And I don't know all the answers because I want to  
3 know the answers to them, too.

4 We sent a letter out about 8 months ago,  
5 about a 15 page letter with about 20 or 30 questions  
6 asking what's the effect of boric acid on drift  
7 velocity, what's the effect on viscosity, surface  
8 tension, show us what the concentration profile is  
9 across the core, what's the effect of adding debris in  
10 here, how does that effect the concentration?

11 MEMBER WALLIS: Was this all to Beaver  
12 Valley?

13 DR. WARD: All those questions are in  
14 there. And we are --

15 MEMBER WALLIS: Is this to Beaver Valley  
16 or is this a generic question to the industry?

17 DR. WARD: It's not the strict sense  
18 generic letter issue. What we've done is we've sent a  
19 letter to all the vendors asking them to answer this  
20 question.

21 MEMBER WALLIS: Okay.

22 DR. WARD: And address these model  
23 concerns--

24 MEMBER WALLIS: So then you'll report to  
25 us on what happened some day?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WARD: And we will.

2 MEMBER WALLIS: Okay.

3 DR. WARD: But I haven't heard anything  
4 yet. I know they're working on it. I think they're  
5 still digesting it. And I think they're planning to do  
6 calculations, experiments or whatever. And so when  
7 that's done, then we will come and present that to  
8 you.

9 MEMBER WALLIS: Okay. Good. Thank you.

10 DR. BANERJEE: A couple of these questions  
11 clearly can be answered fairly easily, viscosity  
12 surface --

13 DR. WARD: Sure. Sure.

14 DR. BANERJEE: But the drift velocity is  
15 more difficult. And I guess maybe the people at MHI  
16 would know the answer to that.

17 MEMBER WALLIS: But does it boil over? We  
18 just need to put it on the stove in your kitchen and  
19 wait.

20 DR. BANERJEE: Well, that's a good way to  
21 do it, too.

22 MEMBER SIEBER: Another way.

23 MEMBER WALLIS: Well, it's best to do it  
24 outside on the grill or something.

25 DR. WARD: Yes, right. Right. Well, those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 questions have been asked. And again, when we've had  
2 meetings with -- when we get some of the results from  
3 all these questions, then we'll be happy to share them  
4 with you.

5 MEMBER WALLIS: If I buy some borax and  
6 dissolve it in water in my kitchen, can I boil it and  
7 see what happens?

8 DR. WARD: Sure. I mean --

9 MEMBER WALLIS: Would that be realistic?

10 DR. WARD: Well, there was a test done,  
11 and I probably shouldn't -- you know, I'm not sure if  
12 I should mention it or not.

13 MEMBER WALLIS: Well then don't.

14 DR. WARD: So I can't. But if you took a  
15 plexiglass vessel and pumped borated water into it, an  
16 electrically heated core and you pumped it in at the  
17 RWC concentration of roughly -- now they're up around  
18 2600 ppm, and if you took pictures of it you would see  
19 because if the water's cold coming in the lower  
20 plenum, you see some crystallization even on the  
21 surface. But the test would probably show mixing  
22 throughout the entire lower plenum and core. And  
23 there'd be a gradient in there. But once it  
24 precipitates, when you hit that limit based on  
25 whatever pressure you're at, it's probably going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 look like you filled that whole thing up with salt.  
2 Lower plenum core and upper plenum is going to be  
3 looks like full of table salt, crystals.

4 But, you know, there may be some worm  
5 holes through it. You know, there are some cooling  
6 channels that may be there. But that's probably  
7 what's going to happen.

8 But what I'm going to show in this  
9 calculation so we don't get anywhere near that --

10 MEMBER WALLIS: But it would be slurry  
11 cool. It would be slurry cooled. It won't freeze up  
12 solidly?

13 DR. WARD: Yes. Probably.

14 But I want to show you. hopefully we  
15 shouldn't get anywhere near there. And there's enough  
16 margin to accommodate. We don't feel that there's  
17 answers here, we just want to make sure the industry  
18 is doing everything consistent. They're not using a  
19 1.0 multiplier. They'll all using appropriate mixing  
20 volumes. They're taking credit for the void fraction  
21 in there instead of assuming it's full of liquid, and  
22 they're not assuming the whole mixing volume is this  
23 size from time zero on, because it grows. So let's do  
24 it right. And they are doing that. And they're  
25 starting to do that now.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So let me just go over some of the  
2 assumptions. I've already discussed it. We're only  
3 taking credit for half -- they're only allowed to take  
4 credit for half the mixing volume in the lower plenum.  
5 The core and the upper plenum, they choose to just  
6 credit the volume below the bottom elevation of the  
7 hot leg.

8           Now this was done during the Waterford  
9 review, and you'll remember that. I did some  
10 calculations. Compared my model to that. And as I  
11 recall, it's been a while since I looked at it, the  
12 reason why we did this is because since it's an  
13 average concentration, it more closely tracked the  
14 concentration near the top half of the core instead of  
15 some lower average. So they're only allowed to take  
16 credit for half of the lower plenum. And I think there  
17 was some mixing in the upper plenum, too. But we  
18 predicated the precipitation time within an hour. So  
19 for a crude model like that, it's probably not too  
20 bad.

21           We're using the 1971 ANS decay heat  
22 standard with an additional 20 percent. It's like the  
23 plant's operating at 20 percent more power.

24           The mixing volume is calculated as a  
25 function of time. The higher the steam rate, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 slower the growth of the two phase level and a mixture  
2 of volume in the vessel.

3 Now this is not a model assumption, but I  
4 just wanted to point out that the source  
5 concentrations for this plant are 2600 ppm. And  
6 again, the cold leg break is limiting for  
7 precipitation.

8 What you want to do --

9 DR. BANERJEE: 29.27 percent or what?

10 DR. WARD: That's at 14.7 -- that assumes  
11 the pressure in the upper plenum is 14.7.

12 DR. BANERJEE: But it must include the  
13 boiling point.

14 DR. WARD: That's the boiling point at  
15 14.7 with boric acid in there.

16 DR. BANERJEE: So what's the --

17 DR. WARD: The upper plenum pressure is  
18 going to be more -- upper plenum is going to be more  
19 like 20 or 25 pounds pressure. So the precipitation  
20 limit is not going to be 29. It's probably going to be  
21 more like 32/33.

22 And now our additives in there that will  
23 jack it up to about 40 percent. But we're going to  
24 assume -- the licensee assumed conservatively 29  
25 percent.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Now hot leg break. I guess I don't need  
2 to -- if you have a hot leg break, clearly during the  
3 injection phase --

4                   MEMBER WALLIS: Flushes it down.

5                   DR. WARD: You're going to flush this  
6 thing fairly quickly because you're going to fill it  
7 up. And once the two phase level in the vessel gets  
8 above the bottom of the core, it's going to start  
9 flushing. AS a matter of fact, it's going to have  
10 positive flow through there and I don't think they're  
11 going to build that much boron at all. So that's why  
12 hot leg breaks are clearly not the thing you want to  
13 look at.

14                   Now, if you take that model, and it's the  
15 same model that I described last time and it's  
16 documented in the Waterford report. So if you want to  
17 see the physics of the model, it's pretty simple. It's  
18 hydrostatic balance against a loop pressure drop where  
19 the drift phrase model calculates a two phase level.  
20 And that drift flux model is compared against test  
21 data that I've shown you on AP 1000. But it's  
22 documented again in that report. So if you want to  
23 see anything more on that, you know, feel free and I'd  
24 be happy to come over and explain it in some detail.

25                   I want to show you the calculation that I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 did compared to the Westinghouse calculation. And  
2 this is the concentration as a function of time. You  
3 can see that the Staff model predicts the Westinghouse  
4 calculation, and I used this decay heat, their sump  
5 concentration as a function of time which they  
6 calculated. Basically used the same assumptions in  
7 the calculating a precipitation time, which is within  
8 15 minutes.

9 DR. BANERJEE: Based on the same volume?

10 DR. WARD: Based on the same mixing  
11 volume. That's half below plenum, that's the core.  
12 And only the volume in the upper plenum below the  
13 bottom elevation of the core.

14 Now they could have taken credit for the  
15 volume in the upper plenum adjacent to hot leg because  
16 the level swells up to there within about an hour,  
17 hour and a half and it's going to sit there near the  
18 top of the hot leg. So there's an additional 200  
19 cubic feet.

20 The lower plenum in this plant's about 750  
21 cubic feet. So we're getting about 325 in the lower  
22 plenum. Let's see, the core area as I recall is 42  
23 square feet, the height's 12½ feet. So you've got  
24 about 400 in the core and another 200 in the upper  
25 plenum. And in the hot leg, they've got about another

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 200 cubic feet, but that's being neglected.

2 And remember, the steam doesn't carry it  
3 away. There's no entrainment. The upper plenum  
4 pressure is 14.7. I'm not taking credit for  
5 additives. I'm up here if I take credit for the  
6 additives. I know we don't like to extrapolate, but  
7 gee, we're talking --

8 MEMBER WALLIS: Ten hours.

9 DR. WARD: -- 10 hours or more. And  
10 they're switching at 6 hours. I guess they're  
11 starting at five. I'm sorry. So I mean there's  
12 clearly 4 or 5 hours there of margin relative to  
13 these.

14 MEMBER SIEBER: Volume of the core is not  
15 the product of the physical dimensions because the  
16 core itself occupies about half that space, right?

17 DR. WARD: That is the free space. That's  
18 the free area.

19 MEMBER SIEBER: That's the --

20 DR. WARD: That's in between the rods and  
21 the --

22 MEMBER SIEBER: Okay.

23 DR. WARD: Yes. It was the core flow  
24 area. Okay.

25 That's a conservative calculation. I mean,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it's bounding.

2 Now what I want to do before I talk about  
3 boron precip for small breaks, let's talk about the --  
4 yes, blurry. Can you see that okay?

5 MEMBER SIEBER: Yes. Better than the  
6 other one.

7 DR. WARD: Okay. The old technology  
8 works.

9 When Veronica Klein and I looked at the  
10 spectrum, we noticed they only looked at integer break  
11 sizes. And if you look 1, 2, 3, 4, 5, 6 inch diameter  
12 breaks, you find the area is .0055, .02, .05, .09,  
13 .14; there's a pretty wide range there. And typically  
14 for small breaks the limiting break is usually in the  
15 .05 square foot range, somewhere in here and it's  
16 typically a break that's controlled entirely by HPSI  
17 flow, which means you find a break size with a system  
18 depressurizer and it hangs up just above 600 pounds.  
19 The HPSI flow doesn't put as much flow in as an  
20 accumulator so it's going to uncover and then slowly  
21 recover. And typically that's the worse small break.

22 For this plant the accumulator comes on  
23 during that range. We asked them to do a more  
24 detailed spectrum analysis, and you saw that plot.  
25 Maybe quarter inch. They went every quarter inch

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 between 2 and 3 and 3 and 4 and found out that breaks  
2 between 2 and 3 could be more limiting. The worse  
3 break turned out to be a 2.75 inch break compared to  
4 the original analysis submittal of 1759. Now this is  
5 not one-to-one because I think the 1917 degree F PCT  
6 is a time in life study for oxidation. I think the 2½  
7 inch break was worse because although the peak didn't  
8 quite get up, it was uncovered longer so the  
9 oxidations were like 13.42 percent. But basically  
10 what this did looking at a more detail spectrum,  
11 better identified the PCT. And when you got these  
12 high power uprates, I've seen a plants with a  
13 difference of .005 square feet, the PCT can increase  
14 by 70, 80 degrees. So when you're getting p around  
15 1900, 2000 if you want to make sure the margin by  
16 Appendix K is there, then you need to do this. You  
17 need to do a better calculation.

18 Now we did some calculations. Veronica  
19 Klein and I did. Veronica did most of the  
20 calculations.

21 DR. BANERJEE: This is by using your --

22 DR. WARD: This is RELAP5. No, this was  
23 RELAP5. We had a deck. And we got it -- we might  
24 have gotten from the licensee and we thank them for  
25 that. They have been very cooperative in answering

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 all questions. In trying to understand their model,  
2 I've even asked them to do some calculations so I can  
3 understand how their model behaves. And they answered  
4 everything.

5 DR. BANERJEE: What is actually run here  
6 for the RELAP5? Is it just the core region?

7 DR. WARD: No. This is the entire system.  
8 It's your full blown RELAP5 model, okay. Vessel, each  
9 loop. Now we've got 24 cells in here. Better track  
10 the two phase level. And also put a hot bundle in  
11 there with 24 cells in it with a hot rod in it.

12 DR. BANERJEE: And this is the low  
13 pressure long term --

14 DR. WARD: No, this is short term. This  
15 was for PCT. No, no. The boron precip stuff is --

16 DR. BANERJEE: But you don't continue this  
17 into the low pressure?

18 DR. WARD: Yes. I ran this all the way out  
19 to 8 or 9 hours to show refill. And I'll get to that  
20 on the long term part. We ran this for short term to  
21 look at PCT. We also ran it to show for small breaks  
22 where you can't the pressure down low enough to flush  
23 the core, but you can refill the core or resubcool it,  
24 reestablish single phase natural circulation and  
25 disperse the boron. It was run for that. I'll show

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you some of those.

2 DR. BANERJEE: Yes, how does it behave at  
3 low pressure?

4 DR. WARD: Well, great. I mean ask  
5 Veronica. I mean, Veronica never came in my office  
6 once and said "Damn code bombed again on properties."  
7 Never said that once. Run these cases up two hours.  
8 We ran .5, .75, 1 all the way up to one square foot.  
9 We looked at breaks on the top of the pipe because the  
10 lube seals would fill up and potentially depress the  
11 core. And we also looked at side breaks. And we found  
12 that the most limiting break was between these 2 and  
13 3 inch range. A little different break because  
14 they're different critical flow models. But we  
15 basically beat it to death.

16 And we ran these tiny breaks half an inch,  
17 1, 2, 3, 4 out 30,000 seconds.

18 And running with a .05 second time step,  
19 the case runs in two hours.

20 MEMBER WALLIS: You didn't use TRAC?

21 DR. WARD: No. I didn't have an input deck  
22 for it.

23 DR. BANERJEE: But I thought this was  
24 seamless now, conversion from a RELAP5 deck to TRAC?

25 DR. WARD: Not quite.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Little seams still there?

2 DR. WARD: Yes, there's some bugs in it,  
3 you know. The control system you've got to develop.  
4 They're not quite the same. You know, the RELAP5  
5 input is a little different, but they're getting  
6 there. Not quite there yet.

7 DR. BANERJEE: Okay.

8 DR. WARD: They're working feverishly on  
9 it.

10 So I guess I've already said that. So  
11 basically we confirmed the worse break, ran it 14  
12 kilowatts per foot, I think it's a little higher at  
13 the extended power uprate value. And what I want to  
14 do is show you this break between 2 and 3 inches.

15 And the thing I want to point out is the  
16 accumulators. The accumulators are keeping the PCT  
17 down below 2000 degrees. And you can see they're  
18 coming on here. So the system pressure then rises.  
19 They cut back off because it fills the core back up  
20 and so there's more energy addition, the pressure goes  
21 up. And there's a balance between energy addition and  
22 break flow. And so you don't get a huge deluge but  
23 it's enough to turn that temperature over. So the  
24 accumulators are really controlling PCT here. So if  
25 anybody says accumulators are there for large breaks.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 No, small breaks. That's why they're there. That's  
2 why they're important.

3 I'm not going to bore you with the  
4 results, I just thought I'd show you a PCT plot. And  
5 there's 24 cells in the core, so the peak, the peak is  
6 in the top four cells. Temperature is around 1900  
7 degrees.

8 DR. BANERJEE: When do the accumulators  
9 kick in that?

10 DR. WARD: The accumulators kick in right  
11 about here and then they deliver enough flow and they  
12 turned it over right here. The accumulators are  
13 kicking in right about here.

14 MEMBER WALLIS: That's 5 or 6 hours.

15 DR. BANERJEE: And what are those two  
16 curves?

17 DR. WARD: Those are two different axial  
18 slices. This is cell 22. That's two cells from the  
19 top of the core. And this is cell 20. It's 24 cells  
20 in that. That's in the hot bundle. So if you want to  
21 capture the shape and the void distribution at two  
22 phase level, you really need -- I wanted to make sure  
23 we had enough detail in there to capture it.

24 DR. BANERJEE: These are the hottest  
25 areas?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WARD: This is the hot bundle. Right.  
2 The hottest bundle in the core and the hot rod with  
3 the 1400 kilowatts per foot approximately 2 or 3 feet  
4 from the top of that core.

5 Now remember this is Appendix K. This is  
6 20 percent more power than is really there. If we  
7 rerun this with 1.0 multiplier, this temperature is  
8 going to come down here. It's just like increasing  
9 the HPSI flow by 20 percent. That's huge. So it's a  
10 pretty big conservatism.

11 That's probably the conservatism.

12 And we can skip the next one. It's just  
13 another break size and it just shows you the  
14 accumulators are controlling PCT here.

15 I'm only going to mention this quick. If  
16 you look at those slides, you'll see a first peak  
17 here. There's an early CHF condition. Westinghouse  
18 didn't calculate it. I did. It's about 2000 degrees.  
19 And I'm not quite sure. We haven't really figured out  
20 what's causing it, but my suspicion it's a combination  
21 of two things. I'm assuming a reactor trip at the  
22 time you get -- I'm assuming a loss of offsite power  
23 at the same time you would get a reactor trip on a low  
24 pressure during that event. What that does is it says  
25 the -- start coasting down and I got about a 2 second

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 delay before rods go in, so I've got two to three  
2 seconds before the rods in far enough where I'm  
3 generating full power and I'm voiding that hot bundle,  
4 very quickly and rapidly, and I get a heat up.

5 MEMBER WALLIS: And you said Westinghouse  
6 didn't calculate them?

7 DR. WARD: They made the same assumption  
8 in their model tripping it at the same time and  
9 they're not getting a first peak.

10 DR. BANERJEE: They used NOTRUMP, right?

11 DR. WARD: They're using NOTRUMP, I'm  
12 using RELAP. Now, I've got a single hot bundle  
13 channel with cross flow.

14 DR. BANERJEE: How far into the transient  
15 is this?

16 DR. WARD: It's right at reactor trip.

17 MEMBER SIEBER: Two seconds.

18 DR. WARD: It's two seconds in. Once I  
19 get reactor trip --

20 MEMBER WALLIS: So it still meets the  
21 regulation?

22 DR. WARD: It meets the regulation. The  
23 bottom line is it's still below 22. I've never seen  
24 a first peak much over 2000. It's usually anywhere  
25 from 1400 to 2000 degrees. But I only mention it, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 know, we've been talking to each other. We want to get  
2 to the heart of it and figure out what -- there's  
3 probably differences in the model. It could be input.  
4 You know, I'm not sure. But I just wanted to mention  
5 it because it's there and however even if we're  
6 conservative in the resistance and the way we modeled  
7 it, it's still -- the PCT is still less than 2200.

8 DR. BANERJEE: Your model is a two fluid  
9 model whereas theirs in some form is always a mixture  
10 model of sorts?

11 DR. WARD: Yes. It's drip flux approach.

12 DR. BANERJEE: Yes. So you cannot decouple  
13 of the phases which you can?

14 DR. WARD: Right.

15 DR. BANERJEE: So they're bound to move --

16 DR. WARD: Right. Yes.

17 So anyway, what we'll do, we'll follow up  
18 with this. If it looks like we need to pursue this  
19 farther, then we will. But I think we probably, we'll  
20 be able to resolve this once we have the time to  
21 devote to it. More important things were long term  
22 cooling, operator actions and behavior.

23 Now what I'll do is get into the small  
24 break. And as I said, small breaks pressure can hang  
25 up 1 or 200 pounds for these tiny leaks for long

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 periods of time. And the pressure remains too high  
2 and you can't flush. So what do you do? You've got to  
3 reduce the pressure to low enough to flush it or cool  
4 down early enough and fast enough within your cool  
5 down tech spec limit and refill this thing and  
6 resubcool it.

7 And this was an open item identified in  
8 the SER, but we're very close to getting closed here.  
9 The licensee has done their calculations. I haven't  
10 seen them yet, but once I see them and I can see that  
11 they've got essentially the same response that I did,  
12 then that will be a closed door. But --

13 MEMBER WALLIS: This comes to the full  
14 Committee when it's all going to be sorted out?

15 DR. WARD: Yes. Yes.

16 MEMBER WALLIS: Yes?

17 DR. WARD: Yes, it should.

18 MEMBER WALLIS: Next week?

19 CHAIRMAN DENNING: That's next week.

20 DR. WARD: Yes, it should. They've got the  
21 calculations all finished, I just haven't seen them.  
22 I just want to -- I have convinced myself that this  
23 works. And I'm comfortable with it. I understand it,  
24 did the calculations.

25 MEMBER WALLIS: But it's up to them to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 show you.

2 DR. WARD: But it's up to them to do it  
3 and it's up to them to make sure that it works with  
4 their model. And they have said that they're getting  
5 the same response that I've got for these breaks.  
6 It's for the breaks they can't flush, the refilling  
7 for the bigger breaks, they're depressurizing and  
8 they're flushing the core.

9 DR. BANERJEE: Tell us the differences  
10 that were there before you started to rationalize it.  
11 What were you seeing and what were they seeing?

12 DR. WARD: Well, I wasn't seeing anything  
13 from them. I wanted them to do this. There wasn't any  
14 analysis of this at all. This was a question I had,  
15 hey, you guys got to look at small breaks, too,  
16 because you've either got to cool it down and flush it  
17 or you got to refill it. And I want to see those  
18 calculations. And they did that.

19 DR. BANERJEE: Okay.

20 MR. HARTZ: Yes. This is Josh Hartz of  
21 Westinghouse.

22 Dr. Ward did some hand calculations that  
23 cast some concern on the depressurization aspects  
24 under small break LOCA long term cooling. We have  
25 since gone off and done some runs in NOTRUMP space to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 demonstrate you can get down to a low pressure to the  
2 point where you can provide RHR flow to mitigate the  
3 boron precipitation here in a timely manner.

4 And also in speaking for Dr. Ward, he has  
5 since done RELAP calculations which basically show the  
6 same thing. And we're in the process of validating  
7 those calculations and they'll be done within the next  
8 few days, the official review of them.

9 DR. WARD: I'm going to show you the  
10 results of a 1, and a 2 and a 3 inch break in the cold  
11 leg. And you can boil for a while here.

12 This is RCS pressure versus time and you  
13 can see the smallest break here is the 1 inch break.  
14 It hangs up on a pressure plateau. That's because the  
15 break is not big enough to depressurize the system.  
16 You need heat removal through the generator. So a  
17 delta T will develop between the primary and the  
18 secondary. You are condensing steam here. You are  
19 refluxing. And it's holding the pressure above the  
20 secondary side, which is probably around 1100,  
21 somewhere, a 1000. At one hour open the atmospheric  
22 dump valves, cool this plant down. And cool down.  
23 And then at about a little over an hour and a half,  
24 maybe just under two hours, you can see this little  
25 blip there. And I should have blow this. I apologize.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 But what happens here is it refills. And if I plot the  
2 void fraction in the core, you will see it go up and  
3 it will go to zero right at this time.

4 Now, if I look at a little bigger break,  
5 a 2 inch break --

6 DR. BANERJEE: Is there any core uncovering  
7 during that refluxing?

8 DR. WARD: Yes. For the 2 inch -- it's in  
9 the short term. It's back. It's occurring back --  
10 well, it would occur back in here. Now remember that  
11 analysis that you saw for short term doesn't assume  
12 any cool down. So if you cool down, you've probably  
13 got to limit the amount of uncovering and it's recover  
14 fast. So the temperature is probably going to be a  
15 little lower.

16 But we're looking at boron precipitation  
17 and getting down here. And the procedure now says  
18 cool this plant down at an hour. And so what that  
19 does is the one inch refills at about 7,000 seconds.  
20 Just under 2 hours.

21 The 2 inch, and see I stopped it after  
22 refill. It refilled right here. So it's a little  
23 bigger break, take a little bit longer to refill. But  
24 it repressurized and it's resubcooled, void fraction  
25 went to zero right here in the core.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   And then I said let's run the 3 inch, what  
2 happens with that guy. And, of course, he  
3 depressurizes a little faster because the break's big  
4 enough to -- you get steam out the break and you  
5 depressurize real early. But that refills out here  
6 around 17,000 seconds. And you can see the void  
7 fraction in the core go to zero right about there.

8                   And if I look at a 4 inch or bigger, I'm  
9 down below 100 pounds in the real low pressure range  
10 where the high pressure pump is going to flush it.

11                  DR. BANERJEE: Then let me ask you  
12 something. You get significant periods of concurrent  
13 flow here, right?

14                  DR. WARD: Yes, that's right.

15                  DR. BANERJEE: In your opinion how does  
16 NOTRUMP calculate concurrent flow?

17                  DR. WARD: Well, it looks at the junction  
18 connected from the hot leg to the generator. And it  
19 looks at the steam flow going up and it says if the  
20 steam flow is greater than a JG that says no liquid  
21 goes down, then it doesn't allow liquid to go down.  
22 I think the drift velocity model is solved such that  
23 if you're in that flooded region, only steam goes up  
24 and no liquid will come out.

25                  DR. BANERJEE: Can you get counter

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 currents.

2 DR. WARD: Yes, you can. If the steam  
3 velocity is low enough, you can have -- for this  
4 transfer -- small breaks typically you don't see the  
5 water hold up for these 2 and 1 and 2 inch breaks  
6 because there's not enough steam flow. You're far out  
7 in time. There's a large area there. So there's just  
8 not enough of a flux to hold it up.

9 With these power uprates though, you asked  
10 a good question. You're starting to see higher steam  
11 rates. And they did see some hold up. And I saw that.  
12 We asked them hey, what happens if you don't hold it  
13 up, you let it drain out or carry it over. And Josh  
14 did some calculations where he let it drain it out.

15 If you let it drain out, then the core  
16 uncovers later and not as deep because it's in a lower  
17 decay heat span. Because the code was calculating  
18 some water hold up, once the core uncovered, you can  
19 see once it got down to about 50 percent, 60 percent  
20 uncover, the steam rate dropped off. The JG was too  
21 low and liquid started to drain out. What it did is it  
22 recovered the two phase level. But it turned out that  
23 the early uncover, even with that slight recovery,  
24 that's still worse than throwing it on the other side  
25 or letting it drain out. Because what it does is it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 throws the uncovering out farther in time when the decay  
2 heat is lower, so that's not as limiting.

3 MR. HARTZ: Yes. Plus there was a little  
4 bit of a extended period of two phase low quality  
5 mixture coming out the break in the cold leg there,  
6 which tended to drive mass loss up.

7 DR. WARD: Okay.

8 DR. BANERJEE: And RELAP5 isn't great at  
9 this flooding calculation either. Because, you know,  
10 the problem -- we can discuss it off line.

11 DR. WARD: Okay.

12 DR. BANERJEE: But it's long known that  
13 the interfacial drag correlation has difficulties in  
14 this region.

15 DR. WARD: Yes. Could be.

16 DR. BANERJEE: Way back --

17 DR. WARD: Yes.

18 So what this really says is it really  
19 emphasizes operator action. I mean to control boric  
20 acid you have to cool -- in order for this refill to  
21 occur, you have to initiate a cool down at an hour.  
22 And the licensee has agreed to emphasize or make sure  
23 that it says start your cool down no later than an  
24 hour. Because it's important to depressurize and get  
25 the pressure down and flush it as early as -- you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 don't want to sit there boiling for long period of  
2 time because if you did, let's say a dump valve failed  
3 -- and that analysis I did I'm going to point out  
4 there are four dump valves. I failed one of them and  
5 I failed the HPSI part; that's a multiple failure  
6 event and it still worked.

7           What this says is that they need to be  
8 very aware of there are other depressurization  
9 capabilities. And they have to PORVs as a backup.  
10 Plus four dump valves. There's one on each generator  
11 and then there's a common one on the main steamline  
12 for both units. And they're a huge capacity.

13           So really what this says is the EOP  
14 guidance is really important and the equipment you use  
15 to cool down. And make sure that you can control  
16 boric acid for small breaks is important. And all  
17 they need to know is when the break opened and they  
18 switched to simultaneous injection at 6 hours, that's  
19 all they need to know about. But they need for small  
20 breaks to be successful, you need to cool down no  
21 later than an hour. If you're going to wait longer  
22 then -- the scenario is going to change. The other  
23 thing is you don't also caution -- there's going to be  
24 a caution in there, I think this is part of their  
25 training program. And if your boiling for extended

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 period of time, let's say you're out eight to ten  
2 hours. And since the pressure in those cases is up  
3 pretty high, the precipitation limit is up like 50  
4 percent. So the 6 hour doesn't apply. I can sit there  
5 and boil for a while. But you don't want to do that  
6 because if you get power back, you don't want the  
7 operators crashing the pressure down when you've got  
8 40 weight percent in the system. So it's important to  
9 cool down and get this thing refilled and flushed as  
10 early as possible.

11 And the calculations show that you can do  
12 that. Even with a multiple failure event you can do  
13 it. At least I'm convinced of it. And I think Josh  
14 and Westinghouse has done the calculations to also  
15 show that.

16 So the EOP, this review had done a couple  
17 of things. It's identified a worse break. We got rid  
18 of the integer break spectrum.

19 They were assuming all the loop blown.  
20 Now that's not their approved model. Had them rerun it  
21 again with only assuming the broken loop seal clears,  
22 and that's what we approved. And they did in order to  
23 compensate for the very high PCTs. Probably PCTs over  
24 2200, they increased the accumulator pressure to 625  
25 to keep it down around 1900. So from a safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 standpoint, that's a good thing to do. Now they'd  
2 already increased the HPSI flow 5 percent. That's also  
3 from a safety standpoint a good thing to do.

4 But then the Staff calculations on boric  
5 acid precipitation for small breaks also enabled us to  
6 emphasize the need for the EOPs and have the operators  
7 cool this thing down no later than an hour and be very  
8 sensitive to the depressurization equipment that they  
9 have. And not to inadvertently depressurize the  
10 system if you for some reason boil for 8 to 10 hours.  
11 And even if you're up there around 100 pounds to 200  
12 pounds pressure, boiling for 10 or 15 hours, it's in  
13 solution. You've got 55 weight percent for probably  
14 a limit. But your accumulating too much boil. You  
15 don't want to sit there too long. The emphasis is get  
16 the thing down and get it refilled.

17 CHAIRMAN DENNING: I'm missing as far as  
18 whether you made recommendations for EOP actions that  
19 haven't really been implemented yet relative to this  
20 timing of cool down?

21 DR. WARD: Right. The vendor needs to EOP  
22 guidance that's consistent with their analyses that  
23 shows in order to refill the system for these small  
24 breaks, you need to initiate a cool down no later than  
25 an hour. Don't boil for long periods of time because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you can get --

2 CHAIRMAN DENNING: You say "initiate a  
3 cool down." Where do you have to be when?

4 DR. WARD: Well, you start -- remember I  
5 showed you the calculation. Right here. One hour.

6 This analysis, the refill for these breaks  
7 and you flush this. It's based on cooling down at one  
8 hour. If you come out here, I mean you're going to be  
9 boiling for a longer time, you're going to build up  
10 more boron. It's probably not a good thing to sit  
11 there boiling for a long time building up a lot of  
12 boron because you put yourself in a situation where if  
13 you get power back out here and then you decide to  
14 open the turbine bypass and crash -- let's say you  
15 could crash the pressure down, you could cause a  
16 precipitation. You don't want that to happen.

17 You want to cool it down. Start the cool  
18 down early and get it refilled and disperse the boron  
19 so you don't have these large amounts of boron in the  
20 system.

21 MR. HARTZ: This Josh Hartz from  
22 Westinghouse again.

23 The way the EOP guidance is currently  
24 written this would occur. In fact, it would occur  
25 sooner than that. What Len's analysis is showing that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 if you start to cool down at one hour, the boron  
2 precipitation concern as analyzed here really isn't a  
3 concern.

4 Estimates from the Operations folks show  
5 that this cool down would actually start somewhere  
6 between 30 to 40 minutes into the transient. And  
7 that's the way the guidance is currently.

8 And Pete with his Operations experience  
9 can maybe add something to this.

10 MR. SENA: Yes. This is Pete Sena. We ran  
11 the Operations crews both units through simulated  
12 small break scenarios, various spectrums of small  
13 breaks, using existing EOP guidelines. And the crews  
14 were able to initiate the cool down with the existing  
15 network within 30 minutes.

16 I personally ran it and with one signal  
17 operator, assuming one operator was incapacitated. And  
18 the cool down was initiated within 24 minutes.

19 So with existing guidelines we can satisfy  
20 the one hour requirement that Len has identified.

21 DR. WARD: A couple of other things here,  
22 too, I'd just like to add.

23 There's some other depressurization  
24 mechanisms that we didn't even account for. And one  
25 would be using pressurization ox spray if the power

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 operator relief valves on the pressurizer were not  
2 available. We did not credit that.

3 And also for these smaller breaks which  
4 don't depressurize, like I discussed earlier you do go  
5 through a single and two phase natural circulation  
6 period. Typically for these breaks that's on the  
7 order of anywhere from 1,000 to 2,000 seconds. During  
8 that time frame everything within the reactor coolant  
9 system is homogenous. And so these boil off  
10 calculations would really start after that mechanism  
11 breaks down.

12 We assume that that starts at time equal  
13 zero. And so if the calculations has truly took that  
14 into account, the actual hot leg switchover time would  
15 be extended well beyond what is being calculated here,  
16 not accounting for that.

17 DR. BANERJEE: But the RELAP5 calculations  
18 automatically should take natural circulation and  
19 break down of natural circulation into account.

20 DR. WARD: They did. They did. They have  
21 that in there. That's built it. That's built it.

22 DR. BANERJEE: So I mean that's  
23 automatically taken --

24 MR. LASH: Yes, it's in there.

25 DR. BANERJEE: --into account then.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WARD: Right. You're right. That's  
2 correct.

3 MR. HARTZ:

4 Well, they do for the depressurization aspects,  
5 but for the boric acid precipitation calculations they  
6 do not because it's a different model.

7 DR. WARD: Yes, that's a different model.

8 DR. BANERJEE: But you could incorporate  
9 boric acid into your -- as a scale of field, right?

10 DR. WARD: You could. And then you get  
11 diffusion problems. You know, you got to make sure  
12 that -- all over these cells.

13 DR. BANERJEE: Because of your --

14 DR. WARD: Because of the first order --  
15 difference on the --

16 DR. BANERJEE: On the cells.

17 DR. WARD: You know, so I got to go  
18 through and got to do a third order and then I got to  
19 a put -- boy, that's a pain in the you know what.

20 DR. BANERJEE: Yes. So the scale equation  
21 would have to be solved --

22 DR. WARD: That's right. That's right.  
23 Right.

24 CHAIRMAN DENNING: You done?

25 DR. WARD: Yes, I'm done. So I guess I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 don't -- unless you have any questions.

2 CHAIRMAN DENNING: Thank you.

3 DR. WARD: Looks fine.

4 DR. BANERJEE: You do that in any case,  
5 you know.

6 DR. WARD: Yes.

7 DR. BANERJEE: You could with a lot of  
8 these issues?

9 DR. WARD: I could, yes.

10 DR. BANERJEE: It's not such a big deal.

11 CHAIRMAN DENNING: And now we're going to  
12 have a discussion of containment from NRR.

13 To the extent that there is some  
14 repetition, go quickly.

15 MR. LOBEL: Yes, there's a lot of  
16 repetition.

17 Good afternoon. My name is Richard Lobel.  
18 I'm a senior reactor systems engineering in the Office  
19 of Nuclear Reactor Regulation. I'm here today to  
20 discuss the Staff review of the FENOC proposal to  
21 convert the Beaver Valley Unit 1 and Unit 2  
22 containments from sub-atmospheric to atmospheric  
23 containment designs.

24 The licensee performed the analyses to  
25 support the containment conversion at extend power

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 uprate conditions. So the Staff's review of their  
2 containment conversion also serves as the review of  
3 the extended power uprate.

4 A lot of what I was going to say has  
5 already been discussed, so I'll try to go through it  
6 or skip parts of it.

7 Next. Okay.

8 February 6, 2006 there was an NRC letter  
9 to FENOC that approved the conversion of the Beaver  
10 Valley Unit 1 and Unit 2 containments from sub-  
11 atmospheric to atmospheric. And as part of that  
12 proposal, part of the original proposal the licensee  
13 included consideration of extended power uprate and  
14 the Unit 1 steam generator replacement. Also the  
15 licensee used the new analysis method, MAAAP-DBA.

16 Next slide.

17 Beaver Valley units aren't the first power  
18 plants to convert from a sub-atmospheric to an  
19 atmospheric containment. Millstone Unit 3 is a 4 loop  
20 Westinghouse designed reactor that was originally  
21 licensed as a sub-atmospheric containment in 1986 and  
22 in 1990 the licensee for Millstone proposed converting  
23 from a sub-atmospheric containment to a higher  
24 pressure but still with a vacuum, but the design basis  
25 was changed to that of an atmospheric containment,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 which is pretty much what Beaver Valley has done. And  
2 the staff approved the Millstone Unit 3 proposal in  
3 January of 1991.

4 I think I'll skip this one. The licensee  
5 already talked about the pressure ranges, that they're  
6 increasing the pressure in the containment but it'll  
7 still be operated from 12.8 psia to a very slight  
8 vacuum. The licensee added a lower temperature limit  
9 in the tech specs also that limits the mass of air in  
10 the containment for a given pressure that's important  
11 for the pressurization calculations.

12 Next slide. Let me just say that this is  
13 the sub-atmospheric containment design bases which  
14 were the design bases for the Beaver Valley  
15 containments before the conversion. And the design  
16 bases that are italicized are the ones that changed.

17 For sub-atmospheric containment the  
18 requirement is to depressurize after a LOCA in one  
19 hour and once depressurized to stay sub-atmospheric  
20 for the rest of the accident. And that has a direct  
21 impact on the dose calculations once the reactor is  
22 depressurized again, they don't have to assume leakage  
23 from the containment for dose calculations.

24 For the atmospheric containment design,  
25 the other design bases remained the same, but the ones

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of concern, the sub-atmospheric containment, were  
2 replaced by one that says that the containment  
3 pressure should be less than 50 percent of the peak  
4 within 24 hours. And the reason for that is that  
5 helps in the dose calculations because when the  
6 pressure is less than 50 percent, the guidance for  
7 dose calculations states that the containment leakage  
8 can be reduced by half after 24 hours.

9 CHAIRMAN DENNING: What do you mean  
10 "minimum containment pressure greater than 8 psia."  
11 It's just at that initial time when they need credit?

12 MR. LOBEL: For the atmospheric  
13 containment -- no, they calculate a peak pressure and  
14 then they demonstrate that within 24 hours the  
15 pressure is reduced to 50 percent of that peak  
16 pressure.

17 CHAIRMAN DENNING: Your fifth bullet right  
18 there.

19 MR. LOBEL: Oh, that's really a  
20 requirement for reverse pressure on the containment  
21 that the pressure on the outside of the containment  
22 could be larger than the pressure inside the  
23 containment. And --

24 MEMBER WALLIS: Is it collapsing the  
25 containment you're worried about?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LOBEL: Yes. And there's a structural  
2 requirement for that. And that's demonstrated by  
3 assuming an inadvertent actuation of the containment  
4 sprays and that the pressure won't go down below 8  
5 psia.

6 CHAIRMAN DENNING: But clearly you'd have  
7 to lose an awful lot of air for that to happen in this  
8 containment?

9 MR. LOBEL: Well, you start with a low  
10 pressure and then you make very conservative  
11 assumptions about the temperature of the sprays and  
12 that kind of thing.

13 CHAIRMAN DENNING: Okay.

14 MR. LOBEL: It's a very conservative hand  
15 calculation.

16 The large break LOCA I think you've pretty  
17 much gone through, or the licensee pretty much went  
18 through with that. Let me just say that the  
19 calculations for the mass and energy release were done  
20 with NRC approved Westinghouse methods for less than  
21 one hour. For greater than one hour the mass release  
22 was calculated with the same NRC approved Westinghouse  
23 methods. The energy was calculated with the MAAP-DBA  
24 code.

25 We had some questions about separating the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 calculation of the mass and the energy between two  
2 separate codes. So Veronica Klein, who is still here,  
3 did some calculations for us with the RELAP code that  
4 essentially verified that we got almost the same  
5 results the licensee did with separating the two  
6 calculations. And so we found that their approach was  
7 satisfactory.

8 You've already seen the LOCA results. I  
9 won't go through that again.

10 For the main steamline break, the mass and  
11 energy release calculations were done with  
12 Westinghouse approved methods. The licensee modeled  
13 the replacement steam generators, the cavitating  
14 ventureries. Since it's difficult to tell what size  
15 break and what power level they're limiting for main  
16 steamline break, the licensee did a spectrum of breaks  
17 and power levels. And made conservative assumptions,  
18 the -- failure and other conditions that maximize the  
19 inventory in the steam generator and the stored energy  
20 in the steam generator.

21 One of the important parameters from the  
22 main steamline break calculation is the liner  
23 temperature. The LOCA gives the peak containment  
24 pressure, the main steamline break is the highest  
25 temperature. The acceptance criterion for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 containment liner was 280 degree. And the licensee  
2 calculated temperatures lower than that with  
3 conservative assumptions. For instance, the heat  
4 transfer coefficient between the containment  
5 atmosphere and the liner was multiplied by a factor of  
6 4 that's consistent with the Standard Review Plan.

7 Now for over pressure and NPSH. The  
8 Standard Review Plan Section 6.2.2 for sub-atmospheric  
9 containment allows credit for containment accident  
10 pressure for available NPSH during the injection phase  
11 of the LOCA. At the pre EPU power level for the sub-  
12 atmospheric containment Beaver Valley Unit 1 credits  
13 containment accident pressure calculating the  
14 available NPSH for the recirculation spray pumps and  
15 the low head injection pumps. And this was part of the  
16 original licensing bases.

17 At the pre-EPI power level in the sub-  
18 atmospheric containment Unit 2 doesn't credit  
19 containment accident pressure. At the extended power  
20 uprate conditions conversion on the atmospheric  
21 containment, the containment accident pressure is  
22 credited for Unit 1 for the recirculation spray pumps  
23 not for the low head safety injection pumps. That's  
24 based on changing the timing of the actuation of the  
25 low head safety injection pumps.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Unit 2 at extended power uprate with the  
2 containment conversion still doesn't need credit for  
3 containment accident pressure.

4 Let me see. I think they went through the  
5 basic reasons. Basically for Unit 1 the recirculation  
6 spray pumps start at a time when the level in the sump  
7 is still relatively low and the temperature of the  
8 sump water is relatively high and due to the placement  
9 of the pumps in Beaver Valley 1, that's what requires  
10 credit for containment pressure. And we queried the  
11 licensee about what would happen if you did a  
12 realistic calculation and not a conservative  
13 calculation. And they say that due to those factors  
14 they would still need credit for containment accident  
15 pressure.

16 CHAIRMAN DENNING: I wasn't sure I heard  
17 that earlier. Is that basically the position of  
18 Beaver Valley that for realistic calculation with  
19 uncertainties, not suggesting that you would do that,  
20 but is that your feeling that -- did you hear that  
21 fifth bullet?

22 MR. LOBEL: We asked that question in a  
23 formal RAI.

24 CHAIRMAN DENNING: In a RAI. So it get a  
25 formal answer.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: Ken Frederick.

2 In looking at a better estimate analysis  
3 the parameters that we can vary towards more best  
4 estimate do not directly impact the sump temperature  
5 to a degree where we could get rid of the requirement  
6 for containment over pressure. There is some benefit  
7 there, but it's not enough to get rid of the  
8 requirement.

9 CHAIRMAN DENNING: Thank you.

10 MR. LOBEL: Next.

11 This is similar to the curve that was  
12 shown before, and it's a curve for the worst case of  
13 the containment pressure actually in terms of  
14 overpressure versus the pressure that's required for  
15 adequate NPSH for the inside and outside recirculation  
16 spray pumps.

17 Again, this is in terms of overpressure so  
18 you're looking at their definition of overpressure  
19 which is the calculated containment pressure above the  
20 initial containment pressure.

21 And you can see that this is for the first  
22 case, that they don't need the credit for a very long  
23 time and there is margin to a conservatively  
24 calculated containment pressure.

25 The difference between the peak pressure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in this case and the minimum pressure is really less  
2 than it was last time I was here talking about Vermont  
3 Yankee. There was a lot larger difference. But the  
4 licensee submittal was very good with respect to  
5 talking about the input parameters that went into this  
6 and sensitivity studies they did. And there's a table  
7 in the Jun 2, 2004 letter, it's table 4.3 where they  
8 have a list of the significant variables and  
9 sensitivities that they've determined for the  
10 different cases and for NPSH they assumed values that  
11 were in the most adverse direction for calculating  
12 NPSH.

13 So judging from that, we're convinced that  
14 the calculation is conservative for a minimum  
15 pressure.

16 The next curve you've also seen before,  
17 and I think that had a pretty good explanation so I  
18 won't go through that again. But, again, I think the  
19 important point is in terms of containment integrity.  
20 For the largest assumed hole between the inside and  
21 the outside of containment, the largest penetration  
22 that connects the inside atmosphere to the outside  
23 atmosphere if I assume that that's open, I still  
24 maintain some NPSH margin.

25 Next slide.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   There is a 1977 report which was submitted  
2                   to the NRC where there was some testing of a  
3                   recirculation spray pump for North Anna Unit 2. You  
4                   saw the NPSH curves for it before. And the central  
5                   point, again, was that this pump was tested in  
6                   cavitation at different levels and then run for half  
7                   an hour at a significant amount of cavitation well  
8                   below the 3 percent usual required NPSH value. And  
9                   there was essentially no wear and no damage to the  
10                  pump.

11                  So in conclusion for this part, the Staff  
12                  accepted the licensee's proposed credit for  
13                  containment accident pressure in defining available  
14                  NPSH for the recirculation spray pumps based on  
15                  several reasons.

16                  First, containment integrity is assumed  
17                  for postulated designed bases accident, in particular  
18                  as I've said before here, Appendix K permits the use  
19                  of conservatively minimized containment pressure in  
20                  determining peak cladding temperature and oxidation  
21                  limits. And also offsite and control room dose  
22                  calculations assumed containment leakage at -- which  
23                  is a very large leakage value of containment that's  
24                  specified in the technical specifications. And that  
25                  low leakage rate also assumes containment integrity.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Furthermore, the licensee's study shows,  
2           as I just said, that for the largest penetration  
3           directly connecting the inside of containment to the  
4           outside of containment, that there would still be  
5           sufficient NPSH margin.

6           The Beaver Valley containment pressure  
7           during normal operation would be slightly sub-  
8           atmospheric. That's a tech spec requirement. And  
9           therefore, any significant leakage in containment  
10          should be detected.

11          Also credit for containment accident  
12          pressure is applied for a relatively short time in the  
13          case of Beaver Valley. And as I just said, also the  
14          Beaver Valley pump tests that demonstrated that the  
15          pumps can operate with some level of cavitation for a  
16          longer time than they would need to according to these  
17          conservative calculations without experiencing any  
18          damage or wear.

19          And finally, there's no impact on the  
20          emergency operating procedures of crediting  
21          containment accident pressure.

22          MEMBER MAYNARD: I would agree with a  
23          caveat that containment operating at a vacuum doesn't  
24          always guarantee that there's no leak path when it's  
25          pressurized. But I do agree with the overall

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 conclusion.

2 MR. LOBEL: It's sort of like the argument  
3 that I was making for Vermont Yankee, which was an  
4 inerted containment. That it's just another factor.

5 MEMBER MAYNARD: Yes.

6 MR. LOBEL: And it depends on the size of  
7 the hole.

8 MEMBER MAYNARD: And the characteristic.  
9 A check valve will stop flow one way but not another  
10 way.

11 MR. LOBEL: Right.

12 MEMBER MAYNARD: A minor thing.

13 MR. LOBEL: Right.

14 MEMBER MAYNARD: Not a direct correlation.

15 MR. LOBEL: I think part of this review  
16 was actually the review of the MAAP-DBA code. The  
17 licensee actually made a presentation to ACRS to the  
18 Thermal-Hydraulic Phenomena Subcommittee back in  
19 November of 2001. And since then the Staff and the  
20 licensee have had an interaction talking about the  
21 various proposed models in the code. The licensee  
22 submitted a description of MAAP-DBA in November of  
23 2003 in a letter to the NRC. And there's another  
24 description of the code in the licensee's containment  
25 conversion submittal.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: When we saw, we had a lot  
2 of questions, didn't we?

3 MR. LOBEL: Right. There --

4 MEMBER WALLIS: We were expecting to see  
5 it again.

6 MR. LOBEL: There was some good questions  
7 that were asked. That version was called MAAP5. And  
8 the licensee revised the code based on the review that  
9 we did to MAAP-DBA where MAAP-DBA is more in line with  
10 the Standard Review Plan. MAAP5 had a lot of -- not  
11 a lot. Had some moderates that were kind of unique to  
12 containment analysis at the time. And as we went  
13 through the review process, we ended up with MAAP-DBA.

14 I really have a longer presentation on  
15 MAAP-DBA, but given the time constraints, I wasn't  
16 going to do very much. Of course, if you'd like to see  
17 more. I can't speak for the licensee, but we can come  
18 back, the Staff can come back and talk about it in  
19 more detail.

20 DR. BANERJEE: Can I just ask a couple of  
21 things about it.

22 MR. LOBEL: Sure.

23 DR. BANERJEE: Do you have some  
24 experiments against which it's been validated?

25 MR. LOBEL: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: That's one.

2 MR. LOBEL: Separate tests and integral  
3 containment experiments.

4 DR. BANERJEE: And any other codes against  
5 which it has been compared?

6 MR. LOBEL: The licensee made comparisons  
7 and got pretty close agreement with GOTHIC6. GOTHIC  
8 is kind of getting to be kind of the industry standard  
9 for CONTAIN code. Are you familiar with GOTHIC at all?  
10 GOTHIC was developed by EPRI.

11 DR. BANERJEE: Yes.

12 MR. LOBEL: Developed for EPRI by  
13 Numerical Occupations, Incorporated. And it's an  
14 Appendix B code. It's subject to Part 23. And EPRI  
15 for ever new version that makes a significant version,  
16 basically the whole validation process in a lot more  
17 detail than vendors usually do for these kinds of  
18 things. They compare with a lot more data.

19 Most of the data that Beaver Valley used  
20 for the MAAP code was International Standard Problems.  
21 There's a German decommissioned reactor, HDR, that had  
22 a couple of standard problems. And some very old data  
23 that's still useful from a decommissioned reactor and  
24 the reactor in this country, CVTR that they compared  
25 with. And the comparisons were good.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: This is the spray and all  
2 this sort of stuff?

3 MR. LOBEL: Right. With spray and without  
4 spray. There are some separate effects tests that  
5 were done with some Canadian data where there is, I  
6 believe, one nozzle on a five nozzle spray test in a  
7 steel vessel. But the first test was without the  
8 spray. So the licensee compared with the data without  
9 the spray and with the one nozzle and the five  
10 nozzles.

11 And also for some Japanese data, they did  
12 comparisons against data -- I'm trying to remember now  
13 if they did -- the Japanese tests were done with a  
14 single nozzle and with multiple nozzles. And the  
15 advantage of the single nozzle test was that the spray  
16 didn't touch the walls of the vessels. So it was  
17 strictly an interaction of the spray with the  
18 atmosphere without the effects of the walls and  
19 condensation and impacted the spray --

20 DR. BANERJEE: Has the NRC Staff had a  
21 chance to use this code and compare it with some  
22 experiment which it hasn't been validated against?

23 MR. LOBEL: Use the MAAP code? No. No,  
24 we haven't.

25 DR. BANERJEE: You don't have access to it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to compare it with anything?

2 MR. LOBEL: Really didn't ask for access  
3 to it.

4 DR. BANERJEE: Okay. In other words, I'm  
5 always sort of worried that codes can be validated  
6 against data but once they're frozen and you compare  
7 them to a new set of data, they may not work so well.

8 MR. LOBEL: Well, back in the days when we  
9 were reviewing MAAP5 we did pretty extensive  
10 calculations to compare with MAAP5 using our CONTAIN  
11 code. We didn't use the MAAP code, but we used the  
12 CONTAIN code. And our Office of Research was involve  
13 din that review. And at a certain point in that  
14 review we decided when the licensee came in with MAAP-  
15 DBA, we decided that based on the changes that were  
16 made from MAAP5 to MAAP-DBA, that MAAP-DBA pretty  
17 closely followed the Standard Review Plan, the Tagami  
18 Uchida correlations and the same type of heat transfer  
19 correlations that are used in the CONTAIN code. And  
20 we made the decision that we didn't need to do anymore  
21 audit calculations.

22 DR. BANERJEE: Do you have any code  
23 available to you to do an independent audit?

24 MR. LOBEL: We have the CONTAIN code. Like  
25 I say, we used the CONTAIN code for the MAAP5 review.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 We also have the GOTHIC code. We have--

2 DR. BANERJEE: GOTHIC6?

3 MR. LOBEL: Well, GOTHIC6 is what the  
4 licensee compared with. We have GOTHIC7.2, which is  
5 a later version. The latest version, I believe. So we  
6 have that code available to us also.

7 CHAIRMAN DENNING: To what extent is this  
8 operated in a best estimate versus a licensing kind of  
9 mode, isn't it? Don't you typically use it in a mode  
10 in which, depending upon whether you're looking for  
11 high containment pressure or low containment pressure  
12 and stuff like that, it's --

13 MR. LOBEL: Are you talking about MAAP?

14 CHAIRMAN DENNING: MAAP-DBA, the way it's  
15 used.

16 MR. LOBEL: A lot of the conservatism I  
17 think comes from the assumptions that are made, the  
18 input that's made. So you --

19 CHAIRMAN DENNING: Like Tagami Uchida I've  
20 always thought that those were very conservative  
21 correlations.

22 MR. LOBEL: Yes. Yes, they are. There's  
23 some disagreement about how conservative in comparing  
24 the data. But the Staff has always accepted those on  
25 the basis that they're conservative.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER WALLIS: They're conservative in  
2 what way?

3 CHAIRMAN DENNING: Node.

4 MR. LOBEL: But-- but -- but MAAP has  
5 other heat transfer correlations that they use. For  
6 MAAP, MAAP is used for single node and multiple node  
7 calculations. For the single node calculations which  
8 they used for the peak pressure and temperature and  
9 those things, they're done, it's Tagami and Uchida  
10 because the basis of deriving Tagami and Uchida was a  
11 single volume experiment. For the multiple node  
12 different heat transfer correlations are used that are  
13 more best estimate.

14 But then like I was showing for the case  
15 of the liner temperature, you know you can bias the  
16 results to either give a high heat transfer, a low  
17 heat transfer, high pressure, low pressure.

18 DR. BANERJEE: Perhaps the concern is that  
19 this core is being used in sort of an inverse way.  
20 Usually you are trying to be conservative with regard  
21 to how high the pressure is. I mean, most coded are  
22 tuned to do that. Now you're trying to be conservative  
23 with regard to how low the pressure can be.

24 MR. LOBEL: It's really just a function of  
25 the input. For instance, if I'm trying to predict a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 low pressure, I --

2 DR. BANERJEE: Lower limit?

3 MR. LOBEL: Lower limit.

4 DR. BANERJEE: Yes.

5 MR. LOBEL: Lower limit, a lower bound on  
6 the pressure, I'll assume that the containment  
7 starting pressure is low. If I were doing a peak  
8 pressure calculation, I would assume that the starting  
9 pressure is high.

10 MEMBER WALLIS: But how about the heat  
11 transfer coefficients?

12 MR. LOBEL: The heat transfer  
13 coefficients--

14 MEMBER WALLIS: Are they conservative one  
15 way or the other way?

16 MR. LOBEL: Right. Right. That would be  
17 another one.

18 MEMBER WALLIS: Which way are they?

19 MR. LOBEL: Well, for peak pressure --

20 MEMBER WALLIS: You'd use those?

21 MR. LOBEL: -- you would want to minimize  
22 the --

23 MEMBER WALLIS: Right.

24 MR. LOBEL: -- heat transfer. They say  
25 like for the peak pressure you want to minimize the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 heat transfer coefficient.

2 MEMBER WALLIS: Right.

3 MR. LOBEL: For the minimum pressure you  
4 try to maximize.

5 MEMBER WALLIS: Well how do you do that?

6 MR. LOBEL: How do you do that? Well, you  
7 can do it in several ways. You can minimize the heat  
8 transfer --

9 MEMBER WALLIS: You can make it zero. You  
10 can make the heat transfer coefficient zero.

11 MR. LOBEL: You could --

12 DR. BANERJEE: You could not do it in  
13 infinity --

14 MR. LOBEL: That's what the BWRs do.

15 MEMBER WALLIS: Right.

16 MR. LOBEL: They look at zero.

17 DR. BANERJEE: But you can't make  
18 infinity?

19 MR. LOBEL: Well, I --

20 DR. BANERJEE: Or can you?

21 MR. LOBEL: I haven't done the  
22 calculations, but I imagine there's probably a point  
23 of diminishing returns where it doesn't matter  
24 anymore.

25 DR. BANERJEE: Well, if the energy goes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 through --

2 MR. LOBEL: Perhaps others can elaborate.

3 DR. BANERJEE: -- the containment. I mean,  
4 is it the conduction losses of --

5 MR. LOBEL: But that's pretty minimal the  
6 time we're talking about. The containment is a pretty  
7 stiff concrete structure. That's not a major concern.

8 DR. BANERJEE: So if it soaks up all the  
9 heat, the containment, then what happens?

10 MEMBER WALLIS: Limited by conduction into  
11 the wall.

12 DR. BANERJEE: Yes. Is the conduction  
13 limited then or is it convection limited, the heat  
14 transfer?

15 MR. LOBEL: Are we talking about peak or  
16 minimum or --

17 DR. BANERJEE: We're trying to establish  
18 a minimum pressure curve.

19 MR. LOBEL: Okay.

20 DR. BANERJEE: So if heat is now conducted  
21 into the wall of the containment --

22 MR. LOBEL: Right.

23 DR. BANERJEE: -- and we assume the  
24 containment is extremely well mixed, then the only  
25 resistance would be the conduction heat transfer. We

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can do a hand calculation, correct?

2 MR. LOBEL: Well, the big impact isn't the  
3 conduction into the containment. It would be the  
4 sprays. And especially --

5 DR. BANERJEE: Well, you turn that off,  
6 that heat transfer to get a minimum, right? Or is  
7 that--

8 MR. LOBEL: To get a minimum pressure?  
9 No, that's how --

10 DR. BANERJEE: Sorry. You want it all  
11 into the spray?

12 MR. LOBEL: Right. Right. The Standard  
13 Review Plan says for the LOCA analysis where you  
14 calculate a minimum pressure that all systems that can  
15 reduce the pressure have to be assumed to be operating  
16 and --

17 MEMBER WALLIS: To spray, the pumps have  
18 to work, so these --

19 MR. LOBEL: Fan coolers, containment  
20 sprays, maximizing the heat transfer to the  
21 structures.

22 DR. BANERJEE: Right. One would have to  
23 look through this and write down all the assumptions--

24 MEMBER WALLIS: That's what they did?

25 MR. LOBEL: Yes. Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FREDERICK: This is Ken Frederick.

2 MR. LOBEL: And that's in the table 4.3  
3 that I was referring to before. If you want to look  
4 at that, But that lists two pages, that list of  
5 variables.

6 DR. BANERJEE: So if you now compare the  
7 code with the data, it always under predicts the data  
8 then?

9 MR. LOBEL: Well, when they do the --

10 DR. BANERJEE: It has to.

11 MR. LOBEL: -- calculations for data,  
12 they're trying to do a best estimate calculation  
13 because presumably that's what the data is. It's the  
14 best estimate.

15 DR. BANERJEE: But if you make  
16 corresponding assumptions that you did for these  
17 calculations with the data --

18 MR. LOBEL: If I made -- well, there are  
19 some studies that were done by the Staff. The Office  
20 of Research published some reports. We in NRR asked  
21 Research to look at the CONTAIN code and make some  
22 recommendations of how to use the CONTAIN code as a  
23 design bases code. And they went through and did sort  
24 of what you're talking about in those reports. They  
25 compared with data and then they made different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 assumptions to show that they would be above or below  
2 the data or how it impacted comparisons for the data.  
3 And I can give you those references, if you want.

4 DR. BANERJEE: So there is a set of  
5 comparisons with CONTAIN at least --

6 MR. LOBEL: Right. Right.

7 DR. BANERJEE: -- with the data where they  
8 always under predict the data given a certain set of  
9 assumptions?

10 MR. LOBEL: Well, I don't want to over  
11 sell it. I think I want to stick with what I said that  
12 just they compared with data and then did some  
13 sensitivities to see how different parameters effected  
14 the results. They weren't trying to do -- you know,  
15 minimize, get a lower bound compared to the data. But  
16 it's done primarily with codes like GOTHIC and MAAP  
17 and even CONTAIN is the assumptions you make on the  
18 input more than the models that are in the code  
19 itself.

20 MR. FREDERICK: I just want to add  
21 something here. This is Ken Frederick.

22 In terms of the multiple node analyzes  
23 which we were using for NPSH and over pressure  
24 calculations, that typically uses a natural convection  
25 coefficient. And as part of our sensitivity studies we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 did multiples by that. WE increased it by a factor of  
2 4 or 5. And we don't see a whole lot of change based  
3 on that.

4 And one thing that becomes limiting for  
5 most of the heat sinks is conduction through paint and  
6 coatings actually become more limiting than the  
7 convection on the surface. So that's why it doesn't  
8 have a dramatic impact on the results.

9 DR. BANERJEE: So the limiting phenomena  
10 are conduction to structures in terms of --

11 MR. FREDERICK: For structures that are  
12 painted, yes.

13 DR. BANERJEE: So the --

14 MR. LOBEL: No. I think you have to  
15 understand what he was saying. For the structures,  
16 the paint is limiting.

17 DR. BANERJEE: Yes.

18 MR. LOBEL: But in terms of what minimizes  
19 the pressure, I don't think you would say it's the  
20 structure.

21 MR. FREDERICK: No. It's been effected by  
22 the heat transfer coefficient to a degree.

23 MR. LOBEL: Yes.

24 MR. FREDERICK: But you reach a point  
25 where it doesn't make any difference because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 conduction becomes limiting.

2 MEMBER WALLIS: So the sprays dominant in  
3 this circle, where if they work it means the pumps  
4 working and therefore everything is okay. So it's, you  
5 know, a self-correcting situation.

6 MR. FREDERICK: Right.

7 MEMBER WALLIS: That probably dominates  
8 everything.

9 DR. BANERJEE: Does the spray dominate  
10 everything?

11 MR. FREDERICK: Yes. Once the sprays come  
12 on, the heat transfer to the structures is relative  
13 unimportant because the sprays control the pressure.

14 MR. LOBEL: Especially for a plant like  
15 Beaver Valley that was sub-atmospheric, but there is  
16 sub-atmospheric containment because first of all there  
17 are three spray systems or two spray systems,  
18 depending on how you look at it. There is a quench  
19 spray system which is taking section from the RWST  
20 which for a sub-atmospheric containment is cooled. So  
21 it's not at assumed 90 degrees or a 100 degrees or  
22 whatever. It's down around 45 to 55 degrees for the  
23 quench spray.

24 And then there's the recirculation spray.

25 So you're putting an awful lot of water

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 into the containment atmosphere to lower the pressure  
2 because that's the way they were designed. They had to  
3 get down below atmospheric pressure in an hour. And  
4 that's the main way that was done with all the spray  
5 water into the containment.

6 So you have cooled spray water from one  
7 spray system and then two other spray systems that are  
8 spraying into containment.

9 DR. BANERJEE: Yes. I suppose the system  
10 is self-correcting, as Graham says. But leaving that  
11 aside for the moment, the voracity of MAAP-DBA with  
12 regard to establishing a lower pressure bound for the  
13 system, which is what we're looking for as opposed to  
14 an upper pressure bound which most of these codes are  
15 usually tuned to do, is sort of an issue which maybe  
16 you could just --

17 MEMBER WALLIS: Well, you're writing --

18 DR. BANERJEE: Yes, write a note or  
19 something which sort of establishes why we think that  
20 it's --

21 MEMBER WALLIS: You're writing new  
22 guidance on this whole issue, aren't you?

23 MR. LOBEL: In the Reg. Guide, yes.

24 MEMBER WALLIS: Can you come back to us  
25 with some of this other technical data, too, at that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 time?

2 MR. LOBEL: Sure.

3 MR. LOBEL: But I think the important  
4 point is that these newer codes, GOTHIC, CONTAIN which  
5 isn't a new code anymore, MAAP-DBA don't try to buy us  
6 things one way or another with the code itself as much  
7 as with the input data. So that gives the code more  
8 flexibility. I can use the same code to calculate  
9 peak pressure and minimum pressure. I just change the  
10 bias on the input, not the code itself.

11 DR. BANERJEE: Well, you'd have to  
12 demonstrate that that, that is true in some way.

13 MR. LOBEL: Well, I think if you look at  
14 this table, 4.3 in Attachment 1 to the June 2, 2004  
15 report, the licensee did a pretty good job of listing  
16 the biases and a lot of variables for the NPSH  
17 calculation and for the peak pressure calculation, and  
18 for some of the other calculations. So if you go  
19 through that you can see how things were biased to get  
20 a certain result.

21 DR. BANERJEE: Sure. But that's a sort of  
22 a sensitivity study. But what would be, perhaps, more  
23 convincing would be in this note to compare it with  
24 data where you actually do the similar sort of thing.  
25 You bias the input. And show that you under predict

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the data or over predict it. And that would be  
2 convincing that the same methodology applies to data.  
3 I mean, if it applies to itself, you're just doing a  
4 sensitive study. We don't know about the voracity of  
5 the code at this point.

6 MR. LOBEL: No. Are you asking the  
7 licensee to do that --

8 DR. BANERJEE: No, no, no.

9 MR. LOBEL: -- or are you asking the Staff  
10 to do it without a code or --

11 DR. BANERJEE: I don't know. In this note  
12 where you're establishing guidance, perhaps --

13 MR. LOBEL: Then it's the Reg. Guide that  
14 you've been talking about.

15 DR. BANERJEE: Yes.

16 MR. LOBEL: I think that's what we're  
17 talking about.

18 DR. BANERJEE: The supporting data or  
19 whatever for a methodology would be to show that a  
20 sensitivity study on a code somehow done on a scenario  
21 related to a reactor is equivalent or is supported by  
22 some sort of sensitivity study done on data which  
23 establishes that this type of variation of input  
24 parameters truly establishes a lower or upper bound.  
25 I mean, the only thing we know is data at the end;

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 nothing else.

2 MEMBER WALLIS: It's usually not up to the  
3 licensee, though --

4 DR. BANERJEE: Yes. Well, but it is.

5 MEMBER WALLIS: -- and the NRC will  
6 approve a code based on comparison of the data, then  
7 it gets used.

8 DR. BANERJEE: And if this is methodology  
9 is established that, yes, we can vary the input  
10 parameters and this will give us a lower bound because  
11 I've compared it with all this data, we're sure of it,  
12 then we --

13 MEMBER WALLIS: Well there's been a guide  
14 which says you can do uncertainty analysis, so --

15 DR. BANERJEE: Somewhere here.

16 CHAIRMAN DENNING: Actually, I don't thin  
17 that -- I think really, Sanjoy, the way to do it is to  
18 validate your code realistically against data.

19 MEMBER WALLIS: Right.

20 CHAIRMAN DENNING: Once you have a code  
21 that you believe, then it's not that hard to play the  
22 games of changing the parameters --

23 MEMBER WALLIS: Right.

24 DR. BANERJEE: Yes.

25 CHAIRMAN DENNING: -- to under estimate or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 over estimate.

2 MEMBER WALLIS: The way to do it.

3 DR. BANERJEE: All right. If you can  
4 assume an uncertainty at this time --

5 MEMBER WALLIS: Right. Right.

6 CHAIRMAN DENNING: But let's move on now  
7 because I think we've spent enough time on this for  
8 the moment, I mean other than your conclusions here.

9 MR. LOBEL: I can go to my conclusion.  
10 Can we go to the conclusion, the last slide. Okay.

11 The Staff has issued the SER approving the  
12 conversion from sub-atmospheric to atmospheric  
13 containments for Unit 1 and Unit 2.

14 And also approving MAAP-DBA as part of the  
15 same review.

16 CHAIRMAN DENNING: Actually, go back one  
17 slide to the validation slide. Because we ought to at  
18 least look at that since that's kind of the focus of  
19 this discussion you had there.

20 MR. LOBEL: Okay. There was a comparison  
21 with GOTHIC6. There was a comparison for the mass and  
22 energy release for small break with the NOTRUMP code.  
23 We did some calculations comparing MAAP-DBA for  
24 greater than one hour with RELAP. Those were the code  
25 comparisons.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Like I say, for a previous review where it  
2 was a MAAP5 code, I think we did quite a lot of  
3 comparisons with --

4           MEMBER WALLIS: RELAP can model the  
5 containment?

6           MR. LOBEL: I'm sorry, what?

7           MEMBER WALLIS: Can RELAP model the  
8 containment?

9           MR. LOBEL: No. In that case we were  
10 doing mass and energy release calculations.

11          MEMBER WALLIS: Oh, I see. Okay.

12          MR. LOBEL: And for the NOTRUMP  
13 calculations that was comparing MAAP-DBA to NOTRUMP  
14 for mass and energy release calculations.

15                 There were separate effects tests were  
16 done, condensation and spray tests. And then the  
17 integral test I talked about. The Canadian spray  
18 test, Japanese spray tests. There was the CVTR which  
19 stimulated a steamline break without sprays and with  
20 sprays. There is the HDR, which is a German reactor  
21 which doesn't look anything like a U.S. reactor, but  
22 there are international standard problems from that  
23 that the license compared with. And all those  
24 comparisons were pretty good.

25          CHAIRMAN DENNING: Thank you. And you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 done then?

2 MR. LOBEL: Pardon?

3 CHAIRMAN DENNING: You're done now?

4 MR. LOBEL: I'm done.

5 CHAIRMAN DENNING: Thank you very much.

6 Okay. Now we're going to hear about  
7 source terms and radiological consequences. And this  
8 is another presentation I think can really be pretty  
9 brief.

10 MEMBER WALLIS: Yes, let's move it along.

11 CHAIRMAN DENNING: Let's try to move  
12 quickly.

13 MEMBER WALLIS: Well, must give us some  
14 presentation and we'll listen.

15 MR. PARILLO: Good afternoon. My name is  
16 John Parillo. I'm a health physicist with the  
17 Accident Dose Branch in the Office of Nuclear Reactor  
18 Regulation. I'm here to --

19 CHAIRMAN DENNING: Mr. Parillo, speak into  
20 the microphone.

21 MR. PARILLO: All right.

22 Good afternoon. My name is John Parillo.  
23 I'm a health physicist in the Accident Dose Branch,  
24 and I'm here to discuss the source terms and  
25 radiological consequences analyses.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           The first part of the discussion refers to  
2 the source terms for input into radwaste management  
3 systems. So basically how does the EPU effect the  
4 normal operations. This is covered in EPU Section  
5 2.9.1 of the SE.

6           Basically what you do here is just  
7 evaluate the radiological source term in the reactor  
8 coolant for the EPI conditions, the power uprate. And  
9 the evaluations performed show that the source term  
10 continues to meet the requirements of 10 CFR Parts 1,  
11 10 CFR Part 50, Appendix I and General Design  
12 Criteria-60.

13           The next portion of the discussion  
14 involves the design bases accident radiological  
15 consequences analyses. Again, this is covered in  
16 section 2.9.2 of the SE. And the licensee has  
17 implemented the alternative source term in all of the  
18 radiological analyses performed. For the actual EPU  
19 submittal, the analyses that needed to be looked at  
20 were the fuel handling accident because of an increase  
21 in fuel inventory and the main steamline break and the  
22 steam generator tube rupture for Unit 2 only due to  
23 change in mass release. All the other design bases  
24 accidents have been previously approved, and I'll go  
25 through that a little bit later.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           For the radiological consequence analyses,  
2           the EPU power -- the power level evaluated was 2,918  
3           megewatt thermal. And this represents a 100.6 percent  
4           of the rated power of 2,900. And this is based on the  
5           approval of a 1.4 percent measurement uncertainty  
6           recapture uprate.

7           And we also wanted to mention the NRC  
8           Staff performed an onsite audit of the radiological  
9           analyses supporting both the steam generator  
10          replacement license amendment request as well as the  
11          EPU.

12          Other DBAs have been evaluated as part of  
13          a selective implementations under 10 CFR 50.67. The  
14          loss of coolant accident and the control rod ejection  
15          accident were evaluated, Amendments 256 and 139 which  
16          were issued September 10, 2003.

17          The locked rotor accident and the loss of  
18          AC power and the small line break outside of  
19          containment for both units. And the main steamline  
20          break and the steam generator tube rupture accident  
21          for Unit 1 only. All those accidents were evaluated in  
22          Amendment 273 for the steam generator replacement  
23          issued February 8, 2006.

24          Put up a slide that concerned the control  
25          room. The evaluations for Beaver Valley and for those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 accidents in the EPU, the control room emergency  
2 ventilation system is credited for the main steamline  
3 break. They credit a pressurization mode, as it says,  
4 500 cfm filtered intake. And during that period the  
5 license is assuming 30 cfm of unfiltered inleakage.  
6 And the licensee performed tracer gas testing which  
7 support the unfiltered inleakage assumptions.

8 For the accidents discussed here, the  
9 licensee credits a control room purge, a post-release  
10 control room purge. And in order to do that they  
11 credit the control room emergency air cooling system.  
12 And this system is credit for post-release purging for  
13 the steamline break, the steam generator tube rupture  
14 and for the Unit 1 fuel handling accident. Again, at  
15 the times when those releases are assumed to have  
16 ended.

17 The purge credit was not needed for the  
18 Unit 2 field handling accident because of more  
19 favorable meteorology for that particular half.

20 And basically the design bases accident  
21 rate radiological consequences, the licensee has  
22 adequately accounted for the effects of the proposed  
23 EPU and all the design bases accidents meet the 10 CFR  
24 50.67 and Standard Review Plan 15.0.1 dose acceptance  
25 criteria for both offsite and the control room. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Staff finds the proposed EPU acceptable with  
2 respect to the radiological consequences of design  
3 bases accident.

4 CHAIRMAN DENNING: Well, thank you very  
5 much for a focused presentation.

6 Do you have a question.

7 MEMBER KRESS: Yes. Here the source term  
8 you're talking about, the AST, the source term into  
9 containment, did they then use the MAAP code to  
10 subsequently get the release to the environment and  
11 the transport to the control room?

12 MR. PARILLO: No. The guidance in the  
13 Standard Review Plan pretty much is a cookbook. It  
14 dictates the percentage of the radionuclides that are  
15 released to containment. And the codes that are used  
16 for radiological analyses are not quite as  
17 sophisticated. They don't need to be. They're just  
18 volumes. So you start with so much activity in this  
19 volume and it leaks into another volume and eventually  
20 to the environment, and then leaks back into the  
21 control room. So we don't use the MAAP code.

22 The licensee, their calculations were done  
23 with Stone & Webster proprietary code, but we did  
24 confirmatory analyses with the RadTRAC code, which is  
25 the code we use at the NRC for these types of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analyses.

2 CHAIRMAN DENNING: Okay, Tom. You happy?

3 MEMBER KRESS: No, but that's all right.

4 CHAIRMAN DENNING: Are you done?

5 MEMBER KRESS: Yes, I'm done.

6 CHAIRMAN DENNING: Okay. Thank you very  
7 much.

8 MR. PARILLO: Okay.

9 CHAIRMAN DENNING: Okay. And now we're  
10 going to hear about materials and reactor vessel  
11 integrity from FENOC.

12 MEMBER WALLIS: Just please start when  
13 you're ready.

14 MR. WEAKLAND: All right. My name is  
15 Dennis Weakland. I'm been with Corporate Materials  
16 for 3 or 4 years. Prior to that I've had 24 years  
17 experience with Beaver Valley primarily in the areas  
18 of materials inspections, analyses and the like at  
19 Beaver.

20 I've also been very active in the industry  
21 initiatives in materials -- owners group.

22 What I'd like to talk about a little bit  
23 on the materials construction, the integrity programs  
24 that we have, the Alloy 600 management and the vessel  
25 integrity.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The reason I emphasize the Alloy 600 and  
2 vessel integrity is I think these are the areas that  
3 are most important with the EPU uprate. And we'll  
4 discuss those in a little greater detail.

5           Our basic materials construction our  
6 reactor vessel, our steam generator and pressurizer  
7 are carbon steel vessels clad with stainless steel.  
8 Penetrations in these areas are stainless steel with  
9 a few Alloy 600 penetrations primarily at Unit 2.

10          RCS loop piping is Cast SS material. This  
11 is a really robust material in the RCS areas dealing  
12 with things like boric acid are not an issue. There  
13 is some concerns in license renewal license extension  
14 space as far as thermal embrittlement. Areas of that  
15 are not within the current license life.

16          And the balance of the RCS piping in both  
17 units is stainless steel, again robust material, high  
18 fracture toughness and not subject to boric acid  
19 corrosion.

20          The vessel components and welds are  
21 primarily stainless steel. A few at Unit 2 for Alloy  
22 600, and I'll touch on those a little bit later.

23          So in general the Westinghouse design with  
24 a combination of the Cast SS, the stainless steel  
25 really provides a pretty robust RCS system to minimize

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the number of vessel and component welds.

2 The investment integrity programs we have,  
3 the steam generator integrity program complies with  
4 the 97.06. We've adopted it at Beaver Valley. It  
5 performs operational assessment at every outage. So  
6 the effects of the EPU, and since there's virtually no  
7 change in the hot leg anyhow from 609 to 609.5, we  
8 expect a little change. But we did do an operational  
9 assessment coming out so we know the status of  
10 everything coming out of every outage.

11 The Alloy 600 program we complied with the  
12 industry standards, primarily MRP 126 and 139.

13 The boric acid program is run under the  
14 WCAP which is the industry program 15.988. And we're  
15 adopting the material degradation program under NEI or  
16 308 initiative to have an integrated materials program  
17 on our site, and those will be effective come June 1st  
18 this year in accordance with our 308 and the NEI  
19 initiative.

20 Together with the other operational  
21 programs we have and systems programs and things like  
22 system engineering routinely test our systems, our  
23 maintenance rule operational tools, BVTs that we run,  
24 we have a very good handle on the integrity of our  
25 systems and minimize the amount of damage. We see

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 anything occurring, it's back into the system, repairs  
2 do occur and we address the issues while they're  
3 small.

4 So, as you see, we take these programs as  
5 a whole. We ensure the system integrity is maintained  
6 and degradation issues are identified at our earliest  
7 possible times and take appropriate mitigative  
8 actions.

9 This carton I thought was appropriate  
10 because it kind of covers both units. The basic RCS  
11 is the same. And right here these surge nozzles are  
12 only in a tube that are Alloy 600. Unit 2 has the  
13 vessel piping along with an Alloy 600 weld that we'll  
14 have to address. And the balance of this is all 315,  
15 309 type material. So we have very, very limited  
16 amounts of Alloy 600 material.

17 The recent outage we've replaced all the  
18 Alloy 600 material at Unit 1 in the top of our head,  
19 taken it out of the picture, mitigated it and gone to  
20 690.

21 At Unit 1 all the Alloy 600 materials in the  
22 steam generator at Unit 1 have been removed and are  
23 now 690. And at Unit 2 that will be managed under the  
24 existing program.

25 MEMBER WALLIS: 690 is a pretty new

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 material, isn't it? We don't really know what the  
2 problems are with it yet?

3 MR. WEAKLAND: No. The information that we  
4 have from the industry looking at the Naval reactor  
5 information and overseas information on 690 appears to  
6 be extremely robust. We can't put on a number on what  
7 it is. So as a result, the testing protocols that are  
8 done by the industry in 03.009 will continue the  
9 timing models and the Uranus equations that are used  
10 for Alloy 600 as a very conservative measure. As more  
11 is learned, those may be relaxed. But currently we  
12 would follow the same protocols.

13 DR. BANERJEE: So there is information on  
14 exposure to boric acid and everything for 690?

15 MR. WEAKLAND: 690 is used widely within  
16 the nuclear Navy in the borated systems.

17 DR. BANERJEE: And no problems?

18 MR. WEAKLAND: And they're robust. And  
19 600 to the best of our knowledge.

20 MEMBER SIEBER: Navy plants are  
21 correlated, are they?

22 MR. WEAKLAND: Not the Navy, but the Alloy  
23 600 testing, there's Alloy 600 testing to 690 that's  
24 been done at Westinghouse Labs and whatnot has shown  
25 no issues with the nickel based alloys as referred to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Alloy 600 and boric acid.

2 The austenitic materials 316, 309 when it  
3 comes to Alloy 600, you have very little problems.

4 DR. BANERJEE: So 690 is used in the Navy  
5 but the Navy uses borated systems or not?

6 MR. WEAKLAND: No, no.

7 MR. KAMMERDINER: This is Greg Kammerdiner  
8 from FirstEnergy.

9 As far as industry experience with 690, at  
10 least in steam generators, Indian Point 3 was the  
11 first one to switch to 690 in 1989. So we have quite  
12 a bit of experience from that date forward with 690  
13 both domestically and internationally prior to 1989.  
14 I think Ringhalls was the first one to replace a steam  
15 generator with 690. And those steam generators have  
16 basically performed degradation free since the late  
17 '80s with 690.

18 MR. WEAKLAND: The next slide we cover the  
19 head inspections that we're doing at Beaver Valley  
20 Unit 2, which is mainly 600 material and these are the  
21 two heads at the two units. And this coming fall we'll  
22 doing -- well, the past fall, the fall of '03 we did  
23 bare metal visuals, found no degradation and  
24 volumetric of CDRM and J-welds, did an Eddy current  
25 examinations of the outside and no degradation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In the spring of '05 we repeats in  
2 accordance with your order the bare metal visuals and  
3 we have volumetrics coming up this fall at the same  
4 unit for ongoing evaluations of the head inspections.

5           At Beaver Valley Unit 1 we've taken a very  
6 active approach on the mitigation of the Alloy 600.  
7 As I noted, we replaced the head, the steam generators  
8 and I just completed 1R17 outage this spring. This  
9 next fall we're planning on doing a weld overlay on  
10 the pressurized nozzles, which are the 600 dissimilar  
11 metal welds that we have to top the pressurizer. So  
12 we'll mitigate those, put them in a compressive state  
13 and we will continue to monitor them in accordance  
14 with the industry guidance.

15           MEMBER SIEBER: Do you have any  
16 indications on the places where you're going to do the  
17 weld overlays right now?

18           MR. WEAKLAND: No.

19           MEMBER SIEBER: So this is a preventive --

20           MR. WEAKLAND: Preventive overlay, yes.

21           MEMBER SIEBER: Okay.

22           MR. WEAKLAND: We're planning the same  
23 kind of preventive overlay in Unit 2.

24           MEMBER SIEBER: You're going to compress  
25 the fitting?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WEAKLAND: Correct.

2 MEMBER SIEBER: Okay.

3 MR. KAMMERDINER: Again, this is Greg  
4 Kammerdiner again.

5 Besides inducing a compressive stresses,  
6 will be full structural overlays also. So it's a  
7 double measure here. Inducing the compressive stress  
8 on the existing 82/182 weld material plus full  
9 structural overlay of 690 on top of that.

10 MEMBER SIEBER: Well, if you're going to  
11 have problems, that's a good place for you to have  
12 them.

13 MR. WEAKLAND: They would be the likely  
14 suspects?

15 MEMBER SIEBER: Yes.

16 MR. WEAKLAND: Right.

17 The remaining Alloy 600 therefore at Unit  
18 2 would be limited to the BMNs, the bottom mounted  
19 instrumentation. We'll continue to inspect those in  
20 accordance with the industry guidance. And then the  
21 reactor vessel internals, there's some Alloy 600 in  
22 there that we'll be addressing.

23 CHAIRMAN DENNING: Now to a large extent  
24 what you're talking about is not necessarily related  
25 to power uprates.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WEAKLAND: No.

2 CHAIRMAN DENNING: As far as power uprates  
3 are concerned though there is some temperature  
4 increases--

5 MR. WEAKLAND: Slight temperature  
6 increases. Unit 2, that half of degree is virtually  
7 nonexistent in the space.

8 CHAIRMAN DENNING: Yes.

9 MR. WEAKLAND: Unit 1 it's approximately  
10 a 4 degree increase and there's very limited material  
11 that would be effected here. So from a power uprate  
12 perspective the materials construction really don't  
13 see much different.

14 CHAIRMAN DENNING: Well, we're certainly  
15 interested in this.

16 MR. WEAKLAND: Okay.

17 CHAIRMAN DENNING: But it does seem that  
18 a lot of it, except within the context of some  
19 temperature increase is why would have some additional  
20 concern about it.

21 MEMBER SIEBER: Well, I think just to  
22 amplify that a little bit, some folks suspect that  
23 there's sort of a need in the curve, right around 610.  
24 When you go beyond that the rate of degradation in  
25 some folks speculation may increase. And so you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 right at that point. But I agree, the temperature  
2 increase is very small.

3 DR. BANERJEE: But isn't it very sensitive  
4 to temperature in this range, the susceptibility?

5 MR. KAMMERDINER: This is Greg Kammerdiner  
6 again.

7 I think the emphasis though is our  
8 degradation throughout the industry has primarily been  
9 at Alloy 600 locations.

10 DR. BANERJEE: Right.

11 MR. KAMMERDINER: And what Denny's trying  
12 to point out here at Unit 1 we've eliminated that, for  
13 the most part, from the equation by replacing the  
14 generators with 690, by replacing the head  
15 penetrations with 690, we're planning to overlay the  
16 pressurizer nozzles, which are essentially Alloy 600  
17 welds. There will be minimal amount of Alloy 600 left  
18 at Unit 1 and the bottom nozzles operate at cold leg  
19 temperature, so they should be on the lower  
20 susceptibility ranking of locations.

21 So as far as Unit 1 the 4 degree increase  
22 in temperature is somewhat mute at this point because  
23 we've basically taken the Alloy 600 out of the  
24 equation.

25 MEMBER MAYNARD: I believe it is sensitive

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in this range, but I think that for the temperatures  
2 you're going to they're still within what there's good  
3 history out there within industry. They're not  
4 becoming an outlier from breaking the ground.

5 DR. BANERJEE: Right. And Alloy 600 is  
6 out, this unit with the 4 degree rise. The other unit  
7 only has half a degree, right?

8 MR. WEAKLAND: Yes, sir.

9 MR. KAMMERDINER: Correct. Right.

10 MEMBER SIEBER: I think the interesting  
11 thing that sort of gives you some confidence is that  
12 one of the suspect heats was used in the Beaver Valley  
13 1 reactor vessel head nozzles, the same one that  
14 didn't do well at Davis-Besse.

15 MR. WEAKLAND: Right.

16 MEMBER SIEBER: And they have seen a  
17 leakage or other problems there. But they have still  
18 replaced the head.

19 MR. WEAKLAND: Yes, that's correct.

20 MR. PATNAIK: I'm Pat Patnaik from DCI,  
21 Dividend of Component Integrity.

22 I want to add one more thing here. That  
23 the cold leg temperatures go down actually by a couple  
24 of degrees. As a result I don't see any problems with  
25 the bottom mounted nozzles.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Right.

2 MR. WEAKLAND: Right. Thank you.

3 I will then just brush over what's at Unit  
4 2 just to give you an idea of what plans are on Alloy  
5 600.

6 We are planning mitigation in the areas  
7 for pressurizer nozzles for weld overlay. Management's  
8 currently looking at multiple approaches to address  
9 the cold leg loops, as we have Alloy 600 there. I  
10 think which will leave us with the BMNs, the  
11 internals, the generator tubing and the CRDM nozzles.  
12 And since the amount of temperature movement is very,  
13 very slight, we would expect no change from our  
14 current history, and we'll continue our inspections.

15 The other thing I want to touch on where  
16 the power uprate does have some effect because of the  
17 increase of fluence and the fluence impact is the area  
18 of materials for the two units. I'm going to talk a  
19 little bit more about the fluence, the uprate, the  
20 increases in improved capacity factor and what it has  
21 done with our projected EFP wise and end of expected  
22 life.

23 When we looked at the surveillance  
24 schedule, there will be no change in our schedule.  
25 We'll still pull five capsules for Unit 1, four for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Unit 2 in accordance with Appendix H. No changes  
2 there.

3 The upper shelf energy, both units at the  
4 end of -- actually at the end of extended life because  
5 I've done some of that with our projections there, are  
6 still good for upper shelf. So really the impact for  
7 the power uprate has been minimal for upper shelf.

8 Our PTS screening criteria for Beaver  
9 Valley Unit 1 and Unit 2, both our units are a little  
10 unusual in the industry in that they're both plate  
11 limited. Many vessels or most vessels are actually  
12 weld limited. Ours are plate. And I'll touch on the  
13 numbers we have those in the next slides.

14 We've looked at the applicability for the  
15 heat up and cool down curves. In the application what  
16 we did is we artificially took our existing heat  
17 up/cool curves for Unit 1, conservatively rolled back  
18 the effective dates so that until the LAR gets into  
19 position, that the effected curves have just been  
20 moved from 20.80 EFPY to 27.44 so that we know we  
21 don't exceed those limits. Base the fluence for heat  
22 up and cool down. As we do more testing and analysis  
23 then we'll adjust those in accordance with our PTLR  
24 and move forward.

25 Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In the area of fluence in relationship to  
2           the uprate, we used a basis for WCAP Capsule &  
3           material at 3.54 E19 fluence. And our RTpts based on  
4           that fluence is 259. Capsule Y meant it was a major  
5           change in our fluence projections. We gained almost 12  
6           degrees, which is very good. And that assumed a 1.4  
7           uprate, but did not address the 8 percent uprate at  
8           the time that capsule was pulled. So when we made the  
9           uprate LAR and backed the effected EFPYs down,  
10          assuming that a power uprate would have done in June  
11          of '03 and holding the fluence constant at 3.54.

12                    At Beaver Valley Unit 2 we used a Capsule  
13                    Y data of 32 EFPY, fluence of 3.8 and RTpts of 149.

14                    And incidentally, the RTpts screening  
15                    number is 270 for plate for both units. It had  
16                    included the 1.4 percent uprated and the 8 percent  
17                    uprate. So the Unit 2 numbers were reflective of a  
18                    June '03 power uprate, so they are conservative.

19                    MEMBER SIEBER: Have you made any  
20                    projections for renewed license end of life?

21                    MR. WEAKLAND: Well, that's going to lead  
22                    to the next slide, Jack. Thank you.

23                    MEMBER SIEBER: Yes.

24                    MR. WEAKLAND: As a result of looking at  
25                    a potential extended license and the excellent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 operation of the past three cycles at Beaver Valley  
2 operating capacity factor in the high 90, 97, 98  
3 percent; projecting those kind of capacity factors  
4 into the future and the 8 percent power uprate based  
5 on June of '06 what we're seeing now is an expected  
6 end of life EFPY of about 30.5 at the same fluence.

7 MEMBER WALLIS: Doesn't the fluence change  
8 with the uprate?

9 MR. WEAKLAND: Well, the fluence in this  
10 particular case didn't happen to change from the  
11 projection because the projection was made assuming  
12 that the uprate would have occurred in June of '03.  
13 And since the fluence is really controlled by core and  
14 when the uprate occurred, the 3 years delay provided  
15 me that cushion. And the core design being maintained  
16 at L4P has maintained the fluence at 30.5, virtually  
17 3.54. The numbers like -- it's like 3.51 or 3.52 is  
18 very, very close to 3.54. At 30.5 at the end of our  
19 existing license life. That's reflective of the  
20 capacity factor and then this uprate in June this  
21 year.

22 At Unit 2, it's just coincidental I had a  
23 capsule due. It came to the NRC last week, so it's  
24 very new information to them, the submittal. And I  
25 did the projection of 36 EFPY for EOL. The reason I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 did that is when I did the projections looking into  
2 the future based on the higher capacity factors, it  
3 looks like we'll be at the end of our 40 years license  
4 somewhere around 35.1 to 35.2 actual EFPY. So 36  
5 pounds allows me to be conservative.

6 As you can see, both of them give me RTpts  
7 that are still well below the screening criteria.

8 MEMBER WALLIS: Well RTpts doesn't seem to  
9 change at all as you do all this --

10 MR. WEAKLAND: No. It's based on fluence,  
11 that's why.

12 MEMBER WALLIS: But your fluence has  
13 changed for BV2.

14 MR. WEAKLAND: BV2 the fluence -- the  
15 difference between the two numbers, too, it comes into  
16 rounding of RTpts. At the earlier fluence of 32 FPY I  
17 think it was 3.86. The actual number when you run it  
18 and if you run out a decimal point or two, it's like  
19 148.7.

20 MEMBER WALLIS: Well, it's so low it  
21 doesn't--

22 MR. WEAKLAND: It just doesn't matter.  
23 Right. And that's the reason for those activities.

24 MEMBER SIEBER: Well, what will it be  
25 after 60 years of licensed operation? Do you know

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that?

2 MR. WEAKLAND: On Beaver Valley Unit 1 we  
3 could reach 60 years of power operations and still be  
4 below the 270 criteria right now.

5 MEMBER SIEBER: You will?

6 MR. WEAKLAND: It's going to require some  
7 fuel management, some continued fuel management. We  
8 stay at L4P, we get within 2 years of extended license  
9 operation doing absolutely nothing different than  
10 we're doing today.

11 MEMBER SIEBER: I think you don't make it.

12 MR. WEAKLAND: We can make it.

13 MEMBER SIEBER: Oh, you can, okay.

14 MEMBER WALLIS: By then the PTS rule may  
15 have changed.

16 MR. WEAKLAND: Yes. Well, we believe it  
17 will be changed. Beaver Valley was the model plant  
18 for the NUREG and it's been very well studied by Oak  
19 Ridge. And if I look at their numbers, I'm probably  
20 good for a 100 EFPY, and I like their numbers.

21 MEMBER SIEBER: Too bad it's not  
22 regulation.

23 MR. WEAKLAND: Oh, yes. We're working on  
24 it.

25 In summary, the temperature assessment for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the two units show really no programmatic impact on  
2 either the Alloy 600 or the steam generator program.

3 Fluence assessments, no significant impact  
4 on either the vessel integrity, upper shelf.

5 Maintaining our core, I don't see any  
6 problem. There's some small changes in response to  
7 materials. It will be managed under the rest of our  
8 programs. That primarily deals with internals  
9 activities, BMNs and the rest. And we have programs  
10 in place to monitor and maintain those through the  
11 rest of plant life.

12 MEMBER SIEBER: How many tubes are plugged  
13 percentage wise in Unit 2, steam generator 2?

14 MR. WEAKLAND: Unit 2? Greg?

15 MR. KAMMERDINER: This is Greg  
16 Kammerdiner.

17 Approximately 4½ percent.

18 MEMBER SIEBER: Pretty much even across  
19 the--

20 MR. KAMMERDINER: Pretty much. Yes, it's  
21 not like Unit 1 where we're skewed the one generator  
22 there. They're pretty evening distributed.

23 MEMBER SIEBER: What's the main reason?

24 MR. KAMMERDINER: Primarily sludge pile  
25 ODSCC.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Thanks.

2 MR. WEAKLAND: Okay. That's all I have.

3 CHAIRMAN DENNING: Thank you very much.

4 MR. WEAKLAND: Any other questions?

5 CHAIRMAN DENNING: Hearing none, we will

6 move on.

7 MR. WEAKLAND: Very good. Thank you.

8 CHAIRMAN DENNING: However, this is our  
9 final presentation of the day.

10 MR. MEDOFF: Good afternoon. My name is  
11 Jim Medoff. I'm a materials engineer for the --

12 DR. BANERJEE: Where are the slides for  
13 this?

14 MR. MEDOFF: They're in this package.

15 MEMBER WALLIS: Yes, the pages keep  
16 starting all over again.

17 MEMBER SIEBER: And you thought you were  
18 going to talk about materials.

19 DR. BANERJEE: Yes. It's after the control  
20 room thing.

21 MR. MEDOFF: Right.

22 MEMBER KRESS: Let me ask you a question,  
23 what did you do about the containment?

24 MEMBER WALLIS: What don't you start with  
25 page 7?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Pretty good condition.

2 MEMBER WALLIS: A good slide to start  
3 with.

4 MR. MEDOFF: Good afternoon. I'm Jim  
5 Medoff. A materials engineer currently with the Flaw  
6 Evaluation and Welding Branch. My current supervisor  
7 is Dr. Kimberly Gruss. I just recently transferred  
8 over from the Reactor Vessels Internals Integrity  
9 Branch, which is currently being supervised by Mr.  
10 Matt Mitchell.

11 At the time of the EPU I was in the  
12 Reactor Vessels Internals Integrity program.

13 I'm here today to talk about our  
14 evaluation of the licensee's application with respect  
15 to the structural integrity of the reactor vessel and  
16 the reactor vessel internals components, and as well  
17 as the licensee's evaluations of its reactor coolant  
18 pressure boundary materials. And with respect to that,  
19 we're going to focus on the Alloy 600 and what they  
20 did to address it.

21 Next slide, please.

22 For the EPU we assessed the Staff's  
23 evaluation of how the EPU impacted the structural  
24 integrity of the Alloy 600 components, in particular  
25 whether it would change the crack growth rates if you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 postulated a crack occurring in the Alloy 600  
2 components. And these included Alloy 600 base metal  
3 components as well as Alloy 682 or 182 filler metal  
4 materials.

5 For the most part, the piping at Beaver  
6 Valley Unit 1 doesn't include Alloy 600 materials, so  
7 we don't see a big impact on that. And Mr. Weakland  
8 provided a good summary for where the few components  
9 are located and addressed how they addressed  
10 structural integrity there.

11 For the Alloy 600 and the Alloy 82/182  
12 welds in the Beaver Valley Unit 1 reactor vessel  
13 closure head, we determined that the licensee did  
14 replace the head in the last outage and we feel that  
15 the monitoring program that they're going to do this  
16 under the schedule for replacement head should address  
17 this. It includes not only Alloy 600 and 82/182  
18 materials, but the order that we issued to the  
19 industry on Inconel materials also covers Alloy 52,  
20 152 and Alloy 690 materials. So just the fact that  
21 they replaced the new materials doesn't change the  
22 requirements in the order and they're still required  
23 to follow that.

24 Next slide, please.

25 For Unit 2 the Alloy 600 and Alloy 82/182

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 materials in the Unit 2 reactor coolant pressure  
2 boundary are managed by the licensee's Alloy 600  
3 management program. And what this program does is it  
4 does a susceptibility ranking of the components based  
5 on -- the susceptibility program is basically Uranus  
6 program that is a function of the temperature of the  
7 components.

8 DR. BANERJEE: There's no effect of stress  
9 on the -- I thought there was, as well -- I mean  
10 temperature is one effect, but stress must be another.

11 MR. MEDOFF: Stress probably comes in it,  
12 but I think the big factor in the Uranus program is  
13 the temperatures.

14 MR. PATNAIK: This is Pat Patnaik from  
15 Dividend Component Integrity.

16 The analysis has been done at 617 degrees  
17 which bounds the temperatures for power uprate.

18 DR. BANERJEE: Right. But --

19 MR. PATNAIK: That was done, has been done  
20 at a bounding temperature of 617 degrees. And with  
21 power uprate your hot leg temperature is not going  
22 over 611.3 degrees.

23 DR. BANERJEE: I'm just saying about the  
24 susceptibility ranking.

25 MR. PATNAIK: Susceptibility ranking?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Yes.

2 MR. PATNAIK: Well, the components that  
3 are Alloy 600 and welded with 82/182 filler metal have  
4 been ranked based on stresses and also the time and  
5 temperature.

6 DR. BANERJEE: Right.

7 MR. PATNAIK: Yes, that ranking has been  
8 done. And their volumetric inspections will be  
9 performed according to the susceptibility ranking--

10 DR. BANERJEE: Which take both factors  
11 into account.

12 MR. PATNAIK: Oh, yes.

13 DR. BANERJEE: Yes.

14 MR. PATNAIK: Of course.

15 DR. BANERJEE: All right. I'm happy with  
16 that.

17 MR. PATNAIK: Go ahead.

18 MR. MEDOFF: Okay. and in accordance with  
19 this program what they're going to do is they select  
20 the susceptible components for augmented inspection  
21 and they put the inspection in accordance with the  
22 program. So they do monitor for their Alloy 600 and  
23 Alloy 82/182 materials in Beaver Valley Unit 2 plant.

24 With respect to the Alloy 600 nozzles and  
25 Alloy 81/182 partial penetration welds in the Unit 2

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 head, they are categorized as highly susceptible heads  
2 to primary water stress corrosion cracking and  
3 FirstEnergy does perform augmented inspections of  
4 these things in accordance with the criterion in the  
5 first order for high susceptible reactor vessel  
6 closure heads. And this complies with the rule and  
7 should address structural integrity for those  
8 components.

9 Next slide, please.

10 From my review I reviewed the impact of  
11 the EPU on the reactor vessel and the reactor vessel  
12 internals, the internals components.

13 With respect to the reactor vessel, we  
14 really focused on how the EPU would impact the  
15 fracture toughness assessments that we require for the  
16 ferritic  
17 materials in the reactor vessel. This includes the  
18 RTpts calculations to ensure integrity against the  
19 events of a pressurized thermal shock event. The  
20 RTpts calculations that go into the pressure  
21 temperature limit calculations, the upper shelf energy  
22 calculations for demonstrating margins against --  
23 tearing of the reactor vessels materials and each of  
24 those assessments requires that they account for the  
25 effects of irradiation and they monitor for that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 through their reactor vessel surveillance program. So  
2 we assess the impact of EPO on the withdraw schedule  
3 for that program.

4 We also looked at the impact on the  
5 structural integrity of the RV components. And I'll  
6 address that later on in the presentation.

7 Next slide, please.

8 With the impact on the RV surveillance  
9 capsule program, the program's required by 10 CFR Part  
10 50 Appendix H. And basically the rule requires them  
11 to withdraw surveillance capsules in accordance with  
12 ASTM Stand E1185-82. In accordance with that standard  
13 the licensee is required to pull 5 capsules from  
14 Beaver Valley Unit 1 and 4 capsules from Beaver Valley  
15 Unit 2. And it's really dependent on what the  
16 limiting shift in the reference temperature will be  
17 for that vessel at the end of life.

18 We found out that there were a few minor  
19 adjustments to the withdrawal schedules for the  
20 remaining capsules because each one has one remaining  
21 capsule to get pulled. And I'm not sure whether that  
22 report that Mr. Weakland referred to in his  
23 presentation was actually one of those capsules. But  
24 from the data I had, they were still required to pull  
25 two capsules for the plants.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Basically, we find that the changes that  
2 they propose to the schedules were still in accordance  
3 with the ASTM standard and so we found that the EPU  
4 didn't impact the overall schedules for the units. We  
5 found them to be acceptable.

6                   Next slide, please.

7                   For the PTS assessment, the calculation of  
8 RTpts values is required by 10 CFR 50.61. As Mr.  
9 Weakland said, the rule establishes screening criteria  
10 of 270 degrees for reactor vessel base metals and  
11 axial weld materials. And a screening criteria of 300  
12 degree for reactor vessel circumferential weld  
13 materials. And these are upper limits on the adjusted  
14 reference temperature for RTpts value.

15                   The licensee gave you his values. We did  
16 independent calculations of the RTpts values using our  
17 reactor vessel integrity which mods the methodology in  
18 the rule for doing these calculations. And we came up  
19 with an RTpts value 259.5 based on the fluence  
20 provided by the licensee for Unit 1. And RTpts value  
21 of 148.6 degrees F for Unit 2 based on their end of  
22 life fluences. And therefore, we didn't see any impact  
23 of the appeal in compliance with 10 CFR 50.61.

24                   Next slide.

25                   Basically we looked at the impact on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pressure temperature limits, but to make it sweet and  
2 short, Generic Letter 9603 allows them remove their  
3 pressure temperature when it's from the limiting  
4 conditions of operations in the technical  
5 specifications if they put them into a owner  
6 controlled documents called the Pressure Temperature  
7 Limits Reports. And they calculate them within an NRC  
8 approved methodology, any changes to those technical  
9 specifications PTLR figures are done through an  
10 administrative tech spec.

11 We granted license amendments for them to  
12 do this in 2002 and 2003. And although there may be  
13 changes in the RTndt calculations that goes into these  
14 PT limit calculations, they'll be done through the  
15 PTLR process, and that's acceptable to us.

16 Next slide, please.

17 Like the RTpts calculations, we looked at  
18 the impact on the effort of shelf energy assessment  
19 for the plant. Basically we used this parameter as a  
20 measure of looking at the remaining ability to  
21 withstand ductile taring in the reactor vessel  
22 materials. It's governed by 10 CFR Part 50, Appendix  
23 G.

24 The rule establishes that the upper shelf  
25 energy values must be greater than 75 foot pounds in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the unirradiated condition and greater than 50 foot  
2 pounds through the licensed life of the plant  
3 including all of accounting for the effects of  
4 irradiation.

5 We did our independent calculations of the  
6 upper shelf energy values for limiting materials and  
7 we agree that the limiting materials for Beaver Valley  
8 are all plant limited, both for RTpts and for upper  
9 shelf energy. We calculated for Unit 1 an upper shelf  
10 energy value at end of life under EPU conditions of  
11 53.8 foot pounds and for Unit 2 a 59.4 foot pounds.  
12 Both of these comply with the acceptance criteria 50  
13 foot pounds at end of life. So we didn't see an impact  
14 on the ability to comply with 10 CFR Part 50 Appendix  
15 G.

16 Next slide.

17 The last thing we assessed is the impact  
18 on the structural integrity for the reactor vessel  
19 internals. All of our assessments were done in  
20 accordance Matrix-1 of Review Standard RS-001. And  
21 with respect to this we really look at whether the  
22 fluence for these materials above a certain level, a  
23 certain threshold because above that threshold there  
24 is a concern that the materials, the components maybe  
25 susceptible to irradiation assisted stress corrosion

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 cracking. And what the matrix specifies you should do  
2 if you're above the fluence is either provide a  
3 commitment and provide an augmented inspection program  
4 for these components or commit to participation in  
5 industry initiatives that are being performed on age  
6 related degradation of these components. And we sent  
7 out an RAI informing the licensee of this document,  
8 and they did provide the proper commitment to the NRP  
9 initiatives. And this satisfied the matrix. And so we  
10 concluded they were sufficient for the RV internals.

11 So basically we assessed six things: The  
12 Alloy 600 materials, the structural integrity of the  
13 RV internals, the PTS assessment and the upper shelf  
14 energy assessment and the RV surveillance program. And  
15 we concluded that an impact to safety margins or that  
16 they were providing commitments to provide augmented  
17 inspection programs.

18 CHAIRMAN DENNING: Questions?

19 MEMBER WALLIS: Thank you.

20 MR. MEDOFF: Thank you.

21 CHAIRMAN DENNING: According to the  
22 agenda, it is now 5:00 p.m., so we will recess.

23 (Whereupon, at 6:09 p.m. the hearing was  
24 adjourned until 8:33 tomorrow morning.)

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

