

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Subcommittee on Power Upgrades
OPEN SESSION

Docket Number: (n/a)

Process Using ADAMS Template
ACRS/ACNW-005
SUNSI Review Complete

Location: Rockville, Maryland

RECEIVED

MAR 31 2008

Date: Thursday, March 20, 2008

Work Order No.: NRC-2076

Pages 1-199

ORIGINAL

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

TROY

ACRS OFFICE COPY
DO NOT REMOVE FROM ACRS OFFICE

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

March 20, 2008

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, taken on March 20, 2008, as reported herein, is a record of the discussions recorded at the meeting held on the above date.

This transcript has not been reviewed, corrected and edited and it may contain inaccuracies.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARD

(ACRS)

+ + + + +

SUBCOMMITTEE ON POWER UPRATES

+ + + + +

THURSDAY

MARCH 20, 2008

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

OPEN SESSION

+ + + + +

The Subcommittee met in Open Session at the Nuclear Regulatory Commission, Two White Flint North, Room T2B3, 11545 Rockville Pike, at 8:30 a.m., Dr. Said Abdel-Khalik, Chairman, presiding.

SUBCOMMITTEE MEMBERS PRESENT:

SAID ABDEL-KHALIK, Chair

MARIO V. BONACA

SANJOY BANERJEE

J. SAM ARMIJO

OTTO L. MAYNARD

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 NRC STAFF PRESENT:

2 ZENA ABDULLAHI, Designated Federal Official

3 CATHERINE HANEY

4 JOHN G. LAMB

5 KAMISHAN MARTIN

6 TONY NAKANISHI

7 PETER YARSKY

8 MUHAMMAD RAZZAQUE

9 RICHARD LOBEL

10 ALSO PRESENT:

11 TOM JOYCE

12 PAUL DAVISON

13 BILL KOPCHICK

14 DON NOTIGAN

15 ED BURNS

16 PAUL LINDSAY

17 PAUL DUKE

18 FRAN BOLGER

19 TED DelGAIZO

20 SKIP DENNY

21 VINCENT ZABIELSKI

22 BRIAN MOORE

23 FRANCIS SAFIN

24 SHELLY KUGLER

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

TABLE OF CONTENTS

	<u>AGENDA ITEM/TOPIC:</u>	<u>PAGE</u>
1		
2	Opening Remarks	4
3		
4	Introduction	
5	Catherine Haney	6
6	John Lamb	7
7	Hope Creek EPU - Overview	
8	Tom Joyce, PSEG, Nuclear Senior	
9	Vice President of Operations,	
10	Salem and Hope Creek	13
11	Paul Davison, PSEG, Hope Creek Site	
12	Engineering Director	16
13	Operations Training, Emergency Operating	
14	Procedures, Operator Actions	41
15	Bill Kopchick, PSEG, Shift Operations	
16	Superintendent, Hope Creek	
17	Power Ascension and Testing	78
18	Bill Kopchick, PSEG, Shift Operations	
19	Superintendent, Hope Creek	
20	Human Performance Timelines	
21	Kamishan Martin, NRR	96
22	Reactor Systems	106
23	Muhammad Razzaque, NRR	
24	Tony Nakanishi, NRR	
25		

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
 1323 RHODE ISLAND AVE., N.W.
 WASHINGTON, D.C. 20005-3701

1	Containment Analysis Methodology	160
2	Paul Davison, Hope Creek Site	
3	Engineering Director	
4	Ted DelGaizo, Mainline Engineering	
5	Mr. Skip Denny, GE-Hitachi	
6	Containment Q and A by members	186
7	Flow Accelerated Corrosion and	
8	Pressure Temperature Limit Curves	193
9	Paul Davison, PSEG, Hope Creek Site	
10	Engineering Director	
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

P-R-O-C-E-E-D-N-G-S

(8:30 a.m.)

CHAIR ABDEL-KHALIK: The meeting will now come to order. This is the first day of a two-day meeting of the Advisory Committee on Reactor Safeguards Power Upgrades Subcommittee. I'm Said Abdel-Kahlk, Chairman of the Power Upgrades Subcommittee's review of the Oak Creek Generating Station Extended Power Upgrade Application.

Subcommittee members in attendance are Mario Bonaca, Sam Armijo, Sanjoy Banerjee, Otto Maynard. We also expect Michael Coradini to join us later today. Also in attendance are ACRS consultants, Graham Wallis and Tom Kress. ACRS members Jack Sieber and John Stetkar and ACRS consultant Alan Pierce are expected to join us tomorrow.

The purpose of this two-day meeting is to hear presentations by and hold discussions with the Hope Creek licensee, PSEG, the NRC staff, their consultants and other interested persons regarding the proposed EPU. The subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberations by the full committee. Zena Abdullahi is the designated federal official for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 this meeting.

2 Parts of this meeting will be closed,
3 because the material to be presented is considered
4 proprietary by the Applicant, PSEG and/or its
5 contractors, General Electric-Hitachi and Continuum
6 Dynamics, Incorporated. The proposed times for the
7 closed sessions are identified in the agenda.
8 Attendees who are required to leave during the closed
9 sessions can call 301-415-7360 to obtain a status
10 report as to when they can rejoin the meeting.

11 We received a request for a teleconference
12 from Mr. Jerry Humphreys who represents the State of
13 New Jersey. A bridge telephone number was made
14 available. I understand that Mr. Humphreys has not
15 signed a proprietary agreement for General Electric-
16 Hitachi and, therefore, cannot participate in today's
17 closed sessions involving GEH proprietary information.
18 However, having signed the relevant propriety
19 agreement with Continuum Dynamics, Incorporated, Mr.
20 Humphreys should be able to participate in tomorrow's
21 closed session, discussions of the steam dryer based
22 on CDI's analyses and methodologies. Please note that
23 the bridge connection is only for listening in.

24 A transcript of the meeting is being kept
25 and will be made available as stated in the Federal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 Register Notice. It is requested that speakers first
2 identify themselves and speak with sufficient clarity
3 and volume so that they can be readily heard. We will
4 now proceed with the meeting, and I call on Ms.
5 Catherine Haney of NRR to start the meeting.

6 MS. HANEY: Thank you. Good morning. I'm
7 the Director of the Division of Operator Reactor
8 Licensing in the office of Nuclear Reactor Regulation.
9 Over the next two days, you will hear the results of
10 a very thorough review by our staff of the application
11 submitted by Public Service Enterprise Group Nuclear,
12 Limited Liability Corporation, PSEG.

13 We had frequent communications with the
14 licensee over the last several months including calls,
15 conference calls, meetings, letters, etcetera. We
16 believe that this helped with our thorough review of
17 the application. In addition, there were several
18 rounds of requests for additional information that
19 were issued to the licensee. The RAIs were submitted
20 as they were developed allowing the licensee as much
21 time as possible to review and respond to our RAIs.
22 The input from the licensee was then reviewed by our
23 technical staff.

24 Some of the more challenging review areas
25 that you will hear about over the next two days are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the steam dryer stress analysis and the fuel and core
2 design analysis. As presented in the draft safety
3 evaluation without the steam dryer which was provided
4 to the ACRS on February 14th, 2008, and the steam
5 dryer safety evaluation input which was provided on
6 February 29th, 2008, there are currently no open
7 technical issues. This two-step process was something
8 that we used with the ACRS was unique. Typically, we
9 supply one safety evaluation report. However, to
10 allow sufficient extra time for ACRS to review the
11 application, we did reach an agreement about
12 submitting it in two stages, and we do appreciate your
13 willingness to take it that way.

14 I'm pleased with the thoroughness of the
15 review conducted by the NRC. The staff had extensive
16 interactions with PSEG on several of these diverse
17 issues, as I've mentioned. And at this point, I'd
18 like to turn the presentation over to my Project
19 Manager, John Lamb, and he'll introduce the
20 discussions for the day.

21 MR. LAMB: Good morning. My name is John
22 Lamb. I am a Senior Project Manager in the office of
23 Nuclear Reactor Regulation, NRR. I am the Project
24 Manager in the Division of Operating Reactor
25 Regulatory Licensing, DORL, assigned to the Hope Creek

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 Generating Station, Hope Creek Extended Power Uprate,
2 EPU.

3 As you know, we only gave you 19 days to
4 review the steam dryer information. The staff
5 realizes the significant this places on the ACRS
6 members. On behalf of the staff, I would like to take
7 this public opportunity to thank the ACRS for
8 accommodating our schedule and reviewing the steam
9 dryer portion on a short turnaround. The staff
10 greatly appreciates the ACRS members' effort in this
11 regard.

12 To quote the famous mathematician and
13 astronomer, Johannes Kepler, I prefer the sharpest
14 criticism of a single intelligent man to the
15 thoughtless approval of the masses. So this quote
16 brings to mind our purpose over the next two days is
17 to convince you that the staff's safety evaluation,
18 SE, for the Hope Creek EPU provides the following --
19 one, there is reasonable assurance that the health and
20 safety of the public will not be endangered by the
21 proposed EPU and two, the proposed EPU will be
22 conducted in compliance with the Commission's
23 regulations.

24 After two days of hearing presentations
25 from the staff and the licensee, we hope that you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 agree that this will -- agree with this and will
2 recommend to the ACRS full committee on April 10th,
3 2008 that the proposed EPU amendment be issued and
4 reflect this in your letter report.

5 fore I go over the agenda, I would like to
6 present some background information related to the
7 staff's review of the proposed Hope Creek EPU. Hope
8 Creek is a boiling water reactor, BWR. The proposed
9 EPU would increase the maximum authorized thermal
10 level from the current licensed thermal power level of
11 3,339 megawatts thermal to 3,840 megawatts thermal.
12 This represents an approximate 15% increase from the
13 current licensed thermal power.

14 Hope Creek was granted a measurement uncertainty
15 recapture, MUR, power uprate of 1.4% in Amendment
16 Number 131 dated July 30th, 2001. The MUR changes
17 were based on the installation of the CE Nuclear
18 Power, LLC cross-flow ultrasonic flow measurement
19 system and its ability to achieve increased accuracy
20 in measuring feedwater flow. This MUR increased the
21 power from the original licensed thermal power of
22 3,293 megawatts thermal to the current licensed
23 thermal power level of 3,339 megawatts thermal. The
24 ACRS did not review this MUR as is the custom with
25 MURs.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 On July 25th, 1996, the NRC licensed Hope
2 Creek for full power operation at 3,293 megawatts
3 thermal. As you know, Hope Creek would not be the
4 unit with the highest thermal power level if you
5 approve the issuance of the proposed EPU amendment.
6 The units with the highest thermal power in the
7 country are Palo Verde 1, 2 and 3, at 3,990 megawatts
8 thermal which are pressurized water reactors, PWRs.
9 PWR units with the highest thermal power as
10 Susquehanna 1 and 2 at 3,952 megawatts thermal. South
11 Texas Projects 1 and 2, which are PWRs, are rated at
12 3,853 megawatts thermal. So this proposed EPU would
13 make Hope Creek the eighth highest unit in the country
14 at a licensed thermal power level of 3,840 megawatts
15 thermal.

16 As far as the method of NRC review, the
17 staff's review for the PSEG application was based on
18 NRC's review standard for extended power uprates. The
19 review standard includes a safety evaluation template
20 as well as matrices that correspond to maintenance
21 areas that are to be reviewed by the staff as well as
22 specific guidance and acceptance criteria that applies
23 to those areas. The staff plans to issue the proposed
24 EPU amendment in the beginning of May 2008 provided
25 ACRS writes a letter report that states that the Hope

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 Creek EPU should issued.

2 PSEG plans to implement the proposed 15%
3 Hope Creek EPU in two steps. One, a proposed 11.5%
4 increase will occur in the first operating cycle
5 following Hope Creek EPU approval. Then two, the
6 licensee will implement the remaining 3.5 percent
7 proposed uprate during a subsequent operating cycle
8 following the proposed amendment of the -- the
9 approval of the amendment. You will hear more detail
10 about this in a little while from PSEG.

11 Basically, PSEG's application followed the
12 guidelines of a constant pressure power uprate of
13 General Electric's topical report. After I conclude
14 my remarks, PSEG will provide an overview on their
15 licensing approach as well as their modifications
16 required and their implementation schedule. Today,
17 you will hear a great deal of more detail on fuel
18 methods from the staff and PSEG in both open and
19 closed sessions. PSEG applied for an EPU amendment by
20 letter dated September 18th, 2006. There were 37
21 supplements. The majority of these dealt with the
22 steam dryer. The staff spent a great deal of time
23 reviewing the steam dryer information to make a
24 finding of reasonable assurance. So like any good
25 movie plot, we will save the most interesting steam

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 dryer information until the second day.

2 The majority of tomorrow will consist of
3 steam dryer discussions in both open and closed
4 sessions. I would summarize the agenda as the
5 following. The bulk of day one is devoted to fuel
6 methods and the bulk of day two is devoted to steam
7 dryer. As you can see from the agenda and the slides,
8 the remainder of the time is devoted to operations
9 training, human factors, power ascension and testing,
10 containment analyses, flow-accelerated corrosion,
11 probabilistic safety assessment, risk evaluation,
12 materials and chemical engineering, electrical and
13 grid reliability, INC and source terms and
14 radiological consequences.

15 So this concludes my presentation as far
16 as the introduction. I would like to turn it over to
17 Mr. Thomas P. Joyce, PSEG Senior Vice President,
18 Operations for Salem/Hope Creek. This is a position
19 Mr. Joyce has held since June 2007. Mr. Joyce has
20 more than 32 years of experience in commercial nuclear
21 power operations. Prior to working at PSEG, Mr. Joyce
22 was site vice president at Exelon's Braidwood Station.
23 Mr. Joyce holds a bachelor of science degree in
24 nuclear engineering from the University of Missouri
25 and a master of business administration degree from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 Keller Graduate School of Management. Here is Mr.
2 Joyce.

3 MR. JOYCE: Good morning. My name is Tom
4 Joyce. As John Lamb stated, I am PSEG's Nuclear
5 Senior Vice President of Operations for both Salem and
6 Hope Creek units. I am very pleased to come before
7 the ACRS Subcommittee today and have my team, along
8 with a number of industry experts, present information
9 to support our application for the extended power
10 uprate of the Hope Creek facility. I, along with the
11 Hope Creek management team, have been actively engaged
12 in advancing this important plant initiative.

13 I am confident that our robust effort has
14 been reflected in the application and that the
15 presentations today and tomorrow will confirm the NRC
16 staff's conclusions in the safety evaluation. I also
17 wanted to take this opportunity to extend my
18 appreciation to the NRC's NRR staff's professionalism
19 throughout this process. The NRC process was
20 challenging and resulted in the desirable outcome of
21 a strengthened product. The regulatory challenges
22 ultimately serve to enhance our effort and further the
23 mutual goal of meeting the standards of protection of
24 the public.

25 With respect to my and the team's approach

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to this project, the focus is first and foremost on
2 safety, both nuclear as well as industrial. Without
3 this cornerstone, no other objectives can be
4 satisfied. As you will hear over the next two days,
5 this project has evaluated a comprehensive and
6 exhaustive list of technical issues, all of which have
7 been resolved or addressed with sufficient safety
8 margins.

9 We will continue to evaluate information
10 related to our power uprate and take conservative
11 actions if necessary. As an example, you will hear
12 about our power ascension testing program which
13 formalizes the safety philosophy by establishing a
14 criteria for conservative actions based on plant
15 conditions and data. This is the approach we take
16 when running the plant and we take the regulatory
17 safety obligation to the public and ourselves with the
18 utmost seriousness. Simply put, it is the right thing
19 to do.

20 With respect to your questions, it is my
21 expectation that if the presenter does not know the
22 answer during the individual topic discussion, we will
23 get you a satisfactory answer before the close of the
24 session.

25 Turning to the agenda, today we will be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 covering an overview of the EPU project, power
2 ascension and operations, fuels topics, containment
3 analysis response, flow-accelerated corrosion and
4 pressure and temperature limits. And tomorrow we will
5 be covering steam dryer vessel internals PSA and grid
6 reliability.

7 Principle presenters will be Paul Davidson
8 who is the Engineering Director at Hope Creek, Bill
9 Kopchick from the Operations Department, Don Notigan
10 from our Fuels Department, Ed Burns from Air and
11 Engineering and the PRA, and during the closed session
12 for the dryer, Dr. Alan Bilanin from CDI will also be
13 presenting some information.

14 So if there are no other questions or not
15 questions for me, I would like to turn this over to
16 Paul Davison to provide the overview of the uprate.
17 Paul?

18 MR. DAVISON: Good morning. As Tom
19 mentioned, my name is Paul Davison. I am the Hope
20 Creek Site Engineering Director. I'm also the EPU
21 Site Sponsor and also the Test Director for the EPU
22 project. The overview of this session will talk about
23 the extended power uprate and will cover the seven
24 topics listed on the slide -- the design of the
25 facility, the licensing strategy for our submittal,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the impacted key plant parameters, facility
2 modifications performed to support the power uprate as
3 well as our remaining implementation actions.

4 Moving onto slide six, as mentioned
5 previously, Hope Creek Generating Station is wholly
6 owned and operated by PSEG Nuclear, LLC which is a
7 subsidiary of PSEG Power. The station shares a common
8 site with Salem Generating Station which is located
9 adjacent to the Delaware River near Salem, New Jersey.
10 The station is a General Electric BWR-4 design. We
11 operate on an 18-month fuel cycle. Our next refuel
12 outage commences in the spring of 2009. The station
13 also utilizes a natural draft hyperbolic cooling tower
14 for our normal condenser heat removal as well as the
15 Delaware River itself as our ultimate heat sink.

16 The operating license, as mentioned
17 previously, was issue in July of 1986 with commercial
18 operation commencing December of that same year.

19 From a containment perspective, Hope
20 Creek's primary containment structure is a General
21 Electric Mark 1 which is denoted by the inverted
22 lightbulb shape containment as well as a suppression
23 pool heat sink which is a torus. The original
24 licensed thermal power of LLTP was 3293 megawatts in
25 2001 through the Appendix K feedwater uncertainty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uprate we implemented and took the unit to 3339
2 megawatts thermal by using the AMAG or advanced
3 measurement in analysis group cross-flow system. That
4 system uses externally mounted ultrasonic transducers
5 on the common feedwater header to measure feedwater
6 flow with greater certainty.

7 The requested extended power uprate will
8 increase the licensed thermal power to 3840 megawatts
9 thermal. This is 115% of our current licensed thermal
10 power or 16.6% of our original licensed thermal power.

11 MEMBER BANERJEE: The AMAG system, will it
12 be re-calibrated for this flow rate?

13 MR. DAVISON: We've done two things -- one
14 in response to some industry experience. We've done
15 a full calibration at 100% power now coming out of our
16 refuel outage by using other ultrasonic devices on our
17 individual three feedwater lines and also, we use our
18 secondary systems. We use the venturis that were
19 installed during original construction, of course, as
20 well as balance-of-plant operating conditions, like
21 turbine first stage pressure, to make sure we're
22 always balanced and ensuring that we're never in an
23 over powered condition.

24 There is no specific re-calibration that's
25 required of the system when we go to power uprate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 However, during our power ascension testing, the same
2 type of comparisons will be done to ensure that there
3 has been no change by the increase, approximately 16%
4 increase in feedwater flow and, of course, the
5 temperature change that occurs with that.

6 MEMBER BANERJEE: So was it calibrated
7 with a time-of-flight method originally or how was it
8 calibrated, just against venturis?

9 MR. DAVISON: No. The ultrasonics
10 themselves were statistically compared to three
11 individual sets of ultrasonics that were installed on
12 our individual feed lines. So general system
13 description is three feedpumps, three feedwater trains
14 that have individual lines where we put ultrasonic
15 devices on, that goes into a common header, and that's
16 where the actual AMAG's cross-flow system is
17 installed. What we did was statistically compared the
18 data over long periods of time from the individual
19 flow elements which have greater accuracy, the
20 straight runs that are unobstructed to ensure that you
21 have the correct flow characteristics where the
22 ultrasonics were placed, and then did that comparison,
23 and we utilized the comparison to calibrate that.

24 The comparison to the venturis and the
25 first-stage term pressure are secondary checks in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 response to industry OE where folks have had problems
2 and have ended up over powering units.

3 MEMBER BANERJEE: So it's basically a
4 consistency check?

5 MR. DAVISON: Correct.

6 MEMBER BANERJEE: And at the higher power
7 you do that?

8 MR. DAVISON: Yes. The other thing that -
9 - the Appendix K uncertainty is taken out of our re-
10 rate power, so we will not actually be utilizing the
11 cross-flow system for a reduced margin and greater
12 certainty. What we will be using the cross-flow
13 system for is to maximize the efficiency or accuracy
14 of our flow venturis. But that 2% -- 1.4% margin is
15 back into our licensing basis.

16 MEMBER BANERJEE: So the flow venturis,
17 they haven't had any sort of roughening at the throats
18 or anything like that?

19 MR. DAVISON: The operating experience of
20 fouling and defouling events, we do see minor
21 indications of that. In fact, one of the reasons why
22 we went and did the full power calibration coming out
23 of our last refuel outage was to check for them,
24 periodically check for that, because you do see some
25 buildup and sloughing off of the coating, the fine

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 coating that occurs on the venturi itself. As far as
2 damage or needing to replace due to erosion of our
3 venturis, no, we have not seen that at the station.

4 MEMBER BANERJEE: Okay. Thanks.

5 MEMBER MAYNARD: Could you -- if you're
6 going to do this later, that's fine, too, but the
7 reason you chose 3840 rather than going to the 3952?

8 MR. DAVISON: Yes. Actually, I'll take
9 you through this next chart just for a comparison and
10 then there is some further information, but the
11 business decision that was made back in the early
12 2000's, we initially set out to do a 120% uprate.
13 That's what the plant was designed for. In fact,
14 you'll hear about the significant margin in, like, our
15 condensate and feedwater systems because of that. At
16 the time, with unknown uncertainty with respect to the
17 grid and moving forward and the cost associated with
18 that, a business decision was made to go for a 15%
19 power uprate.

20 So it was strictly a business decision at
21 that time, because we needed to put in motion the
22 changes, primarily through General Electric and the
23 purchase of three low-pressure rotors and a high-
24 pressure rotor to basically replace our entire turbine
25 train. So at that time, we made the decision we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to buy the equipment that'll support a 15% power
2 uprate.

3 MEMBER MAYNARD: Okay.

4 MEMBER ARMIJO: So with this equipment on
5 the turbine, you're going to be limited to 115?

6 MR. DAVISON: Well, actually, right now,
7 as you'll hear, we're actually going to be limited to
8 111.5% this cycle. We will require even additional
9 modifications, primarily focused on the high pressure
10 turbine to change out the first four stages of
11 diaphragms to be able to get to 115% power.

12 MEMBER ARMIJO: Okay. But that'll be the
13 limit once you make those modifications?

14 MR. DAVISON: Correct.

15 MEMBER ARMIJO: Okay.

16 MR. DAVISON: Okay. ON the slide that you
17 have in front of you, because of the discussion I just
18 had, we started off -- and many of our initial
19 analyses were based on 120% -- when we focused in at
20 115, we did the balance or the remainder of the
21 analyses at 115%, and we were comparing Appendix K and
22 pre-Appendix K power levels. We thought we'd just do
23 a quick run through of a comparison of our OLTP, CLTP
24 and EPU power levels. You can pull it out and
25 reference it to our discussions later one.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Vince will just point out a couple of key
2 items here where we initially set out as I mentioned,
3 to do the standard 20% uprate. Therefore, a large
4 amount of our EPU analysis was completed at that 120%
5 or 3952. So that's the 3952 equating to 120%.
6 Appendix K uprate brought us to the 100% current
7 licensed thermal power of 3339. That's the center
8 bar. Our requested EPU license change request for 15%
9 power increases that or equates to 116.6 of our
10 original licensed thermal power. So reading across
11 the 3840 megawatts thermal line, you see that's 116.6%
12 of our original license, a 15% increase on our current
13 license, and that will be the 100% value when we reach
14 EPU conditions.

15 During the cycle, we'll be limited to that
16 111.5% based on our main turbine, specifically the
17 high-pressure turbine. And that's really maintaining
18 our main turbine 3% control valve wide open transient
19 response margin. That is why that turbine right now
20 will be limited to 111.5. Mention the modifications
21 that we'll need to do to be able to rate that unit --
22 that piece of equipment to 115%. And additionally, we
23 are focusing on cooling tower enhancements during our
24 peak summer atmosphere condition, mainly high
25 temperature.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Our cooling tower will also start to limit
2 our megawatt electric output. We'll actually, in some
3 cases, have to reduce power by a few percent to ensure
4 that we maintain the appropriate margin with respect
5 to turbine back pressure. So again, the major
6 limiting component for year-round operation is the
7 high-pressure turbine. Summer months will be focusing
8 on cooling tower efficiency improvements.

9 Okay. Next slide -- we have made numerous
10 changes, both physical and licensing wise to get to
11 where we are today with this proposal. The 10 CFR
12 50.59 process, of course, was utilized. Several
13 licensing actions in support of our EPU implementation
14 were also required. The adopted amendments have been
15 previously NRC reviewed and approved, and we fully
16 implemented them at Hope Creek. Those changes include
17 the full scope of the alternate source term was
18 approved for implementation in October of 2001. All
19 EPU analysis was performed using the AST methodology.
20 The reactor vessel pressure and temperature limit
21 curves were revised in November of 2004, currently in
22 place, and they have been updated to include the EPU
23 neutron fluence levels.

24 General Electric methods for core design
25 and transient analysis at the EPU conditions have been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 utilized since December of 2004. We're currently
2 operating on our third cycle with fuel from two
3 different vendors, General Electric and Westinghouse.
4 The ARTS/MELLLA implementation was February of 2006.
5 This expanded the operating domain to reach rate of
6 power at lower core flow and also provides the
7 necessary reactor recirculation flow control range for
8 our ultimate EPU implementation.

9 The remaining open license amendment
10 request is our current submittal for EPU. The
11 application was submitted in September of 2006 and
12 accepted for review by the staff in October of the
13 same year. It utilizes the constant pressure of power
14 uprate license topical report for the non-fuel-related
15 topics in the extended power uprate topical report for
16 the fuel-related topics due to our GE/Westinghouse fuel
17 load.

18 Slide nine talks about the specific key
19 parameters that are changing with EPU. In addition to
20 the 501 megawatt thermal uprate required to change the
21 recirc flow operating range, there was no change in
22 the actual flow limit of 105 million pound mass per
23 hour. The lower flow limit was increased from 76.6 to
24 94.8 million pound mass per hour since we did not
25 expand the MELLLA operating domain. Steam dome

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pressure remains unchanged. The feed and steam flows
2 increase typically what you would see with a 15% power
3 increase. There is a minor delta between the feed and
4 steam flow and the numbers there, and that's due to
5 the constant CRD cooling water that's flowing into the
6 vessel, water inventory about 60 galls a minute.

7 MEMBER BANERJEE: Let me ask you a
8 question.

9 MR. DAVISON: Yes.

10 MEMBER BANERJEE: Since you're only going
11 up to, let's say, 116% or something, do you still have
12 some operating range which is going to be full control
13 there in MELLLA --

14 MR. DAVISON: Yes, with MELLLA, that's
15 correct.

16 MEMBER BANERJEE: So you'll have, what,
17 some region which is still you're able to control the
18 flow without control rods?

19 MR. DAVISON: Absolutely. The basic
20 operation of the unit will remain the same as we are
21 today. We'll be doing flow manipulations to change
22 reactor power for minor and then control rod
23 manipulations.

24 MEMBER BANERJEE: So perhaps at some
25 point, you could show us some typical operating domain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 later one?

2 MR. DAVISON: Yes. In the fuels
3 discussion, we can show the power-to-flow map and we
4 can go through that. Okay?

5 All right. The final feedwater
6 temperature increases by 9 degrees Fahrenheit
7 primarily due to the higher main turbine extraction
8 pressure of the feedwater heaters themselves. Other
9 than the core thermal power increase of 15%, the
10 impact of EPU to the power plant is primarily in the
11 balance-of-plant steam delivery systems.

12 MEMBER ARMIJO: What will your core power
13 density be at EPU, and how does that compare to other
14 BWR-4s --

15 MR. DAVISON: Don?

16 MR. NOTIGAN: -- kilowatts per liter.

17 MR. DAVISON: Mr. Notigan, address that
18 question, please?

19 MR. NOTIGAN: Yes. Don Notigan, PSEG
20 Nuclear. We compared Hope Creek's power density to
21 the experience base from the licensing topical report.
22 Hope Creek will be below some of the maximum kilowatts
23 per liter density, but it is within the experience
24 range and fits right in with the curves. I'll be
25 presenting some of that in my discussion.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: Do you have a number?

2 MR. NOTIGAN: I believe it's less than 57
3 but I can look that up.

4 MEMBER ARMIJO: Okay.

5 MR. DAVISON: Okay. On slide ten, Vince?
6 We talked about the licensing approach. This is the
7 actual physical modifications that were required to be
8 implemented at the station in support of EPU. In
9 preparation for the EPU, we performed a rigorous
10 assessment of reductions in both operating and design
11 margins. Training, procedure changes, program
12 changes, testing changes were all implemented to
13 account for reductions in margin as a result of the
14 15% increase in addition to these modifications.

15 Some examples of the components and
16 systems that were impacted by this strategy of uprate
17 and assessment to manage the margin associated with
18 them, main steam line piping vibration and steam dryer
19 loading, no changes to the main steam system or the
20 actual vessel steam dryer were required. We did do
21 analysis to show that the margin exists. Obviously,
22 we'll be talking about that in greater detail on
23 tomorrow's session, but we'll also be implementing
24 monitoring which will be part of our monitoring plan
25 to ensure that there are no issues associated with our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analytical assessment of the margin associated with
2 things like main steam line piping and steam dryer.

3 High-pressure turbine -- talked about in
4 addition to the actual physical change of the high
5 pressure turbine and the requirement to limit power to
6 111.5%. We will monitor that and keep power to
7 111.5%. Again, that was to maintain a 3% valve wide
8 open margin for transient response.

9 Condenser back pressure and condenser
10 demin., condensate demin., inlet temperatures will
11 also have some limitations really going back to the
12 cooling tower operations. No specific change is made
13 to the operating facility for that. However, we will
14 be monitoring condenser back pressure as we do all the
15 time, but specific focus in the summer months because
16 of our cooling tower limitations and essentially being
17 at the mercy of the environment. But there are
18 specific guidelines set up with Operations that they
19 have today even pre-EPU that in the event of a
20 challenge to condenser back pressure before a
21 transient would occur, they have the direction to
22 reduce reactor power.

23 Steady state operations with the reactor
24 feed pump -- we can essentially operate with one of
25 our reactor feed pumps. Hope Creek is designed with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 three secondary condensate pumps, three primary
2 condensate pumps and three reactor feed pumps. Right
3 now we can operate with a feed pump out of service up
4 to 100% power. Of course, with change of power to
5 115%, we will need to procedurally control the point
6 with which we can operate the unit with a flexiplace
7 or other primary or secondary condensate pump out of
8 service.

9 And the steam bypass capability, we did
10 require a license change coming out of this outage in
11 light of our high-pressure turbine replacement, which
12 reduced our main steam bypass, our bypass valve
13 capability from 25 to 22%, again, controlled in our
14 setpoints for our instrumentation as well as
15 procedurally for how we operate the reactor.

16 But in addition to those, there were many
17 changes that were actually physically done to the
18 plant. And what I will do is I'll just walk through
19 and cover the modifications that were done to the
20 facility that we needed to do to either increase or
21 maintain margin so that we can implement an EPU
22 project.

23 Starting in 2003, we did implement two
24 changes. The 500 kV breaker was added due to our
25 independent system operations which is Pennsylvania,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 New Jersey, Maryland, PJM, interconnect analysis for
2 the additional output that Hope Creek would have. The
3 breaker was added to ensure all grid stability
4 criteria were met. The new breaker was added to
5 provide backup line fault clearing. This prevents
6 tripping of Hope Creek and the interconnecting line
7 between Salem and Hope Creek switch yards to preserve
8 grid stability. And this will be reviewed in detail
9 in tomorrow's session on grid stability.

10 Also, the cooling tower internals were
11 upgraded to install new flow distribution piping, fill
12 material and realignment of the water distribution.
13 We're essentially making sure that the tower is
14 operating at its maximum efficiency.

15 Moving to 2004 -- I mentioned that we
16 replaced -- all three of our low-pressure rotors were
17 upgraded. This also eliminated the torsional stress
18 limitation by installing the GE monoblock design
19 rotors. We also installed the digital EHC, or
20 electro-hydraulic control system, and a turbine
21 supervisory instrumentation system upgrade to improve
22 control reliability as well as vibration monitoring
23 capability of our main turbine train.

24 The main generator nameplate rating was
25 increased due to the power uprate. In addition to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nameplate rating which was analytical, we did have to
2 increase the standard water coolant system flows and
3 also the iso-phase bus cooling associated with that to
4 allow for the greater increase in power.

5 The two main turbine moisture separators
6 and the piping between the high-pressure and low-
7 pressure, we have two large moisture separators. The
8 internal chevrons or the moisture separator internals
9 themselves were replaced and that provided additional
10 efficiency as well as we gained approximately 6
11 megawatts electric by doing that. That's essentially
12 increasing our steam quality to the low pressure
13 rotors.

14 And then the alpha and bravo main power
15 transformers were replaced to match the previously
16 replaced Charlie phase transformer, three individual
17 phases. That experienced default due to solar-
18 magnetic disturbances back in 2001.

19 MEMBER BONACA: Excuse me. I have a
20 question.

21 MR. DERRICK: Yes.

22 MEMBER BONACA: If you lose one feedwater
23 pump now, before the change, you stay at 100% power?

24 MR. DAVISON: No. The -- in response to
25 a loss of a feed pump, we will incur a intermediate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 runback on our recirc pump, so it will actually reduce
2 power automatically in response to the loss of a feed
3 pump.

4 MEMBER BONACA: With the low -- with the
5 power change after the occurrence?

6 MR. DAVISON: That occurs right now. Is
7 that correct, Bill?

8 MEMBER BONACA: Oh, now.

9 MR. KOPCHICK: That's right.

10 MR. DAVISON: Yes. The system's designed
11 with based on the rating of flow, loss of a pump --
12 it's an anticipatory runback to prevent degradation to
13 level and a reactor transient scram.

14 MEMBER BONACA: What level?

15 MR. DAVISON: I'm sorry?

16 MEMBER BONACA: To what power level?

17 MR. DAVISON: The intermediate runback, a
18 recirc takes us back to approximately 80% power.

19 MEMBER BONACA: And now with the new --
20 after the power uprate, you're just simply readjusting
21 the runback down to a lower value?

22 MR. DAVISON: The specific value for the
23 runback stays the same, correct?

24 MR. KOPCHICK: Hi. My name is Bill
25 Kopchick. I'm the District Operations Superintendent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the Operations Department. The runback on a trip
2 of a reactor feed pump is initiated with a reactor
3 feed pump concurrent with receipt of a Reactor Level
4 4 which is 30 inches. The plant response is to reduce
5 reactor recirc pump speed to 45%. At current licensed
6 thermal power, that will reduce me to approximately
7 80% current licensed thermal power. It will be
8 somewhat higher than that under EPU conditions.

9 MEMBER BONACA: Thank you.

10 MR. KOPCHICK: You're welcome.

11 MR. DAVISON: Okay. And the last
12 modification for 2004 were the addition of flow-
13 induced vibration analysis via accelerometers
14 installation on many of our piping systems. The
15 accelerometers allowed us to collect the baseline data
16 to verify that we had no flow-induced vibration
17 problems. Critical piping is instrumented, and as
18 you'll hear in our discussion of power ascension
19 testing, we have Level 1 and Level 2 acceptance
20 criteria that we will be closely monitoring the piping
21 for vibration for power ascension. In addition,
22 numerous other balance-of-plant piping were
23 qualitatively walked down and will be walked down as
24 part of our power ascension testing program as well.

25 MEMBER ARMIJO: Has that equipment been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 removed? You say temporary. Is that -- was just in
2 for a short while or?

3 MR. DAVISON: No. It will remain
4 installed through the -- it's been installed and will
5 remain installed through the entire power ascension
6 testing program. So it remains installed today and we
7 periodically take readings just to verify that we have
8 not, you know, have any failed sensors or damaged
9 cables.

10 In 2006, so in that column, the
11 ARTS/MELLLA I mentioned previously was introduced.
12 The alpha steam jet air ejector heat exchanger was
13 converted from a parallel flow to a cross flow design.
14 That was already previously implemented on the BRAVO
15 steam jet air ejector, and that's really around
16 improving efficiency for summer operations of our off
17 gas air removal system. The main generator iso-phase
18 bus cooling system was upgraded to increase the air
19 flow as well as the heat exchanger of cooling water
20 flow, which is a cooling medium for that heat
21 exchanger.

22 The number 2 and 3 point feedwater heat
23 dump valves were replaced. That's to increase their
24 capacity to respond to transients, and numerous
25 setpoint changes have been made -- six safety relief

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 valves on the two main turbine moisture separators and
2 three relief valves on the number 5 point feedwater
3 feedwater heaters were all increased due to the normal
4 operating pressures increase expected as part of the
5 EPU implementation.

6 We did modify six existing pipe supports
7 on the main steam lines in our turbine building. And
8 that was due to increased loading of the higher steam
9 flow when we have a turbine stopped off transient. So
10 we just -- the actual -- no additional lines were
11 installed. We just modified them to strengthen them.
12 And then strain gauges -- additional accelerometers
13 and thermal couples were added to the main steam
14 lines, RHR piping, recirc piping to assess the
15 acoustic characteristics of the associated piping
16 systems. And again, that data is necessary for the
17 steam dryer analysis which we'll be covering on
18 Friday.

19 Finally, in 2007, the condensate
20 demineralizer resin traps were upgraded with new
21 strainer elements, and that's to account for the
22 increased differential pressure across these traps
23 resulting in the increased flow we will have during
24 EPU conditions. The high-pressure rotor was finally
25 replaced, as I mentioned, in our last outage. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nozzles, diaphragms and packing were replaced to
2 support the increased steam flow of the rerate.
3 Again, additional modifications will be necessary to
4 take us all the way up to the full 115%.

5 Additional drywell main steam line strain
6 gauges were installed, really in response to industry
7 operating experience that other plants incurred
8 failures which limited or reduced the accuracy of
9 their data on the strain gauges, so we went and
10 installed eight strain gauges per location. That
11 allows redundancy so that we do have some type of
12 strain gauge failure, we will still have adequate data
13 coming to us for analysis when we do the uprate.

14 Small-bore piping changes associated with
15 the main steam lines really between the pressure
16 averaging manifold and the turbine stop valves
17 themselves were upgraded by adding two-over-one taper
18 fillet welds, and that's just to minimize fatigue-
19 induced cracking on EPRI guidelines and some OE that
20 was out there. Numerous BOP instruments were rescaled
21 and setpoints were adjusted in support of the EPU.

22 And then finally, the reactor recirc pump
23 runback logic was changed for the trip of a primary
24 condensate pump. We used to have a full runback
25 associated with the trip of that pump. WE changed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that to an intermediate run to take advantage of the
2 design capacity, extra capacity of our condensate and
3 feedwater system. It really is focused on minimizing
4 the transient to operations during a trip of the pump.

5 And the RCIC turbine exhaust high-pressure
6 trip setpoint was adjusted to 50 pounds to maintain
7 RCIC availability and that's associated with our 4-
8 hour coping period following a station blackout event
9 in accordance with SIL-371.

10 CHAIR ABDEL-KHALIK: Is 50 psi the correct
11 number?

12 MR. DAVISON: Yes. And then, finally,
13 moving it forward into 2008, the online implementation
14 listed setpoints -- that's the main steam line hot
15 flow setpoints -- OPRM setpoints, APRM setpoints, and
16 hydrogen water chemistry flow adjustments control
17 bands will be changed subsequent to issuance of our
18 license change. So we're awaiting for that to do
19 online once we move forward.

20 In summary, all the changes required to
21 support EPU have been implemented with the exception
22 of the license change restraint setpoints.

23 Moving on to slide 12 for the
24 implementation itself. So with all the physical
25 modifications actually completed, the remaining tech

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 spec-driven setpoints that I mentioned before will be
2 implemented online in this operating cycle, the power
3 ascension in accordance with our test plan from 100 to
4 111.5% will then commence. The goal is to implement
5 prior to our independent system operation PJM grid
6 summer peak period which essentially begins June 1st
7 of this year.

8 That concludes my presentation pending
9 questions.

10 MEMBER MAYNARD: I'm still just a little
11 bit confused on your feed pump-condensate pump
12 capabilities. I thought earlier in the discussion you
13 said that you could operate with two of them?

14 MR. DAVISON: Correct.

15 MEMBER MAYNARD: Maybe I assumed that what
16 you were saying is you basically had three 50% pumps,
17 but you're talking about having runbacks any time you
18 lose one. Is that just -- you mentioned
19 precautionary. Could you actually operate at 100%
20 power with just two pumps?

21 MR. DAVISON: Yes. For clarification,
22 steady state operations, if we were to remove a pump
23 from service, coming out of an outage, have a
24 maintenance problem or have a pump that we need to
25 take out of service in a controlled fashion,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operations would reduce reactor power, take the pump
2 out of service, increase reactor power back up. So in
3 steady state operations, no issues. The runback is
4 required because you have a transient associated with
5 the instantaneous loss of a pump, condensate or feed
6 pump, immediate level effects, so you have the runback
7 to protect from the low level scram.

8 MEMBER MAYNARD: Okay. That's fine. That
9 answers my question.

10 MR. DAVISON: Thank you.

11 CHAIR ABDEL-KHALIK: If there are no
12 further questions, we'll proceed with presentation.

13 MR. DAVISON: Thank you. I would like to
14 now Bill Kopchick. He's our Shift Operations
15 Superintendent for the Operations portion.

16 MR. KOPCHICK: Good morning. As Paul
17 Mentioned, I'm Bill Kopchick. I am the Shift
18 Operations Superintendent at Hope Creek. That means
19 for the operating shift personnel, senior reactor
20 operator, reactor operators and equipment operators,
21 they will ultimately report up through me. My boss is
22 the Operations Director who would be Paul's peer in
23 our management team. I've been licensed at Hope Creek
24 for 10 years. Prior to Hope Creek, I was a shift
25 technical advisor at the Oyster Creek Station. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 during power ascension, I'll fill a role as a Test
2 Manager as we perform our power ascension testing upon
3 approval of our license submittal.

4 My role in the development of the project
5 over time has been to make sure there has been either
6 a senior reactor operator or a reactor operator
7 engaged with the project. Any questions that were
8 operationally related would then come back to me for
9 approval or operations shift input, so we made sure
10 that operations personnel were aligned with the
11 project and were able to implement it on shift.

12 To my right is Paul Lindsay. I'd like to
13 afford Paul the opportunity to introduce himself.

14 MR. LINDSAY: Good morning. Again, as
15 Bill said, my name is Paul Lindsay. I work for
16 Mainline Engineering Associates. I am a former
17 licensed SRO at Hope Creek Station, also a former
18 mechanical design supervisor for Hope Creek and Salem
19 units. My role in the project has been primarily
20 mechanical design support. However, I was responsible
21 for the development of the test program as well as the
22 implementing test procedures.

23 MR. KOPCHICK: Thanks, Paul. The intent
24 of this portion of the presentation is to cover three
25 operationally-focused topical areas associated with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the implementation of extended power uprate. These
2 will be operator training and the efforts we have
3 taken to ensure operator readiness for EPU
4 implementation and subsequent high-power operation.
5 Second is the impact of EPU on operator response to
6 transients and postulated events including the
7 operator actions, mitigating strategies and response
8 times. And lastly, I will outline our power ascension
9 testing program which has been designed to
10 successfully implement a safe and systematic plant
11 power ascension to extended power uprate power levels.

12 First in the area of operator training, as
13 Mr. Davis had mentioned, we have incorporated numerous
14 station modifications to prepare us for power uprate.
15 Some of these included new main power transformers,
16 high pressure and low pressure turbine replacements,
17 enhanced monitoring systems, and multiple instrument
18 replacements to include scaling and setpoint changes.
19 The majority of these modifications, as Paul stated,
20 particularly involving those that involve physical
21 changes, have been in place for one or more operating
22 cycles. For each of these, specific system training
23 was included in both non-licensed operator and
24 licensed operator requalification programs and thus,
25 the operators, including myself, are currently

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 familiar with the changes made, the operating
2 limitations required, and the characteristics of the
3 new equipment that has been installed.

4 In addition to the system training on
5 these previously mentioned modifications, we have
6 conducted EPU power ascension training, steady state
7 training, and transient training in both the classroom
8 and on the Hope Creek simulator for all operating
9 shifts. Regarding procedure changes, while EPU
10 implementation involves numerous procedure changes to
11 the station, the changes to the procedures associated
12 with the aforementioned system modifications represent
13 the majority. These changes have been trained on.
14 They are in place. Operators are currently familiar
15 with the precautions and limitations and operating
16 requirements associated with this equipment.

17 The balance of outstanding changes
18 associated with EPU implementation will involve
19 changes to tech-spec instrumentation setpoints which
20 obviously cannot proceed until a license change
21 request is approved.

22 CHAIR ABDEL-KHALIK: Now the 11.5% change
23 is going to be a mid-cycle change for this current
24 cycle. Has the simulator model in existence been
25 uprated to 11.5% and that's what the operators have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been training on?

2 MR. KOPCHICK: Yes. What we did for the
3 simulator modeling is we've obviously done a pretty
4 extensive amount of analysis on plant performance at
5 EPU conditions up to 115% and in some cases, as Paul
6 mentioned, 120%. In an effort to ensure simulator
7 response would be as we would expect under EPU
8 conditions, we did run a battery of transients on the
9 simulator to include balance-of-plant system response
10 to ensure that the ANSI standard required margins for
11 performance of the simulator were met. That was
12 performed prior to the training being initiated.

13 A second facet associated with the
14 simulator that is probably pretty important is we
15 implemented a new balance-of-plant thermal hydraulic
16 model called THOR which is an advanced model that we
17 use to back up the analytical calculations that were
18 performed for balance-of-plant response. So the
19 simulator has been validated to respond as we expect
20 the plant to respond in EPU.

21 I would add that the documentation that
22 our station requires -- it's a corporate procedure to
23 formally document that testing per the ANSI standard -
24 - is still in progress with an expected completion
25 date of April 13th and final reviews completed by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 April 27th.

2 MR. DAVISON: Paul Davison. For clarity,
3 the simulator has two modes of operation, one for
4 training at the current licensed thermal power and
5 when they're doing EPU testing at the EPU rated so
6 they can actually run the plant as it would look and
7 appear to them at the uprated power. Is that correct,
8 Bill?

9 MR. KOPCHICK: That is correct. It is
10 really a function of setting up the initial power.

11 CHAIR ABDEL-KHALIK: Thank you.

12 MR. KOPCHICK: Getting back to procedure
13 changes, the balance of our outstanding changes are
14 associated with tech spec instrumentation changes.
15 Those procedures are complete and awaiting approval of
16 the license change request. Some changes --

17 MEMBER BONACA: Just to understand it
18 better, you're going to go to 111% power and then
19 later on another step up to 115% power?

20 MR. KOPCHICK: Correct.

21 MEMBER BONACA: What does it do to your
22 tech specs and to your protection system? I mean are
23 you setting it up for 111% power now and then later on
24 adjust it 115%, or do you have a different strategy?

25 MR. KOPCHICK: The tech spec setpoints are

1 based on 115% power uprate. The limitation of 111.5%
2 current licensed thermal power is turbine related, so
3 from an operator perspective, that presents some small
4 challenge, because we will be operating at 97% power.
5 We will set up our procedure network. Obviously,
6 being an operator, we operate in accordance with
7 procedures to set limitations procedurally to keep us
8 at 111.5.

9 MEMBER BONACA: Which is 97%?

10 MR. KOPCHICK: Ninety-seven percent. That
11 is correct.

12 MEMBER BONACA: Okay. So could you just
13 elaborate a little bit? How do you train the operator
14 to see that? I mean your setpoints are set at 115%
15 power.

16 MR. KOPCHICK: Right. Okay. The way, as
17 an operator, I would control reactor power output is
18 I would use a heat balance that's updated every second
19 off of a plant process computer. The plant process
20 computer will give me a number in megawatts thermal.
21 Right now the way my license is set up, I'm limited to
22 3339 megawatts thermal. We use a 5-minute average to
23 control that power level. If I see the 5-minute
24 average approach or exceed that number, I will reduce
25 reactor recirc flow to maintain the 5-minute average

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 below the limit. That's how we intend to set that up
2 for the operator control, to minimize a number of
3 other parameters that have to monitor.

4 MEMBER BONACA: Okay. My concern was how
5 much do you have to change later on, but what you're
6 telling me, it's pretty much you're implementing 115%
7 power really --

8 MR. KOPCHICK: Right.

9 MEMBER BONACA: -- from your setpoints and
10 then you're controlling at another power level?

11 MR. KOPCHICK: That's correct. Our
12 procedure network sets the control band for the
13 operator as it would with any other system including
14 the reactor.

15 MEMBER ARMIJO: I just want to get a
16 clarification. You're currently in Cycle 14, is that
17 correct or?

18 MR. KOPCHICK: I think that's -- Don?

19 MR. NOTIGAN: This is Don Notigan, PSEG
20 Nuclear. Currently, we are in Cycle 15 at Hope Creek.

21 MEMBER ARMIJO: You're currently in 15 and
22 you're going to go to 111% during this cycle?

23 MR. NOTIGAN: That is correct, in Cycle
24 15.

25 MEMBER ARMIJO: And then in Cycle 16,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you'll go to the remaining up to 115?

2 MR. NOTIGAN: We have information in
3 another presentation that describes an implementation
4 plans for going up to the next power level. I don't
5 believe we're making a commitment for the next cycle.

6 MR. KOPCHICK: Okay? Okay, so regarding
7 procedures, some changes have been made to our
8 emergency operating procedures which I will cover in
9 our next slide. However, there are no new abnormal
10 operating procedures required for EPU implementation.
11 We did not require any new emergency operating
12 procedures as a result of EPU, but I will cover the
13 changes to the existing procedure network that we
14 accomplished.

15 Regarding operating experience, industry
16 operating experience associated with power uprates was
17 incorporated into our operator training. Hope Creek
18 reactor operators and senior reactor operators that
19 were involved with the test program development with
20 Paul Lindsay visited several sites that have
21 implemented extended power uprates and have utilized
22 this experience and additional OE in training
23 development. This experience has been incorporated
24 under both the power ascension test program and the
25 implementing procedure to accomplish the power

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ascension test which I will discuss in more detail
2 later. In addition, specific Hope Creek operating
3 experience and industry EPU experience has been
4 incorporated into individual system monitoring plans
5 on a system-by-system basis that will be used by both
6 operators and engineers implementing the power
7 ascension procedure.

8 In summary, operations personnel have
9 trained on and in many cases have been operating
10 equipment necessary to implement EPU at our station.
11 Such training has included power ascension testing,
12 steady state operation and transient response training
13 in the simulator to include lessons learned from other
14 facilities. In conjunction with planned just-in-time
15 training which we will perform prior to EPU power
16 ascension, these activities will ensure an informed
17 but cautious and questioning approach to the new EPU
18 power level.

19 The purpose of this slide is to discuss
20 the impact on operations with regards to response to
21 transients or assumed or postulated accident
22 conditions under EPU operating conditions. Hope Creek
23 has 123 post initiating event operator actions
24 credited in its plant risk program. There are no new
25 operator actions or tasks associated with implementing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 EPU at our station. Due to higher decay heat load,
2 there is a small impact on the time available to
3 detect, diagnose, and perform actions associated with
4 transients or accident conditions. However, the
5 impact does not adversely affect plant operators.

6 MR. WALLIS: This is because the times are
7 already quite low, isn't it?

8 MR. KOPCHICK: That is true. The
9 increased decay heat load is the basis for the
10 reduction in response times. I have several examples
11 I'll cover now to go over really what the changes look
12 like to me as the operator. Some examples of these
13 impacts are time to achieve cold shutdown following a
14 design basis ascent. This changes from 9 hours to 13
15 hours.

16 MR. WALLIS: There's oodles of time to
17 figure it out, though?

18 MR. KOPCHICK: There is. Tech specs in
19 the case of achieving cold shutdown would require 24
20 hours to achieve cold shutdown, so we'll change from -
21 - it'll take me 13 hours instead of 9 due to higher
22 decay heat load. The time for RPV water level to
23 reach the top of active fuel during a loss of coolant
24 event is expected or predicted to occur about 20%
25 faster due to higher decay heat load and a greater

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 impact of wood collapse. And time to boil during
2 shutdown conditions, which is managed by our shutdown
3 outage risk management program, will shorten by less
4 than or equal to 15% under all conditions.

5 MR. WALLIS: What happens during ATWS? Is
6 there a shorter time to figure things out during ATWS?

7 MR. KOPCHICK: During ATWS conditions --
8 that is a good question -- we were audited by the
9 staff under the most extreme ATWS conditions. We ran
10 four scenarios under the audit conditions -- EPU
11 condition, MSIV closure ATWS, current license thermal
12 power condition with an MSIV closure in ATWS, and then
13 an ATWS following a turbine trip under both EPU and
14 current licensed thermal power conditions. What we're
15 looking at as far as changes to the operator, from my
16 perspective, is the actions or the way that we combat
17 an ATWS will not change.

18 We may be slightly different than other
19 facilities in that our process is if I have an ATWS
20 condition and reactor power remains over 4%, I will
21 immediate initiate standby liquid control. It was my
22 proceduralized process before and it will be post-EPU.
23 We also have an automatic standby liquid control
24 initiation function redundant reactivity control
25 system where if the operator doesn't take action,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 standby liquid control is initiated 3.9 minutes after
2 the event. And we also have automatic feedwater
3 runbacks on a high-pressure condition that will reduce
4 RPV water level which is another stability mitigation
5 strategy that's used throughout the industry.

6 So the difference for me as an operator
7 under ATWS will not change. Obviously, it is
8 dependent upon what power level the ATWS -- post-ATWS
9 what power level I'm at, but my strategy is not going
10 to change.

11 CHAIR ABDEL-KHALIK: No manual actions are
12 required by the operators to reduce water level during
13 an ATWS?

14 MR. KOPCHICK: Procedurally, we do, in our
15 EOP network, purposely reduce RPV water level.

16 CHAIR ABDEL-KHALIK: Right. And
17 therefore, the time required for the operator to take
18 that manual action would likely be reduced under EPU
19 conditions? That was really the heart of the
20 question.

21 MR. KOPCHICK: I would have to take that
22 question for lookup to see if the time actually
23 changed, but as far as how I implement the actual
24 operator actions to combat an ATWS, I'm well within
25 any time that would change. And it's all really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dependent upon post-ATWS power level.

2 CHAIR ABDEL-KHALIK: So procedurally,
3 there is no time specified for the operator to reduce
4 level manually --

5 MR. KOPCHICK: That's correct.

6 CHAIR ABDEL-KHALIK: -- during an ATWS.

7 MR. WALLIS: But it is pretty quick. I
8 mean he has to do it pretty quickly now.

9 MR. KOPCHICK: We do. The first thing we
10 would do is inhibit ADS. We'd initiate standby liquid
11 control would prevent injection from other systems
12 that may inject on lowering level, and then we would
13 purposely reduce RPV water level below the feedwater
14 sparger input level to provide additional heating of
15 the water going in to further suppress power. I would
16 say that occurs within the first 5 minutes of an ATWS
17 event routinely during our training scenarios. But as
18 far as the time goes, I would have to go and take an
19 additional look at our case runs.

20 CHAIR ABDEL-KHALIK: If you can find that
21 information, that would be helpful.

22 MR. KOPCHICK: Yes. Paul, if you could
23 make sure we have that written down?

24 MR. DUKE: Yes. This is Paul Duke, PSEG
25 Licensing. We have simulator scenarios that we ran

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with no operator actions, and we can share those with
2 you later today.

3 MR. KOPCHICK: Thanks. So I did cover the
4 impacts on some time durations associated with the
5 higher decay heat load under EPU conditions. Overall,
6 from a licensed operator perspective, the changes
7 don't represent a significant impact to our ability to
8 operate the facility. Specific changes to the
9 probabilistic safety assessment and the top 20 post-
10 initiating operator actions will be addressed in more
11 detail later in the presentation. Although there are
12 minor changes to operator response times in the
13 aforementioned events, there are no changes to the
14 mitigation strategies associated with these or other
15 design basis events that are required due to EPU.

16 As I mentioned, there are some changes to
17 our emergency operating procedures due to the effects
18 of EPU post-accident or post-event decay heat loads.
19 These changes are limited to changes in some of the
20 curves we use in our emergency operating procedures.
21 And these would include the heat capacity temperature
22 limit, pressure suppression pressure and boron
23 injection initiation temperature curves which I'll
24 present in the following slides.

25 The first slide shows the heat capacity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 temperature limit. This is used when implementing the
2 emergency operator procedures. During challenges to
3 the primary containment, it's required for plant
4 operators to maintain plant parameters beneath the
5 heat capacity temperature limit curve. This ensures
6 that suppression pull temperature is low enough to
7 completely absorb the energy required to safely
8 depressurize the RPV. As can be seen from the slide,
9 the high pressure endpoint of the temperature of the
10 curve is decreased by approximately 10 degrees
11 Fahrenheit. The lower heat capacity temperature limit
12 curve is due to the effects of higher decay heat load
13 associated with the operation at higher EPU thermal
14 power.

15 As far as impact on the operator would go,
16 the requirements in the emergency operating procedures
17 under any challenge to the containment is to monitor
18 plan parameters associated with this curve and reduce
19 reactor pressure as required to maintain beneath the
20 curve.

21 CHAIR ABDEL-KHALIK: Now why the slight
22 shift to the right at low pressure? What's the
23 rationale for --

24 MR. KOPCHICK: At low pressure? We did
25 two changes really. When we modified our EOPs which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are currently in place, we included both the impact
2 from EPU, and these are the curves at low pressure.
3 On the left, you see the shift to the right. We also
4 implemented the new BWR owner's group emergency
5 protection guideline revision which is Revision 2.
6 The calculational methodology changed which is the
7 reason for the slight shift to the right at low
8 pressure.

9 CHAIR ABDEL-KHALIK: Now what is the
10 normal water inventory in the suppression pool gallon
11 wise?

12 MR. KOPCHICK: Usually about -- from the
13 operator's perspective, we measure it by inches -

14 CHAIR ABDEL-KHALIK: -- four pounds or
15 something that we can check the adequacy of this
16 calculation? If you can get it to us later on today.
17 Thank you.

18 MR. KOPCHICK: I understand -- a volume of
19 the suppression chamber.

20 CHAIR ABDEL-KHALIK: The volume of water
21 in the suppression chamber.

22 MR. KOPCHICK: Volume of water in the
23 suppression chamber. Okay? Any other questions on
24 heat capacity temperature limit? Next slide, please?

25 Second curve illustrates the pressure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 suppression pressure limit curve. During operation
2 controlled by emergency operating procedures, plant
3 parameters must be kept within pressure suppression
4 curve or emergency reactor pressure vessel
5 depressurization is required. As shown by the slide,
6 the curve generally decreases by approximately two
7 pounds, again, due to the affect of the higher decay
8 heat associated with operating at elevated EPU.

9 CHAIR ABDEL-KHALIK: The units on the
10 horizontal access can't be feet.

11 MR. WALLIS: Yes, they don't make sense.
12 It must be inches. Can't be feet.

13 MR. KOPCHICK: Yes, sir. That is --

14 MR. WALLIS: It's a very strange design if
15 it's feet. It's a very strange design if it's feet.

16 MR. KOPCHICK: You're correct. It is in
17 inches and the span would be highest on the right, the
18 highest level indicated in the suppression pool level
19 that we can see by installed instrumentation and to
20 the left would be the commencement of uncover of the
21 vent pipe downcomers.

22 MR. WALLIS: This is water level above the
23 bottom of the floors?

24 MR. KOPCHICK: It's actually from the
25 instrument zero which is approximately three feet

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 above the bottom of the --

2 MR. WALLIS: Three feet above the bottom.
3 Okay.

4 CHAIR ABDEL-KHALIK: Now what actions is
5 the operator required to take if this limit is
6 exceeded.

7 MR. KOPCHICK: If I exceed, it would be
8 emergency reactor pressure vessel depressurization
9 opening up 5 safety relief valves to depressurize.
10 The limitation imposed is ensuring that in emergency
11 depressurization would -- the energy from the
12 depressurization would be able to be absorbed by the
13 suppression chamber.

14 As shown in this curve of the boron
15 injection initiation temperature, the calculated boron
16 injection initiation temperature decreased by between
17 12 degrees and 20 degrees Fahrenheit due to higher EPU
18 core thermal power. At Hope Creek, during an ATWS in
19 which reactor power remains above 4%, standby liquid
20 control is conservatively injected before suppression
21 pool temperature reaches 110 degrees. This operating
22 strategy, as I mentioned earlier, will remain the same
23 after EPU.

24 However, if the reactor is an ATWS
25 situation with a reactor power less than 4%, standby

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 liquid control must now be injected before the
2 suppression pool temperature reaches a conservative
3 140 degrees, previously 150 degrees was a result of
4 the curve. And again, this result is due to higher
5 EPU power.

6 So in summary, regarding the impact of EPU
7 on plant operators, the changes in operator responses
8 to transients or accidents under EPU conditions is
9 small. Procedure changes are limited to slight
10 changes in curves associated with limits already
11 contained in our emergency operating procedures.
12 Thus, by maintaining similar strategies and mitigation
13 approaches, the impact on operator proficiency and
14 training needs is minimized.

15 MEMBER MAYNARD: I'm just a little bit
16 confused on this curve and what you said. You talked
17 about a 4% power. If it's above 4% power, they're
18 required to initiate. Trying to relate that to this
19 curve.

20 MR. KOPCHICK: Okay. Looking at the
21 curve, 4% power is a highly observable indication for
22 operators. It's my APRM downscale limit, so when I do
23 achieve APRMs downscale, I will get 8 lights showing
24 where reactor power is. If I don't have the APRM
25 downscale, I don't have the 8 lights. It's under an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ATWS condition which is obviously a rather busy
2 response for the operators. These are very highly
3 observable from a human performance perspective. So
4 procedurally, what we have keyed at the 4% observable
5 limit on APRM power, if I do not have the downscales,
6 the operators are trained and my procedures are set up
7 to immediately inject standby liquid control.

8 If I am below 4% power, I have the
9 downscales, then I watch suppression pool temperature.
10 So really, the curve doesn't line it up for operator
11 execution or implementation, but that is what we're
12 watching.

13 So what changed is currently, at 4% power
14 or below, I watch for and must inject standby liquid
15 control before suppression pool temperature reaches
16 150 degrees. Post-EPU, my 4% power will be a higher
17 power and the calculation we use for EOP curve
18 development will require us to inject at 140 degrees
19 by 750.

20 MR. LINDSAY: Just one item to add. This
21 curve does not actually show up in the EOPs whereas
22 the two previous curves actually show up. This shows
23 the change --

24 MEMBER MAYNARD: It sounds to me like the
25 operators don't really use this curve. They've got --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LINDSAY: That's correct.

2 MEMBER MAYNARD: -- pretty straightforward
3 power --

4 MR. LINDSAY: The guidance is for above --

5 MEMBER MAYNARD: -- temperature. That's
6 what you do, so --

7 MR. LINDSAY: Correct.

8 MEMBER MAYNARD: So this curve just show
9 that those actions ensure that you stay below -- stay
10 within your curve there?

11 MR. KOPCHICK: Yes, sir. That is correct.

12 MEMBER MAYNARD: Okay.

13 MR. WALLIS: Now the number on the curve
14 looks like 160 --

15 MR. KOPCHICK: Correct.

16 MR. WALLIS: -- it's just your number
17 doesn't sound quite -- it's not important really, but
18 the number you spoke about is not quite the same as
19 the number on the curve. That's --

20 MEMBER MAYNARD: That's what I understand
21 --

22 MR. WALLIS: That may kind of confusing.

23 MEMBER MAYNARD: -- is say if they're
24 using numbers that are below, they're not going off
25 this graph.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: That's correct.

2 MR. KOPCHICK: So for the new curve, you
3 could say, I guess, 144 degrees --

4 MR. WALLIS: Yes, something like that.

5 MR. KOPCHICK: -- we inject standby liquid
6 control at 140. And currently, we inject at 150. The
7 curve would show 160. So in both cases, the selection
8 criteria is conservative.

9 MR. DAVISON: This is Paul Davison. I
10 have the answer to the follow-up question if you'd
11 like that now?

12 CHAIR ABDEL-KHALIK: Yes.

13 MR. DAVISON: The tech spec minimum
14 suppression pool is level or volume is 118,000 cubic
15 feet. Tech spec maximum is 122,000 cubic feet.

16 CHAIR ABDEL-KHALIK: Thank you.

17 MR. DAVISON: You're welcome.

18 MR. WALLIS: That is independent of its
19 temperature? This cubic feet always bothers me
20 because it's not a measure of mass. It's a volume
21 which changes if the temperature changes. You
22 actually do control volume, do you?

23 MR. DUKE: This is Paul Duke. We also
24 have controls on suppression pool temperature. We
25 have limits for continued operational and suppression

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pool temperature.

2 MR. KOPCHICK: Tech spec limitations on
3 suppression pool temperature, I think, is what you're
4 referring to, Paul.

5 MR. WALLIS: It just seems strange. I
6 guess it's because cubic feet is what you measure by
7 means of the height.

8 MR. KOPCHICK: Is that what you --

9 MR. LINDSAY: Correct.

10 CHAIR ABDEL-KHALIK: are there any
11 additional questions for Mr. Kopchick?

12 MR. KOPCHICK: Next slide, please? Next
13 I'll present an overview of Hope Creek's power
14 ascension test program to include a discussion of our
15 preparation efforts, an overview of our test
16 organization and test conduct and a discussion of how
17 an incremental approach method will be used to achieve
18 final power levels and a brief discussion of the tests
19 themselves.

20 Preparation of EPU testing program began
21 approximately one year ago. The plan was built
22 utilizing the Vermont Yankee EPU approach to power
23 ascension and similar methodology and acceptance
24 criteria from the original Hope Creek startup test
25 program.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The test plan aims to accomplish the
2 following three objectives -- perform sufficient
3 testing to demonstrate satisfactory equipment
4 performance at the EPU power level, define a careful
5 monitored approach to EPU power and meet all
6 established commitments and regulatory criteria
7 associated with testing. Preparation efforts also
8 include a formation of a test team which I'll present
9 in the next slide, development of key personnel roles
10 and responsibilities such as the test director and
11 test manager, and benchmarking including several trips
12 to Vermont Yankee and Browns Ferry.

13 Based on these efforts, a test plan and an
14 implementing test procedure was developed to
15 accomplish these objectives. The procedure has been
16 reviewed by the station's plant operations review
17 committee on two occasions, subjected to several
18 collegial reviews and two external reviews from
19 individuals experience with other EPU testing
20 programs. Based on the results of these reviews,
21 we've concluded that our test program is in line with
22 industry expectations for an EPU power ascension test
23 program.

24 Regarding training, as discussed earlier,
25 operators have been trained in both the classroom and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on the simulator on the power ascension test
2 procedure, are familiar with its contents, acceptance
3 criteria and expectations. In addition, all
4 activities associated with this testing are considered
5 infrequently performed activities which require the
6 highest level of management involvement in accordance
7 with our station procedures governing such activities.

8 Thus, based on the familiarity of
9 operations with modifications already made, the
10 training performed and other preparation activities
11 including the conduct of periodic testing meetings,
12 benchmarking efforts and department readiness reviews
13 which will be implemented prior to implementation,
14 Operations believes Hope Creek is well-prepared to
15 execute a successful test program.

16 Next slide. As shown from this slide, the
17 test organization will report directly to the Hope
18 Creek Generating Station Plant Manager. The Test
19 Director will work closely with the Plant Manger to
20 allocate resources and establish both the
21 administrative and technical procedures to support the
22 plan. The test team is led by the Test Manager, a
23 senior member of the Operations Department of which I
24 will be one, whose function is management oversight.
25 Similar to the On-Duty Shift Manager, this individual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 also has the authority to stop the test at any time.
2 So either myself or the individuals who work directly
3 for me, the shift managers, have the command and
4 control authority to stop testing.

5 The balance of the organization is
6 selected from individual plant departments such as
7 Plant Engineering, Radiation Protection or Chemistry
8 based on their area of expertise. These individual
9 work closely on the development of the test plan and
10 implementing procedure, and they've been involved in
11 numerous testing preparation meetings are well-
12 prepared to support EPU power ascension testing.

13 MR. WALLIS: It looks a long way down from
14 the top to the bottom here.

15 MR. KOPCHICK: We can --

16 MR. WALLIS: I guess it's necessary but --

17 MR. KOPCHICK: It is.

18 MR. WALLIS: -- that why you don't have a
19 leaner organization.

20 MR. KOPCHICK: I don't know that I can
21 comment on that, but really, there's reasons for the
22 different layers of challenges that we would expect to
23 have in executing our plan.

24 MR. WALLIS: Long as the test director
25 knows what's going on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KOPCHICK: Mr. Davison will be one of
2 our test directors and he, as well as I, are
3 accountable to know --

4 MR. DAVISON: We will have our --

5 MR. KOPCHICK: -- what's going on.

6 MR. DAVISON: -- outage control center
7 staffed for the entire power ascension so that Ops can
8 focus on uprate. Paul Davison. We will have our
9 outage control center staffed through the entire power
10 evolution, increase evolution, and the Operations
11 folks can then focus on operating the plant, and the
12 rest of the test team will be focused on the data
13 collection and analysis and verification that --

14 MR. WALLIS: So if the GE startup
15 consultant notices something, he can get to you pretty
16 quickly?

17 MR. DAVISON: Absolutely. We'll all be in
18 the same room.

19 MR. WALLIS: All be in the same room.
20 Okay.

21 MR. DAVISON: That's correct.

22 MEMBER ARMIJO: You mentioned that -- at
23 least I heard -- that there would be more than one
24 test director? Is that correct?

25 MR. KOPCHICK: Paul?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DAVISON: Yes. We'll have people
2 responsible both on night and day shifts. So myself
3 will be the primary test director help organizing what
4 Bill said as far as making sure we have an
5 organization established. However, to man it around
6 the clock, we will have somebody else performing that
7 function.

8 MEMBER MAYNARD: Could you talk just a
9 little bit about the communications interaction
10 between the control room staff and the test team? You
11 know, who will the shift manager talk to or be
12 communicating with?

13 MR. KOPCHICK: If you take a look at the
14 slide -- I'm looking at my slide in front of me here -
15 - the shift manager will report to the IPA test
16 manager. It's required by our station procedures for
17 infrequently performed activity that the test manager
18 is organizationally senior to the shift manager. In
19 this case, they work for me. They are my direct
20 reports. The night shift test manager will be another
21 operations superintendent who was a previous shift
22 manager. At all times, for any testing we do, the on-
23 duty shift has the command and control function. They
24 control the unit. If there are any upsets outside of
25 the testing, they will stop testing and respond to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 transient. So the command and control structure
2 really lies between the IPA test manager and the EPU
3 implementation and test team leader.

4 So I would expect the test team leader to
5 brief the control room crew on this is the test that
6 we are doing at this. Training will have already been
7 conducted. The operators are already familiar with
8 the tests we're going to do. And then the shift
9 manager will oversee the conduct of the test from a
10 higher level with management oversight by the IPA test
11 manager. If there are any problems, if there are any
12 delays or we need to proceed on to the next test, my
13 job as a test manager would then be to talk to Paul
14 who would be a test director. He will have technical
15 resources available to him, and Paul will be informing
16 the plant manager on status.

17 I'll go over some more detail in some
18 other slides as far as how the specifics of our power
19 plateaus and power ascension will occur and where we
20 intend to hold if that will be acceptable.

21 MEMBER MAYNARD: The shift manager still
22 has responsibility for the plant. If he's
23 uncomfortable with something, he can stop it?

24 MR. KOPCHICK: Yes, sir, at all times.

25 MR. WALLIS: This is who?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KOPCHICK: The shift manager. He is,
2 in fact, the senior license --

3 MR. WALLIS: Responsible --

4 MR. KOPCHICK: Correct.

5 CHAIR ABDEL-KHALIK: Will there be a
6 stand-alone computer on which this data are going to
7 be collected?

8 MR. KOPCHICK: Will be a stand-alone?

9 CHAIR ABDEL-KHALIK: As far as this.

10 MR. KOPCHICK: Operationally, we have a
11 system called a control room integrated display system
12 --

13 CHAIR ABDEL-KHALIK: Okay.

14 MR. KOPCHICK: -- which then feeds data to
15 a land network on a system we call Plant Historian
16 accessible by multiple engineers. We have automated
17 the data acquisition function of our specific system
18 performance plans to automatic data capture that
19 information. It's also available in trend format.

20 MR. DAVISON: This is Paul Davison. One
21 thing to add -- as I mentioned in the modifications,
22 when we did the temporary modifications to add
23 accelerometers and strain gauges, that is stand-alone
24 equipment that's inside the facility, in the plant
25 that we will collect data on and bring it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 electronically to the outage control center where the
2 analysis will be done to it. So that's a stand-alone
3 system because it's temporarily installed to collect
4 the accelerometer and strain gauge data.

5 CHAIR ABDEL-KHALIK: Right. My concern is
6 that -- I'm glad to hear that -- I'm not sure if
7 you're aware of the recent trip at Hatch which was
8 caused by a problem where you're collecting data
9 presumably from a stand-alone computer that caused the
10 plant trip because there was no adequate firewall
11 between that stand-alone computer and the plant
12 computer. And I just want to make sure that this is
13 not a problem that you have not thought of.

14 MR. LINDSAY: The primary means of
15 gathering data for the test, for the actual test where
16 we're perturbing the plant, we're going to be using
17 what we call our GTARS system which was the original
18 GE transient acquisition system. That has no feedback
19 or ability to cause any kind of control functions in
20 the plant. And again, as Bill said, we'll be
21 gathering data primarily off of our CRID systems
22 which, again, have no ability to provide any kind of
23 control feedback to the facility.

24 CHAIR ABDEL-KHALIK: Okay. So there are
25 adequate firewalls between whatever system you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 using to collect your data and the plant computers --

2 MR. LINDSAY: Yes.

3 MR. KOPCHICK: As our plan is written,
4 yes.

5 CHAIR ABDEL-KHALIK: Thank you.

6 MR. WALLIS: What do you expect the role
7 of the NRC inspector to be in this? What is the staff
8 expect the role of the NRC inspector to be during this
9 process?

10 MR. DAVISON: This is Paul Davison. From
11 the perspective, you know, Bill mentioned that we have
12 a normal everyday monitoring system that we use for
13 troubleshooting monitoring the plant no different
14 there. That's our normal monitoring system. We have
15 stand-alone equipment that I mentioned which is not
16 integrated into the station. That's why we keep it
17 separate in the plant. We essentially bring the data
18 to the control room for analyses. We have specific
19 power plateaus and in our power ascension program.
20 Specifically, at 105, 110 and 111.5, we will actually
21 be submitting our data for NRC review, so we will
22 actually have plateaus there. That will be the off-
23 site interaction. Of course, our senior and resident
24 inspectors will be, I'm sure, involved with --

25 MR. WALLIS: But just the inspectors

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 involved. Is someone here involved as well?

2 MR. DAVISON: That is correct.

3 MR. KOPCHICK: And I will cover that in a
4 follow on slide. At our power plateaus, we actually
5 have a 96-hour hold built in for concurrent staff
6 review of our results.

7 MR. WALLIS: Is this done by some sort of
8 computer display of what's going on or telephone or
9 how does this happen, this interaction with NRC
10 Headquarters?

11 MR. KOPCHICK: Well, we will -- as Paul
12 Davison mentioned, we'll be gathering data
13 incrementally upon receipt of the license change
14 request. Obviously, we'll be gathering data and
15 performing testing until we reach a plateau of 105%
16 power. That information will then be gathered and
17 presented to our plant operations review committee and
18 then transmitted. And Paul, do we have some --

19 MR. WALLIS: So it's not online? It's not
20 a sort of online thing?

21 MR. KOPCHICK: Paul Duke?

22 MR. DUKE: This is Paul Duke. Our current
23 plan is that we are going to set up a provision for
24 data transfer to NRR and to its contractor similar to
25 what VY did, that is that the data files will be at an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 online backup location accessible to NRC staff and to
2 its contractors.

3 MR. KOPCHICK: Okay. Regarding the
4 conduct of testing, the testing includes both Level 1
5 which is termination criteria, and Level 2, which is
6 hold acceptance criteria as well as steps to be taken
7 should either of these thresholds be reached. The
8 criteria used are similar to that used during the
9 original Hope Creek startup testing, other EPU
10 experience and the standard GE EPU testing
11 specifications.

12 Non-test equipment or plant performance
13 issues will be handled via the plant corrective action
14 process. The plant operations review committee is
15 responsible for reviewing the test procedure, changes,
16 deficiencies, plant terminations or holds and power
17 ascension to subsequent test plateaus.

18 As we previously discussed, we'll be
19 establishing a power ascension control center which
20 will be in our outage control center immediately
21 adjacent to the control room, and this will support
22 the test program. We have observed this also to be
23 successfully used at another facility, which is
24 Vermont Yankee.

25 So as Paul Davison previously mentioned,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the shift will be focusing on operation of the plant.
2 The power ascension control center involving the
3 individuals in the previous slide that you saw will
4 support and gather the data for the testing.

5 Testing will utilize a similar approach to
6 that we had previously discussed at Vermont Yankee.
7 Baseline data will be taken at approximately 90% and
8 100% of current licensed thermal power and evaluated
9 to project results at higher power levels. Power
10 escalation will proceed along the constant rod line
11 using recirc flow at 2.5% increments. During power
12 ascension, hourly collection of dryer strain gauge and
13 vibration data is taken and moisture carry-over will
14 be determined.

15 The power plateaus we previously discussed
16 will occur at each 5% power level and the final power
17 level, i.e., 105, 110 and 111.5% of current licensed
18 thermal power. At each plateau, we will perform
19 detailed evaluations, walkdowns, and the majority of
20 our power ascension tests. Steam dryer performance
21 data will be transmitted, as we discussed, to the NRC
22 at each plateau followed by a 96-hour hold, as I
23 previously mentioned. Management approval will be
24 required prior to exceeding or proceeding to the next
25 power plateau.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 In addition to the specific tests
2 performed, the test team will be continuously
3 monitoring critical plant parameters under EPU
4 conditions on affected systems throughout power
5 ascension using EPU system monitoring plans. These
6 system monitoring plans have been developed and
7 include system baseline information at current
8 licensed thermal power level, OE from a database, and
9 determined expected EPU parameters and acceptance
10 criteria.

11 MR. ZABIELSKI: We seem to have lost the -
12 -

13 MEMBER MAYNARD: Yes. We'll get somebody
14 in here to take care of it. We have a handout to look
15 out.

16 MR. KOPCHICK: Okay. The next slide is
17 slide 24 labeled power ascension testing and major
18 test evolutions. The power ascension tests were
19 chosen based on a comparison of original Hope Creek
20 startup tests and EPU changes considering the GE EPU
21 test specifications and testing-related regulatory
22 commitments. Overall, the plan includes 12 power
23 ascension tests focusing on core performance, plant
24 chemistry, radiation protection, nuclear
25 instrumentation and pressure and feedwater controls.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Testing is consistent with those tests performed
2 during the initial Hope Creek startup testing and that
3 performed at other stations implementing EPUs.

4 Testing also focuses on steam dryer and
5 nuclear steam supply system piping integrity and
6 moisture carryover. Piping strain gauge data, as
7 previously mentioned, will be collected and trended
8 hourly during power ascension activities and
9 evaluated. Moisture carryover will be determined
10 every 2.5% increase in core thermal power.

11 As I mentioned previously, the specific
12 tests themselves will be supplanted by system
13 monitoring plans performed throughout the power
14 ascension process as well as plant and equipment
15 walkdowns in the field. These plans will ensure that
16 the major EPU effected systems remain within analyzed
17 limits as power ascension proceeds.

18 CHAIR ABDEL-KHALIK: So, typically, how
19 long does it take to go through a 2.5% step?

20 MR. KOPCHICK: We have set up, in our
21 submittal, for a 1% per hour ramp rate.

22 CHAIR ABDEL-KHALIK: One percent.

23 MR. KOPCHICK: So our schedule for power
24 ascension is based on that rate. It also includes the
25 holds that I previously mentioned at the plateaus at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 5%, 96-hour holds. So the ramp rate is 1% per hour,
2 so 2.5 hours to answer your question.

3 CHAIR ABDEL-KHALIK: And the data
4 collection will commence once you reach steady state,
5 or are you going to also collect data during the power
6 ramp?

7 MR. KOPCHICK: The test procedure is set
8 up for discreet data collection at each 1%. The
9 systems, the computer systems that we have have trend
10 capabilities, and we will be able to capture data live
11 time as we raise power. However, the test program,
12 which is modeled against what we have from Vermont
13 Yankee, is discreet at 1% power. Paul?

14 MR. LINDSAY: I can offer at the 2.5%
15 increments, there is a 4-hour hold period for all the
16 systems to allow achievement of steady state, and
17 that's when the data is essentially taken. So at 2.5%
18 increments, we have a 4-hour hold. But of course, as
19 Bill said, at the 5% power plateaus, we'll be holding
20 for a 96-hour duration.

21 MEMBER ARMIJO: You mentioned a plant
22 water chemistry test during power ascension. Is there
23 anything special you're doing there or is it pretty
24 much routine monitoring the various --

25 MR. KOPCHICK: As far as the plant

1 chemistry?

2 MEMBER ARMIJO: Yes.

3 MR. KOPCHICK: There are a battery of
4 tests that we will accomplish. Most of them are
5 routine. They do have Level 1 and Level 2 acceptance
6 criteria. Level 2 would be to make sure that we are
7 where we predict to be as far as conductivity in our
8 condensate system as well as reactor water
9 conductivity. Level 1 criteria would be associated
10 with our technical specifications and UFSAR
11 requirements. Anything else to add?

12 MR. LINDSAY: Essentially, what I could
13 add is all the tests are the normal tests via the
14 existing chemistry procedures. The key difference is
15 the frequencies will be much higher. We have a shift
16 lead daily, three times weekly readings. And
17 certainly in the area of moisture carryover, where we
18 take that, I believe, weekly at this time, we'll be
19 taking that every 2.5%.

20 MEMBER ARMIJO: Yes. Where I was going
21 with this is -- and you may have it later -- but
22 you're going to be modifying your hydrogen input and
23 how -- are you just going to just do it, or are you
24 going to get feedback from electrochemical potential
25 measurements in the startup?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KOPCHICK: Operationally, our intent
2 is to maintain our current injection rate of 9
3 standard cubic feet per minute. And Paul has some
4 details on the testing we intend to do once we would
5 achieve 111.5.

6 MR. LINDSAY: Well, essentially, as Bill
7 said, our hydrogen injection system will be placed in
8 manual for the duration of the testing so that we do
9 not artificially influence like the rad surveys and
10 things of that nature. When we achieve 111.5% power,
11 we have an existing procedure which will alter the
12 injection rate and determine the optimum level.

13 MEMBER ARMIJO: What's required based on
14 what kind of a monitor, an EPR, electrochemical
15 potential measurement or some other --

16 MR. LINDSAY: I believe that's correct.

17 MR. DAVISON: Paul Davison. For the part
18 of the noble metal chemical application which allowed
19 us to reduce our hydrogen injection rates, our reactor
20 water cleanup system has two types of monitors. One,
21 we have the durability monitors where we're able to
22 take coupons out and do samples. We also have the
23 ability to do the ECP measurement directly.

24 MR. WALLIS: I'm still curious about with
25 the NRC is doing all this time. Is there somebody

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here all the time paying attention to this, or do you
2 all disappear for the weekend so that that's why
3 there's a 4-day hold period. No, seriously, I mean,
4 what is the NRC doing through this process? Is
5 somebody here sort of monitoring things all the time,
6 or is this person available in several hours, if
7 needed, or what?

8 MR. LAMB: This is John Lamb with the NRC.
9 The mechanical engineering branch will look at this
10 and, obviously, when they send that in, it's a 96-hour
11 hold, because that gives us time to actually analyze
12 it. So yes, regardless of when it gets sent in, we
13 will be available during that time. I think during
14 Vermont Yankee --

15 MR. WALLIS: So someone will -- should be
16 available all the time?

17 MR. LAMB: Yes. Like I said, they get the
18 information. Then they start analyzing it and if they
19 have a problem, then obviously, we'll be on the --

20 MR. WALLIS: So there isn't a here, this
21 person will work on the weekend if it's over a
22 weekend?

23 MR. LAMB: Yes.

24 MEMBER MAYNARD: That's also been my
25 experience at the resident inspector state --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: Yes. I can understand that -

2 -

3 MEMBER MAYNARD: -- very involved with
4 these.

5 MR. WALLIS: I just wondered about the NRC
6 and when I come here on the weekend, there's nobody
7 here so I --

8 MR. LAMB: Well, this would be a special
9 case, obviously, during this --

10 MEMBER MAYNARD: There is always a number
11 24 hours a day, 7 days a week to get a hold of
12 someone.

13 MR. KOPCHICK: I would certainly add that
14 the resident inspector is highly engaged in our
15 activities in the control room, and when we proceed
16 with this test, I would expect that he would have many
17 questions for us and has asked questions along the
18 way. Our rapport with the resident has been sound and
19 it's also my expectation from my shift managers that
20 if there is any upset or any transient that would
21 require notification or activation of station
22 personnel to investigate an event, that the resident
23 is informed, and it's actually part of our procedures
24 that we do inform them.

25 CHAIR ABDEL-KHALIK: Now will you be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presenting details tomorrow regarding the procedures
2 and instrumentation, etcetera for the steam dryer
3 verification work? Does this require a closed
4 session, because this is sort of a generic big picture
5 of what you're going to do, but people want to know
6 the details of how are you going to do it.

7 MR. KOPCHICK: Yes, sir. We -- for the
8 additional hour, I believe for the second session
9 yesterday (sic), we will have a presentation --

10 CHAIR ABDEL-KHALIK: Tomorrow?

11 MR. KOPCHICK: -- tomorrow, correct --
12 that will detail the testing work we need to do on the
13 steam dryer and what the acceptance criteria will be
14 in detail. Paul Davison, do you have anything else to
15 add on the hour portion tomorrow?

16 MR. DAVISON: Paul Davison. That is
17 correct. We will be providing additional details with
18 respect to not only the complete testing matrix of
19 what we do at each particular power level but what we
20 do with the data, what the analysis is and how does
21 that factor back in, specifically on the steam dryer
22 with the limit curves and flow-induced vibration
23 monitoring acceptance criteria that we have.

24 CHAIR ABDEL-KHALIK: Thank you.

25 MR. DAVISON: Welcome.

1 MEMBER BONACA: I have a question
2 regarding -- in your application, there is a statement
3 or a discussion that flow-induced vibration during
4 power escalation may increase SRV leakage. Are you
5 monitoring for that?

6 MR. KOPCHICK: We do have strain gauges
7 installed on main steam piping, accelerometers
8 installed on main steam piping to include SRVs. As a
9 test manager, there is an attachment in our test
10 procedure that will be executed as we raise power, and
11 there are some more details on that that I will ask
12 Mr. Davison to add.

13 MR. DAVISON: Yes. As mentioned, in the
14 modifications, we did install numerous accelerometers.
15 For example, our critical systems that will be
16 monitored with Level 1 and Level 2 acceptance criteria
17 -- extraction steam, the SRVs, both the actuators and
18 the tailpipes on a few of the SRVs, the recirc system,
19 feedwater, and main steam. So for example, baseline
20 data right now on main steam, we're at .035 g's.
21 That's RMS value. We anticipate that it will go to
22 approximately .048 g's which is, you know, obviously
23 well-below the .1 g standard for low vibration.

24 MEMBER BONACA: Because from the
25 application, it sounded like you had a program to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 monitor, in fact, leakage when you wrote the
2 application, and evidently, must that be successful in
3 controlling --

4 MR. KOPCHICK: SRV leakage at Hope Creek
5 has not been probably as pervasive as some other
6 stations have had. Nonetheless, in the development,
7 at least in my discussions with engineering personnel
8 who have been involved, I know that the attentiveness
9 to that has been high, thus the reason for the
10 installation of the accelerometers.

11 MEMBER BONACA: So I guess you don't
12 expect the uprate to result in unacceptable
13 performance from a leakage standpoint?

14 MR. KOPCHICK: I do not. Obviously, we'll
15 be monitoring that. Anything else to add, Paul?

16 MR. DAVISON: Yes. Paul Davison. We've
17 done a few things. One, we specifically have done
18 some upgrades to our pilot valves. We have two-stage
19 target rock relief valves. We've had excellent
20 performance with respect to tailpipe or through-seat
21 leakage as well as repeatability when we do our
22 testing out of refuel outages. The specific reason
23 for monitoring both the actuator valve body and the
24 tailpipes was due to the industry operating
25 experience, like at Quad Cities where they electro-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 matic relief valves experienced a high amount of
2 resonance and were actually getting damaged. Based on
3 our baseline readings, don't anticipate that. Based
4 on our steam-line flow characteristics, we would not
5 anticipate that occurring as well. But that's why it
6 will be carefully monitored.

7 MEMBER BONACA: Okay. Thank you.

8 CHAIR ABDEL-KHALIK: So what is your
9 history on SRV testing as far as setpoint drift?

10 MR. KOPCHICK: Setpoint drift testing --
11 well, I know there is a population of SRVs that we're
12 required to test each refuel outage. Operationally,
13 as far as setpoint drift, I don't know that I can
14 specifically speak to that as far as the results go.
15 From the operator perspective on SRV setpoint or
16 leakage or lifting, we have specific procedures that
17 the reactor operator will monitor tailpipe temperature
18 twice each shift with specific guidance.

19 MR. DAVISON: Yes, this is Paul Davison.
20 We have tech spec required 3% band allowable value for
21 the setpoints. We have not experienced large numbers
22 of failures with respect to those -- to that setpoint
23 band itself.

24 CHAIR ABDEL-KHALIK: Have you experienced
25 any failures?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DAVISON: Yes, we have. I can get the
2 specific data on the failure rate of those.

3 MEMBER BONACA: And the reason why I
4 raised that issue was that in the statement, the
5 application speaks specifically about a program that
6 you had to resolve problems resulting in SRV
7 surveillance testing exceeding a 3% tolerance. You
8 must have experienced that? I mean that's what you
9 have in your application?

10 MR. DAVISON: Yes. We'll get the
11 specifics on that.

12 MEMBER BONACA: That's why I was wondering
13 if, in fact, the power uprate would make it more
14 challenging just because of that.

15 CHAIR ABDEL-KHALIK: We're interested in
16 that. We're also interested in any incidents in which
17 the SRVs failed to open.

18 MR. DAVISON: I understand. Failure to
19 opens as well as setpoints history.

20 CHAIR ABDEL-KHALIK: Okay. Thank you.

21 MR. KOPCHICK: Okay. I'll proceed on.
22 Similar to the initial startup testing, power
23 ascension data, evaluations and results will be
24 summarized in an EPU power ascension report. Post-
25 EPU, ongoing monitoring and inspection efforts will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 continue throughout the cycle and in RF-15.

2 In summary, Operations, myself included,
3 is ready to lead and support and the station's power
4 ascension test program and considers the station well-
5 prepared to execute a careful monitored approach to
6 the target EPU power level. This concludes the
7 operations and testing portions of the presentation
8 pending any additional questions.

9 CHAIR ABDEL-KHALIK: Are there any
10 questions for Mr. Kopchick? Okay. Thanks. We're
11 well ahead of schedule, but at this time, I'd like to
12 take a break for 15 minutes and we will reconvene at
13 10:30.

14 (Whereupon, off the record at 10:16 a.m.,
15 and back on the record at 10:34 a.m.)

16 MEMBER BANERJEE: We're back in session.
17 Before we get started with the staff's presentation on
18 human performance, Mr. Davison has some information
19 regarding the power ascension test matrix that he
20 would like to present, and I guess more details will
21 be presented tomorrow.

22 MR. DAVISON: Yes. Thank you. Paul
23 Davison. As a follow-up to the questions asked
24 earlier when Bill was speaking with respect to
25 Operations, this was a chart or tabular form of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 testing that we'll be performing. We'll modify this
2 and I'll talk specifically to what will occur up to
3 and including 115% power. This just reflects our
4 current test plan, if you will, for this cycle to 111.

5 What this shows, in a broad view, is on
6 the y axis is the power level. You see 90 and 100 are
7 really baseline testing, and then we go 101, 102.
8 Those are those 1% steps Bill talked about. The 102.5
9 is a stop-point for us to take additional data. And
10 then what you see in -- and it just goes all the way
11 up to 111.5 -- some clarification on that -- the rows
12 in red, 105, 110 and 111.5 CF are the NRC-required
13 data transmissions. Those are the actual data packets
14 that will be sent of all the tests at those
15 requirements of our licensing condition.

16 Two other clarifications -- the 111.5
17 verus 111.5 CF -- the CF stands for cross-flow -- so
18 we'll bring the plant to 111.5%. We have a data
19 collection making sure we don't have any issues with
20 our cross-flow system, and then we'll put in the
21 correction factor of our venturis and maneuver to the
22 true most accurately defined 111%. That's why you see
23 111.5 twice on the chart.

24 The second clarification will be we will
25 extend that so you see what it looks like all the way

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to 115%. This only, right now, captures our current
2 test plan for this cycle.

3 MR. WALLIS: So when you send this data to
4 the NRC, do you just send the whole other curves with
5 wiggles, or do you send some comparison with criteria
6 which have been established ahead of time or something
7 like that? What is it you send to them?

8 MR. DAVISON: We will send them all the
9 data. We will also send the comparisons which have
10 specifically defined acceptance limits in that.

11 MR. WALLIS: Okay. That's helpful.

12 MR. DAVISON: Correct. And it'll be the
13 same information we'll be sharing with Operations to
14 ensure that they're ready and concur with moving to
15 the next power level as well.

16 Across the top of the chart, percent power
17 being the leftmost column, the rest of the columns are
18 all the different tests that Bill went through. You
19 know, we talked about chem data. We talked about the
20 flow-induced vibration. I spoke to that.

21 The three grayed columns are the tests
22 that most translate to dryer performance -- main steam
23 on strain gauge which will be used to base off the
24 strain gauges, the loads that are going and inputting
25 on the dryer, running it through the finite element

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analysis and coming up with the loads.

2 The moisture carryover Bill talked
3 specifically -- another secondary indication of some
4 type of dryer failure that would allow additional
5 moisture to carry over.

6 And then the main steam line
7 accelerometers will be used as a comparison and
8 validation of the strain gauge data to make sure that
9 there is no anomaly in the data where we're extracting
10 the dryer loading from the strain gauge data itself.
11 So those three columns grayed out are really
12 specifically related to the dryer. The rest of them
13 are just all of the bulk testing that we'll be doing
14 to make sure there's no other undetected anomalies in
15 the plant.

16 Tomorrow we'll go through the actual
17 specifics with Dr. Alan Bilanin here to actually go
18 through how we're going to do the analysis, what the
19 results will look, the graphs, the information that
20 we'll have to determine that we're below Level 1 and
21 Level 2 criteria and what happens when we go above the
22 Level 1 or Level 2 criteria.

23 CHAIR ABDEL-KHALIK: The test matrix at
24 115% will be identical to that at 111.5%, the very
25 last column --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DAVISON: That's correct. The
2 repetitiveness of that chart will continue down
3 through 115% ending in 115% with cross-flow applied
4 the whole data string across. So that'll just be a
5 continuation of that chart and we'll have that
6 tomorrow.

7 MEMBER ARMIJO: And that'll all be
8 completed in the following cycle, Cycle 16?

9 MR. DAVISON: No. We have no commitment
10 for actually uprating to the full 115% in our next
11 cycle. Primarily, what we wanted to do is get the
12 plant to 111.5%. That allows us to do all of our
13 testing, ensure that there are no anomalies. We will
14 monitor the plant's performance in the summer which is
15 the most taxing time of the year for the plant with
16 respect to performance. That data can then be
17 utilized to work with General Electric on what
18 modifications we may be doing on the high-pressure
19 turbine.

20 Of course, the modification process that
21 I'm responsible for at the station has a lead time.
22 Of course, the manufacturing process for General
23 Electric -- so we would not be putting that into the
24 next cycle just because we physically couldn't get it
25 done. Of course, we'd have to do all the business

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 analyses, because along with this, we'll be looking at
2 our cooling tower performance for summer months.

3 There is a whole environmental licensing
4 and modification process that would have to be
5 followed with respect to an addition of the cooling
6 tower to the site, a helper tower, if you will, if
7 that's what we need to do with our cooling tower.

8 So we do not have specific plans for the
9 next cycle, Cycle 16, only because of when we'll be
10 implementing this and the shortness until when that
11 next refuel outage is, which is in the spring of 2009.

12 MEMBER ARMIJO: Okay. But the 115%
13 testing will be done when you finally get --

14 MR. DAVISON: Correct, whether it was a
15 week later or five cycles later, our commitment will
16 be as soon as we go 111.5%, the next plateau, this
17 test matrix is back in place. Our testing center is
18 back and all the exact same testing methodology is
19 reapplied including transmittal of data to the NRC.

20 CHAIR ABDEL-KHALIK: Thank you for the
21 clarification.

22 MR. DAVISON: You're welcome.

23 CHAIR ABDEL-KHALIK: At this time, we'll
24 proceed with the staff presentation.

25 MS. MARTIN: Good morning. I'm Kamishan

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Martin and I did the review for the human factors
2 portion of this EPU submittal. As you can see, we
3 reviewed the EOPs, AOPs, any human system interface
4 changes, SPDS, and training and simulator issues that
5 may have come up, and we wanted to ensure that this
6 did not affect the operator's performance adversely.

7 It's pretty straightforward. We didn't
8 have any new manual actions or changes to the
9 mitigation philosophies for the EOPs or AOPs. There
10 were some modifications to the parameters and some of
11 the levels because of decay heat because of the EPU,
12 and there were some setpoint changes as well.

13 In the realm of operator actions, we had
14 no new operator actions and the response times in
15 their safety evaluation that they credit are
16 unchanged, and the available times for the manual
17 actions and the action times for the manual actions
18 remain unchanged.

19 CHAIR ABDEL-KHALIK: Now there was a
20 question raised earlier about operator and manual
21 actions following an ATWS. And the question is do the
22 available times for manual actions change as a result
23 of EPU conditions?

24 MS. MARTIN: Okay. As part of my review,
25 I was informed that the manual action times -- you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mean the actual time it takes the operator to perform
2 the action -- does not change -- is that what you were
3 asking me?

4 MR. WALLIS: Well, usually, it does in an
5 EPU.

6 MS. MARTIN: The actual time it takes them
7 to do the action?

8 MR. WALLIS: No. The available time.

9 MS. MARTIN: Available time?

10 MR. WALLIS: Right.

11 MS. MARTIN: I asked specifically, as part
12 of my review, do any of the actual -- available times
13 for the operator change, and I was told there weren't
14 change --

15 CHAIR ABDEL-KHALIK: So this statement is
16 based on response provided by the applicant rather
17 than an assessment as to whether or not there is a
18 potential for a change in the available times in
19 events such as ATWS required operator action to reduce
20 water level in the vessel?

21 MS. MARTIN: I'm sorry, could you restate
22 that?

23 CHAIR ABDEL-KHALIK: This statement or
24 this conclusion that the available times for manual
25 actions credited remain unchanged is simply based on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 input provided by the applicant rather than an
2 assessment, an independent assessment on your part as
3 to whether or not the available times would change?

4 MS. MARTIN: Yes.

5 CHAIR ABDEL-KHALIK: Okay. Would the
6 applicant care to provide any input into this as to
7 whether or not the available times would change?

8 MR. DUKE: This is Paul Duke. The number
9 of operator actions that are credited in design basis
10 analysis are relatively few. However, their times are
11 not changed. For example, in the containment response
12 analysis, it is assumed that containment cooling is
13 put into service after 10 minutes. That remains the
14 same. We understand the specific question with regard
15 to ATWS and water level, and we'll get additional
16 details on that specific question today. But in
17 general, the number of operator accidents credited are
18 relatively few in any design basis analysis and they
19 have not changed.

20 CHAIR ABDEL-KHALIK: I understand the
21 specified times in the procedures may not change, but
22 the analysis may indicate that the available times may
23 have changed, and that's the purpose of the question.
24 What is the change in the available times?

25 MR. DUKE: Well, for the example of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 containment response, the actions to put containment
2 cooling in service are no different for EPU versus
3 current licensed thermal power.

4 MR. WALLIS: I think it's the level
5 control that has to be done a little quicker.

6 MR. BOLGER: This is Frank Bolger from GE.
7 I wanted to point out that the Hope Creek does have a
8 system by which when there's a high pressure trip,
9 that will initiate a feedwater runback approximately
10 25 seconds after the pump trip. It also has an
11 automatic initiation of the SLC system.

12 MR. WALLIS: Yes., I think we've heard
13 that earlier, but usually, the level control shows up
14 when they do their probablistic safety analysis
15 because it turns out that the operator has less time
16 and then this, by some magic, is transferred into a
17 CDF. And this is usually how the CDF changes or one
18 of the dials that changes the CDF when you have an
19 EPU. I was a bit surprised that Hope Creek wasn't a
20 bit more specific saying its 10 minutes changes to 7
21 minutes or something specific like that.

22 CHAIR ABDEL-KHALIK: Is your implication -
23 -

24 MR. WALLIS: we're going to hear about
25 that later, right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR ABDEL-KHALIK: -- that these
2 automatic actions -- as a result of these automatic
3 actions, the available time for operator action from
4 lower to moderate levels do not track.

5 MR. BOLGER: This is Fran Bolger again.
6 There may be some other scenarios at which those
7 automatic actions would not occur. For example, if
8 the high-pressure trips do not occur, in those cases,
9 I think I would have to defer to PSEG for their
10 training of their operators.

11 MEMBER MAYNARD: I think we may be talking
12 about -- I don't know -- but I think it's important
13 that we get the distinction. I mean there's three
14 times that we're talking about -- the time that it
15 takes the operator to do an action, and apparently
16 that hasn't changed; the time credited for operator
17 action, and certainly that hasn't changed; but time
18 available before you would run into exceeding some
19 limit, I think, surely has to have changed for some of
20 these. It may not have changed any operator actions
21 or the time credited but I think that some of the time
22 before you would exceed a limit probably has changed.

23 MR. WALLIS: The available time must have
24 changed.

25 MR. DAVISON: Correct. This is Paul

1 Davison. PSEG understands the question and we will
2 provide a formal response to that so we can get you an
3 accurate answer to your question on available time.

4 CHAIR ABDEL-KHALIK: Thank you. Please
5 proceed.

6 MS. MARTIN: I also looked at the human
7 system interfaces and they didn't indicate any changes
8 that would occur due to the EPU that would affect the
9 operator's ability to interpret or visually see
10 anything they needed to. All of the changes will be
11 used with the design change process of PSEG.

12 The SPDS has a re-scaling in input-output
13 changes to feedwater control parameters due to the
14 EPU, and these are the curves that will be impacted by
15 the EPU. The training for operators to cover all the
16 changes due to the EPU will occur prior to
17 implementation, and these adverse event the simulator
18 updates that will occur due to the --

19 MR. WALLIS: Excuse me. Did anybody check
20 that these changes were appropriate? I mean we saw
21 all these changes to these curves. Did anybody check
22 that they're appropriate or you just accept the curves
23 as submitted?

24 MS. MARTIN: I don't actually look at the
25 curves. That's another group. Reactor Systems looks

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at the acceptability of the changes to the curves.

2 MR. WALLIS: Reactor Systems looked at
3 those?

4 MS. MARTIN: Yes.

5 MR. WALLIS: Okay. So there was someone
6 who did review whether these were appropriate --

7 MS. MARTIN: Yes. That's later on.
8 Because of the few changes to credited operation
9 actions --

10 CHAIR ABDEL-KHALIK: Could you please go
11 back to the previous slide? Now you had gone through
12 this. Now my understanding is that operator training
13 has already been conducted. Is that correct?

14 MR. KOPCHICK: The question was has
15 operator training already been conducted prior to
16 plant operation at EPU conditions. That is correct.
17 Operator training on transient, steady-state, and
18 power ascension testing was completed. We also will
19 perform just-in-time training with each operating crew
20 prior to implementing the power ascension test
21 procedure.

22 CHAIR ABDEL-KHALIK: And the, I guess, the
23 simulator validation verification has already been
24 completed at 11.5% or at the 15%? You have two modes
25 of operation for the simulator?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KOPCHICK: Yes, sir, we do. We
2 operated the simulator at 111, 115% power to validate
3 that the simulator's response, as required by ANSI 3.5
4 and balance-of-plant testing, was acceptable. What is
5 outstanding by PSEG process is to document the results
6 of the that testing by our station procedures which
7 would then formally document the completion of the
8 ANSI standard test by April 13th.

9 CHAIR ABDEL-KHALIK: But nevertheless, you
10 went ahead and conducted the training --

11 MR. KOPCHICK: That's correct.

12 CHAIR ABDEL-KHALIK: -- with the simulator
13 as is?

14 CHAIR ABDEL-KHALIK: Yes, sir.

15 MR. DAVISON: Paul Davison. And the final
16 piece of that -- well, once we operate the plant
17 physically at that new power level, there will be
18 other comparisons and validation back to the simulator
19 with real plant data.

20 CHAIR ABDEL-KHALIK: Thank you.

21 MS. MARTIN: In conclusion, with respect
22 to human factors and the changes that will be made due
23 to the EPU, we found the things that were identified
24 by PSEG to be acceptable and that's it.

25 CHAIR ABDEL-KHALIK: Any questions for Ms.

1 Martin?

2 (No audible response.)

3 CHAIR ABDEL-KHALIK: Thank you.

4 MEMBER BONACA: You will have an answer to
5 the question that you raised before regarding
6 available time, right?

7 CHAIR ABDEL-KHALIK: Correct. Yes, the
8 applicant will provide a response.

9 MR. DAVISON: That's correct.

10 MR. RAZZAQUE: This is Muhammad Razzaque
11 and I need to make an announcement. We agreed that
12 we'll be presenting early, but one of our reviewers
13 got an emergency call, and he is out now. He may not
14 be here in this period, so if there is any questions
15 me or Tony cannot answer, we have to get back to you
16 it looks like.

17 CHAIR ABDEL-KHALIK: Now we can probably
18 proceed with your part of the presentation and then
19 take a lunch break. And then at that point, we'll
20 make sure that everybody on your team who can directly
21 answer any questions that might come up can actually
22 be here.

23 MR. WALLIS: Excuse me. We're hearing the
24 staff's view of these things before we hear the
25 applicant's?

1 MS. ABDULLAHI: It's an open and closed
2 session.

3 MR. WALLIS: Oh, it's an open and closed.

4 MS. ABDULLAHI: Right. This would be an
5 open session --

6 MR. WALLIS: Then we're going to have a
7 closed session from the applicant. That's why we're
8 doing it in this order?

9 MR. RAZZAQUE: Myself again, Muhummad
10 Razzaque and here, Nakanishi. Two of us will present
11 most of the material. Tony will discuss the fuel
12 methods, and I will provide the rest of the
13 information. I was mentioning about the reviewer, Dr.
14 Tai Huang -- he got the emergency call out, so he
15 should be back whenever he is.

16 MS. ABDULLAHI: This is Zena. If there's
17 a section, he's covering, we'll just postpone and
18 reschedule within some other slot.

19 MR. RAZZAQUE: Okay. He is -- he was not
20 planning to present unless -- as a support he was
21 here. Review scope -- the assistance branch looked at
22 the fuel system and nuclear design, thermal-hydraulic
23 design, overpressure protection, SLC system, transient
24 analysis, LOCA, ATWS and GE methods which Tony is
25 going to talk about after me.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Fuel method was based on the generic
2 accepted -- NRC-accepted guidelines which basically
3 are ELTR-1 and ELTR-2. Although this is a constant
4 pressure uprate since there is some legacy fuel still
5 in there, although they should not be limiting -- they
6 will be non-limiting, still, technically, ELTR-1 and
7 ELTR-2 is the main guidance that were followed. And
8 all of them are NRC-approved methodologies.

9 The ACR was written on the format RS-001.
10 Review of system and nuclear engineering design, Cycle
11 15, the current cycle which would be the first EPU
12 cycle, predominantly GE fuel and some remaining
13 average of thrice burnt Westinghouse fuel, SVEA-96
14 fuel. SVEA-96 is expected to operate at less than --
15 well-below GE power and also at pre-EPU level and
16 expected that it will not be limiting. It will be the
17 GE fuel which should be the limiting.

18 MEMBER ARMIJO: Now I'm a little confused.
19 I heard or I saw in one document that there was some
20 twice burnt SVEA fuel in the core right now --

21 MR. RAZZAQUE: Yes.

22 MEMBER ARMIJO: -- and it's to just thrice
23 burnt?

24 MR. RAZZAQUE: That's right, eight of them
25 to be exact. Out of 764, 216 is the SVEA fuel. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out of 216, 8 are twice burnt and the rest are thrice
2 or more. So on the average, their burn up is thrice.
3 Average burn up in the core is thrice.

4 MEMBER ARMIJO: Okay.

5 MR. RAZZAQUE: We can get --

6 MEMBER ARMIJO: You'll show us on the core
7 map where those things are?

8 MR. RAZZAQUE: Do you have that, Tony?

9 MR. NAKANISHI: We can provide that. This
10 is Tony Nakanishi with Reactor System. We can provide
11 that or the licensee may even --

12 MEMBER ARMIJO: Yes, if PSEG is going to
13 show that, I can wait.

14 MR. RAZZAQUE: Right. And we requested
15 for the power level that is expected in SVEA fuel
16 compared to GE fuel, and we have verified that it is
17 well-below GE power level. The way they placed them
18 in the core, particularly those eight bundles, the
19 power is still well-below GE bundle power level. That
20 we have verified.

21 Each bundle power will increase by about
22 4.4% which is the exact number being -- 6.8 megawatts
23 thermal to 7.2 megawatts thermal, which is about 4.4%
24 and which is within the experience base that EPU has.
25 Normally, it ranges from 3 to 5-6%.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: Why do you put thermal in
2 here?

3 MR. RAZZAQUE: Pardon me?

4 MR. WALLIS: I just wonder why you had to
5 put thermal in here? I mean would it be anything else
6 but thermal power you worry about?

7 MR. RAZZAQUE: Just to show how the big
8 bundle increases, what percent the big bundle
9 increased. That's just to give you an idea. It is
10 not a thermal limit. Just to give a sense. We know
11 that the average bundle increases 15%.

12 MR. WALLIS: Yes.

13 MR. RAZZAQUE: And big bundle doesn't stay
14 the same. It increases a little bit. That's all we
15 are trying to say. And it varies sometimes 5%, 6%.
16 This plant happened to have 4.4%. It's just a piece
17 of information. There is no regulatory connection to
18 that.

19 The thermal limits are the fourth bullet,
20 SLMCPR, OLMCPR, MAPLHGR, and LHGR, those are the legal
21 limits that have to be met. And they are determined
22 for each reload cycle including any mid-cycle
23 modifications which, in this case, will be the EPU.
24 And the hot excess reactivity and shutdown follows
25 GESTR-II which is the approved GE method.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Thermal hydraulic design stability relies
2 on Option-III, and reload analysis will follow the
3 staff-approved methods and hence acceptable.
4 Equipment and startup reveal no changes required. So
5 this is information which was verified by the staff
6 that the equipment -- there was no change required for
7 the EPU as far as the equipment is concerned.
8 Setpoints for detection and suppression established
9 using the approved methods. And there will be a
10 generic penalty on the bypass void penalty as required
11 by the generic report, NEDC-33173P-A.

12 MEMBER BONACA: Now in addition to -- I'm
13 sorry.

14 CHAIR ABDEL-KHALIK: Go ahead, please.

15 MEMBER BONACA: In addition to the Option-
16 III long-term solution, there is a backup system,
17 right?

18 MR. RAZZAQUE: There is a back up system?

19 MEMBER BONACA: I'm sorry?

20 MR. RAZZAQUE: Yes, there is a backup
21 system.

22 CHAIR ABDEL-KHALIK: Now this change,
23 11.5% power increase, will have a mid-cycle, so the
24 core that's in there is the core that's going to be
25 operated at 111.5%?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RAZZAQUE: Right.

2 CHAIR ABDEL-KHALIK: The reload analysis
3 that was presented prior to the beginning of Cycle 15,
4 were these analysis performed at the current licensed
5 thermal power?

6 MR. RAZZAQUE: It was at EPU. There has
7 been a server provided to the staff for EPU and that
8 is what we looked at for EPU. There may have been one
9 done for the current power level, too, but we didn't
10 look at that. We look at the EPU server to verify
11 some of the conclusions that we made.

12 CHAIR ABDEL-KHALIK: Okay. Thank you.

13 MEMBER BONACA: So I'm trying to
14 understand -- the protection system is already set at
15 115% power, and then you're operating all the way down
16 from 100% which is now going to be maybe 90% or
17 whatever to 97% and then later on to 100% of 115%
18 power? That's what you've done?

19 MR. RAZZAQUE: We are approving 15% and
20 we're expecting that will bound everything below. So
21 we reviewed one analysis which is 115%. There is the
22 ultimate objective. So based on that 115%, the
23 analysis -- the results that I will present will be,
24 again, based on the 115%. The first one here is the
25 overpressure protection results which was typically

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 done at 102% of 115%.

2 CHAIR ABDEL-KHALIK: Now in your
3 assessment of the overpressure protection, have you
4 looked at the history of the Hope Creek SRV
5 performance?

6 MR. RAZZAQUE: We did not specifically
7 look at the history.

8 CHAIR ABDEL-KHALIK: So what assumptions
9 are made in your assessment of the peak pressures
10 calculated --

11 MR. RAZZAQUE: One of the key --

12 CHAIR ABDEL-KHALIK: -- pressure
13 transients?

14 MR. RAZZAQUE: One of the -- there are few
15 key assumptions. One is that the SRV drift setpoint
16 will be within 3% plus or minus. That is the approved
17 limit. Another key assumption is that out of 5 SRVs -
18 - I believe I remember the number correctly -- one
19 will not open at all.

20 CHAIR ABDEL-KHALIK: Okay. Now --

21 MR. RAZZAQUE: Those are the like
22 assumptions that we look at --

23 CHAIR ABDEL-KHALIK: The question still
24 remains. Does the history of Hope Creek SRV
25 performance comply with the 3% tech spec limit on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 setpoint?

2 MR. RAZZAQUE: My understanding is that it
3 should be -- it's required to be, because tech specs
4 require that they have to be within plus or minus 3%.
5 And also, the -- it may be -- the licensee may correct
6 me, but for each cycle, each outage, they have to take
7 certain number of those SRVs and test and see whether
8 it stayed within that band.

9 CHAIR ABDEL-KHALIK: I fully understand
10 that. But the question is have you done an
11 independent examination as to whether or not this
12 assumption is indeed valid?

13 MR. RAZZAQUE: We have not done that
14 independent verification. There are certain
15 guidelines and regulations that the licensee will have
16 to follow. And as I said, that's what it is. Each
17 outage they have to be tested, and if it is exceeded
18 3%, it should be reported to NRC as a routine basis.
19 And when it is put back, it should be refurbished back
20 to 0% -- or within 1%, I think.

21 CHAIR ABDEL-KHALIK: So you do have access
22 to that information because if the setpoints had
23 indeed exceeded the 3% limit, they would have notified
24 the NRC.

25 MR. RAZZAQUE: It is reported by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulations, I think. That's my understanding -- it
2 is reported as the LAR. And there is a whole data
3 available for each plant, so if we wish to, we could
4 go back and review it.

5 MR. DAVISON: That is correct. In
6 addition to the -- Paul Davison -- in addition to the
7 history that I'll be providing to you -- we're pulling
8 that for you now -- in the event that we have a number
9 of SRVs that would fail their 3% accuracy
10 requirements, we would have submitted that for the LER
11 process. That would have been a violation of our tech
12 specs that would have been clearly transmitted to the
13 NRC. But I will have the full listing of our failure
14 rates to the subcommittee.

15 CHAIR ABDEL-KHALIK: So if indeed there is
16 sort of a trend or a history of failure to meet the
17 tech spec limits or failure to even open, would the
18 staff go back and re-evaluate the overpressure
19 analyses in light of that data?

20 MR. RAZZAQUE: I'll tell you what we did.
21 Many years ago actually, I was directly involved in
22 that. It was a tech spec limit was 1%, plus or minus
23 1%, and the industry found that this is too tight.
24 They couldn't maintain that. So they came to NRC for
25 approval to 3% hoping that that will cover the real

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 world. And we did an extensive review on that, looked
2 at the data set and everything based on industry. And
3 we also agreed to that, that 3 would be a reasonable
4 number. And we haven't done anything after that --
5 that is true -- except that if there is a noticeable
6 trend we observe, we will get to that specific
7 licensee. But generally, it is approved for 3%.

8 CHAIR ABDEL-KHALIK: So without sort of --

9 MR. RAZZAQUE: And it was based on a study
10 done and found to be industry-wide -- to us, found
11 acceptable to extend the range up to 3% without
12 affecting these results significantly -- I mean
13 staying within the limits and sort of like a tradeoff.
14 Like you're to be realistic. At the same time, we
15 have to meet our regulation. And 3% was decided that
16 was the one.

17 CHAIR ABDEL-KHALIK: So we will await the
18 data to be provided before we may possibly revisit
19 this issue.

20 MR. DAVISON: Correct.

21 CHAIR ABDEL-KHALIK: Thank you.

22 MR. RAZZAQUE: And based on those
23 assumptions that I mentioned, the results came out to
24 be within the limits. Obviously, they have to be to -
25 - 1285 psig, and they have a tech specs limit which is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 1325 psig, and they met that. And SRV setpoint
2 changes were not necessary because it was a constant
3 pressure power uprate. Again, this would be analyzed
4 each reload. Each reload, it will be re-analyzed.

5 Standby liquid control system, as the
6 licensee indicated, they have both features normally
7 as well as -- the normal is manual, but it can be
8 automatic. The 86 gpm boron equivalency is satisfied.
9 We verified that. Sufficient margin in the pump
10 discharge relieve vales. Since the pressure increased
11 a little bit, the discharge pressure also increased a
12 little but. But still, there is plenty of margin at
13 the setpoint.

14 CHAIR ABDEL-KHALIK: I'm sorry, which
15 pressure has increased?

16 MR. RAZZAQUE: The discharge. The peak
17 pressure in the vessel will increase because of the
18 EPU.

19 CHAIR ABDEL-KHALIK: Okay.

20 MR. RAZZAQUE: And therefore, the pump
21 discharge pressure will increase, and we have to make
22 sure that the -- it's not too close to the SRV
23 setpoint. Otherwise, there will be an opening. And
24 that was verified and found to be a sufficient margin.

25 MR. WALLIS: So you're saying that they do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not open during --

2 MR. RAZZAQUE: They do not -- they're not
3 expected to open, but in the analysis, one is allowed
4 to open. In the analysis --

5 MR. WALLIS: It's allowed to open.

6 MR. RAZZAQUE: -- one is allowed to open.
7 Concentration -- 660 production manager does not
8 change from before EPU or after EPU, and it is
9 confirmed for every reload cycle, before every reload
10 cycle.

11 CHAIR ABDEL-KHALIK: So with the core
12 design, it turns out that it takes the same boron
13 concentration to provide adequate shutdown margins if
14 all the rods are not inserted? It turns out to be
15 exactly the same? Is this fortuitous?

16 MR. NOTIGAN: This is Don Notigan, PSEG.
17 We've confirmed no change in the amount of standby
18 liquid control system for cold shutdown at EPU.

19 CHAIR ABDEL-KHALIK: Okay.

20 MR. RAZZAQUE: If you like, I can add to
21 that. The just plain -- higher power does not
22 necessarily change the concentration. It is a
23 combination of things like fuel batch fraction,
24 enrichment or new fuel design. Those we may change
25 but this part alone will not do it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR ABDEL-KHALIK: I understand.

2 MR. RAZZAQUE: And it doesn't change here.
3 AOO transient analysis, there are three categories of
4 transient analysis broadly can be divided. One type is
5 to set the operating limit MCPR, and it turns out to
6 be turbine trip which is the one that set that.

7 MEMBER BANERJEE: With or without bypass -

8 -

9 MR. RAZZAQUE: No bypass.

10 MEMBER BANERJEE: We thought that with
11 bypass, sometimes it's more limited.

12 MR. RAZZAQUE: It could be, but in this
13 case, the -- as I'll show, either load reject nor
14 bypass -- turbine trip --

15 MEMBER BANERJEE: Are we going to discuss
16 this in more detail later one, these matters?

17 MR. RAZZAQUE: No, not -- we don't plan
18 to. We look at the limiting events and for each
19 category. There are several analyses required by
20 ELTR-1 to be performed and find out which is the
21 limiting one. It turns out --

22 MEMBER BANERJEE: Well, let me understand
23 this. Do you do the uncertainties? In the void
24 correlation, there's a penalty put on the OLMCPR? How
25 much is that. Point?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. NAKANISHI: This is Tony Nakanishi.
2 Point o one -- .01.

3 MR. WALLIS: I'm sorry. I'm confused.
4 I'm looking back at my notes. The peak ATWS pressure
5 is 1400-and something? We're trying to figure out
6 these pressure limits you've got here. Is ATWS
7 something different from what you --

8 MR. RAZZAQUE: Like the previous slide?

9 MR. WALLIS: -- different from what you're
10 talking about with overpressure protection? You're
11 going to talk about the ATWS pressure in some place?
12 Because if the ATWS pressure is higher than the SLC
13 pressure, that gives rise to recirculation --

14 MR. RAZZAQUE: Are you talking about the
15 MSIV closure?

16 MR. WALLIS: No. I'm talking about the
17 ATWS situation where the peak pressure is higher than
18 the SLC pressure so that you get recirc -- SLC valve
19 opens, overpressure valve opens during an ATWS,
20 recirculates for a period of time. The pressures are
21 higher than the pressures you talk about here. That's
22 a different topic, is it? You're going to talk about
23 that sometime or is someone going to talk about that?

24 MR. RAZZAQUE: This is all that you are
25 seeing is for the MSIV closure with --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 MR. WALLIS: Right, but the ATWS has
2 higher pressures than that.

3 MR. RAZZAQUE: ATWS pressure, we are going
4 to talk about ATWS.

5 MR. WALLIS: At some other time, okay.

6 MR. RAZZAQUE: Yes. Actually --

7 MR. WALLIS: I was just wondering --
8 trying to put this in context. You're going to get to
9 that at some -- okay -- that's all right.

10 MR. RAZZAQUE: Yes. We were talking about
11 the AOOs, anticipated operational occurrences, and
12 they're -- that's --

13 MEMBER BANERJEE: They have some
14 Westinghouse fuel in there. That GE method is sort of
15 approved for this?

16 MR. NAKANISHI: This is Tony Nakanishi.
17 We'll discuss more in terms of the GE methods
18 capability to model SVEA fuel, but we --

19 MEMBER BANERJEE: So will you go into the
20 OLMCPR at that point a little bit?

21 MR. NAKANISHI: Sure. I guess we need to
22 be careful not to get into proprietary information.

23 MEMBER BANERJEE: Right. Well, when are
24 we going to close the session?

25 CHAIR ABDEL-KHALIK: Immediately after

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lunch.

2 MR. RAZZAQUE: Tony will discuss about
3 that matter at that time. The second category --

4 MEMBER BONACA: What about SLMCPR, are you
5 going to discuss that as well?

6 MR. NAKANISHI: We certainly can and the
7 planned presentation wasn't covering that, but we can
8 certainly discuss that further as a --

9 MEMBER BONACA: So -- but somebody's
10 planning to talk about ATWS?

11 MR. RAZZAQUE: Yes.

12 MEMBER BONACA: I didn't hear -- yes.
13 Okay. So there will be a discussion. I agree with
14 you that it is not part of the anticipated
15 occurrences, but we'll talk about ATWS.

16 MR. DelGAIZO: Excuse me. I'm a
17 mechanical engineer on the EPU project. On the
18 question of the SLC relief valve, the analysis -- when
19 SLC is credited in the analysis, those peaks have all
20 passed. The timer which has the time delay, it
21 ensures that SLC is initiated so that the peaks are
22 gone and the relief valve does not lift. However, if
23 the system is initiated earlier and the relief valve
24 does lift, there's a large margin required on the
25 reset to be sure that that relief valve is closed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 before SLC is required in the system. So the relief
2 valve could lift. It will recede. And if it goes on
3 the timer, it will not lift. And that's how the
4 analysis deals with it.

5 CHAIR ABDEL-KHALIK: But we will discuss
6 ATWS at a later time if necessary in the closed
7 session.

8 MR. RAZZAQUE: I was going to present the
9 result here in the open session.

10 CHAIR ABDEL-KHALIK: We'll do that after
11 lunch. But specific questions regarding operating
12 limit MCPR and safety limit MCPR, if necessary, we can
13 discuss them in a closed session. Please continue.

14 MR. RAZZAQUE: Okay. The overpressure
15 event is the MSIV closure with flux scram, and the
16 minimum water level transient is the loss of feedwater
17 flow.

18 LOCA wasa based on SAFER/GESTR codes using
19 equilibrium core. The licensing basis PCT for GE-14
20 was 1380 degrees Fahrenheit; and for SVEA-96, it was
21 1540 degrees Fahrenheit.

22 CHAIR ABDEL-KHALIK: Now this is an
23 interesting result. I mean we've been told that this
24 legacy fuel has a lot lower power than the GE-14 fuel,
25 and yet your LOCA analysis calculates a higher peak p-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 clad temperature in the legacy fuel than in the GE-14
2 fuel. Could you explain physically what's going on?

3 MR. RAZZAQUE: Yes. I'll try to explain.
4 And basically to give some understanding how -- and
5 I'll explain my understanding of how GE calculates
6 these numbers. And the way these numbers are --

7 MR. NAKANISHI: It's not proprietary, is
8 it?

9 MR. RAZZAQUE: Pardon me?

10 MR. NAKANISHI: Is it proprietary?

11 MR. RAZZAQUE: I don't think so. It's a
12 methodology -- should know. Yes, SAFER/GESTR method.
13 Yes, that is proprietary. I'm not talking about that,
14 but the process -- I'm talking about the process. The
15 process is that you assume equilibrium core, and
16 equilibrium core assumes one kind of fuel, either GE-
17 14 or SVEA-96. It doesn't assume at the same time.
18 It does assume one at a time. Okay? So you calculate
19 use, for example, with GE-14 fuel, but the key
20 parameter which affects the PCT is the value of the
21 MAPLHGR, maximum average planar heat generation rate.

22 Actually, the code asks more of that. A
23 code really needs the input of average planar linear
24 heat generation in the exhale direction, and the peak
25 one is the MAPLHGR and that affects the PCT directly.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Okay, so when they do the calculation for a given
2 core, given cycle, given fuel, assuming other
3 variables are -- should be correctly, they assume the
4 maximum possible MAPLHGR for that cycle and generate
5 the PCT for that fuel and did the same thing assuming
6 the maximum possible MAPLHGR for Westinghouse fuel,
7 and that gave a higher PCT.

8 But in the real core, it won't be like
9 that. It will be combined -- both fuel together and
10 there, the data showed that the MAPLHGR value would
11 always be less than GE fuel. And therefore, the
12 assumption that -- when they calculated 1540 degrees
13 Fahrenheit, the MAPLHGR never is going to reach there,
14 in reality. It will be below, always below GE
15 MAPLHGR. And therefore, MAPLHGR value is the limited
16 value which we should look for.

17 And another information is that they do
18 not calculate, they do not run a LOCA analysis for
19 each reload. All they do is go and verify it that the
20 MAPLHGR is within the limit. If the MAPLHGR is, the
21 PCT is validated. Well, that's the process involved.

22 CHAIR ABDEL-KHALIK: So a LOCA analysis
23 was really not done for the Cycle 15 core as is?

24 MR. RAZZAQUE: It has been validated. It
25 has been -- by MAPLHGR.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR ABDEL-KHALIK: I understand --

2 MR. RAZZAQUE: Yes.

3 CHAIR ABDEL-KHALIK: -- the way you -- but

4 --

5 MR. RAZZAQUE: Right. And --

6 CHAIR ABDEL-KHALIK: -- as is, would the
7 distribution of a fuel as is --

8 MR. RAZZAQUE: Right, unless there is --

9 CHAIR ABDEL-KHALIK: -- was not actually
10 done because it's part of a reload analysis for Cycle
11 15? Is that correct?

12 MR. RAZZAQUE: -- unless there is some
13 change in other parameters which they will then have
14 to redo it. But I don't know exactly when it was
15 done. Maybe you can --

16 MR. BOLGER: This is Fran Bolger from GE.
17 The way staff explained it is correct. You know, the
18 analyses are done with full cores of the two different
19 type, and those analyses are designed to be bounding
20 with respect to what would occur in a next core.

21 MR. WALLIS: And that's done for an
22 equilibrium core?

23 MR. BOLGER: That's correct.

24 MR. WALLIS: Now if it's done for a non-
25 equilibrium core, now much does the PCT change? If

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's done for the core evolves -- how much does the
2 PCT change as the core evolves during a cycle? Have
3 any idea?

4 MR. BOLGER: Just sort of weighing whether
5 this is a closed session discussion or not.

6 CHAIR ABDEL-KHALIK: If it is, we can wait
7 until after lunch.

8 MR. BOLGER: Okay. Why don't we wait.

9 MR. WALLIS: Postpone it. Okay, that's
10 fine.

11 CHAIR ABDEL-KHALIK: Okay. I have another
12 question. Are these two-bundle designs hydraulically
13 matched?

14 MR. RAZZAQUE: The effect on LOCA is not
15 that significant.

16 CHAIR ABDEL-KHALIK: Regardless, the
17 question is are they hydraulically matched?

18 MR. RAZZAQUE: When originally a mixed
19 water analysis was done -- that was done many years
20 ago -- there have to be some pressure drop tests to
21 make sure that the assemblies have compatible pressure
22 drop. I think that probably would be the key
23 parameter which will effect, but the LOCA, it really
24 doesn't matter that much. But it does in the
25 transient.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR ABDEL-KHALIK: Okay. Thank you.

2 MR. RAZZAQUE: Yes. And mixed water
3 analysis was approved many years ago. I don't know
4 when they first started using GE, but this one is --
5 we didn't go reviewing the mixed core approval.
6 Basically, looked at the EPU.

7 MEMBER BANERJEE: So the hydraulic
8 characteristics are very similar, the fuel? I didn't
9 get the sense of the answer.

10 MR. NOTIGAN: This is Don Notigan, PSEG.
11 To support the EPU licensing, PSEG submitted on our
12 docket a thermal-hydraulic compatibility assessment
13 and report that has the details of how the GE
14 methodology was utilized to analyze the thermal-
15 hydraulic performance of the SVEA fuel. In that
16 report, we concluded that introduction of the GE fuel
17 at that time into the Hope Creek core, which had had
18 SVEA-96 plus fuel in it, did not cause any change in
19 thermal-hydraulic imbalance.

20 MEMBER BANERJEE: Will the fuel there,
21 fossil or whatever it is, and the GE fuel, did they
22 have similar thermal-hydraulic characteristics? I
23 mean it's a straight question -- yes or no.

24 MR. NOTIGAN: They have similar, yes.
25 However, the mechanical design of the assemblies are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different. I have slides to illustrate the
2 difference. And because of that difference, the
3 active flow through the two designs are slightly
4 different.

5 MEMBER BANERJEE: I think we should
6 discuss this in closed session.

7 MEMBER MAYNARD: Well, don't you take a
8 penalty in the analysis anytime you have a non-
9 homogeneous core? I mean doesn't the analysis that
10 you do have some penalty into it when you've got
11 different types of fuel assemblies -- penalty?

12 MR. NAKANISHI: This is Tony Nakanishi
13 with Reactor Systems. I could add that sometime ago,
14 the licensee submitted a critical power correlation
15 supporting the SVEA fuel, and staff reviewed that and
16 approved that.

17 MEMBER BANERJEE: What about the void
18 correlation?

19 MR. NAKANISHI: Again, I guess we could
20 probably defer that to closed session.

21 MEMBER BANERJEE: Maybe, you know, we need
22 to know a little more details, Said, on this.

23 MR. NAKANISHI: Basically --

24 CHAIR ABDEL-KHALIK: When we're in closed
25 session, you can ask these detailed questions and,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hopefully, both the staff and the applicant --

2 MEMBER BANERJEE: Hopefully, we will
3 understand the uncertainty in the void fraction for
4 the SVEA fuel? Do we have data?

5 MR. NAKANISHI: The approach that GE or
6 the licensee is taking is they're applying their NRR
7 methods topical which includes some of these --
8 accounts for these additional margins. We can discuss
9 that more in the closed session.

10 MR. WALLIS: How does MAPLHGR validate a
11 PCT?

12 MR. RAZZAQUE: How does it validate PCT?

13 MR. WALLIS: MAPLHGR has nothing to do
14 with LOCA, does it?

15 MR. RAZZAQUE: Yes.

16 MR. WALLIS: MAPLHGR is just for the heat
17 generation rate?

18 MR. RAZZAQUE: That's right and it affects
19 the stored energy, and therefore, ultimately the PCT.

20 MR. WALLIS: It's an input to a PCT
21 calculation.

22 MR. RAZZAQUE: Exactly. That's --

23 MR. WALLIS: It doesn't validate. It's
24 just an input to it --

25 MEMBER BANERJEE: It doesn't. It's an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 input.

2 MR. WALLIS: -- if it's low enough --

3 MR. RAZZAQUE: The validate means that
4 when they design the core, they calculate the MAPLHGR
5 for that core and see whether it is less than the one
6 which was used to calculate the PCT. That is the
7 validation.

8 MR. WALLIS: But it's not -- but more
9 things than just MAPLHGR influence PCT --

10 MR. RAZZAQUE: Yes, there are many things,
11 but the marketplace is the one --

12 MR. WALLIS: It's a sort of DPTC, D-
13 MAPLHGR that you've -- someone's established so that
14 you know how one influences the other?

15 MR. RAZZAQUE: Assuming the other
16 variables --

17 MR. WALLIS: Maybe this can be explained
18 in a closed session or something? I'm confused.

19 MR. NAKANISHI: Or I guess I could say
20 that the baseline analysis, it will basically provide
21 sufficient leeway for cycle-specific differences. And
22 really, the key change from cycle to cycle is covered
23 by MAPLHGR.

24 MR. WALLIS: This is part of what I was
25 told would be answered in a closed session, is it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: Or it would be --

2 MR. WALLIS: I think it is.

3 MEMBER ARMIJO: -- or you could get it.

4 MR. WALLIS: I'm going to get the answer
5 in the closed session.

6 CHAIR ABDEL-KHALIK: I think we'll have
7 more leeway to ask questions and receive answers
8 during that time.

9 MEMBER ARMIJO: I have maybe a very simple
10 question. Is SAFER/GESTR approved for use on SVEA-96,
11 or was it just an analysis that was done sort of
12 interesting but not really an approved analysis.

13 MR. RAZZAQUE: The process that works is -
14 - the way that was approved is that the -- when the GE
15 -- you have a GE core using GE methods. Now another
16 fuel is introduced. The -- first of all, there has to
17 be thermal-hydraulic compatibility with those two
18 bundles, and they have to be verified and checked.
19 And the other is that the licensee or the vendor or
20 both has to get enough information from the other
21 vendor about the fuel to perform the analysis. After
22 you get all the information that you need, which is
23 basically the information like fuel itself, like the
24 density, material properties, flow dimension and those
25 kind of things, then you use your code, GE code,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assuming it's like a GE bundle although the dimensions
2 are different for every --

3 MEMBER BANERJEE: But here is the issue,
4 I think which --

5 MEMBER ARMIJO: It's more legal.

6 MEMBER BANERJEE: Yes, but what Sam and I
7 are both getting at is do we have the same database
8 with the SVEA-96 plus fuel, and maybe you need to
9 answer this in closed session, as we have with GE
10 fuel? We understand GE fuel because we have dealt
11 with this previously in approving things and so on.
12 So we know a lot about GE fuel. Do we know the same
13 about this Westinghouse fuel? I guess that's the
14 issue and the uncertainties in the various critical
15 power issues and the void fraction correlation.

16 MR. WALLIS: Do you use the same void
17 fraction correlation for the two?

18 MR. NAKANISHI: I believe the -- and GE or
19 licensee can correct me, but I believe that is true.

20 MR. WALLIS: Someone's checked that the
21 test is valid, equally valid --

22 MR. NAKANISHI: I guess --

23 MR. WALLIS: -- or bias in one way with
24 one fuel versus the other?

25 MR. NAKANISHI: A point that provides the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staff additional conflict is the SVEA fuel has been
2 exposed a few times.

3 MR. WALLIS: Oh, yes, that's right.

4 MR. NAKANISHI: And if SVEA fuel were as
5 reactive as GE-14 fuel, for example, then we would be
6 a lot more concerned, and we would be providing a lot
7 more review associated with that.

8 MEMBER BANERJEE: If they go reload it,
9 will there be --

10 MEMBER ARMIJO: Well, I don't know if the
11 issue will come up.

12 MEMBER BANERJEE: Will that issue come up
13 at that point, or how will it be handled?

14 MR. NAKANISHI: They did the transition,
15 I believe, obviously, at a pre-EPU condition.

16 MEMBER BANERJEE: Will you feel more
17 comfortable to answer these questions when we were in
18 closed session?

19 MR. NAKANISHI: Absolutely.

20 MEMBER BANERJEE: Okay.

21 MR. WALLIS: Let's do that.

22 MR. RAZZAQUE: Actually, the way I
23 understand -- licensee may correct me -- they are
24 going to phase Westinghouse fuel out after Cycle 15,
25 or at most 16 maybe. Is that -- Cycle 16 will still

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have some fuel left and then after that, no fuel?

2 MR. NOTIGAN: This is Don Notigan, PSEG.
3 We are looking at the core design requirements for
4 Cycle 16. We're starting that right now. And right
5 now it looks like preliminary, we will not have the
6 SVEA fuel in the next core in Cycle 16.

7 MR. RAZZAQUE: Basically, you're talking
8 about half a cycle, maybe less than that.

9 MEMBER BONACA: And when you did LOCA
10 analysis, what fuel did you use? Did you assume that
11 GE fuel would be limiting and then you assumed full
12 characteristics of the GE fuel to determine PCT? I
13 mean this is a mixed core and I'm trying to understand
14 how you do the thermal-hydraulic analysis,
15 SAFER/GESTR. What kind of fuel-related parameters are
16 you using?

17 MR. RAZZAQUE: Why the two separate PCT
18 was generated -- one for GE fuel, another for the
19 Westinghouse fuel --

20 MEMBER BANERJEE: Yes.

21 MR. RAZZAQUE: -- deeper.

22 MEMBER BANERJEE: But assuming separately,
23 then first of all you have full GE fuel or full SVEA
24 fuel?

25 MR. RAZZAQUE: SVEA fuel, yes. And they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have the information for SVEA fuel to use that in the
2 code to calculate the PCT, and it turns out to be
3 different, higher actually, if you use the same
4 MAPLHGR.

5 MEMBER BANERJEE: Why is that?

6 MR. RAZZAQUE: That --

7 MEMBER BANERJEE: Well, it's --

8 MR. RAZZAQUE: It may be the fuel design
9 itself basically, because the fuel itself, the
10 thickness and the diameter and the material properties
11 will affect. And I can see that probably would be the
12 reason if we assumed, say, MAPLHGR and if all other
13 inputs are the same for the vessel and the core, the
14 geometry of the fuel probably would be the responsible
15 for change.

16 MEMBER BANERJEE: But this fuel is
17 supposed to have similar thermal-hydraulic
18 characteristics, right?

19 MR. RAZZAQUE: But not necessarily
20 material properties.

21 MEMBER BANERJEE: Well, is the cladding
22 different or --

23 MEMBER BONACA: Well, for one, the
24 cladding is twice-burnt or three-times burnt.

25 MEMBER BANERJEE: But I assume that this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 number 1540 is coming when you've loaded the core with

2 --

3 MR. WALLIS: It's an equilibrium core full
4 of SVEA fuel. IT's an artificial.

5 MEMBER BANERJEE: So it's two artificial
6 cases because that's not the core in -- but they
7 should be two comparable cases, right? And two
8 comparable cases, you're getting some difference which
9 may not be important but it should be reconciled in
10 some way?

11 MEMBER BONACA: Yes. For example, you
12 know --

13 MEMBER BANERJEE: Why is different.

14 MEMBER BONACA: -- I look at this loading
15 and the four assemblies in the center of the core SVEA
16 fuels, so now, you know, my question that comes to
17 mind is will the flow preferentially goes in the SVEA
18 fuel versus the GE fuel? I don't know. I mean that's
19 the kind of questions we're raising, I believe, here.
20 And --

21 MR. RAZZAQUE: We reviewed --

22 MEMBER BONACA: -- then you have to take
23 into account the cladding is different cladding, in
24 this particular case, at least twice-burnt, I think.
25 You know, here it says thrice-burnt but maybe twice-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 burnt as you said.

2 MR. WALLIS: The hot channel is GE fuel,
3 isn't it?

4 MR. RAZZAQUE: Yes, correct.

5 MR. WALLIS: So why do a PCT with SVEA
6 fuel?

7 MR. RAZZAQUE: Again, if you assume the
8 same MAPLHGR which you are assuming is this whole
9 bundle SVEA fuel.

10 CHAIR ABDEL-KHALIK: Artificial --

11 MR. RAZZAQUE: Artificial --

12 CHAIR ABDEL-KHALIK: -- cores essentially.

13 MR. RAZZAQUE: Basically, this is the
14 maximum possible the SVEA can go.

15 MR. WALLIS: Oh, this is the maximum --

16 MEMBER BANERJEE: Now having done the
17 calculation, you've raised a question that you need
18 not have raised probably. Why is it different.

19 MR. RAZZAQUE: I don't know. GE can answer
20 that, but my judgment tells me it will be -- because
21 when they use equilibrium core, the only difference
22 would be the information regarding the specific fuel,
23 so my judgment will tell that that would be causing
24 the difference.

25 MR. WALLIS: But it cause a difference of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 600 degrees?

2 MR. RAZZAQUE: It should not.

3 MEMBER BANERJEE: It's not 600 degrees.

4 MR. WALLIS: Well, he said 20 to 100.

5 MR. RAZZAQUE: Yes. It's about 150 or
6 160, something like that.

7 CHAIR ABDEL-KHALIK: Now with both of
8 these analyses, you have to provide input which
9 describes the performance of the -- characteristics of
10 the ECCS system, pump characteristics, etcetera. Now
11 is that input based on tech specs limits? Is it based
12 on actual historical measured performance? What did
13 you use?

14 MR. RAZZAQUE: Yes. There are tech specs
15 limits on the ECCS injection, flow rate, time, and the
16 analysis assumes that and the limiting condition to
17 calculate the worse scenario.

18 CHAIR ABDEL-KHALIK: So the same question
19 that I asked with regard to SRV performance applies
20 here. What is the historical performance of your ECCS
21 system vis-a-vis the limits in tech specs?

22 MR. WALLIS: Historical performance?

23 CHAIR ABDEL-KHALIK: Right, testing.

24 MR. WALLIS: Has it ever had to work?

25 CHAIR ABDEL-KHALIK: No, no, no. I mean,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you know, testing

2 MR. WALLIS: Oh, testing.

3 MEMBER BANERJEE: Is there a way to
4 measure it? That's the first thing.

5 CHAIR ABDEL-KHALIK: Do you have data to
6 indicate that you are always in compliance with tech
7 specs limits that are used in these analyses.

8 MEMBER BANERJEE: Difficult -- would have
9 to be.

10 MR. DAVISON: Paul Davison. If I could
11 just clarification on what specific requirements for
12 ECCS are you referring to?

13 CHAIR ABDEL-KHALIK: Pump characteristics.

14 MR. DAVISON: Okay. Yes, we performed all
15 IST testing on our RHR core spray, RCIC, HPIC pumps,
16 all our ACCS pumps. So I do quarterly IST performance
17 testing to verify that they're acceptable. I also
18 trend that data. I also keep unavailability data and
19 MSPI data on all of the safety pumps as well, safety
20 systems as well all below -- all in top quartile
21 performance ranges for all of our ECCS pumps. So
22 generically, the answer is we do testing programs and
23 we monitor per MSPI and SSPI unavailability to say our
24 ECCS system is robust and readily available.

25 CHAIR ABDEL-KHALIK: So in, you know, all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the previous operating history of Hope Creek, in all
2 the surveillance testing, none of these pumps have
3 ever fallen below the tech specs limits?

4 MR. DAVISON: Not that I'm aware of but I
5 will go verify that fact. I'm not -- that -- I do not
6 have any data that says we've ever had a failed pump,
7 but I will go back and verify.

8 CHAIR ABDEL-KHALIK: Yes, if you would
9 verify that for us --

10 MR. DAVISON: Yes.

11 CHAIR ABDEL-KHALIK: -- I think that would
12 be -- thank you.

13 MEMBER MAYNARD: I'm not sure I understand
14 the applicability of that to EPU. That sounds like if
15 there's any issues, that's a current operating issue.
16 The licensees are required to operate within their
17 tech specs. You have tech spec limits on these
18 things. I'm struggling with tying it to EPU.

19 CHAIR ABDEL-KHALIK: Well, I mean if there
20 is historical information -- there may not be, okay --
21 but if there is historical indication that the pump
22 performance is consistently below tech spec limits,
23 then these analyses are essentially meaningless.

24 MEMBER MAYNARD: But that would also meant
25 that their current operating would be issues --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR ABDEL-KHALIK: Right.

2 MEMBER MAYNARD: -- and when that occurs,
3 there's other regulatory mechanisms that come into
4 play for dealing with those issues, because your tech
5 specs, you have to comply. And being out of
6 compliance of finding that you've been out of
7 compliance for some time, there are regulatory
8 processes that deal with that --

9 CHAIR ABDEL-KHALIK: Granted.

10 MEMBER MAYNARD: -- because your current
11 analyses are based on that, too, so.

12 CHAIR ABDEL-KHALIK: Granted, but that
13 would be a piece of information that would allow
14 people to sort of put some perspective on the validity
15 of whatever analyses have been performed.

16 MR. RAZZAQUE: Basically, reemphasizing
17 our analyses, scope of the review is focused on the
18 EPU because they already approved a license to operate
19 at the current power level. We are not going back
20 unless we find something -- error. We look at the
21 extended area where they are coming into.

22 CHAIR ABDEL-KHALIK: Your know, again, I
23 fully understand this, but as an engineer, you look at
24 a number, you ask what is the error bar on this number
25 and what are the sources of possible uncertainties in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this number, and that's what I'm trying to get at.

2 MR. RAZZAQUE: I understand. If anymore
3 question --

4 MEMBER BANERJEE: Just I hope when we come
5 to the closed session, you explain -- it's not mission
6 critical -- but why there is a difference in the PCTs
7 between the GE-14 and the SVEA-96. I'm assuming that
8 all the conditions are more or less the same, and
9 these bundles are supposed to be thermal-hydraulically
10 similar, so I'm still puzzled by this 160 degrees
11 difference.

12 MR. RAZZAQUE: We did not specifically
13 investigate -- spend time investigating why the
14 difference is for several reasons. One is the result
15 -- there is plenty of margin. Second is the SVEA will
16 be a limiting fuel and we know that. The MAPLHGR will
17 be way below that which are assumed. And --

18 CHAIR ABDEL-KHALIK: Nonetheless, it's
19 confidence or not confidence in the methods.

20 MR. RAZZAQUE: For interest of knowing,
21 yes. But the --

22 CHAIR ABDEL-KHALIK: I think in the closed
23 session, perhaps GE, who did the analysis, will have
24 more information or --

25 MEMBER BANERJEE: Well, I'd be interested

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to know also whether the staff has investigated this
2 or not.

3 MR. RAZZAQUE: As I mentioned, we have not
4 specifically on this issue.

5 MR. WALLIS: Staff only did calculations
6 with the GE fuel --

7 MR. RAZZAQUE: No, we made sure that the
8 calculated values are well within the limits --

9 MEMBER BANERJEE: But did you do
10 confirmatory calculations?

11 MR. RAZZAQUE: Yes, we did.

12 MEMBER BANERJEE: Just with GE --

13 MR. RAZZAQUE: And it was bounded. The
14 next slide is that.

15 MEMBER BANERJEE: Okay.

16 MR. RAZZAQUE: All right. If you have no
17 more questions on this, I can move to the next one
18 which says that RELAP5 code was used for GE-14.
19 Again, we did not use SVEA because of the fact that
20 SVEA would be operating at a much less MAPLHGR than
21 GE, and therefore, it will be way below 1540. So we
22 picked one, and GE was the one we picked.

23 MEMBER BONACA: Because 1540 was
24 calculated assuming the same MAPLHGR --

25 MR. RAZZAQUE: That is correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: -- while, in reality --

2 MR. RAZZAQUE: It will be --

3 MEMBER BONACA: -- much lower?

4 MR. RAZZAQUE: Exactly, because of the low
5 power on those bundles. And Dr. Huang there, he --
6 you calculated using RELAP5, the GE-14, and if you
7 have more -- you want a more --

8 MR. WALLIS: The value was 300 or 400
9 degrees higher because of radiation --

10 MR. RAZZAQUE: Yes. Our -- his
11 calculation gave 1640 degrees. Okay? But that has
12 some built in conservatism.

13 MR. WALLIS: And you expect it about 300
14 degrees higher because you've ignored radiation --

15 MR. RAZZAQUE: Correct.

16 MR. WALLIS: -- which is historically --

17 MR. RAZZAQUE: We have done that before,
18 yes.

19 CHAIR ABDEL-KHALIK: Now tell me again,
20 what is the sort of the logic of doing confirmatory
21 analyses if you do them at conditions different than
22 or using assumptions different than what the applicant
23 is using?

24 MR. RAZZAQUE: Let me tell you my
25 understanding of this. We try to -- our review, staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 review, in most areas, at least what I did here was to
2 get a reasonable assurance, not to exactly try to
3 duplicate the licensee. First of all, it is not
4 possible, because the cores are different, models are
5 different, nodings are different. But we need to get
6 some idea whether the licensee's calculations are way
7 off or something. That is the reasonable assurance,
8 I think, what we are trying to achieve. And one way
9 to get the reasonable assurance would be run a code
10 which we are comfortable with, and use some bounding
11 type calculation. In other words, ignore radiation is
12 one way we did, because it's more difficult to review
13 factors and those things, hard to calculate.
14 Sometimes we don't want to spend too much time,
15 because we're trying to get reasonable assurance and
16 the code is different. That is the bottom line.

17 MEMBER BANERJEE: You ran RELAP5 in a mode
18 which was similar, however, with assumptions similar
19 to the GE calculation?

20 MR. RAZZAQUE: Yes, except those few --
21 one like radiation we didn't include, because we know
22 that will make things worse. It won't make things the
23 other way around. Otherwise, we would have included
24 it. And so things like that which will always make
25 the PCT higher. That's the assumption we will make,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not the other way around. And we don't want to add
2 anything but that was the key assumption, that
3 radiation was ignored.

4 MEMBER ARMIJO: If you had run RELAP5 with
5 a SVEA fuel and you added several hundred degrees on
6 top of, let's say, what the GE analysis came up with
7 of 1540, you might have been on the border of 2200.

8 MR. RAZZAQUE: Well, if you straight take
9 -- just as taking 1640 --

10 MEMBER ARMIJO: For the equilibrium.

11 MR. RAZZAQUE: Three hundred. Yes, at 300
12 degree, it will still be 18-something. Besides, we
13 are taking 1540 for SVEA fuel which won't be happening
14 --

15 MEMBER ARMIJO: Yes. It's a hypothetical
16 --

17 MR. RAZZAQUE: Hypothetical.

18 MEMBER ARMIJO: -- doesn't exist.

19 MR. WALLIS: It would be very good,
20 though, to run RELAP5 with radiation. Does this TRACE
21 model, this phenomenon, okay? Does this scenario --

22 MEMBER BANERJEE: TRACE certainly runs BWR
23 with no problem now. We just had it done.

24 MR. RAZZAQUE: I am not sure about TRACE
25 will have the capability now -- do other --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: We have --

2 MR. RAZZAQUE: We don't know --

3 MEMBER BANERJEE: -- runs with TRACE and
4 FOX coupled.

5 MR. WALLIS: Yes. That's what should be
6 done.

7 MR. WANG: This is Weldon Wang. Actually,
8 I performed the RELAP5 calculations for this power
9 uprate. And the flow trace -- okay, so the reason we
10 chose RELAP5 at the time is really there is a RELAP5
11 deck available for the Browns Ferry, and we have
12 verified the geometry and the dimensions of the vessel
13 in both BWR-4 --

14 UNIDENTIFIED SPEAKER: For Hope Creek you
15 mean.

16 MR. WANG: -- for Hope Creek, right --
17 compared with Browns Ferry. However, we also noticed
18 that there are differences. For example, I believe it
19 was a letter c injection of the front. So, we, at a
20 certain point, we pick up a rule of five because we
21 think that job will be minimal so we can start to run
22 the code right away.

23 MR. WALLIS: I thought TRACE was supposed
24 to accept these other decks?

25 MEMBER BANERJEE: But there's a TRACE deck

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for Browns Ferry.

2 MR. WALLIS: There is a TRACE deck? I
3 thought it was supposed to take a RELAP5 and translate
4 --

5 MEMBER BANERJEE: I hope you don't use
6 RELAP5 for Browns Ferry?

7 MR. WALLIS: That's what he did.

8 MEMBER BANERJEE: It's time to move on, I
9 think, to a better validated code.

10 MR. RAZZAQUE: So far, in EPUs, we've used
11 RELAP5 before -- Vermont Yankee, Browns Ferry and --

12 MEMBER BANERJEE: I know -- we have. This
13 doesn't meant you have to --

14 MR. RAZZAQUE: No.

15 MEMBER BANERJEE: -- harden --

16 MR. RAZZAQUE: We don't --

17 MR. WALLIS: It will be very interesting
18 to see if TRACE and RELAP5 and SAFER/GESTR, with the
19 same assumptions all the way through, how different
20 their answers are. It would be very interesting to
21 see rather than this conservatively-bounds sort of
22 idea. And if they differ significantly, then we might
23 begin to wonder why.

24 MEMBER BANERJEE: Well, the thing is LOCA
25 is not really a concern in these matters.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: It doesn't seem to be.

2 MEMBER BANERJEE: There are other things
3 like the anticipated transients and things which are
4 very different where there are concerns, so --

5 MR. RAZZAQUE: The -- right, actually, the
6 PCT with EPU only increased 10 degrees F for GE fuel
7 and didn't increase at all for SVEA fuel. Again, we,
8 sometime ago --

9 MR. WALLIS: What is limiting the EPU?
10 It's not LOCA --

11 MR. RAZZAQUE: It looks like not LOCA.
12 Sometimes it is maybe by a few degrees, but this time
13 here, it is a few degrees. We have seen PCT even
14 going down. Remember in one case, we even discussed
15 that here.

16 MR. WALLIS: When the fluence goes down,
17 all kinds of things go down. I don't know why but it
18 does because they use it --

19 MR. RAZZAQUE: I thought we tried to
20 understand that phenomena -- why it goes down,
21 flattening affect --

22 MR. WALLIS: Right.

23 MR. RAZZAQUE: -- and redistribution of
24 the flow and those kind of things, so. PCTs never
25 comes out to be a very big change. I never saw more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 than --

2 MR. WALLIS: What is it that limits these
3 EPU's?

4 MR. RAZZAQUE: Pardon me?

5 MR. WALLIS: Why don't they go to 40%
6 instead of 15? What is it that limits EPU.

7 MR. RAZZAQUE: MCPR will definitely --
8 minimum critical power issue, LGR --

9 MR. WALLIS: MAPLHGR or something like
10 that?

11 MR. RAZZAQUE: -- MAPLHGR, those kind of
12 things.

13 MEMBER BANERJEE: It's the fuel for the --

14 MR. WALLIS: No. It is the CPR.

15 MR. RAZZAQUE: Right.

16 MR. WALLIS: It's not the accident,
17 though. It's the regular --

18 CHAIR ABDEL-KHALIK: Please continue.

19 MR. RAZZAQUE: Okay. So staff calculation
20 verified not only the PCT's boundings, we bounded the
21 PCT basically. We didn't do exact calculations, but
22 I hear what you are saying. The other is we also
23 confirmed the break size, the large-break LOCA -- we
24 confirmed that, and the break-spectrum, things like
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Next slide is on ATWS. We present the
2 results. The top bullet represents the results, and
3 the first two basically talk about requirements. They
4 match the requirements, like they have to have
5 alternate rod injection which they have installed.
6 Boron capability is 86 gpm which they have --

7 MEMBER BANERJEE: Is this enriched boron?

8 MR. RAZZAQUE: Yes. And then they have
9 recirc pump trip installed. So those are required by
10 regulation, in 10 CRF 50.62. They have those. And
11 the they rely on te EOP, of course.

12 MR. WALLIS: So this is to reduce water
13 level or what?

14 MR. RAZZAQUE: Yes, water level basically,
15 because the pump trip will be automatic. They can do
16 it manually, too.

17 MR. WALLIS: So this is when the SLC
18 system is incapable of meeting the peak pressure, so
19 the relief valve opens.

20 MR. NAKANISHI: This is Tony Nakanishi.
21 The initial peak pressure, ATWS pressure is not
22 mitigated by --

23 MR. WALLIS: Before you use the SLC
24 system?

25 MR. NAKANISHI: It's you basically only

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have the pump trip.

2 MR. WALLIS: Oh, okay. And then this pool
3 temperature, that must depend on how the pool
4 temperature starts out which is a function of the time
5 of year and things like that. So is this based on the
6 highest pool temperature, or what is it based on?

7 MR. RAZZAQUE: It should be.

8 MR. WALLIS: Is it? If it's the average,
9 then it's not so good, because sometimes the pool
10 temperature is a few degrees above average.

11 MR. RAZZAQUE: The initial temperature --
12 maybe the --

13 MR. DENNY: This is Skip Denny of General
14 Electric-Hitachi. The accident analysis - -ATWS
15 accident analysis assumes a 95 degree pool
16 temperature --

17 MR. WALLIS: It assumes the worse -- yes.

18 MR. DENNY: The worse case tech spec
19 allowed.

20 MR. WALLIS: I thought it probably did.
21 Thank you.

22 MR. DENNY: Also, minimum tech specs --

23 MR. WALLIS: Yes, so it's the worse. It's
24 the really conservative.

25 MR. DENNY: Yes, sir.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: It's pretty close to the
2 limit?

3 MEMBER ARMIJO: Yes, but at 3 degrees,
4 that's a sharp pencil.

5 MR. WALLIS: Yes, but it's very unlikely
6 that it's going to get anywhere near that. Ninety-
7 five degrees is a very high temperature.

8 CHAIR ABDEL-KHALIK: What is the basis of
9 the 201 degree limit?

10 MR. DENNY: Skip Denny again, General
11 Electric-Hitachi. There are two concerns with ATWS.
12 One is NSPH which is a lot higher than this, 218
13 degrees. The 201 is based on ensuring that steam
14 discharge from the NSRVs is fully quenched and does
15 not potentially ingest into the ECCS suction or the
16 suppression pool cooling lines. So it's SRV discharge
17 temperature limiting. This is a bulk temperature
18 limit. It maintains at 218 degrees -- local
19 temperature at the discharge.

20 CHAIR ABDEL-KHALIK: Thank you.

21 MR. DENNY: Yes, sir.

22 MEMBER BANERJEE: Do you have any idea how
23 much water there is to suppress this compared to, say,
24 Vermont Yankee or Browns Ferry or per megawatt let's
25 put it. Is it --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: About one cubic meter per
2 megawatt.

3 MEMBER BANERJEE: Well, is it about the
4 same or is it very different?

5 MR. DENNY: The ATWS analysis for Hope
6 Creek assumes the tech specs limit --

7 MEMBER BANERJEE: No, no, no. I'm just
8 asking a general question. How much water is there in
9 the suppression pool?

10 CHAIR ABDEL-KHALIK: We asked that
11 question earlier.

12 MEMBER BANERJEE: Oh, you did? Okay.
13 What did --

14 CHAIR ABDEL-KHALIK: A hundred and
15 eighteen thousand cubic feet minimum.

16 MR. DUKE: This is Paul Duke, PSEG. The
17 volumes in plants of similar rating such as Peach
18 Bottom and Browns Ferry is similar.

19 MR. DEVINE: Similar to Vermont Yankee,
20 too?

21 MR. DUKE: No, similar to Hope Creek. I
22 can't tell you the volume of VY but for Browns Ferry,
23 it's a similar volume with a similar rating.

24 MEMBER BANERJEE: But the rating is lower?

25 MEMBER BANERJEE: But rating is lower,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 right.

2 MEMBER BONACA: That's why you see some
3 plants that have a problem with the backpressure and
4 others don't.

5 CHAIR ABDEL-KHALIK: Please continue.

6 MR. RAZZAQUE: The last slide is my
7 conclusion which is basically repeating again that the
8 guidelines were followed, generic evaluations were
9 used which were previously approved. And our review
10 basically focused on the effect of EPU on the current
11 licensing basis, not necessarily to go back beyond
12 unless we come up with some problem.

13 MR. NAKANISHI: Should I keep going?

14 CHAIR ABDEL-KHALIK: No. What I would
15 like to do is break for lunch for one hour. We'll be
16 back here at 1:00 o'clock. AT that time, both the
17 staff's presentation and the applicant's presentation
18 on fuel methods will be done in a closed session.

19 MEMBER BANERJEE: So you get ride of this
20 open session matter?

21 CHAIR ABDEL-KHALIK: Right. Item 8 on the
22 agenda will now be moved into a closed session so that
23 you can ask whatever question you would like of the
24 staff, and we will reconvene at 1:00 o'clock.

25 (Whereupon, open session of the foregoing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 matter adjourned at 11:52 a.m. for a luncheon break
2 and holding of closed session.)

3 (Whereupon, at 2:24 p.m., open session in
4 the foregoing matter is resumed.)

5 CHAIR ABDEL-KHALIK: We're back in
6 session. Before we start on item 12 on the agenda,
7 there's a question regarding the standby liquid system
8 operation -- liquid control system operation that Mr.
9 Maynard has.

10 MEMBER MAYNARD: I hate to take a step
11 back, but we discussed this in a couple of different
12 sessions, and I'd like to pull it together. Under the
13 ATWS scenario, the peak pressure occurs before the
14 automatic implementation of the SLC system. However,
15 that peak pressure is higher than what the relief
16 valves for the SLC system. The operators talk about
17 that they're trained to go ahead and initiate that
18 before the automatic, so it's very possible that they
19 would be initiating that at a time when the pressure
20 is higher than the relief valve standpoint.

21 You've mentioned something about that's
22 okay because there's plenty of margin. I guess I'd
23 like to explore that margin and why it's okay to do it
24 at that time and lift the relief valves?

25 MR. DelGAIZO: Okay. I'm Ted DelGaizo.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Because there's actually a regulatory requirement. I
2 think it's 100 pounds. It could even be 150. But
3 there's a requirement on the pressure that you'll be
4 when you credit SLC for injecting and the reset of
5 that relief valve. You're right, it is 1400 and it
6 resets somewhat below that. Not much. But we meet
7 that regulatory requirement which, again, I think is
8 100 psid, so that we're at least 100 pounds down below
9 that reset point at the time that the analysis shows
10 like it's going to inject. And the reason for that
11 big margin or that requirement for the delta P is
12 specifically so that if it does lift, it's assured to
13 recede and not be close to the reset point.

14 MEMBER MAYNARD: And during that time that
15 it has lifted, you're not losing more boron than what
16 you need to be able to --

17 MR. DelGAIZO: Oh, no, we're not losing
18 any boron. It's recirculating.

19 MEMBER MAYNARD: It's recirculating.

20 MR. DelGAIZO: Right. So the boron is
21 just fine. What you have to be sure of is when the
22 time comes that the boron needs to go in, the relief
23 valve is reset.

24 MEMBER MAYNARD: Okay, fine. That answers
25 my questions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR ABDEL-KHALIK: Okay. Let's proceed
2 with the presentation then.

3 MR. DAVISON: Okay. Good afternoon. I'm
4 Paul Davison, again. And next to me to discuss the
5 containment analysis methodology and response is Mr.
6 Ted DelGaizo from Mainline Engineering as well as Mr.
7 Skip Denny from General Electric-Hitachi.

8 For background, this is a simplified
9 depiction of the Hope Creek reactor building and
10 containment structure. Again, Hope Creek has that
11 Mark I containment as evidenced by the inverted
12 lightbulb shape and the attached torus which we also
13 refer to as the suppression pool. The drywell is a
14 steel pressure vessel which is encased in concrete,
15 and the torus is connected to the drywell airspace via
16 8 vent pipes. The vent pipes are connected to a
17 header that distributes the flow to the downcomers
18 which terminate approximately 3 feet under the tech
19 specs minimum required water level.

20 On the next slide -- get into the actual
21 containment response analysis being performed using
22 the NRC-approved General Electric methodology. The
23 results indicate that adequate margin do exist for
24 design basis accident conditions. Specifically, on
25 the codes, LAMB, M3CPT and SuperHEX were the primary

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 codes utilized for EPU.

2 CHAIR ABDEL-KHALIK: Now M3CPT was
3 developed for Mark III containment analysis. The
4 question is were there any modifications to either the
5 code or to the input required to apply to the Mark I
6 containment of Hope Creek?

7 MR. DENNY: This is Skip Denny of General
8 Electric-Hitachi. No, sir, there's no need to modify
9 the code itself. The code allows for three levels of
10 relief vent pipes basically and whether they go
11 horizontal or vertical. And so the inputs would be
12 set up for a Mark I containment to utilize just one of
13 those vent pipes allowed in the code itself. So the
14 code is, although designed particularly for the Mark
15 III containment, it handles all three containment
16 types, Mark I, II and III.

17 CHAIR ABDEL-KHALIK: Okay. The other
18 question is that SuperHEX has never really been
19 reviewed by the staff, and I understand this is one of
20 the codes that's been used for many, many years, and
21 it's -- the question then is what type of confirmatory
22 analyses have been done by the staff to confirm the
23 results of these analyses?

24 MR. LAMB: This is John Lamb with the NRC.
25 Because we're running a little early, our containment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 expert should be coming shortly, so he'll be able to
2 answer those questions.

3 CHAIR ABDEL-KHALIK: All right.

4 MEMBER BONACA: I have also a question
5 regarding are these codes also the same used for the
6 analysis until now, or did you have some changes
7 either in the codes or inputs? I know you made the
8 change, for example, to the decay heat that you use
9 for the long-term. Could you identify what changes
10 you had in the methodologies used to address the power
11 uprate?

12 MR. DENNY: Yes, sir. Skip Denny again.
13 M3CPT is the code of record for Hope Creek. M3CPT has
14 a vessel model internal to it, and the current short-
15 term analysis for Hope Creek uses the vessel model
16 internal to M3CPT. However, we now typically use a
17 LAMB code because its vessel model is more elaborate
18 than what's internal to M3CPT. And so with this, we
19 are using a LAMB blowdown particularly. And that
20 M3CPT will read LAMB blowdown directly.

21 MEMBER BONACA: So I guess LAMB kind of
22 sharpens the pencil somewhat?

23 MR. DENNY: A little bit. LAMB is
24 particularly useful because it can handle off-rated
25 conditions whereas M3CPT can't. LAMB has a highly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nodalized vessel model whereas M3CPT is basically a
2 tin can vessel model.

3 MEMBER BONACA: No. I guess by reading
4 the results, etcetera, clearly, I see acceptable
5 results. I was wondering of what the affect of the
6 power uprate really was analytically in values, and I
7 couldn't really see that because, I mean, you may have
8 more changes to the assumptions, for example, again,
9 the decay heat that you used to perform the long-term
10 containment analysis?

11 MR. DENNY: One of the slides that we're
12 going to be showing you is going to be exactly that.

13 MR. DAVISON: In two slides, we'll get the
14 actual table where we compare our current methodology
15 with the new methodology at our current licensed
16 thermal power and then taking that to the EPU as well.

17 MEMBER BONACA: Okay. So we can
18 understand what the effect really will be so far as a
19 delta, although I understand that if you sharpen your
20 pencil, you get within the limits. Okay. Very good.

21 MEMBER BANERJEE: So has LAMB been
22 approved for use now by the staff?

23 MR. DENNY: This is not the first time we
24 brought LAMB.

25 MEMBER BANERJEE: No, that's not -- has it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been approved?

2 MR. DENNY: LAMB has been approved for
3 LOCA for many, many years.

4 MEMBER BANERJEE: Has been approved?

5 MR. DENNY: Approved.

6 MEMBER BANERJEE: Not just brought forward
7 and accepted? Is that correct, LAMB has been approved
8 for use?

9 MR. LAMB: I'm not sure. This is John
10 Lamb.

11 MEMBER BANERJEE: So it has been used for
12 LOCA before?

13 MR. LAMB: My understanding, yes, it's
14 been used before, but I'm not an expert in this area,
15 so Rich Lobel should be here shortly.

16 MEMBER BANERJEE: I guess Fran's going to
17 tell us.

18 MR. BOLGER: This is Fran Bolger. The
19 LAMB is an integral part of the SAFER/GESTR LOCA
20 methodology, and it is approved.

21 MEMBER BANERJEE: So it is approved.

22 CHAIR ABDEL-KHALIK: But is it a correct
23 statement that I made earlier that SuperHEX has never
24 been evaluated by the staff?

25 MR. BOLGER: Well, I think staff may have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some comments on their benchmarking that they have
2 done with the SuperHEX when they get here.

3 CHAIR ABDEL-KHALIK: Okay. Thank you.

4 MEMBER BANERJEE: So LAMB has been
5 approved in the SAFER/GESTR context. Has it been
6 approved -- Fran, don't run away -- has it been
7 approved in the containment context?

8 MR. BOLGER: This is Fran Bolger again.
9 As far as being separately reviewed and approved, I
10 don't really know. It has been presented in many
11 power uprates as part of the power uprate methodology.
12 And I believe it also is included in the ELTR and LTRs
13 that support power uprate.

14 MEMBER BANERJEE: Okay.

15 MR. WALLIS: This is a critical flow?

16 CHAIR ABDEL-KHALIK: Initial period of
17 LOCA -- blowdown period.

18 MR. DUKE: This is Paul Duke. We used
19 LAMB for ARTS/MELLLA implementation to calculate
20 blowdown flows for anulus pressurization and that was
21 part of the application. And I believe

22 MR. JOYCE: he staff reviewed that in
23 particular for anulus pressurization as part of the
24 ARTS/MELLLA amendment that was approved a few years
25 ago.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: What do the letters stand for
2 in LAMB? It might tell us something about what's in
3 it.

4 CHAIR ABDEL-KHALIK: Please proceed.

5 MR. DAVISON: Going back to the slide, the
6 short-term analysis is dominated by the initial
7 blowdown flow rate and that results in a minimal
8 change due to the constant pressure nature of our
9 power uprate condition. The long-term response was
10 impacted due to the increase in the decay heat
11 associated with the EPU and it results in 11.3 degree
12 Fahrenheit increase in peak bulk suppression pool
13 temperature.

14 MR. WALLIS: There was some flow rate that
15 changed. I was surprised. What is -- where is -- the
16 sump pipe is bigger or something? I've lost it then.
17 I've seen no change in any of the blowdown flow rates?
18 I thought there was a 15% change in something, but I
19 lost --

20 MR. DENNY: There is a small increase in
21 the blowdown from current licensed power to EPU power
22 using LAMB, and you'll see that in the table that we
23 show you, a slight increase in containment pressure as
24 a result.

25 MR. WALLIS: Maybe I'll be able to find

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it. I was surprised to read it somewhere in the SER.
2 But anyway, don't worry about it.

3 CHAIR ABDEL-KHALIK: And that slight
4 increase in blowdown flow is a result of what, even
5 though you're essentially at constant pressure?

6 MR. DAVISON: It's driving it, yes.

7 MEMBER BANERJEE: Well, you have more
8 stored energy in the core.

9 MR. DENNY: Yes. I believe it has to do
10 with more stored energy in the vessel liquid. It
11 happens around 10 seconds where the blowdown diverges
12 a little bit from current power to EPU power, and
13 that's what's giving us a slight increase in drywell
14 pressure. But it's basically that the flow rate is
15 decreasing as reactor pressure is decreasing, but with
16 LAMB, at EPU conditions, it doesn't drop off as fast.

17 CHAIR ABDEL-KHALIK: Okay. I think I
18 understand. More stored energy essentially in the
19 inventory within the vessel because your feedwater
20 temperature is slightly higher, the core temperature
21 is slightly higher, all that stuff. Okay.

22 MEMBER BANERJEE: The average void
23 fraction is higher.

24 MR. DelGAIZO: We also have a little
25 higher DP. In other words, the dome pressure is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 constant. The DP in the vessel increases slightly due
2 to the increased feed flow and the recirc and
3 everything and the big break is the suction line
4 break, so it could be a slightly higher pressure
5 there, too, even though the dome pressure is a
6 constant.

7 CHAIR ABDEL-KHALIK: Okay.

8 MR. DAVISON: All right. On slide 45, the
9 DBA LOCA containment analysis was performed at 102% of
10 the 3840 megawatt thermal rating. For the analysis,
11 the ANSI/ANS 5.1 methodology was -- uncertainty was
12 utilized for the extended power uprate licensed
13 topical report. This approach provides a more
14 realistic containment temperature response and differs
15 from the current Hope Creek UFSAR analysis based on
16 the previous made with decay heat methodology. We'll
17 actually look at those in tabular form in the next
18 page.

19 The analysis did credit passive heat sinks
20 including the drywell metal inner shell. The
21 containment vent system, metal piping and the torus
22 metal shell. These heat sinks are not credited in the
23 current Hope Creek UFSAR analysis, contribute to
24 approximately 2 degrees Fahrenheit decrease in the
25 peak bulk suppression pool water temperature.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: Passive heat sink.

2 MR. DAVISON: Correct.

3 MEMBER BONACA: What about your decay heat
4 curve after you complete it?

5 MR. DAVISON: Yes, next slide. I think
6 that's seven, right? I think it's approximately 7
7 degrees -- 11 total, right.

8 MEMBER BONACA: It's above 10 degrees
9 coming from changes in methodology -- inputs.

10 MR. DAVISON: Okay. The table displays
11 the peak drywell air --

12 CHAIR ABDEL-KHALIK: Back to this passive
13 heat sink is credited in long-term analysis, this was
14 not done in the original analysis?

15 MR. DAVISON: That's correct.

16 MR. DENNY: No, sir.

17 CHAIR ABDEL-KHALIK: Okay. Even though it
18 is an option that's available in the code, so --

19 MR. DENNY: There were no changes in the
20 code that would account for this.

21 CHAIR ABDEL-KHALIK: Thanks.

22 MR. DAVISON: Here's the table we referred
23 to a few slides back. It displays the peak drywell
24 air space pressure and temperature, the peak bulk
25 suppression pool water temperature and the peak wet

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well airspace pressure and temperatures as compared
2 between current licensed thermal power, EPU, and the
3 design limits. So the first two columns specifically
4 under the CLTP 3339 megawatt thermal compares the
5 current UFSAR analysis methodology with the new EPU
6 method results. The most notable change is the 9-
7 degree reduction in the peak bulk suppression pool
8 water temperature. This reveals the more realistic
9 results associated with the transition of
10 methodologies from MWT to the ANS 5.1 and the addition
11 of the passive heat sinks per SuperHEX.

12 The results using the EPU methodology for
13 the uprate, 3840 megawatts thermal, which is the next
14 column over -- this result showed that the margin
15 exists in the containment structural code and the net
16 positive suction head design limits. Therefore, the
17 design basis accident LOCA containment performance has
18 margin for all parameters at the EPU conditions.

19 CHAIR ABDEL-KHALIK: Now let's look at the
20 218 degrees F entry. This value was originally 212,
21 is that correct?

22 MR. DAVISON: Yes.

23 MR. DAVISON: Okay. Now what design
24 changes were made to increase that design limit to 218
25 degrees F?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DAVISON: There were no design
2 changes.

3 CHAIR ABDEL-KHALIK: So how is that design
4 limit increased to 218 degrees F from its original
5 value of 212?

6 MR. DelGAIZO: This is Ted DelGaizo. We
7 have calculations on both RHR and core spray thermal-
8 hydraulic calculations in computer codes. They're
9 pretty detailed. And out of those calculations come
10 the NSPH calculation. What we did is in order to
11 bound the higher numbers that we were getting for EPU
12 -- and in fact, when we first started this project and
13 we looked at 120%, they were even a little bit higher
14 -- I think 215 might have been the max -- so we picked
15 a number that would bound all possible suppression
16 pool temperatures and did the NSPH calculation with
17 that assumption. So it's an assumed value, 218.

18 Now in addition to assuming that, we had
19 to do some other things. We had to check the seals on
20 the core spray pump and make sure they could handle
21 218. There were some other things that were done, but
22 basically, in order to change that to our new so-
23 called design limit for suppression pool temperature,
24 we ran the NSPH calculations to show we had margins
25 with atmospheric in the containment, no overpressure,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 218 F, and we showed that we had sufficient --

2 MR. WALLIS: And this works because the
3 pumps are located way --

4 MR. DelGAIZO: Right, our pumps -- we
5 really have a great configuration.

6 MR. WALLIS: They're low down and --

7 MR. DelGAIZO: Right. The --

8 MR. DAVISON: They're vertical pumps. Our
9 minimum suppression pool water is 71-foot elevation in
10 the plant. Our pumps are located on 54 and they drop
11 down 15 feet.

12 MR. WALLIS: Oh, they're those long
13 tubular-type pumps --

14 MR. DAVISON: Yes. Multiple stages.

15 CHAIR ABDEL-KHALIK: So what is the
16 elevation difference between the pump inlet port
17 center line and the minimum water level in the
18 suppression pool?

19 MR. DelGAIZO: The inlet center line is
20 55-1/2 feet -- 55.6 roughly. The pool minimum is 71
21 feet and a half inch or -- it's basically 71 feet to
22 55-1/2, so I guess that's 16 feet. And as pointed
23 out, that's the pump's suction line. The impeller is
24 about another 16 feet down below that. And we don't
25 credit that. We went from the 71 to the 55, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's the elevation that had to be used in the
2 calculation. And we had 14.7 psia and the head loss
3 through the strainers and the friction losses through
4 the piping, we ended up with NSPH margin above the
5 required. And the required number we used is the
6 highest number the vendor tested. So in other words,
7 it basically is runout flow for the required -- NSPH
8 required, and it's actual flow for NSPH available
9 based on the computer code.

10 MEMBER BONACA: So let me just -- to
11 complete my question and that was if I assume the same
12 computer code used before, the same inputs as before,
13 there would be an increase in bulk pool temperature of
14 about 10 degrees Fahrenheit? I'm trying to understand
15 the contribution of the decay heat curve and the
16 passive heat sink credit.

17 MR. DelGAIZO: Well, the way I see that --
18 if you notice on this slide, under the CPPU method, we
19 actually have an 11 degree increase from the 201 to
20 the 212. Two of that is associated with the passive
21 heat sinks. I would say the other 9 is the decay
22 heat.

23 MEMBER BONACA: Okay. So the EPU 2840
24 would have been assuming the same conditions --

25 MR. DelGAIZO: Right.

1 MR. DENNY: Two degrees in there for
2 passive heat sinks.

3 MR. DelGAIZO: Oh, it did?

4 MR. DENNY: I'm sorry.

5 MR. DelGAIZO: Yes, you're right.

6 MR. DENNY: Apologize. There's a little
7 correction. In the CLTP going from 210 to 201, that
8 included both changing from Mwt to the ANS 5.1 which
9 gives you 7 degrees, and then the passive heat sinks
10 give you another 2 degrees, so that totals 9 degrees
11 decrease. The change from 201 to 212 is using the
12 same exact methodology but increasing core power.
13 That's giving you the actual EPU change.

14 MEMBER BONACA: All right. So where you
15 have the list of EPU method is really same power level
16 but taking credit for those things.

17 MR. DENNY: Correct.

18 MEMBER BONACA: I understand now the
19 table. These are the answer I needed.

20 CHAIR ABDEL-KHALIK: I'm trying to
21 reconcile the first two entries in the second column.
22 How can the new method predict a lower pressure while
23 predicting a higher temperature?

24 MR. DENNY: Yes, sir. I looked at that
25 also. The lower pressure occurs because the LAMB

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 blowdown versus M3CPT blowdown -- M3CPT doesn't have
2 the elaborate nodalization, so the blowdown early in
3 the event is more restrictive in LAMB than it would be
4 in M3CPT. So the M3CPT gave you a higher peak
5 pressure early in the event. In LAMB, it actually
6 goes out a little bit further, so the peak pressure
7 you see, 48.1, and its temperature is happening around
8 a 4-second for an M3CPT alone analysis.

9 MR. WALLIS: So there's more gas in there?
10 Is that it?

11 MR. DENNY: It's the resistance due to the
12 recirc lines. M3CPT doesn't have --

13 MR. WALLIS: I take it the partial
14 pressure of the non-condensables is bigger earlier?
15 Is that what it is that makes it -- presumably, this
16 pressure -- the saturation pressure of the steam plus
17 the non-condensables, that's the problem you have, is
18 that?

19 MR. DENNY: Yes.

20 CHAIR ABDEL-KHALIK: Yes.

21 MR. WALLIS: Do you have the steam tables
22 here?

23 CHAIR ABDEL-KHALIK: I do have a steam
24 table but the question is, you know, what is the
25 contribution of the non-condensable gas to this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calculated pressure of 47.6?

2 MR. DENNY: They both have the same
3 initial containment pressures and temperatures.

4 CHAIR ABDEL-KHALIK: But the contribution
5 of the non-condensable, if you were calculating a
6 higher temperature, will be higher in the second
7 calculation, right?

8 MR. DENNY: Non-condensable gas gets
9 transferred to the suppression pool really quickly, so
10 -- I guess I'm not sure I understand the question.
11 The non-condensable gas is in the suppression pool.

12 MEMBER BANERJEE: I guess what would be
13 interesting is to look at the time at which these
14 peaks happen, because they are probably not
15 coincidence.

16 MR. DENNY: Exactly. In the UFSAR method,
17 you see that peak pressure at the roughly 4.4 seconds.

18 CHAIR ABDEL-KHALIK: If you have the
19 plots, I think that would be very helpful.

20 MEMBER BANERJEE: That would be help -- I
21 think that would explain it.

22 MR. WALLIS: Well, it's apparently at 295
23 -- pressure is 62 psia, so it's almost all steam in
24 the EPU method.

25 MR. DENNY: Yes, sir.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: And there must be some notes
2 on gas and available at the other -- and then the
3 UFSAR method.

4 MR. DENNY: This is showing the peak
5 pressure. As the drywell pressure --this is with LAMB
6 blowdown -- the drywell pressure rises and continues
7 to rise, and it goes to a little dip and peaks at
8 about 10 seconds. The FSAR figure which is what the
9 48.1 which uses only M3CPT blowdown comes up really
10 quick, peaks at about 4.5 seconds and then comes back
11 down and actually stops dropping. It shows it's
12 allowing a lot of energy out a lot earlier than what
13 LAMB does, because LAMB restricts that blowdown a
14 little bit more due to the nodalization. When fluid
15 leaves the recirc line, fluid has to be made up from
16 the vessel. For M3CPT, that vessel makeup is almost
17 instantaneous, so you get a lot fast blowdown with the
18 M3CPT model.

19 MR. WALLIS: Well, it has to do with the
20 sweeping out of non-condensables, and the partial
21 pressure of the non-condensables, presumably plus the
22 vapor pressure of the steam, equals the pressure you
23 get.

24 MR. DENNY: Yes, sir.

25 MR. WALLIS: And we're just saying that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from the steam tables, the EPU method corresponds
2 almost exactly to pure steam. That's because it's
3 later in the process.

4 MR. DENNY: Exactly.

5 MR. WALLIS: And LAMB does a good job of
6 modeling the non-condensables sweep power? That's --
7 that depends upon the mixing model which often isn't
8 all that good.

9 MR. DENNY: LAMB is not doing anything
10 with containment. It's just a vessel blowdown.

11 MR. WALLIS: I'm sorry.

12 MR. DENNY: The M3CPT is --

13 MR. WALLIS: It's the other one that's
14 doing the vessel. But this is assuming a mixed
15 containment? What does it assume about that?

16 MR. DENNY: It assumes -- it follows the
17 air blowing out in the --

18 MR. WALLIS: So there's a well-mixed
19 containment?

20 MR. DENNY: --suppression pool itself.
21 Initially, yes, sir. Basically, I guess, the
22 conclusion is the -- because of the LAMB -- the M3CPT
23 blowdown, the non-condensables get swept into the
24 suppression pool a lot faster.

25 MR. WALLIS: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR ABDEL-KHALIK: But if it is a well-
2 mixed containment, how can there be a zero
3 contribution to the total pressure from the non-
4 condensable gas at any power?

5 MR. DENNY: Because it's swept. It gets
6 swept out. Even with the mixed containment, it gets
7 swept out.

8 MR. WALLIS: It would be nice if you could
9 show the non-condensable contribution here somehow,
10 but -- do you have another plot that shows that?

11 MR. DAVISON: No.

12 MR. DENNY: I don't know if we have vent
13 flows. No.

14 MR. WALLIS: That's a sort of reality
15 check is to look at that.

16 MR. DENNY: I can look and see if we have
17 vent flows where it would show air flow --

18 MR. WALLIS: Right.

19 MR. DENNY: -- and air drops off quickly.

20 MR. WALLIS: Maybe you can bring that
21 tomorrow or something.

22 MEMBER MAYNARD: Are these numbers in your
23 table? For the 3840, is that actually 3840 or is it
24 3952? The chart says 3952 and you earlier said that
25 you did the analysis basically at the 120 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DENNY: I'm sorry. You're talking
2 about power. I'm trying to figure out what numbers
3 you were looking at.

4 MEMBER MAYNARD: This chart says 3952 and
5 it looks like it would peak at -- looks like about
6 50.6. I see about 50.6 here.

7 MR. DelGAIZO: You know, I think all these
8 values except the pool are 3952. I think the problem
9 is here that --

10 MR. DENNY: Right. The short-term
11 analysis was done at 102% of 120% uprate.

12 MEMBER MAYNARD: Okay.

13 MR. DENNY: Yes, sir.

14 MR. DelGAIZO: The number that is done at
15 102% of 3840 are those suppression pool temperatures
16 which were redone to check 3840. The others were left
17 alone because they were fine.

18 MEMBER MAYNARD: Okay.

19 CHAIR ABDEL-KHALIK: Can we go back to the
20 table and clarify this?

21 MR. DelGAIZO: I'm saying I think if you -
22 - I think the words on this were that the 3840 column
23 is 3840 or greater, and the one that is actual 3840 is
24 suppression pool temperature. The others are 3952.
25 And that's why it is include --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DENNY: Air pressure would also be the
2 long-term analysis.

3 MR. DelGAIZO: Okay. The same for both of
4 those.

5 CHAIR ABDEL-KHALIK: So could you please
6 clarify which of the entries in the fourth column
7 correspond to what power level?

8 MR. DelGAIZO: Paul, do you have Table 4-1
9 there from the PUSAR? My understanding is that of the
10 -- the only row that is -- 3840 is suppression pool
11 temperature, but I could be wrong. That's why I'd
12 like to check on it.

13 MR. DENNY: Suppression pool temperature
14 is this one here.

15 MR. DelGAIZO: Right.

16 MR. DENNY: Bulk pool temperature --

17 MR. DelGAIZO: Peak, right -- bulk --

18 MR. DENNY: -- peak wet well pressure --

19 MR. DelGAIZO: Right.

20 MR. DENNY: -- and peak wet well
21 temperature would all be from the long term analysis,
22 the SuperHEX. That's at 102% of 3840. That's the
23 bottom three rows is 102% for EPU, 102% of 3840. The
24 upper two rows, the 50.6 and the 298, that was done at
25 102% of 120% uprate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR ABDEL-KHALIK: Does that answer your
2 question, Otto?

3 MEMBER MAYNARD: Yes.

4 MR. DUKE: This is Paul Duke. The only
5 value that we're reporting based on the 3840 is the
6 suppression pool temperature.

7 MR. DENNY: I'm sorry.

8 CHAIR ABDEL-KHALIK: So for the record,
9 could you please state where these entries correspond
10 to?

11 MR. DUKE: The CPPU analysis is based on
12 102% of 3952 megawatts with the exception of the bulk
13 suppression pool temperature, which is based on 102%
14 of 3840 megawatts.

15 CHAIR ABDEL-KHALIK: Thank you.

16 (Off the record comments.)

17 MR. DAVISON: Okay?

18 CHAIR ABDEL-KHALIK: So back to the table,
19 I mean I understand conceptually how you can have a
20 temperature limit of 218 degrees F because of the
21 elevation difference. But somehow it doesn't make
22 sene to have a temperature limit greater than the
23 saturation temperature of the pool when you're saying
24 that you're utilizing that limit corresponding to a
25 containment pressure of one atmosphere.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DelGAIZO: Well, but that's the
2 artificiality we're driven to by the reg guide. I
3 mean I agree. The reg guide forces us to assume 14.7.
4 We agree that at 218, we have to be higher than 14.7.
5 In fact, if we even took that up to saturation
6 pressure, we'd do wonderfully on margin. So it is
7 very conservative to do --

8 MR. WALLIS: In regulatory space, you can
9 violate the laws of physics if you want to.

10 CHAIR ABDEL-KHALIK: Well, thank you.
11 Please continue.

12 MR. DAVISON: That really covered what's
13 on page 47 when you take in that 218 and the 14.7 psia
14 into account. The minimum net positive suction head
15 margin availability is conservatively determined to be
16 1.7 feet for our residual heat removal pumps and 1.2
17 feet for the core spray pumps. Therefore, the ECCS
18 net positive suction head is provided without
19 crediting containment overpressure.

20 And the final slide, 48, this part of the
21 EPU, non-LOCA events were also analyzed. There was a
22 request for information regarding our Appendix R, and
23 the following information is provided. This table
24 displays the peak drywell airspace pressure, peak
25 drywell airspace temperature and the peak bulk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 suppression pool temperature is compared between CLTP,
2 EPU, and the design limits for the limiting Appendix
3 R event. The parameters are not significantly
4 impacted by the Appendix R event, the EPU power
5 conditions, and significant margin continues to exist
6 respective to the containment design analysis limits.

7 CHAIR ABDEL-KHALIK: Could you
8 qualitatively explain where the Appendix R limiting
9 scenario is?

10 MR. DAVISON: Let's see, Bill do you have
11 that in your notes? Shelly? From the remote shutdown
12 panel, right, RCIC is -- there's fire, scram, SRV
13 opening, remote shutdown panel. RCIC has to be placed
14 in service within 10 minutes, and suppression pool
15 cooling is placed in service within 20 minutes which
16 was previously time-validated by operations. The
17 scenario and the actions that come out of that is our
18 most limited.

19 CHAIR ABDEL-KHALIK: Okay. Thank you.

20 MR. DAVISON: And that ends the
21 containment response session. Any additional
22 questions?

23 CHAIR ABDEL-KHALIK: I guess the question
24 was raised earlier as to what independent
25 calculations, if any, the staff has performed in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 support of the calculations presented by the applicant
2 with regard to containment response.

3 MR. LOBEL: Excuse me, this is Richard
4 Lobel. The staff didn't perform any independent
5 calculations for Hope Creek. The staff has previously
6 performed independent calculations. We did some for
7 Duane Arnold a long time ago comparing our code
8 CONTAIN. I think we used -- if I remember right, we
9 used CONTAIN. It was either CONTAIN or MELCOR we used
10 to compare it with SuperHEX. And more recently, we
11 did mass and energy, independent mass and energy
12 release and containment calculations for the Vermont
13 Yankee power uprate and the agreement for both was
14 very good.

15 The mass and energy calculations
16 calculated by Vermont Yankee were conservative
17 compared to the staff calculations that we did we
18 RELAP. So we didn't feel it was necessary to do
19 independent calculations for another BWR core
20 basically the same type of design using the same --
21 comparing the same codes again. So we didn't do any
22 independent calculations for Hope Creek.

23 CHAIR ABDEL-KHALIK: So it was the same
24 suite of three codes used by Vermont Yankee?

25 MR. LOBEL: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: I'm surprised you didn't do
2 any calculations. I mean here Said and I are doing a
3 hand calculation on the vapor pressure and the gas
4 pressure and so on to check that it makes sense.
5 Don't you do that routinely, I mean look at numbers
6 and say do they make sense physically? I would think
7 you'd always do that.

8 MR. LOBEL: Well, we do that kind of
9 thing. I was speaking to more formal calculations
10 with computer codes.

11 MR. WALLIS: Well, but the hand
12 calculations might be more believable in some context
13 than the computer calculations.

14 MR. LOBEL: Well, that's part of the
15 review to -- I mean that's a major part of the review
16 to look at the number and see that the numbers make
17 sense.

18 MR. WALLIS: Yes. And you make
19 calculations, too, don't you? Yes.

20 MR. LOBEL: The timing of the -- well, and
21 we also not only within a given submittal, but we have
22 the benefit of previous calculations from other
23 licensees so we can compare things.

24 MR. WALLIS: Well, when they say that the
25 heat capacity of the metal and the torus brings down

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the temperature by a certain amount, you can easily
2 check that yourself and see is that reasonable.

3 MR. LOBEL: Sure.

4 MR. WALLIS: And do they make an error of
5 a factor of 10 or something. I would hope you guys do
6 that sort of thing.

7 MR. LOBEL: We do that sort of thing and
8 like I was going to say, we also compare calculations
9 between different submittals to see that, between
10 submittals, that if there is a difference in a number,
11 to try to explain the difference in terms of size of
12 vessel, size of containment, amount of water,
13 different technical specification limits and that kind
14 of thing. That's a big part of the review.

15 MR. WALLIS: Right.

16 MR. DelGAIZO: Sir, I would like to say
17 also -- this is Ted DelGaizo -- that we got our eyes
18 on that very subject which had to do with previous
19 margins we had shown on MPSH and the margins we were
20 showing here, and the staff made a nice catch on where
21 there were some disconnects which we explained that
22 did make sense actually when we dug into. So I think
23 there's no question they look pretty hard at MPSH from
24 our standpoint.

25 MR. LOBEL: I understand there was a

1 question, too, about the LAMB code? Is there a
2 question?

3 MR. WALLIS: Oh, what's it based on? What
4 model does -- critical flow.

5 MR. LOBEL: Well, I think the GE people
6 could do a better job than I can, but it's
7 essentially, as I understand it, an ECCS code.

8 MR. WALLIS: It's a MUDI model for
9 critical flow?

10 MR. LOBEL: I believe so, yes, MUDI SLP
11 model for critical flow.

12 MR. DENNY: LAMB has both MUDI SLP and a
13 homogeneous equilibrium. And for Hope Creek, we used
14 homogeneous equilibrium.

15 CHAIR ABDEL-KHALIK: Is that conservative?

16 MR. DENNY: It is --

17 MR. LOBEL: It is in terms of mass flow.

18 MEMBER BANERJEE: It gives you a lower
19 sump speed.

20 CHAIR ABDEL-KHALIK: So it is not
21 conservative.

22 MR. DENNY: No, it is conservative. It is
23 not as conservative -- SLP would give you a higher
24 blowdown, yes. But is the licensing basis blowdown
25 method. Now the M3CPT UFSAR one that you have here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from their table, URSAR one was M3CPT with homogeneous
2 equilibrium. Now we use LAMB with homogeneous
3 equilibrium.

4 CHAIR ABDEL-KHALIK: Would the staff care
5 to comment about the appropriateness of using a
6 homogeneous equilibrium model for the blowdown phase
7 of the LOCA with regard to containment analysis.

8 MR. LOBEL: There was a staff evaluation
9 of a GE topical report using the homogeneous
10 equilibrium model that was done a long time ago. I
11 can't remember the date. And the staff concluded that
12 using the HEM was acceptable and conservative, not
13 because of the homogeneous equilibrium model itself
14 but because of the GE modeling that went along with it
15 resulted in a conservative calculation. And I don't
16 remember offhand what the details were, but it was a
17 staff evaluation of a GE topical report. I can get
18 the number of the topical report. I don't remember
19 offhand what -- why the conclusion was what it was,
20 but I remember it had to do with the GE modeling.

21 MR. BOLGER: This is Fran Bolger. You
22 know, the standard review plan for mass-energy release
23 requires that the blowdown had to be conservative
24 relative to data. The homogeneous equilibrium model
25 as it applied includes a multiplier in the sump-cooled

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 region, and that multiplier will yield blowdown rates
2 which are conservative.

3 MEMBER BANERJEE: The multiplier if you're
4 in sump-cooled blowdown. It's not sort of like a
5 Fauske multiplier, something like that? What do you
6 have there?

7 MR. BOLGER: I don't have the details on
8 how the multiplier was derived.

9 MEMBER BANERJEE: Anyway, whatever the
10 multiplier is, certainly it will be okay. It won't be
11 conservative in the sump-cooled range. It can just be
12 sort of a curve-fit to date probably and there are
13 various models. But in the two-phase region, I don't
14 see that saturate agreeing that it would be
15 conservative?

16 MR. WALLIS: So the bigger the pipe the
17 closer you get to homogeneous, don't you --

18 MEMBER BANERJEE: And the longer the pipe.

19 MR. WALLIS: - and the more weaker is very
20 close to homogeneous.

21 MEMBER BANERJEE: Yes, if you have a long
22 and big pipe, it's pretty close, but it depends on the
23 scenario I suppose. Short pipes, you're not
24 homogeneous.

25 MR. WALLIS: But it's been approved by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 NRC so --

2 MR. LOBEL: If I remember the --

3 MEMBER BANERJEE: Against the laws of
4 physics. That's what you said --

5 MR. LOBEL: -- if I remember the topical
6 report, the analysis was for long pipes. It wasn't
7 just modeling a nozzle. It was modeling flow through
8 the pipe --

9 MEMBER BANERJEE: Yes. If it's a long
10 pipe, it'll be pretty good.

11 CHAIR ABDEL-KHALIK: We would appreciate
12 that reference.

13 MR. LOBEL: Okay.

14 CHAIR ABDEL-KHALIK: Please continue.

15 MR. DAVISON: That was the end of the
16 containment analysis actually.

17 CHAIR ABDEL-KHALIK: We'll continue with
18 the next presentation.

19 MR. DAVISON: Thank you, gentlemen. That
20 takes us to slide 50, start with the FAC presentation.
21 Hope Creek's FAC program was developed in accordance
22 with the industry standard from the NRC Generic Letter
23 89-08 requirements and, of course, the EPRI Guidance.
24 In 2006, the bases document was updated to include the
25 system's susceptibility evaluations including the wear

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 associated with both single- and two-phase flow. The
2 susceptible non-modeled analysis captures piping not
3 suitably modeled due to uncertainty of the operating
4 conditions or the actual small-bore pipe
5 configurations themselves. The non-modeled analysis
6 is used to prioritize inspections and proactive
7 replacement of the piping with non-susceptible
8 materials.

9 CHECWORKS, which Hope Creek has used since
10 Refuel Outage Number 6 was upgraded in 2007 to the
11 latest version and reflects the targeted power uprate
12 for 111.5% conditions. The living program consistent
13 of the predictive software and inspection results
14 trending and the operating experience ensures that our
15 inspections and replacement strategy --

16 MR. WALLIS: Now as I understand
17 CHECWORKS, it sort of evolves. You get it and then as
18 you get experience, you change the way it predicts
19 what's going to happen. And so it's very plant
20 specific.

21 MR. DAVISON: That is correct.

22 MR. WALLIS: And so when it says
23 predictive analysis here, it's really -- a lot of it
24 is based on your operating experience and inspection
25 and so on that gives it a much more realistic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 predictive capability?

2 MR. DAVISON: That's essentially
3 customized to the actual station and then we continue
4 to factor in --

5 MR. WALLIS: The more years you've been
6 using it, the better it should be?

7 MR. DAVISON: Correct. That is correct.

8 CHAIR ABDEL-KHALIK: Did I hear you
9 correctly saying that this has been essentially
10 extrapolated to the 11.5% power increase?

11 MR. DAVISON: Yes. So what we actually
12 did was we -- knowing that this cycle will be running
13 at 111.5%, we actually put it in for the full cycle.
14 We updated the model and then we went forward to look
15 to see if there is any earlier inspections -- or
16 excuse me -- later inspections in subsequent refuel
17 outages that because of the uprate would need to be
18 done earlier. So we actually plugged it in early, did
19 all of our extrapolations to determine if there were
20 things we needed to do ahead of time, our last refuel
21 outage in other words.

22 CHAIR ABDEL-KHALIK: How do you correct
23 for the fact that you are going to be operating part
24 of the cycle at the current licensing thermal power
25 and part of the cycle at the elevated power in trends

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 --

2 MR. DAVISON: We put 111.5 for the whole
3 cycle.

4 CHAIR ABDEL-KHALIK: Okay.

5 MR. DAVISON: We increased the wear rate.

6 CHAIR ABDEL-KHALIK: But if you're trying
7 to learn from this model to be able to extrapolate,
8 you ought to be able to extrapolate correctly.

9 MR. DAVISON: Correct. What we needed to
10 do is to do the initial prediction. What we didn't
11 want to do is wait until we got to EPU, updated the
12 model with 111.5 and find out that we should have
13 pulled up inspections early and it was too late
14 because our last refuel outage was in the fall of
15 2007. So that's essentially what we did to it.

16 CHAIR ABDEL-KHALIK: Okay.

17 MS. KUGLER: This is Shelly Kugler. Just
18 to correct Paul real quickly. The model was actually
19 -- was inputted that mid-cycle, we'd actually go to
20 111.5% -- it didn't -- the full cycle was not in there
21 -- so we could more accurately model with the EPU.

22 CHAIR ABDEL-KHALIK: Okay.

23 MR. DAVISON: Thank you, Shelly. On page
24 51 for what was the impact, the change of the EPU
25 conditions did not result in any actual new systems

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 being added to the FAC program. The evaluation of the
2 inspection scope for the next two refuel outages did
3 not identify any current scheduled inspections that
4 needed to be performed earlier. That was that
5 predictive and looking back to see if we needed to
6 pull things up. So nothing was identified.

7 However, changing wear rates will occur as
8 part of the EPU implementation. Therefore, additional
9 baseline testing was added to the program scope. In
10 fact, 9 new baseline components were added to the last
11 refuel outage back in the fall, and 18 will be added
12 to the next refuel outage which is our spring 2009
13 outage. The program is continuously updated to
14 incorporate the operating conditions, as we mentioned
15 earlier -- water chemistry, inspection results and any
16 configuration changes that we would make via
17 modification like as in small-bore piping.

18 Approximately 110 components are inspected
19 each outage if you normalize them to how many we do
20 per outage. As a result, numerous components have
21 been replaced with FAC-resistant piping; typically,
22 small-bore piping over the last several outages.

23 MEMBER ARMIJO: Along those lines, could
24 you fill me in on the extent to which you use, for
25 example, chrome-moly steels in your plant and the more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 vulnerable materials?

2 MR. DAVISON: Yes. Most of the original
3 piping, small-bore piping wise, is carbon steel.

4 MEMBER ARMIJO: Carbon steel.

5 MR. DAVISON: Right. So everything we
6 replace, piping system wise, is with the higher chrome
7 content, chrome-moly steel so that it's FAC-resistant.
8 Still, you know, puts -- it's captured in the program
9 as an upgraded material that is not susceptible, but
10 all the replacements we do have the less susceptible
11 materials.

12 MEMBER ARMIJO: How about your bigger
13 lines, steam lines, extraction lines, other stuff?

14 MR. DAVISON: Almost all of that is
15 carbon. It's all susceptible. No specific
16 replacements done. When we have an issue -- for
17 example, back in 3R14, our last refuel outage, during
18 the previous cycle, we had a through-wall leak of an
19 extraction-steam piping T. Most of that large piping
20 had been replaced with the upgraded piping materials.
21 However, the T -- it's a 26-inch T -- was not, so it
22 still remains susceptible. There was a kind of a
23 discontinuity between the inner diameters of the T
24 versus the piping in an upstream valve. It
25 accelerated some wear. It was in the FAC program, did

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 not detect it. We had a through-wall leak about 3/8-
2 inch by 1-inch actual hole in the piping. When we
3 went in to do the repair, which was go inside the
4 piping in-body and do weld build-up on the ID of the
5 pipe, we used FAC-resistant material when we did the
6 repair on that T.

7 MEMBER ARMIJO: With a weld build-up?

8 MR. DAVISON: Correct, on the ID of the
9 pipe. That's correct.

10 MR. WALLIS: This feedwater heater number
11 1, that's extracting wet steam, is it? That's -- I
12 just wondered if the wetness changed significantly
13 when you extracted more, presumably, with the upgrade
14 and if the CHECWORKS really did a good job of taking
15 account of that?

16 MR. DAVISON: Well, it was the -- that's
17 our -- I mean that's why it's up on the screen. That
18 is our highest prediction of change of wear rates
19 roughly from 10 to 12 mils per year, which is why it's
20 a target force mainly driven by the increased
21 extraction pressure related to the turbine
22 replacements and, of course, the power uprate
23 condition.

24 MR. WALLIS: It's the pressure. Is it
25 steam or is it steam with droplets in it? Is that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 part of the problem with the wearing?

2 MR. DAVISON: I don't know if there's
3 anyone who can specifically help me with that. I know
4 it takes into account the liquid drop impingement --

5 MR. WALLIS: It probably does because
6 that's --

7 MR. DAVISON: -- part of it as well.
8 Correct. And it also factors in cavitation in other
9 circumstances as well.

10 MR. WALLIS: It's not really a safety
11 issue anyway unless someone happens to be in the
12 vicinity.

13 MR. DAVISON: Which is a locked high rad
14 area for us in that condition. Nonetheless, we don't
15 want to have steam leaks. In fact, we did an extended
16 condition on the other ones and we'll be affecting
17 some repairs because we do have some thinning, not
18 anything that would go through-wall, but we are going
19 to repair those, same methodology using the improving
20 materials.

21 MEMBER ARMIJO: As a weld?

22 MR. DAVISON: Correct, ID build-up, inside
23 diameter build-up of the piping T.

24 CHAIR ABDEL-KHALIK: The 10 to 12 mils per
25 year, does that correspond to this maximum average

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wear rate --

2 MR. DAVISON: Yes.

3 CHAIR ABDEL-KHALIK: -- for that
4 particular line?

5 MR. DAVISON: It's actually 10.5 to 12.3
6 is the prediction in increase. It's a .0023 inches
7 per year increase in wear in that location.

8 CHAIR ABDEL-KHALIK: And just for
9 reference, how thick is the pipe?

10 MR. DAVISON: It's -- we do have a nominal
11 thickness on that, in the piping. I think it's 1-
12 inch, but we can get that.

13 CHAIR ABDEL-KHALIK: How big is the line?

14 MR. DAVISON: Twenty -- do you have the
15 piping size, Shelly or Paul?

16 MEMBER ARMIJO: What pipe are we talking
17 about?

18 MR. DAVISON: Extraction steam in the
19 number one feedwater.

20 MR. WALLIS: It's probably way above the
21 thickness necessary to meet the requirement.

22 MR. DAVISON: Oh, yes, structural
23 integrity, even with the through-wall, was never
24 challenged. We did do structural analysis to make
25 sure that even with the leak, we didn't have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 structural integrity problem. This is strictly just
2 through-wall leakage. And we have a set of PNIDs we
3 can pull these --

4 MR. WALLIS: That's fine. We'll follow up
5 later.

6 MR. DAVISON: Okay. So we talked about,
7 you know, the highest one being this number one
8 feedwater heater. We will be performing additional
9 inspections in that particular area to validate the
10 model and make sure we check it going forward, because
11 that's our number one focus area.

12 Okay. And the last slide, 52, we have
13 incorporated EPU into the model, made the necessary
14 adjustments to our inspection program. No new scope
15 was specifically added. Implementing EPU does not
16 cause any near-term pressure boundary challenges
17 associated with FAC and our components. They're
18 adequately verified, inspected and checked in the
19 model itself. And we don't foresee any specific
20 challenges with increased flow.

21 If there are no questions, I'll go right
22 into patient curves. Okay. In slide 53 and actually
23 54 and 55 are the three actual patient curves that
24 were adopted back in November of 2004 when we did the
25 uprate for the neutron fluence associated with the EPU

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conditions to ensure that the fracture toughness of
2 the vessel material bounds the structural integrity
3 requirements. The fluence was developed using the NRC
4 methodology in accordance with the GE topical report.
5 The curves are applicable through the end of life
6 which is less than 32 effective full power years.

7 For all three individual curves, the upper
8 vessel limit shown as the dashed line to the right
9 there is impacted by the stress level increase
10 associated with the feedwater flow, the feedwater
11 nozzles flow and temperature changes associated with
12 the EPU. The fluence impact on the belt line, which
13 is the solid line, does not become limiting, and
14 ultimately, the upper shelf energy remains greater
15 than the code requirement for the design of the life,
16 50 foot-pounds.

17 One thing to add -- we are a member of the
18 Integrated Surveillance Program for all the U.S. BWRs.
19 However, Hope Creek is the only Hitachi vessel in the
20 United States, and our specific data is actually only
21 used for Hope Creek itself.

22 The first of three capsules were removed
23 at the end of Cycle 5. Two capsules remain in the
24 vessel. The second capsule will be removed in
25 approximately 2014, which is one year earlier than the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pre-EPU predication for the quarter-t fluence level.
2 The third capsule remains in the vessel for future
3 considerations. No specific plans on removing that
4 capsule right now.

5 MEMBER ARMIJO: I guess I don't understand
6 the issue about the Hitachi vessel. Now you can use
7 the data from the other plants but they're not using
8 the data from your plant? Or how --

9 MR. DAVISON: Yes. Actually, we are a
10 member of the Integrated Surveillance Program because
11 we share costs with the other folks who are in that,
12 and we share lessons learned, generic lessons learned.
13 Because we are the only Hitachi vessel, we really --
14 our data goes in and we use our own data. Nobody else
15 can use the data. We're in it for the --

16 MEMBER ARMIJO: You can't use other
17 people's data either --

18 MR. DAVISON: Not the specific data,
19 correct. If they do lessons learned, changes in
20 methods, something comes out that's applicable to
21 everybody, we will take those learnings, so we want to
22 be part of the learning organization from the, you
23 know, the body of OE. But as far as data in-data out,
24 it's our Hitachi vessel.

25 MEMBER ARMIJO: Okay.

1 MR. DAVISON: And that really ends my
2 update on the curves unless there are specific
3 questions. They've been in effect since 2004. We
4 will be submitting for license renewal in August of
5 2009. At that time, they would be updated again and
6 that methodology would be adopting or changing to the
7 RAMA code for the fluence levels.

8 MR. WALLIS: Does this updated power
9 change the embrittlement life of the vessels
10 significantly?

11 MR. DAVISON: No, it does not.

12 MR. WALLIS: It doesn't change it by year
13 or something like that? It's less than -- presumably,
14 there's more fluence? Is there more fluence or less -
15 - depends upon how you arrange things, doesn't it?

16 MR. DAVISON: Yes. There will be more
17 fluence.

18 MR. WALLIS: Okay, more fluence.

19 MR. DAVISON: In fact, when we get to
20 vessel internals, we'll talk about the individual
21 fluence levels --

22 MR. WALLIS: We'll do that tomorrow?

23 MR. DAVISON: -- on not only the internal
24 components but the vessel itself.

25 CHAIR ABDEL-KHALIK: Are there any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 additional questions for Mr. Davison?

2 (No audible response.)

3 CHAIR ABDEL-KHALIK: Are there comments
4 that the staff would like to make on any of the topics
5 that were presented today?

6 (No audible response.)

7 CHAIR ABDEL-KHALIK: Okay. We're
8 adjourned for today.

9 (Whereupon, at 3:21 p.m., day one of the
10 foregoing matter was adjourned.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission in the matter of:

Name of Proceeding: Advisory Committee on
Reactor Safeguards

Docket Number: n/a

Location: Rockville, MD

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and, thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.



Charles Morrison
Official Reporter
Neal R. Gross & Co., Inc.