

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
 Advanced Boiling Water Reactors
 Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, December 5, 2007

Work Order No.: NRC-1891

Pages 1-183

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

MEETING OF THE SUBCOMMITTEE ON ADVANCED BOILING

WATER REACTORS

+ + + + +

WEDNESDAY

DECEMBER 5, 2007

+ + + + +

The meeting was convened in Room T-2B3 of
Two White Flint North, 11545 Rockville Pike,
Rockville, Maryland, at 12:30 p.m., Dr. Said Abdel-
Khalik, Chairman, presiding.

MEMBERS PRESENT:

SAID ABDEL-KHALIK

Chairman

OTTO L. MAYNARD

Member

WILLIAM J. SHACK

Member

JOHN D. SIEBER

Member

J. SAM ARMIJO

Member

1 MARIO V. BONACA

2 Member

3 MICHAEL CORRADINI

4 Member

5

6

7

8 ACNW&M MEMBERS PRESENT:

9 RUTH F. WEINER

10 MICHAEL T. RYAN

11 ALLEN G. CROFF

12 JAMES H. CLARKE

13 NRC STAFF PRESENT:

14 MAITRI BENERJEE

15 MARK TONACCI

16 MICHAEL GARTMAN

17 ZEYNA ABDULLAHI

18 DON DUBE

19 ALSO PRESENT:

20 ALAN BEARD

21 JOSEPH SAVAGE

22 DENNIS HENNEKE

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

TABLE OF CONTENTS

Opening Remarks, S. Abdel-Khalik, ACRS. 4

Introductions, Mark Tonacci, NRO. 5

ABWR Technology Overview, Alan Beard, GE. 13

PRA Aspects, Dennis Henneke, GE.. . . . 119

Licensing and Operating Experience,
Joe Savage, GE. 146

Staff Review of TRs and STP COLA,
Mark Tonacci, NRO.. . . . 164

Committee discussion and Closing Remarks, S. Abdel-
Khalik, ACRS. 178

Adjourn

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P-R-O-C-E-E-D-I-N-G-S

12:31 p.m.

CHAIR ABDEL-KHALIK: The meeting will now come to order. This is a meeting of the Advisory Committee on Reactor Safeguards Advanced Boiling Water Reactor subcommittee. I'm Said Abdel-Khalik, Chairman of the Subcommittee.

ACRS members in attendance are Bill Shack, Michael Corradini, Otto Maynard, Jack Sieber, and Mario Bonaca. We may be joined later also by George Apostolakis and Sam Armijo.

Four members of ACNW&M are also in attendance, Ruth Weiner, Michael Ryan, Allen Croff, and James Clarke. Ms. Maitri Banerjee of the ACRS staff is the designated federal official for this meeting.

The subcommittee will gather information related to the design and licensing aspects of the ABWR application to prepare itself for the review of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the COL application and action as appropriate for
2 deliberation by the full committee.

3 The rules for participation in today's
4 meeting were announced as part of the notice of this
5 meeting previously published in the Federal Register.
6 We have received no written comments or requests for
7 time to make oral statements from members of the
8 public regarding today's meeting.

9 Most of this meeting is open to the
10 public. If any proprietary information is required to
11 be discussed as a result of questions from the
12 members, I ask the presenters to notify me so that we
13 can close that part of the meeting.

14 A transcript of the meeting is being kept
15 and will be made available as stated in the Federal
16 Register notice. Therefore, we request that
17 participants in this meeting use the microphones
18 located throughout the meeting room when addressing
19 the subcommittee. Participants should first identify
20 themselves and speak with sufficient clarity and
21 volume so that they can be readily heard.

22 We will now proceed with the meeting and
23 I call on Mr. March Tonacci of the Office of New
24 Reactors to begin the presentations.

25 MR. TONNACI: Good afternoon, Dr. Abdel-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Khalik and other members of the committee and
2 subcommittee. I am glad to be here. I am Mark
3 Tonacci. I am the senior project manager for the
4 ABWR. I am here with my supervisor Michael Gartman
5 who is sitting on the side at the side table where I
6 will be in a few minutes.

7 The committee has requested a brief on the
8 key differences between ABWR and the earlier boiler
9 designs. I think that was a good proactive request on
10 your part because there has been a good bit that has
11 occurred since we approved the DCD back in 1997.

12 On the other hand, you have already had briefings on
13 AP1000, ESBWR, and we are just going to try to hit the
14 high points for you and not go through too much
15 detail. I look forward to a dialogue with you today
16 and value your input.

17 Today the briefing will have three parts.
18 I'll be doing a brief introduction touching on the
19 chronology of the ABWR and hopefully will help you get
20 a bearing in your reference on the design
21 documentation. Then I will hand off to GE Hatachi.
22 That is the real focus of our presentation is on the
23 technology. Alan Beard, who is sitting over on the
24 side of the GE table, Principle Engineer, will focus
25 on the differences in the design, the technical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 aspects of the design, and the operating experience.

2 After that Dennis Henneke, also sitting on
3 the side with GE, Principle Engineer of PRA for GE
4 Hitachi, will talk about the PRA aspects of the ABWR
5 after that we will touch on licensing. Joe Savage of
6 GE Hitachi will talk about the DCD Rev 4 and
7 potentially Rev 5 and also talk about the departures
8 and topical reports to some extent. He will then hand
9 off to me and I'll wrap up with an NRC perspective on
10 some of the licensing aspects.

11 I have also been asked to touch on the
12 COLs and will describe what they are and a little bit
13 about how we process those. We are tag-teaming the
14 presentation today between myself and GE and we may
15 defer questions to each other as appropriate.

16 With that, let me touch a little bit on ABWR
17 chronology. As I just mentioned, the ABWR DCD was
18 certified in about 1997 and it is in a state of
19 finality which means really as an applicant comes in
20 they use that design it is not open any longer to
21 questions or changes.

22 There are 13 top cohorts that have been
23 submitted by GE on their docket I guess through
24 December of '06 through 9 of '07 of this year. They
25 gave us those as a jump start on a potential future

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 update of the DCD. These topical reports are also
2 being used as referenced in the STP COLA, the South
3 Texas Project COLA. These topical reports cover a
4 number of things including the new RCIC pump as well
5 as COL applicant information items. We will go into
6 those in more detail later on.

7 The South Texas COLA was submitted to us
8 in October of '07. At this point they are the only
9 applicant. They do make reference to the topical
10 reports as well, of course, to the DCD. We'll get
11 into licensing aspects of this more later on.

12 The designs through the working group at this point is
13 really not a factor because South Texas is the only
14 applicant.

15 However, if we get another applicant for
16 using ABWR technology, then South Texas 3 will be the
17 reference COL and the applicants will be referring to
18 that license or that application. DCD Rev 5 is a
19 potential future activity that GE may come in with.

20 Excuse me just a moment. I'm battling the
21 remnants of a cold. Okay. I wanted to give you
22 pictorial representation of how these documents that
23 I just mentioned sort of fit together for you. We
24 have the DCD Rev 4 that was approved back in 1997. It
25 is in a state of finality. We also have the topical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reports, the 13 topical reports that have come in
2 mostly in the course of this year. These will be
3 coming to ACRS upon your request.

4 MEMBER CORRADINI: So these topical
5 reports are on changes from what was in the DCD.

6 MR. TONNACI: That is correct. The new
7 RCIC pump is an example. South Texas 3 and 4
8 application was submitted to us in October of this
9 year. That will definitely come to ACRS as part of
10 its approval cycle. The South Texas 3 and 4
11 application refers back to the ABWR DCD.

12 In many places in their application they
13 simply have incorporate by reference where they will
14 take a whole section of the DCD and say, "We adopt the
15 whole thing." In other words, incorporate by
16 reference. There will be pretty much nothing in their
17 application on that except to say, "We adopt the DCD."

18 In other places they may choose to make
19 changes. In that case they will point to a topical
20 report, for example, and they will take a departure or
21 an exemption depending on whether it's Tier 1 or Tier
22 2. They may also take other departures that are not
23 part of the topical reports, either standard
24 departures or site specific departures of their
25 choosing. Those departures if they are Tier 1 the NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has to approve those departures. If they are Tier 2
2 they go through a justification not unlike the 50.59
3 process.

4 Then in the future we have the ABWR DCD
5 Rev 5. At least we hope we will. That will also be
6 looking at some of the topical reports and
7 incorporating those changes so they are kind of
8 getting into some advance notice both with South Texas
9 and ABWR DCD by sending the topical reports ahead of
10 time so we can get an early start on those changes.

11 Are there any questions.

12 MEMBER SHACK: Would South Texas ever be
13 able to reference the DCD 5? They will always be
14 challengeable then in some sense or there is no
15 finality on what they have done in the topical reports
16 but once it becomes DCD 5, then there is finality.
17 The topical reports have no finality whatsoever but
18 once South Texas adopts those and we approve it, the
19 South Texas design has finality.

20 In that light we won't go back and
21 challenge it. But, for example, if the topical report
22 comes through and it is approved ahead of -- say RCIC
23 pump is approved of South Texas and then as part of
24 the South Texas review wants to see some information
25 about the RCIC pump, because that is part of the South

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Texas application, it is open to questions and change
2 be changed if it needs to be changed. That is how
3 those work together.

4 MEMBER CORRADINI: And then what would be
5 -- there would be no impetus for a DCD Rev 5 unless
6 there are additional plant orders that use the ABWR or
7 am I missing something?

8 MR. TONNACI: I think you're right but I
9 really refer that one to GE.

10 MEMBER CORRADINI: And then you said --
11 you gave another pathway that I was trying to
12 understand which is if somebody were to come in and
13 say, "We want to do exactly what South Texas did,"
14 that would be another way to do it, essentially to
15 reference their COL and, except for site issues, take
16 that approach.

17 MEMBER MAYNARD: If you get into this
18 later, that's fine. The topical reports, are they
19 being reviewed? It looks to me like they were
20 submitted and been reviewed as, I guess, a DCD with
21 future regulatory changes pending of 50.62 or
22 whatever. If that doesn't get approved, that could be
23 reviewed as part of the COL. I'm a little bit
24 confused on what criteria you are reviewing the
25 topical reports under.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TONNACI: Topical reports are reviewed
2 to today's current criteria, whatever regulations we
3 have at the point of our -- well, of today as we
4 review these. They will get eventually approved by
5 the division director. At that point they are just
6 topical reports with the safety evaluation. They do
7 not have finality and they can't actually be used by
8 anybody. South Texas has to come in and says, "We
9 want to depart from DCD and we want to adopt, let's
10 say, the RCIC topical in its place.

11 It goes through the whole South Texas
12 approval process and upon the South Texas approval,
13 then the RCIC topical report is final for them and
14 only for them. The next person coming in they will
15 have to justify that as a departure or they can do it
16 using a South Texas standard departure which would
17 also work and has a measure of finality there. There
18 is some risk on both parts but the good part of the
19 topicals it gives us several months, almost a year, to
20 get started on these things ahead of time. That's
21 where we are.

22 MEMBER ARMIJO: So the ABWR certification
23 is not being amended by this process?

24 MR. TONNACI: That is correct.

25 MEMBER MAYNARD: The law doesn't allow it

1 to be admitted.

2 MR. TONNACI: Generally speaking you are
3 correct unless we get into the back-fit rule. That is
4 all I wanted to go through and at this point I'm going
5 to turn it over to Alan Beard to really focus on the
6 technical aspects of the design.

7 MR. BEARD: Good afternoon, everybody. As
8 Mark said, there has been a lot of turnover in the
9 ACRS since we were doing this back in the mid and late
10 1990. In fact, I think the only member who was ACRS
11 at that point is not here. Dr. Shack came in about
12 halfway through but Dr. Kress is the only other member
13 that was part of the process.

14 MEMBER SHACK: He's gone.

15 MR. BEARD: Dr. Kress is gone?

16 MEMBER SIEBER: Yes.

17 MR. BEARD: I must have missed that piece
18 of information. Okay. I remember being on ACRS where
19 we had a similar snow day like this and the only
20 people who made it to the meeting were the ACRS
21 members and GE. Glad to be back here.

22 Like Mark said, we are just going to try
23 to give you a fairly high-level overview of the ABWR
24 just to kind of start to bring you up to speed and to
25 start your thought process about any questions you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 might want to ask.

2 The outline of what I'm going to present
3 is up there. I'll talk a little bit about the design
4 evolution of the ABWR. Focus on a lot of improvements
5 we've made in the design. Talk a little bit about how
6 the containment is different from the containments we
7 had in our earlier product line. Talk about the
8 nuclear steam supply. Spend a fair amount of time
9 talking about our engineer safety features and
10 emergency performance systems.

11 Then Dennis Henneke over on my left there
12 will talk about the PRA PSA insights we've had and
13 what the calculated core damage frequency is and how
14 we factor some of those insights into the design.

15 Next slide, please, Dennis.

16 MEMBER ARMIJO: As you are going through
17 this, could you give us a little bit of input on these
18 various topical reports, how they impact what you're
19 talking about? This is a design that is going to
20 change for the South Texas project and it would help
21 us kind of understand where you're going.

22 MR. BEARD: To the extent that I can think
23 of that and where it lends itself to it, I certainly
24 will do that.

25 MEMBER ARMIJO: Like the recombiner issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BEARD: Recombiner issue, medium
2 voltage, RCIC pump and things like that. I have to
3 admit, I just took my ESBWR hat off and put my other
4 hat on. I've got to switch my brain processes over.

5 BWR, nothing real earthshaking here. We
6 have over 40 years of operational experience within
7 GE. Actually, that's almost 50 now with the
8 commercial operation. Operating pressure, we are
9 operating 1040 psia just to make a point. Just like
10 we're doing with the ESBWR, the ABWR was designed with
11 si units.

12 That's largely because the ABWR was
13 developed as a collaborative effort between GE and
14 Tokyo Electric Power Company so we have just carried
15 that forward and we do design si units for the ABWR.
16 That 1040 psi corresponds to the saturation
17 temperature of about 550 degrees F.

18 MEMBER SHACK: Could you just explain to
19 me what the relationship between Toshiba, GE Hitachi
20 is on this plant?

21 MR. BEARD: I'm going to defer to Joe
22 Savage for that if I could, please.

23 MR. SAVAGE: I'm Joe Savage of GE Hitachi
24 and I'm the licensing manager. Right now it's a
25 commercial relationship. We are looking for a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 commercial success path forward. GE and Hitachi have
2 combined our nuclear capability into one company,
3 hence GE Hitachi on our name tags. Toshiba has been
4 hired by the owners of South Texas project which is
5 NRG to be their EPC contractor.

6 MEMBER CORRADINI: Engineering procurement
7 constructor.

8 MR. SAVAGE: I'm sorry, engineering
9 procurement and construction. Right now we are
10 working on division responsibilities, whose turbine
11 will be supplied, who will build the reactor vessels,
12 who will build the control rod drives, who will
13 provide the control room.

14 MEMBER SHACK: But this is a GE Hitachi
15 design?

16 MR. SAVAGE: Yes.

17 MEMBER CORRADINI: And as a takeoff from
18 the four units operating now in Japan, as I understand
19 it.

20 MR. SAVAGE: Exactly. Yes, sir. Plus the
21 two that are being constructed in Lungmen in Taiwan.

22 MEMBER SIEBER: You have 13 topical
23 reports that we have that you folks have provided to
24 us. Is that all or will there be more? If so, how
25 many more?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SAVAGE: Those will probably be all.
2 Let me mention that the ones that Alan is not going to
3 be that familiar with are the ones that answered COL
4 action items basically providing additional
5 information to the DCD. I think Alan has already
6 mentioned the major design changes those topical will
7 bring in to the GE Hitachi design.

8 MEMBER SIEBER: So all the information we
9 will need will be either on that disk or from the
10 staff?

11 MR. SAVAGE: Plus the COL application from
12 STP 3 and 4.

13 MEMBER MAYNARD: But these are only
14 covering areas of change. The DCD that is already
15 approved isn't changing. We wouldn't have anything on
16 that.

17 MEMBER CORRADINI: Unless you have it from
18 '92.

19 MR. BEARD: Correct.

20 MEMBER CORRADINI: You said it and I guess
21 since you brought it up I'm going to ask. In
22 designing the si units what is the implication of that
23 that I might be missing other than everything just
24 changes in how you -- what changes technically in
25 terms of the turbine or the generator or the machine.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Nothing?

2 MR. BEARD: It's really almost transparent
3 to the operator.

4 MEMBER CORRADINI: Okay, fine.

5 MR. BEARD: All our calculations that are
6 done in si we are not doing them in English and
7 converting them.

8 CHAIR ABDEL-KHALIK: Are the instruments
9 in the control room going to display parameters in si
10 units or British units?

11 MR. BEARD: Again, I'm going to have to
12 refer to Joe.

13 MR. SAVAGE: My understanding is that
14 South Texas project wants the capability of both. The
15 Lungmen plant control rooms can display in either
16 native Taiwan language or in English and that is a
17 detailed design decision that South Texas project will
18 make as we go forward. They will have that capability
19 to have it both in si or in English and will build in
20 appropriate software to do that.

21 MR. BEARD: Okay. Like all BWRs for this
22 direct cycle we are allowing saturated steam to exist
23 from the reactor pressure vessel directly to the main
24 turbine. Again, just like the ESBWR, and this is a
25 surprise to many people, the exit quality of our team

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as it comes out of the RPV is in excess of 99.9
2 percent which is actually higher than most PWRs
3 currently on the market. We do characterize it as an
4 evolutionary design, a Generation 3 plant. It's not
5 Gen 3+ or certainly not Gen 4.

6 Again, basic BWR operational experience.
7 Power is controlled through a combination of
8 positions, control rods as well as varying core flow.
9 Flow control in ABWR does provide us with the
10 capability to rapidly change power, although it very
11 rarely used but that capability does exist.

12 Again, no Boric Acid is used as a
13 moderator. We are boiling the condensate or the
14 demineralized water so we do not have a need for boric
15 acid in a moderator. The ABWR in Lungmen is designed
16 for 100 load rejection. The certified design only has
17 a 32 percent bypass capability so it's not capable of
18 taking a load rejection from 100 percent power without
19 scrambling the plant.

20 If the license application or license
21 applicant chooses to go 100 percent bypass that's a
22 very easy design module to accommodate but then they
23 would have to get NRC concurrence that they would be
24 allowed to operate that plant in an "Island Mode" of
25 operation which would be a licensing issue to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 addressed at a later stage.

2 MEMBER CORRADINI: Just to make sure I
3 understand, for South Texas that would be something
4 that is to be chosen?

5 MR. SAVAGE: To be chosen. Yes, sir.

6 MEMBER SHACK: And no decision has been
7 made yet?

8 MR. SAVAGE: Correct.

9 MR. BEARD: And just as a reference the
10 ESBWR as a base certified design we are incorporated
11 100 percent load rejection capability.

12 Okay, BWR evolution. You have seen a
13 variate of this slide when I've been up here with my
14 ESBWR hat on except we got rid of the ESBWR further
15 off on the end of the snake. Dressed in one it looks
16 like a PWR but, in fact, run a saturated steam.
17 There's an external steam drum up here and some steam
18 generators.

19 Steam drum was maintaining a saturated
20 pressure in there. Then we were circulating just
21 slightly subcooled water up through the steam
22 generators. We went to, again, still external steam
23 generators but we had the steam bubble inside the
24 vessel providing for the saturation control here.

25 Then Oyster Creek and Nine Mile 1 were the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first of the really large direct cycle class that we
2 went to. They were characterized by five external
3 recirculation loops. One of the problems with that
4 was they take up a lot of room in the drywall as well
5 as they present a significant challenge when you
6 postulate that you get a double-ended guillotine
7 break, especially that lower portion in line. When we
8 were doing the LOCA analysis you had to rely very
9 significantly on spray and steam cooling to show that
10 we were not having catagraphic fuel damage.

11 So then the BWR-3 and then on through the
12 6's we adopted the jet pump concept where we had just
13 two large external recirc loops but then we had the
14 jet pumps located inside the annulus area created by
15 the shroud. That gave us the ability even if we had
16 a double-ended guillotine break of the lower suction
17 line to flood up to at least two-thirds of the core
18 height and then we relied upon the spraying steam
19 cooling to ensure again that we had adequate core
20 cooling.

21 ABWR. The big differences you see there
22 is no external recirculation loops. We went to what
23 we called reactor internal pumps, also known as RIPs.
24 There are 10 of those mounted on the bottom periphery
25 of the vessel. We actually only need nine of those 10

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to operate and support 100 percent power operation but
2 they did. By adopting the RIPs we were able to
3 eliminate the large break below the top of active fuel
4 as one of our significant design basis considerations.

5 Next slide, please. Nice color slide of
6 what the ABWR looks like. The main features I want to
7 point out here are the 10 reactor internal pumps.
8 They are situated again around the periphery of the
9 lower head of the RPV. You see pretty conventional
10 BWR here, the control rod guide tubes with control
11 rods in them.

12 The core plate which the guide tubes slip
13 through and then the support castings are also
14 inserted in there. The fuel assembly is sitting on
15 top of those support castings and then the top guide.
16 They are surrounded by a stainless steel shroud and
17 there is a 12 to 14-inch gap between the shroud and
18 the RPV.

19 MEMBER SHACK: And your internals are
20 welded internals in the ABWR. Right?

21 MR. BEARD: They are welded internals,
22 yes. Well, the shroud is welded. The core plate and
23 the top guide are bolted in and then tack welds to
24 make sure that nothing shakes free. Certainly the top
25 guide and core plate can take it out. We have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actually done the engineering and developed the
2 tooling to allow us to go in and cut out a shroud and
3 place it as well.

4 MEMBER SIEBER: How tall is the vessel
5 from the bottom half to the top half?

6 MR. BEARD: It's just shy of 21 meters if
7 I remember correctly.

8 MEMBER MAYNARD: To work on the internal
9 pumps there do you have to take those out from inside?

10 MR. BEARD: There's actually two things
11 you're doing. If you are going to pull the impeller
12 you pull that from the inside up through. If you
13 could work on the stater and field you actually back-
14 seat the impeller. There is an inflatable seal in
15 there and then we can go in and drop the cover plate
16 off the bottom part of the housing and go in and work
17 on the stater and the field.

18 CHAIR ABDEL-KHALIK: The impeller is
19 pulled from the downcomer and discharged towards to
20 the bottom of the vessel?

21 MR. BEARD: The impeller from grappled
22 from above and lifted up.

23 CHAIR ABDEL-KHALIK: I mean, in terms of
24 how this pump -- where is the intake?

25 MR. BEARD: Oh, I'm sorry. We are pulling

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 water from the downcomer and discharging it into the
2 bottom.

3 MEMBER SHACK: And the steam dryer design
4 here is the same as in the operating plants in Japan?

5 MR. BEARD: The same as in the ABWR
6 operating plants in Japan which is an improved version
7 of the ones we have for our BWR-3 through 6's as well
8 as the steam separators are also the new and improved
9 steam separators with the lower pressure drop through
10 them.

11 Any other questions on the basic
12 configuration?

13 MEMBER CORRADINI: If you're going to get
14 to it. I'm sorry I can't remember so I'm like you.
15 I remember ESBWR, ABWR current. In the ABWR what is
16 the fuel height?

17 MR. BEARD: Fuel height is 3.6576 meters,
18 12 feet.

19 MEMBER CORRADINI: So higher than ESBWR.

20 MR. BEARD: It's two feet wider than the
21 ESBWR. Steam separator/steam dryer. Pretty
22 conventional. We do have -- we talked about it on the
23 ESBWR but the flow orifice or restriction element is
24 built into the main steamline nozzles. We use that to
25 limit the pressure drop across the internals should we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have a double-ended guillotine break in the main steam
2 line. We also use it as the instrumentation top for
3 measuring steam flow coming out of the RPV.

4 Next slide, please. We are continuing to
5 use pressure suppression containment. The reason I
6 wanted to talk about this is when you look at the
7 following slides the way that we do pressure
8 suppression containment is a little bit different in
9 this design. It will look much more like what you
10 have seen with the ESBWR but the ABWR really
11 represented out first movement away from some of our
12 other Mark I, Mark II, Mark III designs.

13 It consist of two major elements, drywell
14 which is further divided into an upper and lower
15 section as well as a wet well which contains the
16 suppression core and what we call the suppression pool
17 and airspace. It is lined with steel to minimize the
18 leakage through the reinforced concrete. The
19 reinforced concrete is two liters thick. Large
20 reinforced with No. 18 rods. Three layers on both the
21 inner and outer faces so it is heavily reinforced and
22 the steel leakage liner on that.

23 We do inert with nitrogen during
24 operation. The result of that is when the new
25 flammability control rule was promulgated three years

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ago now, I guess, We allowed the option if you had an
2 inert containment that you could eliminate the
3 recombiners have active recombiners.

4 We have active recombiners in the design
5 previously to comply with the flammability control
6 rule. With the new updated rule we have gone back and
7 taken up that and freed up some space in the reactor
8 building and eliminated some penetrations in the
9 primary containment to contain those.

10 MEMBER CORRADINI: So the drywell as it
11 travels is inerted?

12 MR. BEARD: Yes.

13 MEMBER CORRADINI: And with the Mark --
14 now I'm going back in time. With the Mark III that we
15 currently there are not inerted but they have the
16 recombiners.

17 MR. BEARD: They didn't have recombiners.
18 They had igniters.

19 MEMBER CORRADINI: Igniters. I'm sorry.
20 Excuse me.

21 MR. BEARD: Because we have such a large
22 volume that we could not process enough air through a
23 recombiner to take care of that. Okay. Just like
24 with all the suppression containment steam released
25 during an accident or transient is routed to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 suppression pool where that steam is condensed and
2 allowed to bubble up into the suppression pool. It
3 doesn't bubble up because it is condensed. But enter
4 the non-condensable gases that might have been moving
5 with that steam as it passed through the suppression
6 pool do bubble up and accumulate in the suppression
7 pool airspace.

8 Next slide, please. So very early on GE
9 did use large dry containments but very quickly we
10 became enamored with the concept of precious
11 suppression containments. In the three operating
12 versions, at least domestically, are depicted here in
13 the center of the Mark I, Mark II and Mark III, Mark
14 I Nine Mile 1, Oyster Creek, some of the early BWR-4s,
15 Browns Ferry. Some of Exelon now use Mark I.

16 Mark II was introduced with the BWR-4 line
17 so there are some BWR-4s out there that are in Mark I
18 containments. There are some BWR-4s out there on Mark
19 II containments. Most of the BWR-5s I believe are in
20 Mark II containments. Then the BWR-6 -- all the BWR-
21 6s were put into Mark III containment. The red line
22 on here is the boundary of the primary containment so
23 you can see it's fairly large.

24 We got it fairly compact but it was pretty
25 difficult to build this. We made some simplification

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here. Still had a fairly compact primary containment.
2 We were introducing steam gap through vertical pipes
3 into the suppression pool to give us our steam
4 condensing.

5 Then we went to the Mark III where we had
6 a dry route and then there was what we call the rear
7 wall assembly so when we had steam accumulate in the
8 drywell it pushed down through and then expanded out
9 through a rear wall out into the suppression pool
10 again without the steam and then the noncondensable
11 gases that might have been accumulated there filled
12 this rather large wetwell airspace.

13 This is a free-standing steel shelf. It
14 turned out to be fairly expensive to build. Then
15 there are some other operational issues with that.
16 When we went to the ABWR we wanted to look at lessons
17 learned so we adopted the best of all the features of
18 all these three containments and this is what we came
19 up with, a fairly compact design. You see the upper
20 drywell in this location here, the lower drywell
21 underneath the RPV, and then the suppression pool and
22 the wetwell airspace out here and the annular ring
23 around the lower drywell.

24 In the event we had a live break in the
25 upper drywell, the steam now went down through what we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 called 10 vertical vents. They were about 1 meter in
2 diameter.

3 They were built into the pedestal wall and
4 then those 10 one meter diameter vents go down and
5 they are separated into three horizontal vents each
6 which is about seven meters in diameter at three
7 different elevations and that allows the steam to
8 exhaust horizontally into the suppression containment
9 again where it is condensed. Very much like what we
10 are using on the ESBWR except the suppression pool is
11 not elevated up off the base mat like we have for
12 this. Any questions on that?

13 Okay. So if you took --

14 MEMBER CORRADINI: Can you point to where
15 the vacuum break -- oh, you have it there. I'm sorry.

16 MR. BEARD: The vacuum breakers are right
17 there. The vacuum breakers in the ABWR are horizontal
18 configuration and they penetrate between the wetwell
19 airspace and into the lower drywell area and they are
20 just a very simple flap or valve type of arrangement.

21 MEMBER CORRADINI: Is this the design from
22 current operating plants or a new design?

23 MR. BEARD: It's basically what we have in
24 the current operating plants but it has been approved.
25 It has enhanced instrumentation to verify that we do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have the valve in the seated position.

2 MEMBER CORRADINI: Then I'm still
3 transitioning from my own mind, I apologize, to the
4 ESBWR. Is this the design in the ESBWR?

5 MR. BEARD: The ESBWR is using three
6 vertical valves which are located up on the diaphragm
7 floor.

8 MEMBER CORRADINI: Okay.

9 MR. BEARD: They are kind of a lift-pocket
10 type of assembly for lack of a better
11 characterization. When you have that the pressure
12 difference across that pocket will lift to lift to
13 allow the pressure to equalize between the two
14 airspaces versus the hinge valve assembly.

15 Again, you can see the vertical vent here.
16 There are 10 of those in the ABWR design, one meter in
17 diameter as it comes down through what we call the
18 pedestal wall which is this cross-hatched area comes
19 down and then you see the three horizontal vents
20 coming out into the suppression pool.

21 They are fairly uniformly spaced but there
22 are two places. I think they are at every 36. Not
23 every 36, every 30 degrees. That leaves two segments
24 where we don't have those. The reason for that is not
25 shown on this Fig. R2. Tunnels that come through the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 suppression pool and suppression pool airspace to
2 allow us to access the lower drywell area. Where
3 those goes through the pedestal wall we do not have a
4 vertical vent going down to that particular area.

5 You do see just the steam collector pipe
6 going to our X collectors. Those X collectors are
7 what we use in the operating ABWRs in Japan and
8 started running them and the ones we are also using on
9 the ESBWR. Then because it is an active plant versus
10 the passive plant we do have a standby gas treatment
11 system.

12 The area that we are defining from
13 secondary containment is within the dotted lines here.
14 You will see that it's not in all cases the absolute
15 external part of the reactor building. We do have
16 areas of the reactor building that we are maintaining
17 as non-contaminated areas that house primarily
18 electrical equipment that we want to make sure that we
19 keep clean so we can minimize the radwaste generation
20 and operational exposure. Any questions on that
21 particular slide before I move on?

22 Just a colored artist rendering cut-away.
23 Grade elevation is here. There are three elevations
24 of the ABWR below grade and then three elevations
25 above as well as the operating deck above that. There

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are three emergency diesel generators. I'm getting a
2 little bit ahead of myself but the basic approach of
3 the ABWR is we had three divisions of equipment.
4 Although it's designed under the premise of a single
5 failure plant, the reality is for almost all of the
6 transients and accidents it has an N-2 capability.

7 Those three divisions are housed in
8 different quadrants within the reactor building and so
9 Division 1 would be over in this quadrant vertically.
10 This is the Division 3 quadrant or Division 3
11 equipment is in this quadrant. Then the Division 2
12 equipment is in this far quadrant over here. This is
13 plant north going this way.

14 We have Division 1 in the northeast
15 quadrant, Division 3 in the southeast quadrant, and
16 Division 2 in the southwest quadrant. Division 4
17 houses no mechanical equipment for safety purposes.
18 It doesn't have emergency core cooling pumps. It
19 doesn't have any engineered safety feature equipment.

20 It does have the fourth division of
21 instrumentation housed in there as well as the reactor
22 water cleanup system and other things are housed over
23 in that area as well. The basic premise is the three
24 safety-related divisions of equipment are in these
25 three quadrants and then the fourth quadrant is set

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 aside for the safety-related instrumentation as well
2 as a lot of the balance in play of equipment that is
3 needed for the nuclear island.

4 Okay. Great elevation here so --

5 MEMBER SHACK: How long could this operate
6 in a station blackout?

7 MR. BEARD: That's an interesting question
8 because by the certified rule this plant is
9 characterized as an alternate AC power plant. What I
10 mean by that is we have the combustion turbine
11 generator. The combustion turbine generator is what
12 the staff, and this is part of the -- Jerry Wilson, if
13 I get this wrong. Jerry left.

14 Back in 93-087 and 90-016 phases when the
15 SECYs came out it was mandated by the commission that
16 four advanced plants that you were going to be
17 alternate AC, you were no longer going to play with
18 coping capability. From that rule perspective we are
19 characterized as alternate AC power plant.

20 The reality staff is the staff and GE
21 really like the capabilities that RCIC give us which
22 our reactor core, isolation core that is steam driven.
23 Although we are classified as alternate AC power
24 plant, RCIC by itself gives us about eight hours worth
25 of station blackout capability.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: That's not seismically
2 qualified though?

3 MR. BEARD: That's correct. Combustion
4 turbine generator is not seismically qualified. Okay.
5 So three elevations below grade. The diesel
6 generators, again this is a fairly significant change
7 from the existing plants, are actually housed inside
8 the reactor building. We wanted to minimize the
9 number of safety-related structures that we built for
10 this so you have three diesels again in the same
11 quadrants as the rest of the safety-related equipment.

12 The control building is located mostly
13 below grade and is sandwiched between the turbine
14 building and the reactor building, the control room
15 and two other elevations that are below grade. Then
16 there is a little bit of a control building that does
17 stick up above grade but, again, it is sandwiched
18 between the two buildings.

19 This is the turbine building depicted here
20 and you can see the high pressure followed by three
21 low-pressure turbines and the generator on the far
22 end. Then there is an electrical building annex built
23 onto the side to handle most of the medium voltage
24 switchgear and also house the combustion turbine
25 generator that is part of the base design.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That was all I really wanted to touch on
2 on that particular slide so I'll pause and see if you
3 have any questions before I move on.

4 CHAIR ABDEL-KHALIK: What is the capacity
5 of the spent fuel pool?

6 MR. BEARD: I'm going to have to defer
7 because I don't know. It's at least 10 years with the
8 provision for another core off-load but I think we can
9 squeeze a little bit more in there but the certified
10 design says a minimum of 10 years plus a core off-
11 load.

12 Back up one slide. I'm sorry. The spent-
13 fuel pool is this part of the pool up here on this
14 elevation. It's not the entire volume of water up
15 here because you can see that is a step that actually
16 occurs in there so the spent fuel is actually located
17 in that step off beyond where the containment wall
18 comes into the design. Not all that water up there
19 houses spent fuel. It's just this outer portion, the
20 southern most portion of the spent fuel pool.

21 CHAIR ABDEL-KHALIK: What is the rest of
22 it for?

23 MR. BEARD: The rest of it for we can
24 store things like guide tubes, fuel support castings,
25 control blades in chorus rotation that has come out we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can cut up and store in that area. The way the design
2 worked we had to provide a means to get out beyond the
3 top of the drywell to get the depth down to where we
4 need to so we just restore some of that other
5 equipment and the fuel go down that other portion.

6 MEMBER MAYNARD: Three divisions. Can one
7 division handle everything that you need?

8 MR. BEARD: If you will hold that, I will
9 get to that when I get to the slides on ACCS.

10 Next slide, please. The advanced boiling
11 water reactor, the ABWR -- the A does actually stand
12 for something in this unlike the ESBWR where the E
13 doesn't stand for anything -- has been licensed and/or
14 certified in three countries those countries being
15 Japan, Taiwan, and the United States. It is the first
16 of the Generation 3 class that was certified under NRC
17 Part 52, quite an experience for those of us who were
18 part of that. There are four currently operating in
19 Japan.

20 Up until about two months ago I could have
21 told you that those plants had experienced one
22 unplanned scram which is the result of a lighting
23 strike out in the switchyard. I'm sure you are aware
24 of the earthquake that happened at the Kashiwizaki-
25 Kariwa site. They do have seismic scrams built into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 these plants so that seismic event resulted in a scram
2 of K7 was the one that was operating.

3 K6 was the refueling so one of the ABWRs
4 that at that site experienced another unplanned scram
5 due to a seismic event. Like I said, that is part of
6 the reactor detection system circuitry over there.
7 They do have seismic scrams as part of their base
8 design.

9 There are four operating in Japan, the two
10 in Kashiwizaki and Kariwa, Shimane 3 and Hamoka 5.
11 They are continuing to build, at least Tokyo Electric
12 Power Company. ABWR is their design for the
13 foreseeable future. We also are currently involved in
14 a project in Taiwan, the Lungmen project which is two
15 ABWRs that are being built where GE has the lead on
16 those. They are moving along, unfortunately as fast
17 as we would like to. That has nothing to do with the
18 design or availability of equipment. It's been
19 primarily a political issue over there.

20 Power levels. The certified design is
21 3,926 megawatts-thermal. People scratch their head
22 and say, "Where did you come up with a number like
23 that?" The reality is in Japan they license on
24 electrical power output, not thermal power output. I
25 don't understand all the dynamics of why they do it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but the bottom line is when you back it out in Japan
2 it came out to 3,926 megawatts thermal.

3 We did bid very aggressively in Finland
4 for the opportunity to provide ABWR for the Finland 5
5 Project. When we offered that we did offer an
6 upgraded version, 4,300 megawatt-thermal. That was
7 accomplished very much like we've been doing our power
8 upgrades. The capability was already in the core.

9 We gave some enhancements in the balance
10 of the plant, steamline sizing, turbine sizing, things
11 like that. Then we did a little bit of adjustment on
12 some of our heat exchangers but bottom line is it does
13 have capability to upgrade up to about 4,390 megawatt-
14 thermal output. That will result in about 110 extra
15 megawatts-electric being generated by the plant.

16 Next slide, please.

17 MEMBER MAYNARD: Does the U.S. design have
18 a seismic trip in it?

19 MR. BEARD: My recollection is we did not,
20 no. That's not part of the RPS.

21 MEMBER MAYNARD: Personally I think that's
22 good.

23 MEMBER SIEBER: Not immediately.

24 MEMBER MAYNARD: Sometimes you don't want
25 to trip until you find out what you have.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BEARD: I can't say with 100 percent
2 certainty but my recollection is we did not have it.
3 There is seismic instrumentation but it's not part of
4 the RPS circuit.

5 MEMBER ARMIJO: Are the South Texas plants
6 going to be 1350, the certified design, or the 1460?

7 MR. SAVAGE: Actually, the 13th. That
8 slide says 1365 depending on cooling water conditions.

9 MR. BEARD: Okay. So, like we said, 3926
10 megawatt-thermal. That translates to about 1365
11 megawatt-electric gross. That is a nominal summer
12 rating for that particular plant. We are using the
13 reactor internal circ pumps which resulted in the
14 elimination of recirc piping and they are canned rotor
15 pumps.

16 They are wet fields that are in there that
17 we have no rotating seal that it's in there. Very
18 good maintenance or very low maintenance required so
19 they have been very successful. Like I said, there
20 are 10. Nine of those operating is enough to ensure
21 adequate core flow to support 100 percent power
22 operation. However, if you had one trip.

23 If you are running with 10 and you have
24 one trip, you can do 100 percent power operation but
25 before we can restart that 10th we'll actually have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drop power down to about 20 percent to get some back-
2 resistance out of the pump before we can restart it.
3 Also to give us room to make sure that we don't go
4 through 100 percent power when we introduce that.
5 That is a very quick evolution and then we are back to
6 100 percent power operation.

7 We did automate the design of the plant.
8 It has three safety systems, three divisions of safety
9 systems and the automation is such that there is no
10 operator action required the first 72 hours. Again,
11 as I have said before for the ESBWR, that doesn't
12 preclude operator action but for the first 72 hours
13 there is nothing the operator needs to do to make sure
14 that the plant stays in a safe state.

15 The design parameters. We did follow --
16 MEMBER SHACK: When are you going to
17 explain what isn't covered by three safety divisions?

18 MR. BEARD: Ten more slides. We did
19 follow the EPRI URD recommendations for the site
20 parameters, extreme wind, temperature, seismic and
21 tornado missiles. It varies from about 60 hertz to 50
22 hertz. We did do a quick .3g earthquake using the Reg
23 Guide 160 spectrum. That is not the expanded spectrum
24 that we are using for the ESBWR. Back when we were
25 certifying this high-frequency issue had not raised

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 its head yet but it is analyzed and designed for all
2 soil conditions. Now, the product or the offering in
3 Taiwan has actually been upgraded to .4g earthquake.

4 MEMBER ARMIJO: What were the first two
5 ABWRs? What was their seismic?

6 MR. BEARD: .3g roughly. There is not a
7 direct -- I've gotten the tutorial on this over the
8 past week. There is not an exact one-to-one
9 correspondence between the way the Japanese do it and
10 the way we do it but the seismic input was roughly a
11 .3g earthquake as their design basis. I know most of
12 you are aware that they exceed that by a substantial
13 margin, the earthquake that occurred.

14 Next slide please. Tornado 300 miles an
15 hour. A lot of these I just want to put up for
16 information. The temperatures with deviations -- I
17 shouldn't say deviations -- the departures for South
18 Texas for 0 percent exceedance. The design of the
19 reactor service water system will use a higher wet
20 boil temperature. 85 degrees? Is that correct?
21 Because of the very humid conditions that were down
22 there. The rest of that stays the same.

23 Next slide, please. Soil bearing
24 capacity. Again, these are all standard and I won't
25 spend a whole lot of time on them. Maximum site flood

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 level, I don't plan on going there today. Suffice it
2 to say that the maximum site flood level at South
3 Texas project is a site specific issue and Joe will
4 cover that in a lot more detail on his set of slides.

5 Minimum groundwater level. Just like for
6 all the other plants that have followed URD we don't
7 have to de-water the site. We are saying that we can
8 add that amount of bouncy with groundwater up to at
9 least two feet below the finished grade of the plant.

10 Next slide. So the site specific design
11 elements and then I will get into the heart and soul
12 of this. The circ water system, the ultimate heat
13 sink, which is reactor service water and that is
14 safety-related, off-site electrical and then make-up
15 water, other site works.

16 Next slide, please. ABWR site plan.
17 Containment inside the reactor building. Again,
18 Division 1, 3, and 2 will be in these quadrants here.
19 The steam tunnel housing the four main steam lines as
20 well as feedwater lines comes out through a
21 substantial reinforced concrete tunnel, or chase I
22 guess is a better word because it's not underground,
23 which actually goes over top of the control building
24 before it marries up with the turbine building down
25 here, the administration building over here, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 radwaste building over here, and then the turbine
2 building and the electric annex on the side of that.

3 Then we have for the ABWR the diesel
4 generator. Diesel tanks are buried underground and
5 the piping from those tanks comes through tunnels or
6 chases and then feeds to the diesel generator and
7 these three quadrants. Then you see some other
8 tunnels here. It is part of the ABWR certification
9 but all process piping will be housed in tunnels and
10 not directly buried in the soil. Questions?

11 MEMBER SHACK: The spent fuel pool then
12 would be directly at the bottom end?

13 MR. BEARD: The spent fuel pool is in that
14 part of the reactor building in that general area,
15 yes.

16 Next slide. So you can get a little
17 better idea that this is the area where we store the
18 spent fuel pool and this would be the south side.
19 Great elevation. Although in this cut-away the diesel
20 generators are lateral within this picture, they would
21 be at this particular elevation. The core, just to
22 give you an idea, would sit just about in here.

23 The core is mostly below grade. I think
24 there is maybe one foot that sticks above grade but
25 then the three elevations of reactor building below

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 grade providing this substantial capability for
2 external events that might be postulating and then, I
3 think, another 120 feet from here up to the top of the
4 roof of the reactor building.

5 Next slide.

6 CHAIR ABDEL-KHALIK: Where do the tunnels
7 for the diesel fuel lines come into this? What
8 elevation?

9 MR. BEARD: They are just below the
10 surface. They would be somewhere in this area. They
11 come in just below and then they turn up to go to the
12 fuel oil tanks, the day tanks, but they would
13 penetrate just below or come in just below grade and
14 then come up.

15 Next slide. Just an overall flowchart.
16 I won't spend a whole lot of time talking about the
17 balance of the plant. It's fairly conventional. Most
18 of what we have talked about for the ESBWR is
19 applicable over there. The design described in the
20 DCD is being changed. They are going to go more with
21 the ESBWR approach where we have four trains of pumps
22 as well as an extra filter or demineralizer to ensure
23 that they maintain 100 percent power operation on any
24 piece of equipment out of service on the balance of
25 the plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We are using motor-driven feed pumps.
2 That is another departure from the certified design.
3 The certified design had two steam-driven feed pumps
4 and one smaller auxiliary motor-driven feed pump. We
5 are now going with four 33 percent capable motor-
6 driven feed pumps for the balance of the plant.

7 Overall on the nuclear island you see two
8 of the three safety train divisions depicted by the
9 pumps and heat exchangers here and then the third
10 safety division is depicted here. I won't spend a lot
11 of time talking about it on this chart because we will
12 get into it in later charts.

13 A reactor water clean-up system which
14 takes water from the RPV, processes it, cools it a
15 little bit, and then returns it back to the RPV using
16 the connection to the one of the feedwater lines. We
17 have a suppression pool clean-up capability.

18 The pump takes suction out of the
19 suppression pool, filters it through the filters that
20 are part of the fuel pool cooling clean-up system.
21 Then that water is returned back to the suppression
22 pool. We have the spent fuel pool cooling and clean-
23 up system, water taken out of the spent fuel pool,
24 filtered, cooled, and then returned to the spent fuel
25 pool.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Standby liquid control system, single tank
2 of enriched sodium pentaborate with two positive
3 placement pumps. Those pumps are sized on accordance
4 with the ATWS rule that was promulgated by the NRC.
5 I believe they deliver somewhere on the order of 80
6 gallons per minute per pump.

7 CHAIR ABDEL-KHALIK: Are these clean-up
8 systems continuously operating or are they
9 intermittently operating?

10 MR. BEARD: The fuel pool clean-up system
11 is pretty much continuously operating. The
12 suppression pool clean-up system would only be
13 operated as needed. Now, just like we've done with
14 the ESBWR which is something we took from the ABWR,
15 all the normally wetted surfaces within the
16 suppression pool are stainless steel clad. We are not
17 putting epoxy on carbon steel to try to prevent
18 corrosion.

19 We are going to go ahead and spend the
20 extra money and put stainless steel in for the
21 cladding on those surfaces. There is a lot less
22 debris hopefully being generated in that suppression
23 group that the suppression for clean-up system needs
24 to take care of.

25 MEMBER SIEBER: Could you describe the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sump filtration?

2 MR. BEARD: For the ABWR there are not
3 sumps per se. There are equipment sumps and equipment
4 drain sumps that are located down here in this part of
5 the containment but there is no sump that collects the
6 water.

7 MEMBER SIEBER: Debris.

8 MR. BEARD: Debris. It either comes down
9 through the connecting vents whether it be carried
10 over by water flushing it down there or by the high-
11 pressure steam flow. Then we do have the strainer
12 issues that address the rest of it there. There are
13 specific requirements and I think they have been
14 amended as part of the COLA to update the most recent
15 NRC guidance on what the size of the particular
16 strainers needs to be.

17 MEMBER SIEBER: But your largest break is
18 how big?

19 MR. BEARD: It would still be a main
20 steamline so 28 inches.

21 MEMBER SIEBER: Right.

22 MR. BEARD: Within the DCD there are
23 specific criteria about figuring out where the break
24 location is, how much debris is generated, what is the
25 damage area. Conservatively we committed to say all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that debris gets swepted directly into the pool and is
2 available for transport to the suction strainers in
3 there.

4 MEMBER SIEBER: Do you think that you will
5 be able to meet whatever comes out of the next round
6 of questions on BWR sump strainer?

7 MR. BEARD: I'm not familiar enough with
8 that issue to make a comment.

9 CRD hydraulics. I don't want to spend a
10 lot of time because I know you guys want to get into
11 the emergency core cooling system so next slide.
12 Okay. BWR-4 typical, BWR-5 and 6 and then ABWR. BWR-
13 4, in effect we have two trains each of which is about
14 100 percent capability. As we are going across here
15 I want you to be looking down here at all this. A
16 low-pressure capacity 42,000 gallons per minute of
17 water that we could move.

18 That was because we had 12 fairly
19 significant break location for below the top of active
20 fuel. Even though the 42,000 gallons per minute are
21 peak clad temperatures well below what is allowed, or
22 permitted, I should say, at 1,600 versus 2,100 but
23 still some heat-up of fuel going on. We did have
24 operator action required to ensure that occurred. Two
25 trains, limited high pressure capability. We had low-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pressure core sprays and low-pressure cooling
2 ejection.

3 Core sprays were actually crediting
4 distribution of water over top of the fuel and then
5 that water dropping down through the fuel channels.
6 LPCI was actually injecting through the core shroud
7 but right outside and then allowed to start to fill-up
8 the two-third core height that we had so that one was
9 water coming back up through the bottom of the fuel
10 assemblies and then cooling with submergence as well
11 as steam cooling from the top of it.

12 Then the HPCI pump is steam driven pump
13 provide us capability at high pressure. Pretty much
14 just two divisions and then we have an automatic
15 depressurization system to allow the low pressure
16 systems to come in. Only a single capability with the
17 high pressure. We only had typically two diesel
18 generators or two trains of diesel generators to
19 support this.

20 With the BWR-6 we went to our three-train
21 approach. Our low-pressure trains were train 1 and
22 train 2. Then we had a high-pressure core spray which
23 was what I'll call train 3. I don't remember the
24 exact designators. We had a dedicated diesel
25 generator for Division 1, diesel generator for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Division 2.

2 Then there was a dedicated diesel that
3 served only the high-pressure core spray system so we
4 went from HPCI, which is kind of a high-pressure core
5 objection steam-driven pump to a high-pressure core
6 spray which is a motor driven electric pump which had
7 its own dedicated diesel.

8 Again, single capability for high
9 pressure, two divisions of low pressure capability.
10 We still have the large line break but some of the
11 enhancements we made up there a lot less water needs
12 to be moved and we get lower peak clad temperatures as
13 a result is transient accident.

14 When we went to the ABWR we actually went
15 to three separate trains. Typically some of the
16 charts we have this ADS would actually be in the crust
17 up here. We have both and high-pressure and low-
18 pressure capability within each of the three trains.

19 The question was raised earlier what is
20 the capability of each of those divisions? Our
21 analysis was a single failure so we always try to get
22 two divisions of equipment being there. When we
23 sharpen the pencil later we have actually determined
24 that any one of these divisions operating ensures
25 adequate core cooling.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 A little tricky thing that went on here.
2 There are five motor-driven pumps in here and I
3 haven't really described this. Reactor core,
4 isolation core, and there is a steam driven high-
5 pressure cooling pump. We are incorporating a new
6 steam-driven RCIC pump as part of the South Texas
7 application. What is different about that? The old
8 RCIC here that was part of the certified design was
9 based on turbine technology so we had a separate steam
10 turbine and a separate pump.

11 The Weir pump, which is out of a company
12 from Scotland which has been providing these nuclear-
13 grade pumps to the British Navy for a number of years,
14 is a single consolidated unit, much more fault-
15 tolerant. The RCIC pump has two flow speeds, 800
16 gallons a minute and 400 gallons per minute. It was
17 not a variable flow type of pump. The new Weir pump
18 actually gives the operator the capability to vary the
19 speed of the pump, to vary the amount of coolant that
20 he is injecting in the vessel.

21 Why is that significant? With the old
22 RCIC early on when you had a lot of decay heat there
23 you are making up, making up and so it may be quite a
24 while because I'm basically steaming off that full 800
25 gallons a minute that I'm putting in there but as I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 start to come down to the decay heat now I start to
2 refill the vessel and automatically because, remember,
3 we automated everything in this design, at some point
4 it would refill the vessel up to what we call Level 8
5 where the pump would be tripped.

6 Then we have no cooling made up for a
7 station blackout condition so the water level starts
8 going down because I've got safety relief valves
9 allowing that steam to go out and it would drop back
10 down to Level 2 which is an automatic initiation
11 standpoint. Well, from an operational standpoint
12 on/off, on/off eventually is going to cause you
13 problems. When you want it to go back on it's not
14 going to come back on.

15 With the new rear RCIC, although operator
16 actions are not required, he has the capability to go
17 in there and say, okay, I'm getting up toward Level 8
18 which means I'm putting in more coolant than I am
19 steam and he could back down the fill rate so that it
20 gets to the point that you are actually maintaining a
21 pretty steady water level and the RCIC pump is not
22 cycling on and off.

23 CHAIR ABDEL-KHALIK: Now, 800 gpm is a
24 little less than 4 percent decay heat?

25 MR. BEARD: Correct. The sizing base is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the 800 gpm is such that should we have an isolation
2 event with a scram with RCIC coming on at its
3 predetermined setpoint that it will provide enough
4 coolant such that we don't have water level drop below
5 the next initiation standpoint which is where the
6 high-pressure core flooders will come on and it will
7 actually prevent it from dropping up one and then come
8 back up. Nominally it is sized to match the decay
9 heat load somewhere about 15 minutes after shutdown
10 but the real basis is we don't want it to drop that
11 Level 1.5 when the high-pressure core flow is coming.

12 MEMBER CORRADINI: So can you repeat what
13 you said to start off this discussion which is you
14 turned it to red because your analysis said that
15 anyone of the legs can provide the electrical power
16 for all the functions. That's what I heard you say.
17 Did I understand it right?

18 MR. BEARD: No.

19 MEMBER CORRADINI: Okay. So could you
20 repeat it?

21 MR. BEARD: There are five motor-driven
22 pumps here. I've got motor-driven high-pressure core
23 flooders, two of those, and three low-pressure
24 flooders, LPFLs. Anyone of those five motor-driven
25 pumps being powered is enough to get enough water into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the RPV to ensure adequate core cooling.

2 MEMBER CORRADINI: Right. And any one
3 train provides -- any one of the diesels -- unless I
4 misunderstood, didn't you then say any one of the
5 diesel generators provides the essential power for
6 that?

7 MR. BEARD: Correct.

8 MEMBER CORRADINI: Okay.

9 MR. BEARD: The reason we never got to go
10 into N-2 is because of RCIC. RCIC -- Dennis will talk
11 to this in a lot more detail. When we certified RCIC
12 was providing about -- let me back up. When we did
13 the PRA for the certified design it turned out about
14 70 percent of our core damage frequency was the result
15 of AC power events so RCIC is a real strong mitigator
16 of loss of AC power events. It carries a very
17 significant capability.

18 The later PRAs, as Dennis has been telling
19 me, we've gotten that loss of AC power but not to be
20 quite as dominant but still the dominant sequence but
21 able to knock it down. What happens is when we start
22 doing the N-2 game you say, "I've got an entire
23 division out of service," and then you postulate that
24 the single failure that you're going to look at
25 disables another entire division of equipment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Then if you say the initiating event is
2 the ejection path used to return water back to the RPV
3 in Division 1, the low-pressure ejection path, that
4 does two things. One, it takes away my ejection path
5 and, two, it depressorizes the vessel and takes away
6 my motive force for RCIC. That is the one case where
7 we can't say that we ran N-2.

8 MR. HENNEKE: This is Dennis Henneke, I'm
9 a PRA. This diagram is really the start. When you
10 look at why the risk on the ABWR is so low it really
11 starts in this here. It's not just a three-train
12 system. In most events, loss of feedwater event,
13 typical reactor trip use high-pressure injection. You
14 have to start with feedwater. If that is not
15 available, you can go to high pressure. If that is
16 not available, depressurize and go to low pressure.

17 Really what you're talking about here for
18 most events are three trains with two possible ways to
19 provide core protection. By increasing the defense in
20 the high pressure and that combined with later on
21 we'll talk about the AC power with three diesels and
22 a combustion turbine and the addition of AC-
23 independent water additional fire protection feed-in
24 you are creating a lot more defense for the more
25 typical events like a reactor trip or loss of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 feedwater event.

2 For the things that we have tried to
3 mitigate by removing the recirculation pump piping,
4 the large LOCAs, medium LOCAs, we have still adequate
5 defense but we don't require basically six pumps for
6 that design. You can keep that concept in your mind.
7 This is really why the risk of the plant is so low.
8 It's this full-defense event for almost all events.

9 MR. BEARD: That is a key point and I was
10 going to emphasize that later. The three divisions of
11 high-pressure capability really lend itself to the
12 fact that for a lot of our transients and our small
13 break LOCAs we never need to depressure the vessel.
14 We could keep adequate cooling in the core and not
15 have to go through that pretty significant transient
16 of opening up the SRVs allowing the thing to blow down
17 if the low-pressure ejection is going down. That is
18 very significant.

19 Again, automated for 72 hours and for the
20 analyzed conditions we never have the core uncovered
21 with the ABWR. We get close but we never uncover the
22 core. It's not like the ESBWR where we get a lot of
23 water on the top of it. We never uncover the core
24 and, therefore, very little core heat-up.

25 Next slide. Division of separation. I've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probably spoken to this a lot already, Division A, B,
2 and C. Those are kind of our mechanical things. Then
3 from the I&C perspective you see Division 1, 2, 3, and
4 4 and basically the quadrant separation throughout the
5 reactor building to achieve that.

6 Next slide, This is kind of rehashing
7 what we talked about already but redundancy and
8 diversity. Three divisions and each having both high
9 and low pressure capability. The high pressure
10 capability, two of those divisions have motor-driven
11 high-pressure core flooders, PCF. Then the third
12 division has a steam driven reactor core isolation
13 cooling pump. Like I described, the reason we have
14 that RCIC pump in there is to give us that substantial
15 benefit when we start looking at loss of AC power
16 events.

17 On the low-pressure side all three
18 divisions we use the automatic depressurization system
19 to bring the pressure of the vessel down. Then all
20 three trains have residual heating removal system.
21 The RHR actually is capable of operating in six
22 different distinct modes. Three of those modes are
23 safety related. There is the low-pressure flooders
24 mode, the suppression cooling mode, and the
25 containment spray mode.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 When I get to residual heat we will talk
2 about some of the improvements that have been made in
3 the design of RHR relative to the operating fleet but
4 also give us enhanced availability capabilities so
5 that the bottom three divisions each division has both
6 high and low-pressure capability.

7 Next slide, please. All three divisions
8 are mechanically and electrically separated. Again,
9 Dr. Shack will verify this. As part of the 93-087 and
10 90-016 they said no longer are you allowed to credit
11 physical distance as a means of providing separation
12 for fires. You need to put in three-hour fire
13 barriers between your safety related trays. There is
14 none of this 20 feet 6 meters worth of separation used
15 to credit that a fire over on this cable tray doesn't
16 take out this cable tray.

17 We do have entire physical separation
18 between our mechanical and electrical for all three of
19 our safety-related trays. That is for the core
20 cooling function heat removal and the emergency diesel
21 generators.

22 MEMBER SIEBER: Now, is that separation,
23 physical separation, part of the building structure or
24 some kind of, I shouldn't say it, but thermal like
25 kind of reactor?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BEARD: No. It's reinforced concrete
2 partitions with fibers through and fire seals wherever
3 we have --

4 MEMBER SIEBER: I assume the three-hour
5 barriers consist of-

6 MR. BEARD: Yes, you can. With the
7 exception of possibly one or two places in the control
8 building we are not using steel studs and three layers
9 of sheetrock on either side to get that barrier. We
10 are using masonry construction.

11 MEMBER SIEBER: Where are your exceptions?

12 MR. BEARD: I think they are in the
13 control building. They may have been eliminated since
14 I last saw the design.

15 MEMBER SIEBER: Cable spreading or
16 something like that?

17 MR. BEARD: There is no cable spreading
18 per se but some of the back panel areas might have had
19 barriers put up in them. I just don't remember.

20 MEMBER SIEBER: Somehow I remember Carlyle
21 Michaelson worrying about your ventilation system and
22 you smoke between the three divisions.

23 MR. BEARD: Yes. To address that --
24 thanks for bringing up those painful memories -- a lot
25 of issues that Carlyle, a dear friend, brought up, one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of those being propagation of smoke. The HVAC system
2 for the reactor building and control building is set
3 up such that should we experience a fire in a
4 divisional area we will bring that area in negative
5 relative to the other surrounding areas and we'll
6 slightly pressurize the surrounding areas to we
7 believe eliminate but it certainly minimizes and
8 mitigates the propagation of smoke from the affective
9 division to the nonaffected division.

10 MEMBER SIEBER: Is that automatic or just

11 --

12 MR. BEARD: That is automatic.

13 MEMBER SIEBER: What do you do, trip a --

14 MR. BEARD: Yeah. Typically what we do is
15 -- I'm trying to remember back here all the details.
16 I think each one of those division areas have two
17 supply fans, two exhaust fans. We trip the supply fan
18 to the affected area. We start the standby fan of the
19 affected area and we start the standby supply fans to
20 the nonaffected areas.

21 MEMBER SIEBER: Okay.

22 MR. BEARD: Then there is some
23 repositioning of the dampers. Station blackout, as I
24 said, by rule we are classified as a alternate AC
25 power plant being the combustion turbine generator is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what satisfies the station blackout. Having said
2 that, steam driven RCIC pump certainly provides us
3 with a lot of capability. As Dennis indicated, we
4 also have built into the plant hard-piped connections
5 to the off-site fire protection system which also
6 allows to directly eject water into the RVP.

7 MEMBER SIEBER: What is the size of the
8 combustion turbine generator?

9 MR. BEARD: The combustion turbine
10 generator is nominally 20 megawatts.

11 MEMBER SIEBER: If your diesels fail that
12 could be used?

13 MR. BEARD: Yeah. It has the capability at
14 an absolute minimum to power two of the three trains
15 in reality with careful management by the operators
16 that can power all three.

17 MEMBER SIEBER: Okay.

18 MR. BEARD: If the diesel generators
19 operate then we use combustion turbine generator again
20 like the ESBWR to power our plant investment
21 protection modes.

22 MEMBER SIEBER: Okay.

23 MR. BEARD: Lube oil pumps and things like
24 that. It is serving a dual purpose. Part of the
25 reason is there for plant investment protection.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 However, if none of our diesels start then we can
2 power up the other.

3 MEMBER SIEBER: Is that repowering
4 automatic or is it operator-actuated?

5 MR. BEARD: I do not remember.

6 MR. HENNEKE: Of the emergency vessels for
7 CTG?

8 MR. BEARD: PIP bus transfer.

9 MR. HENNEKE: Oh.

10 MR. BEARD: If the diesels fail to start
11 does the PIP bus automatically connect to the diesel
12 busses?

13 MR. HENNEKE: I don't know that. I know
14 the CTG has a manual alignment to the failed emergency
15 vessel.

16 MR. BEARD: So it is a manual action. The
17 CTG itself does auto-start on loss of off-site pumps.

18 Okay. One of the improvements with the
19 RHR system is the suppression core infarction is
20 automated. Earlier designs the heat exchanger was not
21 normally valved into the flow path. This is something
22 that the operator went through to valve in and pull
23 water through the heat exchanger. With the design of
24 the ABWR the heat exchanger is always on the flowpath
25 so whenever we turn on the RHR pumps we are taking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 heat out of the water that was circulating through.

2 Next slide, please. That eliminates some
3 of the complex transfer modes that we have. It also
4 helped us reduce the valves and piping by about a
5 third. It also helped us to reduce the required
6 capacity significantly. The duty during transients,
7 like I said, N-2 capability at high pressure. High
8 pressure we are characterizing either as an isolation
9 event or a small break LOCA. Any of the three high
10 pressure capabilities can handle those transients so
11 N-2 capability at high pressure.

12 What does that help us do? It helps
13 reduce the need for ADS although we do have
14 substantial capability. No fuel uncover for any of
15 the pipe breaks that we look at. And then to address
16 the ISLOCA considerations, it started to become a
17 prominent concern late in the certification process.

18 GE committed to an analysis that would
19 demonstrate that the design pressure was at least 40
20 percent of the operating pressure of the RPV and the
21 justification for that was that at 40 percent of 1,040
22 so nominally 450 pound design pressure. If you should
23 ever expose that piping inadvertently to radio reactor
24 pressure that we would not rupture the pipe, it might
25 go into yield conditions but we would not rupture and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 create a LOCA scenario.

2 Next slide.

3 MEMBER MAYNARD: With the heat exchanger
4 for the suppression pool always in the system, does
5 that mean the RHR could be doing flections at the same
6 time?

7 MR. BEARD: Correct. What it really means
8 is -- this is a great slide to bring that question up
9 -- if we've had to depressurize and we are using low-
10 pressure flooder, we poor water out of the suppression
11 pool with the pump, push it through the heat
12 exchanger, and then return it back to the RPV.

13 MEMBER CORRADINI: And before they had to
14 valve that in?

15 MR. BEARD: Before they had to valve that
16 in. Initially we would bypass around the heat
17 exchanger. We were just pulling water out of the
18 suppression pool and then ejecting it into the RPV and
19 then the operators had to go through the alignment
20 process to valve the water in there and get the closed
21 cooling water running on one side and the other side
22 running on the other.

23 Probably a 10-minute evolution. This is
24 all set up so that it's sitting there doing that
25 normally. Then we start to pull water with that pump

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and it goes through the heat exchanger. Then there
2 are various return paths depending on what we want it
3 to be doing.

4 MEMBER CORRADINI: What was the logic that
5 it was originally chosen to be valve done?

6 MR. BEARD: I think probably -- I think in
7 part because they are carbon steel heat exchangers
8 there were issues with corrosion products that they
9 didn't necessarily want to get flushed into places
10 until they determined they really needed the heat
11 removal capability.

12 MEMBER CORRADINI: And now the material is
13 different?

14 MR. BEARD: The material is different. We
15 recognize the safety benefits of doing that.
16 Certainly there are corrosion products in there but
17 because we do use RHRs for shutdown cooling in this
18 design, but before we do that we'll flush out the heat
19 exchanger and all the piping before we actually
20 connect it to the RPV to do shutdown cooling
21 operational changes and some safety considerations.

22 MEMBER CORRADINI: The heat exchanger you
23 made mention the materials are different. What is the
24 material now, carbon steel?

25 MR. BEARD: I think it's still a carbon

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 steel shell but we may have gone to a corrosion-
2 resistant tube. Okay. The three trains, train one
3 with the RCIC pump, train B, high pressure and low
4 pressure and the same thing over here. The high-
5 pressure pumps whether it be RCIC or the high-pressure
6 core flooders preferably will draw water from the
7 condensate tank. The reason for that is condensate
8 storage tank is high-grade water.

9 High-pressure systems are there to respond
10 to transients. If we are going to be injecting water
11 with the ECC systems we prefer that it be of a high
12 grade. However, the CST itself is not a safety
13 related structure so all three -- actually all six
14 pumps also have the capability to take suction from
15 the suppression pool and will put that water back in
16 the RPV. Now, as I said, preferably sucking off the
17 condensate storage tank.

18 At some point based on either low-level in
19 the condensate storage tank or elevated water level in
20 the suppression pool those high-pressure pumps will
21 automatically switch over to suction directly from the
22 suppression pool but that shouldn't occur for at least
23 eight hours if everything is normally aligned. There
24 are also provisions that the amount of water that is
25 dedicated within the condensate storage tank is enough

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to ensure, I believe, eight hours of injection for
2 isolated RPV.

3 That was accomplished by having a
4 standpipe in the condensate storage tank. For all the
5 other uses in condensate storage they could only draw
6 down to a certain level and then the bottom part of
7 the CST was reserved for the high-pressure pumps.

8 CHAIR ABDEL-KHALIK: What is the capacity
9 of the condensate storage tank?

10 MR. BEARD: Nominally it's about 500,000
11 gallons. My recollection is if you did the math I
12 think we have 180,000 gallons per minute dedicated by
13 the standpipe.

14 CHAIR ABDEL-KHALIK: 180,000 gallons?

15 MR. BEARD: Yes. We were assuming we were
16 running that 800,000 gallons a minute continuously
17 through that eight hours.

18 Next slide. This is a more complicated
19 figure of that but it shows the various modes of
20 operation for all these pumps and systems. You can
21 study that at your leisure. One of the modes that I
22 hadn't talked about yet is the HRH systems do have the
23 ability to spray the supper drywell as well as the
24 lower drywell. Two of the three trains actually have
25 that capability. Not all three trains do.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Another mode that we talk about fuel pool
2 cooling support. One of the changes again that is
3 being made for South Texas is that is has been
4 increased so all three trains can now provide support
5 for the fuel pool cooling system. The certified
6 design only had a cross connected to two.

7 That is a manual alignment that occurs.
8 The reason for that is the spent fuel cooling system
9 is not safety related so that if we were in an
10 extended period where we didn't have spent fuel pool
11 cooling for whatever reason we can use RHR to remove
12 the decay heat from the spent fuel pool.

13 MEMBER CORRADINI: I've been looking at
14 the curve. Tell me again the last part of what you
15 just said, that you can use the orange RHR-1 or
16 Division 3 to cool the fuel pump? Is that what you
17 just said? I'm sorry.

18 MR. BEARD: Well, I've got to get myself
19 oriented here.

20 MEMBER CORRADINI: The orange is the one
21 that's got the black line connected to the orange?

22 MR. BEARD: It may be in the interest of
23 simplifying the design we don't show the connection
24 from the fuel pool down to the RHR suction but there
25 is a line that would come down here and then allow us

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to pump the water through the heat exchange and then
2 return it back. That exist on two -- in the certified
3 design that exist on two to three trains. South Texas
4 is committing that would be available for all three
5 trains.

6 Next slide. I'm going to put my marketing
7 hat on just for a second. Mark asked me not to do too
8 much marketing but this is not a paper-designed plant.
9 We've had several built. We are building them in
10 Lungmen so that is a 3-D that you are looking at there
11 of all the safety-related piping or ESF piping. We
12 have done all the calculations, all the routing.

13 We know what the penetrations are through
14 floors and walls. We know where all the hangers go.
15 We know all the bend radiuses and all the materials.
16 This is not a paper design and that is one of the
17 reasons South Texas chose the ABWR was when they felt
18 they could get to commercial operation very quickly
19 with very little risk.

20 Next slide. I'll take my marketing hat
21 off.

22 CHAIR ABDEL-KHALIK: Okay. We'll remember
23 what to ask when you put on your ESBWR hat.

24 MR. BEARD: Okay. So I'll spend just a
25 little bit of time talking about the three different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ECC systems, reactor cooling, isolation cooling. Flow
2 rate is 800 gallons per minute. That will be the
3 case, the maximum flow rate for either the certified
4 design using the old Terry turbine or the new design
5 using the new rear pump, 800 gallons per minute
6 capability as I described. That is based on making
7 sure if I have an isolation event with nothing else
8 going on that I don't get down below 1.5 to initiate
9 high-pressure core flooders.

10 MEMBER CORRADINI: So just repeat, though.
11 I want to make sure I understand the difference. The
12 Terry turbine design is on and off the two flow
13 levels. This Weir design that you said you were going
14 to replace it with is variable flow up to 800 GPM.

15 MR. BEARD: Correct.

16 MEMBER CORRADINI: How is the variable
17 flow handled?

18 MR. BEARD: That is part of the steam
19 emission supply.

20 MEMBER CORRADINI: It's just a different
21 valving?

22 MR. BEARD: The Terry turbine operated it
23 at two speeds. The Weir pump can operate at multiple
24 speeds so that is just adjusted by positioning the
25 steam inlet valve to the turbine itself.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HENNEKE: Some of the PWR auxiliary
2 feedwater turbine pumps are Weir pumps designed for
3 many years. They have been used in that mode.

4 MEMBER SIEBER: The control system --

5 MS. BANERJEE: I'm sorry. Jack, did you
6 have a question?

7 MEMBER SIEBER: Yes. The control system
8 for that is governor and what you are doing is
9 changing the set point on the governor?

10 MR. BEARD: I have to plead that I'm
11 outside of my area of knowledge.

12 MEMBER SIEBER: You aren't just changing
13 the valve position in the setpoint?

14 MR. HENNEKE: I'm not sure either.

15 MS. BANERJEE: I was just wondering you
16 said no operator action required for the first 72
17 hours. How is this adjustment made?

18 COURT REPORTER: Can you use the
19 microphone, please?

20 MS. BANERJEE: This is Maitri Banerjee,
21 ACRS staff. I was wondering about the 72 hours
22 initially not requiring any operator action. How is
23 this adjustment made to the RCIC flow?

24 MR. BEARD: The answer is, like I said,
25 the 72-hour automated capability is we don't require

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operator action. We don't prevent it. This is a case
2 where if we had an isolation transit, let's say, the
3 pump comes on at 800 gallons per minute. I'm
4 steaming, steaming, steaming. My water level is going
5 to drop and it's going to be probably 45 minutes to an
6 hour before I start to refill that and start to come
7 back up to the trip setpoint.

8 In that 45 minutes the operator certainly
9 has had time to analyze what the transient was, what
10 is the status of the plant. He can now make a
11 conscious decision do I want it to go up and
12 automatically trip off on high level and restart when
13 it gets down to level two again or do I want to step
14 in and adjust the flow rate such that I start to try
15 and get to maintaining water level at my normal
16 operating level.

17 That is what it is. It is going to be an
18 operator action recognizing filling the vessel and
19 getting up toward my trip setpoint. I want to prevent
20 that. How do I do that? I'm going to ratchet back the
21 flow rate.

22 CHAIR ABDEL-KHALIK: Isn't this a nuisance
23 thing for the operator that he has to adjust the flow
24 continuously by monitoring the level?

25 MR. BEARD: No, I don't think it's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nuisance thing at all. I mean, it is going to be once
2 you get close you allow it to swing several feet
3 before you worry about it. I'll set it to one point
4 and I'll see water levels start creeping up and so
5 I'll dial it down so that I see it start to drop.
6 Like I said, 45 minutes to an hour into the event it
7 should pretty well stabilize at that point if you've
8 ever sat on one of these simulators and it got to that
9 point. The really exciting stuff is in the first 30
10 seconds.

11 MEMBER SIEBER: Before you get to the
12 question I asked which is the control valve or control
13 governor, the third question which I didn't ask
14 because the first one couldn't be answered does the
15 signal system look at basically level or does the
16 operator actually have to occasionally adjust it?

17 MR. BEARD: I think the answer to your
18 third question is it is definitely intervention.
19 There is no feedback from vessel level to the control
20 circuitry.

21 MEMBER SIEBER: More than likely since
22 it's an inexpensive some kind of automatic system.

23 MR. BEARD: Keep in mind, too, that we are
24 crediting RCIC as a substantial part of station
25 blackout so we don't want unnecessary electrical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bleeding the batteries. If I had to instrument all
2 that and provide that as part of my feedback loop, I'm
3 going to be chewing up my DC batteries pretty
4 significantly.

5 MEMBER MAYNARD: If the operator takes
6 action to adjust the flow, reduces flow, and then
7 something comes up, he gets busy, the level goes down,
8 hits the setpoint, will that kick back to a higher
9 flow automatically?

10 MR. BEARD: Dennis, do you know the
11 definitive answer? My understanding is yes, it would
12 do that. It would retrip to its full or reinitiate to
13 its flow rate.

14 MEMBER MAYNARD: If it didn't, it would be
15 a situation where it would no longer be controlling
16 it.

17 MR. BEARD: I can't say with 100 percent
18 certainty that is the case but that is my
19 understanding of the design.

20 MR. SAVAGE: This is Joe Savage of GE
21 Hitachi. Let me read just a little bit from the RCIC
22 turbine pump departure which, of course, we'll talk
23 about some more later. I think it answers some of the
24 questions you all were asking.

25 The pump is supported on a pedestal,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fabricated steel base, formed by a pump casing with
2 essential water chamber. The monoblock construction
3 of the pump eliminates the need for alignment between
4 pump and turbine. The operating state of the pump is
5 governed by the turbine control subsystem which
6 regulates the quality of staying to the turbine based
7 on discharge pressure.

8 The main elements of the control gear are
9 the steam stop valve, the throttle valve, and the
10 pressure governor. The pump is also provided with
11 electrical and mechanical overspeed trip mechanisms
12 which close the steam stop valve when the speed
13 exceeds predetermined levels and speed measurement is
14 provided constantly by an electronic tachometer.

15 MEMBER SIEBER: That really doesn't answer
16 the question but thank you. I read that, too.

17 MR. BEARD: We will take the answer to
18 find out the answer and communicate it back.

19 MEMBER SIEBER: All that says is you are
20 controlling the governor and you are still going to
21 get variations in level. You are going to have to do
22 something about it from time to time.

23 MR. BEARD: Certainly if that is not the
24 case we are going to get the common affect from the
25 ACRS and we will go back and fix the design and we say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thank you.

2 It is an AC independent system. There are
3 batteries within the division in an electrical supply
4 system to power that. We are using steam for the
5 motor force. It does mitigate station blackout as
6 I've said a couple times before. By rule we are an
7 alternate AC power plant. We are not an AC
8 independent power plant.

9 Two water sources, suppression cool which
10 is the safety but the preferred suction off the
11 condensate storage tank. Like I said, there is
12 dedicated water within the CST for eight hours of
13 operation of the RCIC turbine.

14 The other benefit of the new RCIC turbine
15 is it is much more tolerant of elevated water
16 temperature being pulled into the pump. It is a self-
17 cooled pump. we are using some improved lubricants in
18 it. Just the tolerances on the clearances and all
19 that we can move a lot hotter water with the new Weir
20 pump than we could possibly do with the old Terry
21 turbine.

22 MEMBER SIEBER: The topical report says it
23 has no internal seals. How do you keep the lubricant
24 from getting into the water?

25 MR. SAVAGE: This is Joe Savage of GE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Hitachi. It is water protected. All the lubrication
2 is water proof.

3 MR. BEARD: I was talking more of the
4 turbine side.

5 MEMBER SIEBER: It's all one block.
6 Everything. The bearings should be water. It's a
7 canned pump in effect.

8 MR. SAVAGE: Yes.

9 MR. BEARD: Next slide. Just graphically
10 this actually is the old Terry turbine because the
11 need for the small bypass is no longer needed with the
12 new rear pump. We pump into one of the main
13 steamlines for steam supply and you have continued
14 isolation valves but then going upward and then the
15 stop valve here. Normally we have steam up to the
16 stop valve. We open up the stop valve.

17 It's not shown on here but the control
18 valve and steam introduced to the turbine, most of the
19 energy extracted from the steam, and then the
20 resulting steam is exhausted through a
21 quencher/sparger that is located in the suppression
22 pool and that piping comes out inside the room where
23 the RCIC pump is actually housed. It spins the pump
24 again taking suction either from the suppression pool
25 or from the condensate storage tank and then check

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that water back to the RPV using the B feedwater line.

2 CHAIR ABDEL-KHALIK: You said the bypass
3 line is not needed for the new model block?

4 MR. BEARD: That's what I said. Let me
5 look at it because I noticed Dennis Henneke. Is that
6 not true?

7 MR. HENNEKE: I don't recall. It wasn't
8 in our model so.

9 MR. BEARD: One of the issues with the
10 Terry Turbine was it had a tendency to overspeed when
11 you first started it up so that is why we had this in.
12 My understanding the Weir is must less likely to
13 overspeed so we don't need that bypass.

14 MEMBER SIEBER: The reason for that is,
15 and you're going to have it with this one, too, if it
16 isn't heated you don't have some flow through there,
17 a little bit of flow, it will cool off and you will
18 condense a slug of water in there. Then when you open
19 the valve that slug of water will go through the
20 turbine and expand and you are going to get a big kick
21 out of it.

22 There is no difference between a Terry
23 turbine and a can turbine in regard to the steam
24 conditions coming in. You probably have done
25 something to keep the line hot and that is from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bypass down to the turbine but it's not shown there.

2 MEMBER CORRADINI: You would probably
3 change the point of the valving, wouldn't you?

4 MEMBER SIEBER: You probably have a bypass
5 valve in there some place.

6 MR. BEARD: We can check into that. Then
7 the other significant element is there is a keepfill
8 pump located here taking water from the suppression
9 pool and making sure that we keep the discharge line
10 always full. That is relying on safety related
11 electrical power to operate that pump the theory being
12 for the short period of time of you are in a station
13 blackout before this pump initiates not much of that
14 water will drain back through the check valves. That
15 is help minimize or eliminate water hammer event when
16 you first start this pump up.

17 Next slide then, please. Okay. RCIC was
18 one of the three high-pressure capability and then we
19 have the two motor-driven high-pressure core flooders.
20 At rated reactor pressure they are going to deliberate
21 how many gallons per minute but they are not a fixed
22 volume flow so as the back-pressure on the discharge
23 falls off as we get down to a depressurized state,
24 that flood will increase to 3,200. Why is that
25 significant?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It says not only am I handling small-break
2 LOCA up to 800 gallons per minute. Even if I get LOCA
3 sizes that are larger than that and I start to
4 depressurize the vessel, the flow rate out of my high-
5 pressure core flush is going to increase and, again,
6 may help us to avoid having to depressurize the
7 vessel. Or if we need to depressurize it, that is 727
8 meters cubed, 3,200 gallons per minute, again is
9 sufficient in and of its own right to provide adequate
10 core cooling.

11 CHAIR ABDEL-KHALIK: So this is the run-
12 out capacity of the pumps?

13 MR. BEARD: Run-out capacity of the pumps,
14 yes. They have a very wide operating range. It just
15 dawned on me that it's not on these slides. I don't
16 think it's on the next slide. One of the PRA insights
17 that we gained was we have a commitment that we have
18 to do, I believe, a factory test or at least a factory
19 analysis that even if the suppression pool water
20 temperatures are elevated that we need to be able to
21 move at least half of the rated flow using these motor
22 driven pumps.

23 There is some net-positive suction net
24 calculations and cavitation considerations that go
25 into that particular design. That was, again, if we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 had for whatever reason degraded heat rule for the
2 suppression pool we still had capability to at least
3 move some water using these high-pressure core flooders
4 pumps even though the temperature of the suppression
5 pool might be significantly elevated. Same as RCIC
6 preferred from the condensate storage tank because the
7 safety body of water is considered to be the
8 suppression pool.

9 Next slide. Mr. Chairman, did you have a
10 break built in anywhere?

11 CHAIR ABDEL-KHALIK: 2:15.

12 MR. BEARD: 2:15. Okay.

13 CHAIR ABDEL-KHALIK: Is there a convenient
14 time?

15 MR. BEARD: No, I was just wondering.
16 High pressure core flooders. Very simple, take water
17 and throw in the condensate storage tank or from the
18 suppression pool and inject it up into the RPV. You
19 will notice that the standby liquid control line, at
20 least one of them, connects into that same flow path
21 to allow the injection of sodium pentaborate into the
22 RPV using the sparger assembler that is located with
23 the high-pressure core flooders.

24 MEMBER SIEBER: That is your ATWS
25 mitigation?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BEARD: That is part of our ATWS
2 mitigation, yes. We don't need that additional volume
3 for cooling like we do on the ESBWR. That was all I
4 need to talk about on that.

5 Next slide. So residual heat removal.
6 The three low-pressure flooders pumps, as I indicated
7 earlier, six months of operation. Three of them are
8 safety related. I think we have talked about these
9 already. Then there are the nonsafety provisions,
10 shutdown cooling, fuel pool cooling support.

11 It also provides the flow path that we are
12 going to use for what we call the AC independent water
13 addition which is a very fancy word for fire
14 protection injection core path capability. We liked
15 that in ISAC when we had ACIWA. The RHR does provide
16 the flow path for that water to be brought into the
17 containment and then to the RPV.

18 Next slide, please. So RHR recirculates
19 and cools the water inside the primary containment and
20 is doing that by taking suction from the suppression
21 pool. That is normally a live suction path for the
22 RHR pumps and then the water has it pumps through
23 there goes right through the heat exchanger.

24 Three motor driven pumps deliver 4,200
25 gallons per minute when the vessel is depressurized.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Single pump in operation assures that we have no core
2 damage, again going back to the point that I made
3 earlier that any one of the five motor-driven pumps in
4 and of itself provides sufficient flow into the RPV to
5 assure that we have adequate core cooling all in one
6 water source and that is the suppression pool and it
7 is a safety related water source.

8 CHAIR ABDEL-KHALIK: What is the shut-off
9 head for these pumps?

10 MR. BEARD: I think it's like 100 psi but
11 they are very low pressure. Total developed head is
12 something on that order.

13 MEMBER CORRADINI: I was guessing. I just
14 remembered the RHRs would shut off at 250 or something
15 like that.

16 MR. BEARD: There is the issue of when do
17 we isolate it when we are using it for shutdown
18 cooling which is a slightly different issue because
19 the total developed head is still maybe now I've got
20 800 psi coming in but the total developed head across
21 the pump to my recollection is somewhere around 100
22 psi.

23 Next slide, please. Not as clean as some of
24 the other pictures I had but this does talk to the
25 fact it has multiple modes of operation. Primarily

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 taking water out of the suppression pool through the
2 pump, through the heat exchanger. We are giving up
3 that heat to the closed component cooling water
4 system, RCW. RCW will then transfer that water or
5 that heat to the RSW, the reactor service water
6 system, and then it will be discharged into the
7 environment through the ultimate heat sink so there is
8 an intermediate heat removal loop here.

9 The various points once we take that water
10 out of the suppression pool that we can do is turn it
11 back to the suppression pool which gives us a full-
12 flow test capability. We can spray the wetwell
13 airspace and spray the drywell airspace. We can
14 inject it back into the RPV. We can close this valve
15 and use it for shutdown cooling so we come out through
16 a series of isolation valves.

17 Come down through the pump through the
18 heat exchange and then return it back to the RPV. We
19 can take water from fire protection whether it be from
20 the normal fire protection system on site using the
21 permanent fire pumps or through a connection where a
22 fire truck pulls up to the outside of the building
23 that it connects into but allow us to bring water into
24 the reactor building.

25 Again, primarily we would probably be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flowing into the RPV but also has the capability if we
2 want to spray the drywell to wetwell we could use that
3 water to do that. Then the cross connect, the fuel
4 pool cooling and cleanup system again manually aligned
5 but you bring water from the fuel pool cooling and
6 cleanup system.

7 This would be the water from the surge
8 tanks. It would come down and would be routed by
9 opening these valves again through the RHR pump
10 suction through the heat exchange and then return back
11 up to the upper parts of the reactor building.

12 CHAIR ABDEL-KHALIK: Now, the keepfill
13 pumps are running continuously. Is that correct?

14 MR. BEARD: Correct. They are running
15 continuously when the pump is not running.

16 CHAIR ABDEL-KHALIK: Right. And when --

17 MR. BEARD: When it's in standby they
18 would be running, yes.

19 CHAIR ABDEL-KHALIK: Where do they get
20 their power?

21 MR. BEARD: From a safety-related busses.
22 They are part of the 1A power supply. Let me go back.
23 I seem to recall after I said that that maybe that was
24 not the case but I don't remember.

25 CHAIR ABDEL-KHALIK: Is this a good spot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to take a 15-minute break?

2 MR. BEARD: This would be a wonderful spot
3 to take a break.

4 CHAIR ABDEL-KHALIK: We'll take a 15-
5 minute break. We'll be back at 2:35.

6 (Whereupon, at 2:17 p.m. off the record
7 until 2:36 p.m.)

8 CHAIR ABDEL-KHALIK: We are back.

9 MR. BEARD: Okay. During the break Dennis
10 Henneke went back and did a little bit of homework for
11 me. On the RCIC pump the bypass does still exist.
12 I'm probably recalling talking about that we thought
13 we might be able to eliminate it and I guess we
14 determined we couldn't.

15 I think we finished discussing this slide
16 so if there are no other questions, I will move on to
17 the next slide. Automatic depressurization. Still
18 need an automatic depressurization system. There are
19 18 safety relief valves on the ABWR just like on the
20 ESBWR. Eight of those 18 and additional solenoid
21 valves and nitrogen accumulators on them to provide an
22 ADS function.

23 Two of the SRVs on each of the main
24 steamlines is designated as part of the ADS system.
25 They do blow down directly into quenchers in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 suppression pool. All 18 SRVs in the ABWR do have
2 pipes and corrections located in the suppression pool.

3 That is different from the ESBWR. In an
4 isolation transient we expect all 18 SRVs to go open
5 -- excuse me, 17 or whatever but all the SRVs to pop
6 open for a short period of time whereas in the ESBWR
7 they postulate. We believe that is never going to
8 happen and that is the primary reason for that
9 difference.

10 Spring safety mode, all 18 provide that.
11 All 18 are also provided with extra --

12 CHAIR ABDEL-KHALIK: Why do you think 17
13 in this case will pop open and not in the case of
14 ESBWR?

15 MR. BEARD: When we do the analysis we
16 only need 17 of the 18 to open to handle the over-
17 pressurization transient.

18 CHAIR ABDEL-KHALIK: And operational
19 experience suggest that you will actually get 17 of
20 the 18?

21 MR. BEARD: Because there are going to be
22 six or seven that are all at the same setpoint. If we
23 come up to the setpoint they are all going to go off.
24 I keep making contrast to the ESBWR. I know that
25 wasn't what you asked for but it's one that you must

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 deal with lately.

2 All 18 safety relief valves on the ABWR
3 also have a relief function so they are truly safety
4 relief valves and eight of those 18 have the
5 additional solenoids and the accumulators provide for
6 the ADS pumps. We do have a preemptive relief
7 capability on all those 18 valves that are phased in
8 over different points to the prime limit
9 depressurization transient.

10 Next slide then, please.

11 MS. BANERJEE: Can I ask a question?

12 MR. BEARD: Yes, you may.

13 MS. BANERJEE: This is Maitri Banerjee
14 again. I was wondering if these safety relief valves
15 are any different or improved compared to what we have
16 in the current fleet of BWRs which have some problem
17 with setpoints?

18 MR. BEARD: There is a mixture of valves
19 on the current operating fleet. This is what we are
20 using at K6 and K7 and what we were using in the later
21 model of BWRs. I believe some of the BWRs have gone
22 back to this particular type of valve.

23 Schematically automatic depressurization.
24 Actually all 18 would have that. Vacuum breakers on
25 the tail pipes coming off and then the steam coming

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 down into the suppression tool. This also shows some
2 of the main steam capability as well as the reactor
3 head.

4 But focusing here on the safety relief
5 valves you do have vacuum breakers on there so that we
6 don't draw water back up into the tailpipe once we've
7 had an opening of the safety relief valve. They are
8 externally actuated. I think I took the slide out
9 because I was trying to limit the number of slides.

10 CHAIR ABDEL-KHALIK: If one goes from 33
11 percent bypass capability to 100 percent bypass
12 capability, does that require a redesign of some of
13 this piping?

14 MR. BEARD: No, because we still have to
15 handle the assumption that you have a turbine trip
16 without bypass or an MSIV isolation. Those are the
17 ones that -- no, it's the turbine trip without bypass
18 that is the limiting pressurization transient because
19 those valves go closed quicker than the MSIVs.

20 Although I have longer piping and some
21 compressibility in there because of the rapid closure
22 of those turbine stop valves, it actually is the one
23 that results in the slightly faster pressurization
24 transient although the MSIV closure is very close
25 behind it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR ABDEL-KHALIK: Okay.

2 MR. BEARD: The answer is no. The bypass
3 capability really is not directly related to the
4 sizing of the safety relief valves. In fact, what
5 ends up sizing the safety relief valve capacity is the
6 anticipated transient without scram and not the
7 pressurization transient.

8 Next slide, please. BWR water level
9 measurement. We did include in the reference legs and
10 the variable legs, the provisions that we have in the
11 ESBWR with the backfill to address the issue of
12 noncondensable gas buildup in those reference legs.
13 Very strict requirements on the pitch of the pipe from
14 the RPV up to the condensing chamber and the pitch of
15 the pipe within the reference legs to address the
16 noncondensable issue that first surfaced at the
17 Pilgrim plant.

18 We do have four divisions of water level
19 instrumentation. Those four divisions are for narrow
20 range and wide range which is where all of our safety-
21 related inputs are coming from. Level 8 through Level
22 1 were all detected within the narrow and wide range
23 and each one of those divisions feeds off information
24 to its assigned division.

25 Some of the more important levels that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 look at, Level 8, if we get to Level 8, which is a
2 high level. We are starting to get up to the point
3 that we might get water going down the main steam
4 lines. We trip our main terminal and close our MSIVs
5 and also get a scram on Level 8 as well.

6 Going on the low level because we normally
7 operate around Level 4, if we get to the Level 3 the
8 first protective action is we scram the plant. At
9 Level 2, which is substantially below Level 3, the
10 RCIC pump will start. At Level 3 we are still hoping
11 that the feedwater system will restore water level and
12 maintain it. If feedwater is not operating or is
13 degraded for whatever reason, at Level 2 the RCIC pump
14 will start.

15 Then if for some strange reason the RCIC
16 either cannot restore level or fails to start if we
17 get to Level 1 and a half two high-pressure core
18 flooders are going to start. Then again if we are
19 have a break of sufficient size or we have degraded
20 capability here for whatever reason at No. 1 we will
21 start into the sequence for low-pressure ejection
22 which would be an automatic depressurization and auto-
23 initiation of the LPFL pumps to eject water into the
24 RPV.

25 CHAIR ABDEL-KHALIK: How does zero percent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wide range compare to the top of active fuel?

2 MR. BEARD: Zero -- I'm worry.

3 CHAIR ABDEL-KHALIK: Wide range. When you
4 get to the bottom of the wide range where is that?

5 MR. BEARD: The reference zero on this
6 plant is top of active fuel. Is that correct, Dennis?

7 MR. HENNEKE: I believe so right now.

8 MR. BEARD: The instruments are set so
9 that reference zero is TAF.

10 CHAIR ABDEL-KHALIK: The wide range would
11 read zero percent at that point?

12 MR. BEARD: Yes. Actually, it probably
13 goes a little bit below that. I don't remember
14 exactly where that lower tab is on the RPV but I
15 suspect it is slightly below TAF.

16 MEMBER SIEBER: If this drawing is
17 accurate that would be the case.

18 MR. BEARD: That would be accurate. It
19 does have a little bit of capability below. Then if
20 we go into a place, you know, we shouldn't in one of
21 our design bases accident do we get a below TAF but if
22 we got in there then the fuel zone range in the event
23 of a severe accident would be what be what we are
24 monitoring water level within the RPV.

25 MR. HENNEKE: This is Dennis Henneke

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 again. The ADS Level 1 something came out of their
2 early PRA study that we added in so that if you had a
3 loss of feedwater but didn't have a break you actually
4 depressurized --

5 MEMBER SIEBER: So there are four taps per
6 division.

7 MR. BEARD: Correct. There are four
8 reference leg taps, there's four narrow range taps,
9 there's four wide level range taps.

10 MEMBER SIEBER: In the fuel zone.

11 MR. BEARD: Fuel zone I believe is only
12 two. Dennis, do you remember? I believe we only have
13 two because there is a much safer way to trip
14 functions coming off of those taps instead of
15 operational information

16 Next slide, please. Dennis will probably
17 talk to some of this but I just wanted to put up one
18 of the things that significantly differs from the
19 existing operating fleet is we still have a plant on
20 paper so we went back and looked at it and said what
21 are some things we can do although we don't believe we
22 are ever going to have a severe accident. If we do,
23 what are some of the things we can do. This slide
24 just illustrates some of the things that we believe
25 provide us with the substantial capability to mitigate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 severe accidents.

2 The first of those is a commitment at the
3 bottom of the lower drywell that we will for 1.5
4 meters we are going to use the basaltic-based concrete
5 meaning granite. The reason for that is if we do have
6 a core melt and we have core exist the vessel and
7 using the basaltic concrete there is less
8 noncondensable gases generated in that core reaction
9 so there is commitment for 1.5 meters of concrete fill
10 there above where we might have a limestone aggregate-
11 based concrete.

12 The drywell equipment sumps that we talked
13 about earlier there are two located down in the lower
14 drywell. They are out on the periphery of that but
15 there was an issue that we looked at potentially where
16 we would get corium exiting the vessel and then that
17 corium would translate across here. We were concerned
18 about corium getting down here and creating a local
19 attack. We came up with a design that uses a
20 refractory material with what we call freeze channels.

21 As the corium progresses down those freeze
22 channels against the port there is not enough heat
23 being generated and they actually freeze and prevent
24 the corium from getting into the sump itself. We have
25 the lower drywell flooded, the LDF.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There are eight of these thermally
2 activated valves such that if we do have a core melt
3 accident and we get core relocated to the lower
4 drywell, the air temperature in this area will go up,
5 those fusible links will open up and allow gravity to
6 drain the water from the suppression pool to cover the
7 top of the corium debris to provide some cooling.

8 The spreading area provided down here is
9 in excess of the criteria that was developed as part
10 of the utility requirements document, the .02
11 megawatt. .02 meter squared per megawatt thermal I
12 will indicate the NRC staff has never endorsed nor
13 denied that basis but we do commit to having the
14 minimum spreading area in conformance of the EPRI
15 utility requirements document.

16 Then, finally, in the event of a severe
17 accident we don't want the containment to fail. We
18 want to go ahead and if we are getting to elevated
19 pressures engineer where we are going to have the
20 failure of the containment. Also we have the
21 containment overpressure protection system, COPs as we
22 call them.

23 It uses some ruptures disks. We chose to
24 provide that depth from the wetwell airspace. The
25 reason for that was at least we would get credit for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 filtering and pushing all that debris down through the
2 suppression pool so that we don't have at least
3 particulate debris and we are still getting a fair
4 amount of iodine.

5 CHAIR ABDEL-KHALIK: Are these features
6 part of 4 DCD?

7 MR. BEARD: Yes, they are part of the
8 certified design.

9 MEMBER CORRADINI: And they are built into
10 the Japanese plant?

11 MR. BEARD: I don't believe --

12 MEMBER CORRADINI: I want to know are they
13 built into the plants in Japan?

14 MR. BEARD: I don't believe that is the
15 case but I don't know that for certain.

16 MEMBER CORRADINI: But they would be in
17 the South Texas project?

18 MR. BEARD: The COL application should
19 have incorporated by reference this part.

20 MEMBER CORRADINI: Is the lower drywell
21 planned to be dry?

22 MR. BEARD: Yes. It is our --

23 MEMBER CORRADINI: So you have it designed
24 so there is no water leakage below the skirt of the
25 vessel and onto the lower drywell floor?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BEARD: Right. The ABWR has a solid
2 support skirt unlike the ESBWR so where this comes
3 down to that there is a solid connection between the
4 vessel and where the vessel is matted to the pedestal
5 wall. Any water that might be leaking up here would
6 not migrate down to the lower drywell. Only water
7 sources in the lower drywell would stop breaks down
8 below the skirt.

9 MEMBER CORRADINI: Then it piles up on the
10 skirt?

11 MR. BEARD: Piles up on the skirt to the
12 point that it fills the annulus and then would start
13 to spill down the connecting vessel.

14 MEMBER BONACA: How distant is the bottom
15 of the vessel from the top of the basaltic?

16 MR. BEARD: The distance from the bottom
17 of the vessel to the top of the basaltic concrete is
18 going to be on the order of 28 to 33. The CRD housing
19 sticks down and then we have to have room to move the
20 CRD mechanism and tilt it on its side and transport it
21 out for maintenance. It is about 28 feet from there
22 down to the top of the basaltic concrete.

23 MEMBER SIEBER: The height of the fusible
24 valve determines how much water goes into it the
25 chamber.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BEARD: Correct. If we do have an
2 actuation of the lower drywell flooder valves,
3 although there is a solid skirt here and the
4 connecting pipes come down this way there are openings
5 in the pedestal wall below the skirt that tied into
6 the connecting vents such that when we are steaming in
7 this area that steam would go up and back down and
8 then exhaust back out into the suppression pool so we
9 have that.

10 To your point earlier, Dr. Seiber, the
11 position of these is such that even if we open all
12 these valves we still maintain enough water in the
13 suppression pool that we never uncover the horizontal
14 vents.

15 MEMBER CORRADINI: I guess from -- Jack is
16 asking the question and I guess I was thinking about
17 from a water inventory standpoint the skirt is
18 impervious enough so water doesn't get down but it is
19 permeable enough the steam can get out?

20 MR. BEARD: No.

21 MEMBER CORRADINI: So where is the steam
22 getting out?

23 MR. BEARD: It's a different flow path.

24 MEMBER CORRADINI: So where is the steam
25 getting out?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BEARD: There is a vertical pipe
2 coming down here with the horizontal vents.

3 MEMBER CORRADINI: Oh, it would blow back
4 into the wetwell.

5 MR. BEARD: Yes. There is an opening
6 below the skirt into the connecting vent to allow the
7 steam and lower drywell to connect into the connecting
8 vent.

9 MEMBER CORRADINI: Okay. Then what is the
10 water depth once these fusible links open?

11 MR. BEARD: Over the corium?

12 MEMBER CORRADINI: Yep. Is it halfway up
13 the 30 feet? Is it a quarter way up? I'm just
14 curious.

15 MR. BEARD: It's no higher than what the
16 suppression pool is and I believe the suppression pool
17 is 7 meters in depth. It is probably, and I'm just
18 estimating, 4 or 5 meters.

19 MEMBER SIEBER: It wouldn't come up to the
20 bottom.

21 MR. BEARD: Correct. It would probably
22 come up just about the equivalent of platform level.

23 MEMBER CORRADINI: So one last question.
24 From a design standpoint to put in a fusible link
25 versus allowing water to penetrate, what was the logic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there?

2 MR. BEARD: The logic was it was entirely
3 passive. We figured that one of the dominant
4 sequences for getting us to a severe accident was
5 failure of our digital control systems. Having
6 addressed that we took the digital control systems out
7 of the picture.

8 MEMBER CORRADINI: No, no, no. Maybe I
9 didn't ask my question correctly. What I guess I'm
10 saying is the skirt doesn't allow water down. Yet,
11 you put in a design to allow water to come in through
12 the wetwell. Why not simply allow the water down from
13 the very beginning?

14 MR. BEARD: Steam explosion.

15 MEMBER CORRADINI: Okay.

16 MR. BEARD: We don't want to be dropping
17 hot core debris into a subcooled body of water.

18 MR. HENNEKE: Also post-core damage the
19 PRA gave severe accident guidance. If you are adding
20 water to cover a melted core below the vessel not to
21 raise it like some of the plants that cover around
22 your entire vessel but only to the bottom of the
23 vessel so that COPs continues to work even at that
24 point so fission products are scrubbed through the
25 suppression pool. Later on if you need to do some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cleanup or whatever then you can flood up but
2 initially the flood level begins at the bottom of the
3 vessel to keep COPs available.

4 MEMBER CORRADINI: We are going to come
5 back to this with other drawings later?

6 MR. BEARD: No.

7 MEMBER CORRADINI: So let me ask my last
8 question one more time. Nothing worked and it's
9 sitting down there. The fusible links open up. I
10 have got water. It's now steaming and the steam goes
11 where? What is the path?

12 MR. BEARD: Here is the connecting vent.
13 Therefore, we call it the spillover pipe. There is
14 the solid skirt right there. Water can't go beyond
15 that point so I can fill up there and spill back over
16 but it doesn't come down here.

17 MEMBER CORRADINI: And spills over -- I'm
18 sorry. I see the skirt. It spills over above at that
19 nozzle up here. Right?

20 MR. BEARD: Yep. When the lower drywell
21 flooders actuate they flow water over top of the
22 corium debris and we start steaming. That steam comes
23 up and transfers through the spillover vent and then
24 goes back down.

25 MEMBER CORRADINI: Okay. So it actually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enters those 10 tunnels that go into -- the 10 pipes
2 that go into the wetwell.

3 MR. BEARD: Yes.

4 MEMBER CORRADINI: Okay.

5 MEMBER SIEBER: The vent.

6 MR. BEARD: Right. Or it could go up but
7 you get a pressurize to the point that you start
8 pushing steam back down.

9 MEMBER SIEBER: It's all going to come to
10 equilibrium.

11 MR. BEARD: Correct.

12 MEMBER CORRADINI: Okay. Thank you.

13 MR. BEARD: Yep.

14 MEMBER CORRADINI: Appreciate it.

15 MR. BEARD: Can you find where we were?

16 MEMBER CORRADINI: 39.

17 MR. BEARD: Any other questions? Next
18 slide, please. I'm going to speed up a little bit
19 because I don't think there is a whole lot here. One
20 of the other design improvements or, at least, design
21 changes in philosophy is the safe related component
22 cooling water and service water in the system, with
23 the ABWR those systems are normally operating.

24 We are removing a lot of our process heat
25 using our safety-related systems. The benefit to that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is those systems are running so that when we get into
2 an accident we don't have to call a system into
3 operation that hasn't been operating or already in
4 operation but getting a lot of use from the work.
5 That is a significant departure from the earlier
6 models where we had these safety-related systems but
7 we were using non-safety service water and non-safety
8 component cooling water to remove most of our process
9 heat modes.

10 In this case the process heat modes were
11 removing spent fuel pool cooling. We are getting
12 chilled water that is being cooled by these systems.
13 The reactor water cleanup system is rejecting its heat
14 to this system. HVAC using the chilled water is
15 exhausting heat out through the system. Those are the
16 primary ones. The diesel generators when they are
17 running will be ejecting heat to the reactor service
18 water system.

19 These systems are normally in operation.
20 The difference is when we get to an accident or
21 transient while we might have had one pump running out
22 of two, we will start the standby pumps for the full
23 capability of the particular system.

24 Next slide. A lot of this I already
25 talked about, some of the nonsafety systems that are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 being cooled by the reactor component cooling water
2 system. During normal power operation they would be
3 isolated on a LOCA signal, things like the reactor
4 internal pumps or reactor water cleanup system,
5 drywell cooling and fuel pool cooling cleanup. Each
6 system has some heat exchangers and two 50 percent
7 pumps.

8 Like I said, normally one is operating and
9 if you get a LOCA signal the second pump would
10 automatically start. The reactor service water again
11 same type of setup. The reactor service water system
12 there is a reference design included in the DCD.

13 CHAIR ABDEL-KHALIK: So what is being
14 cooled in the RIPS? Aren't they self-cooled?

15 MR. BEARD: No. There is a heat exchanger
16 not in the housing but we take water from the housing,
17 circulate it through the heat exchange and put it back
18 into the housing. That water is actually circulated
19 by a differential pressure that is being extracted
20 from the flow from the RIP itself. There is no
21 external pump pumping it through that heat exchanger
22 but there is a heat exchanger external to that housing
23 to cool the water.

24 The water inside of that can is really not
25 moving so it is absorbing all the heat from the RPV as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well as from the RPV as well as from the electrical,
2 the inefficiency of the electrical motor. There is a
3 substantial amount of heat being deposited in that
4 water when that pump is turning.

5 MEMBER SIEBER: The water is actually
6 moving but it's not leaving.

7 MR. BEARD: There is a little bit leaving
8 the pump because the CRD system we have a purge that
9 is going in there. That is just to make sure that any
10 movement of water is back into the vessel, that we
11 don't have water coming from the vessel down into
12 that. That is not the cooling. The cooling is taking
13 that circulation out through the heat exchanger. Any
14 other questions?

15 Next slide, please. Graphically this is
16 what it would look like. Oh, I started to say the
17 reactor service water system. Conceptually in the
18 design certification we describe a reactor service
19 water system that would use spray pond but it is quite
20 clear, at least in my view, that it is not part of the
21 certified design. That is just a reference of how the
22 reactor service water system can do it. There are
23 certain requirements imposed on the reactor service
24 water system design.

25 The most important of those is the length

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of piping between the heat exchangers which are
2 located in the basement of the control building out to
3 the isolation point at the ultimate heat sink to be no
4 longer than two kilometers.

5 That was set because we would assume that
6 amount of water to potentially drain through a pipe
7 break into the basement of the control building and
8 the resulting elevation of that flood would not
9 disable any of the equipment in the control building
10 structure. Other than that, the only other provisions
11 that are required are electrical and physical
12 separation of the three trains.

13 MEMBER SIEBER: These pumps are outside
14 the containment. Right?

15 MR. BEARD: These pumps are outside --
16 which pumps are we referring to, the RBCW pumps?

17 MEMBER SIEBER: Yes.

18 MR. BEARD: Those would be located on the
19 base mount of the control building. Then the RSW
20 pumps themselves would be out at the ultimate heat
21 sink pump whether that is a spray pond or cooling
22 tower or whatever. The RCW is a fixed volume system
23 so there is a surge tank, head tank. There is some
24 chemical ejection capability as well.

25 MR. HENNEKE: This is Dennis Henneke

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 again. The difference between a spray pond and a
2 cooling tower I will get to in the PRA and that is
3 actually the different designs do have different
4 liability. Again, it was not part of the original DCD
5 details. PRA analyzed the assumption of the spray
6 pond and I'll get that when we get to the PRA section.

7 MR. BEARD: Excellent. On-site AC power.
8 There are three safety-related diesels. Each one of
9 those diesels is dedicated to a particular train.
10 They are nominally 7 MWe each, fairly large diesels,
11 one per division. As I said, they are housed inside
12 the reactor building at-grade elevation.

13 We also have one combustion turbine
14 generator, nominally 20 megawatts electric. It would
15 be housed in the electrical auxiliary building off to
16 the side of the turbine building. I have already
17 harped on that enough so I won't do it. CTG does
18 autostart on loss of AC power to its busses. It
19 automatically connects to the plant investment
20 protection busses, the PIP busses.

21 Should diesel generators not start the
22 operator does have the ability to disconnect it from
23 the PIP busses and connect it to any one of the three
24 safety-related busses or any combination of two. In
25 fact, it probably has the capability to power all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 three busses.

2 Next slide. This is how it is configured.
3 The operational busses are what we call the plant
4 investment protection busses. The loss of AC power
5 combustion turbine generator starts. Being it's a CTG
6 it doesn't start and generate electricity right away.
7 It's anywhere from two minutes to 10 minutes before we
8 are actually up to the point that we can generate
9 electricity. It preferentially connects to the plant
10 investment protection busses. Then if the diesel
11 generators fail to start, the operator can disconnect
12 these and then close these breakers to power up those
13 busses.

14 Sequencing of loads on the diesel
15 generator busses is only based on electrical power
16 back on the bus and really doesn't have to do with any
17 of the breaker coordination as to where that power is
18 coming from. Whether it be the diesel generator or
19 the combustion turbine generator, once that bus is
20 reenergized the sequences start from that point.

21 MEMBER SIEBER: Are you expecting a
22 reactor from a frequency standpoint between the diesel
23 and the combustion?

24 MR. BEARD: No, they should never be
25 connected. They should never be parallel. I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know what the operational interaction is there but it
2 is never intended that they be parallel.

3 MEMBER SIEBER: When the turbine comes on,
4 that means what you said are the diesels are locked
5 out?

6 MR. BEARD: If I've lost off-site AC power
7 the combustion turbine generator will come on as well
8 as the diesel generators.

9 MEMBER CORRADINI: But they won't be
10 feeding the same loads.

11 MR. BEARD: They will not be feeding the
12 same loads and they are not parallel.

13 Next. Okay. This is another design
14 departure that the COL application is coming in with.
15 In the DCD we describe a single medium voltage
16 distribution system. When we got to detailing out the
17 design, especially from Lungmen, it became apparent
18 that we wanted a dual-medium voltage system.

19 We have adopted that as a standard.
20 Should we submit Rev 5 it would come in with the
21 medium voltage level and the STP COL application also
22 has a medium voltage level very similar to the ESBWR
23 in that we've got 13.8 KV as well as in this case a
24 4.16 KV medium-voltage bus.

25 The higher the medium voltage is for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 large loads like the sump water pumps, feedwater
2 pumps, those types of things, all the other large but
3 not excessively large loads will be parallel to the
4 41.60 busses, things like the CRD pumps or turbine
5 building cooling water. Then you see the safety-
6 related busses down here as well, diesel generated and
7 some loads of power as well.

8 MEMBER ARMIJO: Is this what you have used
9 in the original Japanese ABWR?

10 MR. BEARD: This is not what was used.
11 This is different.

12 MEMBER ARMIJO: Lungmen uses it?

13 MR. BEARD: Lungmen uses this design. The
14 original Japanese design part of it was because the
15 circ water pumps are very, very close to the actual
16 turbine building. They didn't have long lines of
17 electrical leads. Had a single 6.9 KV medium-voltage
18 bus. Plus the Japanese plants use steam-driven
19 feedwater pumps if I recall properly which is another
20 one of the significant electrical loads in the design.

21 Couple of other points. Multiple reserve
22 auxiliary transformers. They can be powered and
23 connected down through this bus here to power to
24 various combinations of plant investment protection
25 busses and the safety-related busses. There is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 commitment within the DCD that when we are -- normally
2 we are powering the safety-related busses from off-
3 site power. There is a commitment in the DCD to power
4 no more than two of these busses from either the
5 preferred off-site power source or the ultimate.

6 That means we are always going to have at
7 least one of those busses connected to a power source
8 to that is different than the other two. If you
9 experience some sort of disruption on the grid on that
10 side it doesn't take away all the power to the safety-
11 related busses in that case.

12 Next. Standby liquid control system.
13 Very similar to the existing fleet, two 100 percent
14 motor-driven positive displacement pumps. Single
15 common tank that we are using in rich sodium
16 pentaborate. Some of the things that do happen,
17 reactor water cleanup system will automatically
18 isolate should we initiate the reactor water cleanup
19 system or should we initiate the standby LOCA control
20 system.

21 Dennis, correct me if I'm wrong, but
22 standby LOCA control is automatically initiated in
23 this design. That is another difference from most of
24 the operating fleet in that our ATWS mitigation is
25 automated.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR ABDEL-KHALIK: On what signal?

2 MR. BEARD: In this case it would be LPRMs
3 not downscale in three minutes. I think it's three
4 minutes. Pretty much the same basis as what we have
5 for the ESBWR. We want to give the chance for the
6 motion control rod drives if we've had a hydraulic
7 failure for the motors to insert control blades before
8 they reject the sodium pentaborate.

9 MEMBER SIEBER: How long does it take to
10 pump it in, 20 minutes?

11 MR. BEARD: Somewhere in that time frame,
12 yes.

13 MEMBER SIEBER: What happens in 20
14 minutes?

15 MR. BEARD: Yeah. In this case because it
16 doesn't inject as fast as the ESBWR we are going to
17 have continued steaming after the safety relief
18 valves. Part of the ATWS mitigation is trip of the
19 recirc pumps and the feedwater will run back as well
20 to try and backdown power until the sodium pentaborate
21 gets in there and takes the rest of it.

22 One of the bases for the sizing of our
23 COPs flowpath was partly the ATWS mitigation in that
24 it is sized for 4 percent, somewhere around there, so
25 that if we do get to the point where we can extend an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 unmitigated ATWS event and we bring the temperature of
2 the suppression pool up that as we steam up through
3 that COPs disk that it is relieving pressure faster
4 than we are adding it through the ATWS event.

5 Next slide.

6 MEMBER CORRADINI: Did you tell us where
7 the COPs disk is being sent to? Maybe you did and I
8 forgot.

9 MR. BEARD: I did not but it is through
10 the ventilation ductwork out to the plant stack.

11 MEMBER CORRADINI: It is being filtered
12 through something. Is it not?

13 MR. BEARD: No. There is no -- it is not
14 going through standby gas treatment system or any kind
15 of European filter. We are saying that because we are
16 releasing from the wetwell airspace it's providing --
17 I was going to use the term sufficient. It is
18 providing a significant filtration capability or, in
19 effect, that we don't believe there is a 10 to -8, 10
20 to -9 type of event.

21 MR. HENNEKE: This is Dennis Henneke
22 again. Bubbling through the water in the suppression
23 pool, if that were to bypass, depending on the event
24 release, out of containment would it be anywhere
25 between 100 or 10,000 times worse than bubbling

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through the water.

2 MEMBER CORRADINI: So the decontamination
3 factor is of that order?

4 MR. BEARD: Yes.

5 CHAIR ABDEL-KHALIK: You said enrichment
6 is optional for the standby liquid control system on
7 the previous graph?

8 MR. BEARD: Did I?

9 CHAIR ABDEL-KHALIK: That's what it says.

10 MR. BEARD: I didn't think it was.

11 CHAIR ABDEL-KHALIK: Okay.

12 MR. BEARD: I thought we were using
13 enriched.

14 MR. SAVAGE: It might if it's based on
15 megawatt-thermal because of its use?

16 MR. BEARD: No, because it would affect
17 the tax size.

18 MEMBER ARMIJO: When water with sodium
19 pentaborate boils, I probably should know this, but
20 what happens?

21 MR. BEARD: The sodium pentaborate stays
22 in solution. It does not boil off.

23 MEMBER ARMIJO: Does not boil off?
24 Doesn't form a solid deposit on anything?

25 MR. BEARD: No. It stays in the RPV also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 releases the steam.

2 MEMBER CORRADINI: But it only distills at
3 colder temperatures.

4 MEMBER SIEBER: Is this enriched borate?

5 MR. BEARD: That's the question. I
6 thought that we had committed to enriched sodium
7 pentaborate but they are saying it's optional and I
8 don't know the basis for that comment on the slide.

9 MEMBER SIEBER: Your topic says could be
10 either way.

11 MR. BEARD: I'm not familiar with why they
12 say it can be either way.

13 MEMBER ARMIJO: Bigger tanks.

14 MR. BEARD: Yes. SLCS reactivity
15 requirements very much like what the conventional
16 plants are but we do inject sufficient sodium
17 pentaborate to ensure that we are subcritical all the
18 way down to the cold shutdown condition with all the
19 other negative reactivity facts taken into effect, or
20 positive reactivity affects taken into effect.

21 Next slide. The initiations of the SLCS.
22 There is a manual capability but, like I said earlier,
23 it has been automated which is different from the
24 existing fleet, at least most of it. We are looking
25 at high RPV pressure or low water level. And, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that is a key and, the startup range neutron monitor
2 is not being below 6 percent RTP for three minutes so
3 very much like what we do for the ESBWR.

4 Next slide. Just graphically here it is,
5 single common storage tank, two positive displacement
6 pumps and then you have a parallel flow pass here ,
7 train A and train B. We are not going to assume a
8 passive failure of the flow piping.

9 Again, the injection point ties into the
10 high pressure core floodder B injection line. What I
11 didn't talk about earlier is as that injection line
12 goes into the vessel there is a short sparger that
13 wraps around a portion of the radial part of the RPD
14 and those nozzles are actually turned down and
15 injecting the water down the annular space in the RPV
16 up around the steam separator level.

17 We are introducing that sodium pentaborate
18 out in the annular space and allowing the normal
19 circulation to pull the sodium pentaborate to the
20 lower head and then bring it up through the core to
21 bring the reactor subcritical.

22 Next slide. We talked about with the
23 ESBWR the fine motion control rod drives. The
24 adoption of fine motion control rod drives really has
25 eliminated a lot of the challenges that ATWS has done.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 How is that? Because we no longer have the scram
2 discharge volume and the exhaust piping. We don't
3 have that potential hydraulic binding mechanism that
4 was experience at Browns Ferry.

5 All of our hydraulic control units, high
6 pressure control, insert lines only are going to
7 overcome the pressure of the RPV and drive the rods
8 in. The elimination of that scram discharge line
9 really more than anything has taken a lot of potential
10 mechanisms that can cause us to not insert those rods
11 having the picture. Then we have the diversity where
12 we do have the electric motors. Although they are not
13 safety related, they are one of the two approved
14 nonsafety loans on one of our diesel generator busses.

15 Even if we lose off-site AC power and we
16 don't have the hydraulic scram occur, we do have the
17 ability using the Div 1 diesel because that does not
18 have the high-pressure core flooder on it so all those
19 are connected to that. We can power up the fine
20 motion control rod drives from the diesel generated
21 bus on that particular division.

22 Then the mitigation if automated we can
23 get recirc pump trips, six of them, when we get a trip
24 on water Level 2, 4 on high reactor pressure or water
25 Level 3. Really that should have been around 4 to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trip off when we get to Level 3 and then the remaining
2 6 when we get to Level 2 or they will all trip off on
3 the scram or alternate route assertion.

4 Feedwater runback, again it's part of the
5 SRNM ATWS permissive waiting for 2 minutes before we
6 go ahead and drop water level to decrease the amount
7 of flow. And then automated boron injection as well.

8 CHAIR ABDEL-KHALIK: In the case of an
9 ATWS if the standby liquid control system is initiated
10 these pumps would be off?

11 MR. BEARD: That's correct. Remember we
12 can't assume the pumps are there because they are not
13 powered by safety-related AC power so we have to
14 credit natural circulation for distributing the sodium
15 pentaborate throughout the RPV. We are introducing it
16 high up in one part of the arc and it's going to get
17 pretty well mixed by the time it gets down to the pump
18 deck.

19 Then as it goes down into the lower head
20 it gets even further mixed. For the ABWR they did --
21 I don't remember the exact scale of the plexiglass
22 model they built but they had a significant scale
23 model where they actually looked at the mixing of the
24 sodium pentaborate through all the various flowpaths
25 and concluded we were getting very good mixing by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time it got down to the lower head and was ready to
2 come up into the fuel assemblies themselves.

3 MS. ABDULLAHI: This is Zeyna Abdullahi,
4 ACRS. I just wanted to ask you a question in
5 comparison to the regular BWRs. There is a case where
6 you want to make sure that your SLC design system
7 pressures would not allow lifting during ATWS, lifting
8 of your relief valve and it had to deal with your
9 pressurization versus setpoint that you have, relief
10 valve setpoint for the SLC system. Do you want me to
11 reexplain?

12 MR. BEARD: Yes, please.

13 MS. ABDULLAHI: I just rushed through.
14 Your SLC system has a certain pressure rating. Okay.
15 That pressure rating is a certain amount 1,200 or
16 1,250. Then you have during ATWS when your pressure
17 goes up you have a given amount of pressurization
18 within your vessel. While the positive displacement
19 pump can go ahead and inject any pressure, what will
20 limit you is your relief valve on the system, on the
21 SLC system.

22 MR. BEARD: Um-hum.

23 MS. ABDULLAHI: That will lift. Did you
24 consider for that capacity? I don't know much about
25 it. This is the first time I'm learning about ABWR

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but this is a lesson learned from the BWR.

2 MR. BEARD: The sizing of the safety valve
3 on the SLC system -- I shouldn't say sizing. The
4 setpoint of the SLC SRV safety valve is greater than
5 the peak pressure that would be anticipated.

6 MS. ABDULLAHI: When it has the losses
7 within your system?

8 MR. BEARD: Yes. Um-hum. Without lift
9 unless we were dead-heading the system.

10 MS. ABDULLAHI: And then you don't put
11 enough boron into the core and there is an information
12 notice on it, I think, 2001.

13 MR. BEARD: Go back to the schematic. The
14 other -- this is just kind of a detail. Earlier SLC
15 system, standby electric control systems, used squib
16 valves for the injection for the ABWR and we went back
17 to them for the ESBWR. For the ABWR we went to motor
18 operated valves, MOVs, for these two valves right
19 here.

20 The reason for that was we wanted to have
21 the ability to test the flow of the system using a
22 demin water flow so with the squibs it kind of
23 defeated the purpose of defining the squibs to do that
24 and then put new squibs and new shear assemblies back
25 in so we did change over to motor operated valves. If

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we didn't have the constraints on the ESBWR with
2 management of electrical loads we might have stated
3 that but we went back to the squib valves in the
4 ESBWR.

5 Next. We covered that. I think I got to
6 the end of my stuff and Dennis can take over. I am at
7 the end of my stuff. Any questions before I turn it
8 over to Dennis Henneke? I think we will probably have
9 time at the end of Dennis' presentation to go back if
10 you do have additional questions. Thank you for your
11 interest and all your excellent questions.

12 MR. HENNEKE: My name is Dennis Henneke.
13 Although I've been doing PRA for a little over 25
14 years I've been at GE about a year and a half and I
15 was the lead on a STP/PRA update so I'm quite familiar
16 with all of the details that we did for the departures
17 and that type of analysis. Given the PRA is thousands
18 and thousands of pages and detail there may be some
19 areas that we may not have touched during the STP
20 project. You may have questions and I'll have to get
21 back to you on those. We'll see how we do with your
22 questions.

23 I am also the chairman of the fire PRA
24 writing group for ANS and anybody interested in that
25 when the fire standard is issued so anybody who is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 saying that the fire standard is not issued, you heard
2 it from me. It's been issued by ANSI and ANS. All
3 those NFPA 805 plants can go ahead. Sorry for the
4 diversion.

5 You have seen these next two slides in
6 ESBWR presentation. I brought them in here because a
7 lot of what I'm going to do is talk about during the
8 design process and during a conceptual design of ABWR
9 PRA insights were an obvious impact to the design.
10 You saw what Alan gave you and I'll try and touch on
11 the major areas that PRA asked for and received design
12 changes in the original design. Then after that I'll
13 talk about the changes with regard to STP.

14 Obviously in a new reactor PRA is a big
15 part of it and you have to consider all aspects. Not
16 just core damage but as you saw from the COPs design
17 in the area of severe accidents and severe accident
18 management and consider both internal and external
19 events. We have examples of things that we changed on
20 paper, and that is the easiest place to change it, for
21 pretty much every type of event, internal, external,
22 internal flooding, fire, seismic, and so on, that we
23 added features or modified features related to the
24 PRA. We mentioned a couple of those.

25 One of the requirements put upon us is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we have a bounding assessment. I'll try to point
2 out a couple areas where we still have considerable
3 conservatism in the analysis that we do have so we
4 expect the estimated core damage to eventually go down
5 from where it's at. I'll point out where those
6 conservatisms are. It provides us a safety case for
7 a license and shows that we meet NRC's goals for risk
8 in core damage or release.

9 Basically the PRA now goes into the DCD
10 and FSAR. It's an integral part of the overall design
11 process. Of course, that means anytime we make a
12 small change in the PRA often times we get in the
13 licensee space because we have to make a change to the
14 FSAR. At STP we came to the first point where we had
15 a change we wanted to put into the PRA that really had
16 no affect on it. It had nothing to do with the change
17 of design and it was called a departure. We had to
18 make a departure just because we made a modeling
19 change to the PRA and so the interesting impact of
20 putting the PRA as an integral part to the overall
21 design.

22 Of course, the PRA needs to be uploaded
23 prior to fuel load and I'll emphasize that here. In
24 STP we saw that even prior to fuel load there will be
25 things that we can't meet in the standards because of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the requirements of getting data and plant specific
2 information with regard to training and so on. At
3 this point in the design we are kind of guessing on
4 some of the design features.

5 We are taking our best estimate on
6 operator failure rates and so on. As you approach
7 fuel load you will get information such as cable
8 routing that you may not have had and fire loads for
9 areas. That allows us to get a better risk assessment
10 prior to fuel load. After fuel load again the risk
11 assessment gets even better because you start to get
12 information in regard to data, failure data, training
13 programs, and more information on procedures and so
14 on.

15 You have seen this slide but in ABWR there
16 are a lot of examples of where this type of
17 information has affected the design. This slide just
18 shows that really as you get closer to fuel load you
19 can effect a design even less and for operating plants
20 we are talking about very small changes to the overall
21 design without a significant expense but the changes
22 in design have the greatest impact in risk so that is
23 the best place to make the changes.

24 You can see from the overall core damage
25 that we have taken a BWR design and enhanced the BWR-6

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 design and lowered the core damage by a factor of 10
2 to 100 with not a lot of new technology, with existing
3 technology but using it smarter in most cases. You
4 can, of course, later on make additional changes with
5 regard to procedures and additional credit and that
6 can reduce the overall risk but not as significant as
7 you can in design.

8 Getting into the ABWR PRA I didn't want to
9 spend a lot of time. We didn't make a lot of changes
10 for the recent COLA for South Texas but basically I'll
11 go through what we had in the original DCD and FSAR.
12 We had up to a Level 3, relates to the public and dose
13 assessment. We used representative plants from
14 different regions to make sure that the analysis we
15 did for acceptable dose, off-site dose, was bounding
16 for pretty much every site in the U.S. We did that
17 Level 3 assessment for internal events only, at-power
18 internal events only.

19 For South Texas we did update that. That
20 was a crack analysis for all three. We updated that
21 with a max analysis for South Texas specific to show
22 that the original DCT was bounding on Level 3 and it
23 was. The South Texas site is bounded by the original
24 DCT by a sufficient margin. We did a pretty good job
25 of bounding the analysis for the original DCD.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We did all the internal and external
2 events. Some of the external events were more
3 screening such as the fire was a 5 analysis with some
4 detailed core damage estimates, the seismic margins
5 analysis rather than seismic PRA. We looked at all
6 the internal/external events. We went to full power
7 and shutdown. We had two appendices in the DCD on
8 shutdown analysis including reliability of decay heat
9 removal and then assessment of the shutdown, defense-
10 in-depth and core damage for various plant operational
11 states of shutdown.

12 We did look at seismic margins and it has
13 had a number of detailed entries for seismic margins
14 which should allow it to be eventually developed into
15 a seismic PRA. It showed very good results. I'll get
16 to that in a little bit more detail later but
17 basically we have a high confidence that you will be
18 above .6g prior to affecting any sequence of entries.

19 The major sequences that we were looking
20 at, as you would imagine, the first most significant
21 would be that of a station blackout followed by loss
22 of AC independent water addition, fire water addition
23 followed by things that have much higher seismic
24 fragility going up above 1g for some accident
25 sequences. All that detail is in our DCD and really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 none of that was affected by any of the STP analysis.

2 We did use generic data and generally it
3 was conservative if you look at the most recent NRC
4 data released earlier this year, I believe, up through
5 2005 data. Many of the basic events are up to an
6 order of magnitude conservative in what we use.
7 initiating events, of course, were historical and many
8 of those were conservative with the reactor trip
9 turbine being maybe 30 or 40 percent conservative or
10 so but the LOCA events that we used, again, it's a 15-
11 year-old PRA and 15 years ago we had a fairly
12 conservative LOCA frequencies. The most recent NRC
13 data would estimate an operating plant to have an
14 order of magnitude of more or lower on LOCA
15 frequencies that are used. What's in there now for
16 STP is the conservative LOCA frequencies.

17 We did quite a bit of uncertainty and
18 sensitivity analysis and that feeds into a lot of the
19 various programs. We looked at modeling uncertainty
20 and so on that did feed in to like the RAP program
21 which I'll talk about on my last slide and a number of
22 other areas that we looked at. So --

23 MEMBER BONACA: One second. The PRAs are
24 15 years old?

25 MR. HENNEKE: Generally speaking, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 About 15 years. We had some during the approval
2 process and review by the NRC. We did have some
3 questions. There were some RAI responses and there
4 was a couple of questions where we did some
5 sensitivity updates since that time. Generally
6 speaking the original PRA was performed about 15 years
7 ago.

8 MEMBER BONACA: Are you making any effort
9 to update the PRA? You have a lot of conservatives
10 but that may mask some of the outcomes of the PRA just
11 because you seem to have a heavy conservative in
12 certain areas.

13 MR. HENNEKE: Yeah. If you get back to my
14 experience of trying to add a common cause event, the
15 history of that is that there was an RAI by the NRC
16 during the review process and we realized it was
17 service water cooling. Common cause was not well
18 addressed so we looked at it in a sensitivity case and
19 actually increased the core damage.

20 We said in the DCD next time we update
21 we'll include this common cause. We went to include
22 the common cause and just that one basic event was
23 considered a departure. Anything we affected at this
24 point in the model to update to today's technology
25 would be considered a departure. We were at this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 point asked not to do that.

2 MEMBER CORRADINI: Say that again? I
3 think I understand what you just said. You tried to
4 improve it and the moment you try to improve it you
5 invalidate this part of the DCD. Have I got that
6 right?

7 MR. HENNEKE: That's correct. It's opens
8 up to legal rereview of an approved PRA. As long as
9 we use the approved methodology and approved models,
10 then it is an approved DCD.

11 MEMBER ARMIJO: It's static.

12 MR. HENNEKE: It's static at this point
13 but South Texas has committed and I think every plant
14 will commit to updating prior to fuel load to
15 something that meets the standard.

16 MEMBER CORRADINI: But that is their COL,
17 not to the DCD.

18 MR. HENNEKE: That's correct.

19 MEMBER BONACA: The Japanese plants as you
20 perform PRAs there is a level of decay?

21 MR. HENNEKE: The most recent is, the
22 Lungmen, and that was updated to this summer and the
23 overall risk results are very comparable to what we
24 saw.

25 MEMBER BONACA: That's what I like to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hear. You didn't find that you had some skewing that
2 was unexpected. You found some conformation from the
3 updates.

4 MR. HENNEKE: The overall risk profile for
5 the Lungmen is very similar to what you'll see on the
6 next slide.

7 MEMBER BONACA: Thank you.

8 MR. DUBE: Don Dube, NRO, Division of
9 Safety Systems and Risk Assessment. In direct answer
10 to your question, by Part 52 before fuel load the
11 applicant, or the COL holder, which would be South
12 Texas, are required actually by the rule to update the
13 PRA to meet standards that were in existence one year
14 before fuel load and the standards would be the ASME
15 standards which requires to the extent possible best
16 available models and/or acceptable models and failure
17 data.

18 That would probably be the local time I
19 would say. It probably doesn't make sense between now
20 and then to go through the effort, as Dennis said, to
21 do this just for the sake of demonstrating lower risk
22 when they meet -- you know, the NRC safety code is by
23 large margins already.

24 MEMBER BONACA: I wasn't -- that's good.
25 I am feeling comfortable that they have done updates

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recently and found not significant depresses.

2 MR. HENNEKE: The Taiwanese plant in
3 Lungmen.

4 MEMBER BONACA: You showed us this curve
5 how design data and procedures are affected with time.
6 If you have the data that is not right anymore or
7 procedures which are not valid anymore, you must have
8 some design issues that are resolved in the design
9 stage.

10 MR. HENNEKE: I don't think we have seen
11 anything in the PRA that would be incorrect but in
12 today's PRA that level of detail is quite a bit higher
13 than it would have been 15 years ago with common cause
14 and operator dependencies and so on. Operator
15 dependencies would not be a big deal for the ABWR but
16 the common cause would. I think when you expand that
17 model you start to see a slight affect in that regard.

18 MEMBER BONACA: All right. Thank you.

19 MR. HENNEKE: Okay. So in the design
20 process of various stages PRA was involved in that
21 discussion and PRA has been part of the GE and GE
22 Hitachi engineering since the beginning of the design.
23 We had input to things like the elimination of the
24 recirculation piping to, as Alan discussed, remove a
25 large LOCA possibility to uncover the core.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In the PRA I mention that we don't
2 actually credit the lower LOCA frequency but I expect
3 once a detailed piping analysis to get a large LOCA
4 frequency you will start to see quite a bit lower
5 large LOCA frequency for an ABWR plant than you would
6 for general BWR. Eventually you will probably see
7 South Texas come up with something similar to that.

8 We talked about during the slide the
9 three-train design of the ECCS with high pressure and
10 low pressure, ADS all three trains and PRA. PRA
11 results from the existing BWR fleet were essentially
12 in trying to create that overall design and actually
13 lower ECCS flow with a much more reliable system.

14 Credit for the AC independent water
15 addition was added in places. In fact, it was
16 eventually decided not to add that into the internal
17 Level 1. It was only credited for Level 2 analysis.
18 The most important area where it would have fit into
19 the accident sequence would have been during station
20 blackout where we already had operator actions
21 associated with the line in the CTG.

22 If we had operator dependencies there
23 without procedural guidance, it would be hard to tell
24 how much additional risk reduction we would get in a
25 Level 1 with regard to that. It is in the seismic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analysis. In the seismic entries it is in the Level
2 2 analysis for water addition post-core damage for
3 containment protection.

4 Design of the COPs system and later on I
5 have a -- down below talk about accident mitigation.
6 I mentioned that to fill the bottom of the reactor
7 vessel for COPs operation, continuing operation. The
8 PRA had input to that. Combustion turbine use and
9 design.

10 Again, with South Texas when they
11 redesigned their medium voltage alignment when PRA was
12 in the middle of that discussion to make sure that it
13 was fairly simple, single switches to backup a diesel
14 generator with the CTG and that was the design backup
15 that we had in the PRA that showed a fairly low risk
16 of station blackout and loss of power crediting the
17 CTG.

18 Use of the lower drywell flooder, talked
19 about that. PRA was involved in that. Seismic LOP
20 guidelines. There were some seismic sequences that we
21 looked at where there would be system operation but
22 the MOVs associated with those systems the
23 transformers may have a lower seismic capability than
24 the actual emergency busses so we have some general
25 guidelines so when the plant procedure developed to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 make sure that manual operation of critical MOVs are
2 considered in the plant's specific procedures. That
3 is part of our recommendation in the DCD.

4 Aux. shutdown panel operation lowered the
5 fire risk considerably. Both the LOCA operation of
6 the RCIC for controller evacuation as well as improved
7 capability in the ADS operation showed considerable
8 risk reduction for containment evacuation.
9 Containment evacuation still is the number one fire
10 accident sequence but it lowered down considerably to
11 get it to --

12 CHAIR ABDEL-KHALIK: How far is the remote
13 shutdown panel from the controller?

14 MR. HENNEKE: Most shutdown panels are in
15 the reactor building within a minute.

16 CHAIR ABDEL-KHALIK: Okay. Thank you.

17 MR. HENNEKE: Alan talked about some of
18 the flood controls for the control building. That was
19 one of the larger floods associated with that and
20 service water piping. There was additional level
21 instrumentation of the control building that would
22 automatically isolate that piping and there were some
23 other controls that were added and associated with
24 internal flood.

25 You can see there is just a handful of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things that we were involved in early on that came up
2 during South Texas that resulted in an overall low
3 risk to the plant. Seismic, flooding, fire, all the
4 accident sequences were associated with this design
5 approval.

6 This is our rough estimate of core damage.
7 At this point it's actually somewhere closer to 2.5 10
8 to the -7 is our best guesstimate of risk at this
9 point. Lungmen estimated around 3 to the -7 right now
10 but, again, using conservative initiating event
11 frequencies.

12 The original DCD had 1.6 10 to the -7 so
13 the one additional thing that we had actually reported
14 in the DCD as a sensitivity case or the common cause
15 where we actually said if we were going to include
16 common cause the risk would have gone up. That is
17 actually where we did the starting point for this
18 analysis.

19 MEMBER CORRADINI: So this is not -- I'm
20 sorry. Go ahead.

21 MEMBER BONACA: So power internal events.
22 Right?

23 MR. HENNEKE: Yes. Shutdown fire but
24 internal flooding so just half power.

25 MEMBER CORRADINI: I want to understand

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 how you explain that. This is not the PRA from '92.
2 This is the PRA from '92 with an estimate of common
3 cause effects and the delta of common cause failures
4 on top of that. Did I understand that correctly?

5 MR. HENNEKE: Taking into account the
6 departures for South Texas and generic departures
7 associated with ABWR and the LTRs.

8 MEMBER CORRADINI: And the departure from
9 South Texas is what you are alluding to the cooling?

10 MR. HENNEKE: I have those on the next
11 slide. Station blackout used to be a much larger part
12 of the pie, almost 50 percent. That actually went
13 down quite a bit because of two things. One is an
14 update of the loss of power recovery and off-site
15 power frequency based on more updated data. In loss
16 of off-site power the frequency has down the last 15
17 years which is good news, but the long-term recovery,
18 fail to recover of greater need.

19 Ours has actually gone up by about 40
20 percent. The hurricane data has gone into play so we
21 know that although the overall risk of station
22 blackout and loss of off-site power has come down, the
23 risk associated with events greater than eight hours
24 has actually gone up overall. It's part of removing
25 or masking we were talking about earlier that we want

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to get everything in correct proportion that is in
2 there now.

3 The pie chart when I look at it shows me
4 a good balance with regard to defense-in-depth. The
5 PRA is a defense-in-depth model and the mitigative
6 systems associated with detecting the core should be
7 proportional to the initiating event frequency. If
8 you've got that well in balance, then you don't have
9 a pie chart at something with 50 percent or greater of
10 the pie chart. That's what I'm showing here.

11 MEMBER BONACA: So reactor shutdown are
12 these events during refueling?

13 MR. HENNEKE: No, this is just a reactor
14 trip or manual reactor trip from power with everything
15 available. No MSIV closures, no feedwater loss. We
16 use about one trip a year and that number is probably
17 now for most reactors down below .5 or .6, just a
18 regular reactor.

19 MEMBER CORRADINI: And then associated
20 single failures for human events that take you to a
21 CDF?

22 MR. HENNEKE: Right. It's the conditional
23 loss of feedwater at about .05 and then failure of all
24 your ejection systems.

25 MEMBER CORRADINI: If you were to put in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seismic, or that will only be done at the COL stage
2 for that particular site and that's what they will add
3 in?

4 MR. HENNEKE: It shouldn't be that
5 difficult.

6 CHAIR ABDEL-KHALIK: Would that overwhelm
7 this number, though?

8 MR. HENNEKE: I'm not sure. It shouldn't
9 for South Texas but it depends on the site, I guess.
10 It shouldn't overwhelm it because you are talking
11 about somewhere in the .6 to .7g range of getting to
12 where you have significant probability of core damage.
13 That number should be in this range. I haven't looked
14 at it specifically for South Texas but I expect it to
15 be lower than this number.

16 CHAIR ABDEL-KHALIK: Thank you.

17 MR. HENNEKE: PRA was involved in a review
18 of all the departures which Joe Savage will talk about
19 those departures including the LTRs. Most of those
20 were generic or many of those were generic. Some of
21 them were South Texas specific. The major ones here,
22 some of these are multiple departures. We've combined
23 them into groups here.

24 The instrumentation changes associated
25 with use of the new digital INC. There is a slight

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 change in architecture. We did not credit the lower
2 likelihood of a trip due to this architecture so that
3 did not go into our model but we did estimate a
4 slightly higher unreliability for that and that is
5 associated with an automatic bypass. For one channel
6 of the 204 logic for ECCS determined to be inaccurate
7 it would automatically bypass that and go to 203
8 logic. That function is not in there and it resulted
9 in a very slight increase in the amount of risk.

10 Alan showed the power distribution. The
11 original had a design of single medium voltage that
12 went from dual voltage and it resulted in an overall
13 risk reduction. RCIC pump design, again, a small risk
14 reduction basically due to the removal of the external
15 lube oil and external cooling.

16 MEMBER CORRADINI: I guess I want to
17 understand the percentage of change. Is this a one-
18 off analysis? If I had the old power distribution I
19 would get some number. If I have new power
20 distribution I would get 1.5 percent lower number
21 overall? Is that how I understand this percentage?

22 MR. HENNEKE: If you calculated it without
23 the others involved you would get a different number
24 but if you calculate it with everything in and with
25 everything out this is the difference you would get.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Yeah, individually one versus the other.

2 MEMBER CORRADINI: Okay.

3 MR. HENNEKE: The RCIC pump design, we
4 would actually expect the new RCIC pump to be more
5 reliable than the old? I think everybody expects that
6 but we did not have sufficient data to bring that into
7 the model. This is simply the removal of the external
8 lube oil. We expect that number to go down even
9 further once we get reliability data for these pumps.

10 The addition of the cooling towers
11 actually versus the spray pond we put that into the
12 model. Because the cooling towers require fans we
13 added those fan failure models in there including
14 common cause of the fans and so on. That was an
15 overall 6.4 percent increase in the risk.

16 MEMBER CORRADINI: So fans are more
17 unreliable than pumps.

18 MR. HENNEKE: The pump design for a spray
19 pond you can either go from the pump into a spray pond
20 and recirculate back or you go into the cooling tower
21 and then it has to have a fan for circulation. The
22 fans are an additional component over and above the
23 spray pond and that additional component will be a
24 risk increase. You just can't --

25 MEMBER SIEBER: Do the numbers go in when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you provide an alternate link? Why does it go up?

2 MR. HENNEKE: Because you have additional
3 components that may fail to function.

4 MEMBER SIEBER: But you can still use the
5 spray pond. Right?

6 MR. HENNEKE: There is no spray pond.
7 It's in lieu of the spray pond.

8 MEMBER CORRADINI: So this is forced?

9 MR. HENNEKE: Forced for the cooling
10 towers. It was based on an assumption in the DCD. It
11 wasn't something committed in the DCD and we just
12 changed the assumption of what would be --

13 MEMBER CORRADINI: Okay. Thank you.

14 MR. HENNEKE: The new loss of off-site
15 power numbers in there I mentioned earlier actually
16 result in about a 12 percent overall decrease.
17 Overall these changes resulted in about a 9 percent
18 reduction in CDF for the departures as we analyzed it.
19 The difference you see here again why we are reporting
20 a slightly higher number over the original one was
21 because of common cause. We had actually reported in
22 Appendix D of the DCD as a sensitivity case and in
23 that sensitivity case we said we would include it next
24 time and that's why it's here. Anymore questions on
25 this?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Last slide. Again, we are talking about
2 how the PRA has an input. Obviously for new reactors
3 the PRA will have a large input to many of the
4 programs. Where existing reactors have input now such
5 as maintenance rule and so on as well as into the area
6 of important operator actions, control room design,
7 all that kind of thing. One of the more important
8 areas, the reliability assurance program formerly in
9 the process.

10 We updated that for South Texas and
11 obviously the risk changes and what's important and
12 what's not important changes. The change we made you
13 saw before. Nothing came out of the reliability
14 assurance program but things did get added in as
15 associated with the changes.

16 The reliability assurance program
17 includes, again, from every aspect of the risk
18 assessment. Whatever was important for fire went into
19 that whether it be a maintenance or testing program
20 requirement from the PRA.

21 One item of note was that we added for STP
22 the external flooding, important issues with regard to
23 external flooding. There were two of those and one
24 was associated with the reservoir to make sure that
25 they have a program to detect any sort of early break

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the reservoir. The other one was associated with
2 the control room door. The control room is below
3 grade.

4 External flood the control room door would
5 be open and would go into the control room and there
6 could be a direct core damage if it was allowed to
7 continue. So the maintenance of that control room
8 door, the closure of the control room door greatly
9 affected the overall risk results so that went into
10 the recommendations coming out of the STP update.

11 That's all I have.

12 MEMBER SIEBER: Can I ask a question about
13 your presentation? How far along in the design of the
14 instrument systems is General Electric? Do they have
15 a system in mind with communications modes and
16 software types or is it more generic?

17 MR. SAVAGE: This is Joe Savage. They
18 have a pretty good description in FSAR Chapter 7.
19 We've got an architecture that is described there. As
20 far as getting into selecting hardware, etc., we are
21 looking to be very consistent with Lungmen.

22 MEMBER SIEBER: How consistent are you
23 with the Japanese plant?

24 MR. SAVAGE: The Lungmen plant has several
25 advantages over K6 and K7. I don't remember those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 specifically but it had to do primarily with outdated
2 equipment, outdated hardware that was used in K6 and
3 K7.

4 MEMBER SIEBER: The Japanese use a single
5 communication system that separate safety related from
6 non-safety related functions but everything on the
7 communication system can be either safety or nonsafety
8 or mixed. Did your PRA study of instrumentation go
9 far enough to decipher whether that is more risky or
10 less risky and what is the experience since Japanese
11 plants have been running?

12 MR. HENNEKE: The PRA looked and a detail
13 of the PRA included the architecture and an estimate
14 based on the design details that we had with regard to
15 their overall reliability. We didn't see -- from the
16 original DCD is what I can tell you. I'm not sure if
17 that is the Japanese design for K6 and K7 but I
18 believe it was.

19 MR. SAVAGE: Yes, K6 and K7.

20 MR. HENNEKE: To the Lungmen design, which
21 is basically what we'll have there with a slightly
22 updated Lungmen design, we saw a slight increase in
23 the overall risk because, again, this bypass function,
24 which is in the original volume, is not in the
25 Lungmen.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: That is not necessarily
2 due to the communication protocol.

3 MR. HENNEKE: That's correct.

4 MEMBER SIEBER: Did you take into account
5 cybersecurity issues?

6 MR. HENNEKE: No.

7 MEMBER SIEBER: How did the
8 instrumentation system deal with 3D, diversity and
9 defense-in-depth? For example, do you have a backup
10 separated analog system that will trip the plant for
11 the important functions along with a digitized set of
12 protective functions?

13 MR. HENNEKE: We do have that. Do you
14 have any more information on that?

15 MR. BEARD: What I will describe is what
16 was certified. Part of my hesitancy to get in this
17 area, as Joe described, we are still in commercial
18 negotiations as to who will have final design
19 responsibility for some of the stuff. The certified
20 design to address the common cause failure issue we
21 have committed to have hardwired initiation of reactor
22 scram, MSIV closure, and a high-pressure core flood
23 pump initiation.

24 At that point we said we would evacuate
25 or, at least, send enough staff from the main control

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 room to the remote shutdown panels and the way the
2 remote shutdown panels were initially was they were in
3 the system downstream with the digital decisions or
4 out on the hardwired portions. At that point you
5 could actually come in and disrupt the input coming
6 from the digital systems and go to a hardwired
7 response.

8 MEMBER SIEBER: So that is basically your
9 approach to reducing common cause failures. On the
10 other hand, you did not say that you would not
11 duplicate brands or types of equipment or algorithms
12 or anything else. For example, you have four
13 protection channels that use some algorithm. Do you
14 have diversity in the algorithm that you use or do you
15 use the same one and take the risk of common cause
16 failure?

17 MR. BEARD: Just like with the ESBWR we
18 are using the same algorithm within the four divisions
19 but we did have the separation of PRS and ESF and the
20 fail safe versus fail-as-is design along with the
21 separation of the things like feedwater control and
22 steam bypass pressure control using your own dedicated
23 control systems.

24 MEMBER SIEBER: In the appropriate
25 functionality of the control system is the timing of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the control system response to the analytical time
2 necessary? Was that taken into account? For example,
3 take a typical transducer. If you want to trip on
4 high pressure a transducer has a certain response --
5 two seconds to get up to 90 percent before you
6 actually get to trip. Is that taken into account?

7 MR. BEARD: Within the safety analysis,
8 yes. The instrument response time is factored into
9 the overall performance of the system

10 MEMBER SIEBER: Thank you.

11 CHAIR ABDEL-KHALIK: Questions? Is this
12 a good time to take a five-minute break? Okay.

13 (Whereupon, at 4:00 p.m. off the record
14 until 4:07 p.m.)

15 CHAIR ABDEL-KHALIK: We're back.

16 MR. SAVAGE: I'm Joe Savage, ABWR
17 licensing manager for GE. What I would like to do is
18 give you all an overview like Mark introduced earlier
19 what our thoughts as the holder of the docket for the
20 certified design and what are the plans for assisting
21 our customer STP 3 and 4 with getting their departures
22 incorporated into their license and then what are our
23 thoughts and plans for benefits for a revision to the
24 certified design.

25 I just want to make sure that everybody

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 walks away from all their questions answered. What I
2 am going to do to begin with is to start through some
3 of the departures and talk about some of the wheres
4 and whys. If you all got questions, I'll be glad to
5 answer those.

6 As Maitri mentioned earlier, SRVs have
7 always been a problem in the industry so we went to
8 look at a new setpoint methodology that we could
9 utilize with the latest technology so that we could
10 improve the reliability, etc., and so what we wrote
11 was a departure from the methodology that was used to
12 determine our SRV setpoints back in the early '90s.

13 We've got a lot of operating experience
14 since then, things that have been incorporated through
15 other licensee's work with the BWR Owners' Group so
16 that we make sure we use the latest SRV setpoint
17 methodology for STP which is different than what is
18 described in the DCD.

19 On ESF and RPS control systems setpoint
20 logic changes, there was an area that we saw that we
21 could make a number of --

22 CHAIR ABDEL-KHALIK: Back to the SRV, are
23 there new SRV designs that are sort of much more
24 reliable?

25 MR. SAVAGE: Yes, sir. We think there is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a number of new designs that we are looking at in
2 Japan and in Europe and we believe that like the
3 numbers that would be associated with a PRA, they can
4 be improved not only with improved SRV designs but
5 also some other new design features that we can
6 incorporate in future Tier 2 changes if we see that
7 there is a benefit there.

8 MEMBER BONACA: You are talking about the
9 methodology, setpoint methodology. How would that
10 improve the performance of the SRVs?

11 MR. SAVAGE: Well, what we are looking at
12 here is the fact that you can do your calculations on
13 your simmer margin. The simmer is that little area
14 when it's just barely wanting to open, etc.

15 MEMBER BONACA: Okay.

16 MR. SAVAGE: The next departure I want to
17 talk about is RPS control system setpoint and logic
18 changes. We've got a miscellaneous collection of
19 things that we have learned from operating experience
20 review in the U.S. as well as Japan.

21 One of these changes was the turbine
22 first-stage pressure trip function and the fact that
23 you had four little mechanical trip relays that had
24 over time proved problems for industry including the
25 fact that the mounting system was a problem, etc.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Rather than looking at using those same
2 pressure sensors, we looked at what would be a more
3 accurate way to understand when we need that trip
4 function and what would be a good replacement for
5 first-stage pressure. We found that neutron
6 monitoring logic gave us a lot more reliable way to
7 install a new trip setpoint to the place that turbine
8 first-stage pressure.

9 As far as deleting MSIV closure on Hi Rad,
10 that is an LTR that has existed. There has been a
11 number of spurious trips throughout the industry based
12 on that. There is already a BWR Owners' Group LTR
13 that has been submitted and approved.

14 We talked about during Alan's discussion
15 the third train of RHR being tied to the fuel pool
16 cooling system and really we are just looking at
17 increasing the outage maintenance flexibility,
18 reliability, and the single failure criteria for
19 cooling the spent fuel pool. That is pretty
20 straightforward.

21 Feedwater line break mitigation was a
22 departure that we felt like we wanted to make sure we
23 could follow up on our no operator action within the
24 first 30 minutes of a transient of ABWR. Right now
25 the way the safety-related trip is set up to ensure no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 overfilling or overpressurization, it would require
2 operator action.

3 The departure is that we added breakers
4 and logic, all safety related, to trip the condensate
5 pumps and reduce feedwater flow from that feedwater
6 line break. Therefore, the operator doesn't have to
7 take action to mitigate that overpressurization of the
8 reactor vessel with feedwater flow.

9 The RCIC turbine we've talked about that
10 a good bit. It's simpler, eliminates hardware.
11 Probably not worth mentioning much more. Departures
12 for the leading class 1E undervoltage chop
13 tests/breaker coordination. Within the Tier 1 ITAAC
14 there is specific coverage for this area with the pre-
15 opt test and start-up test requirements.

16 The fact that we would rather do shop
17 tests instead of the in situ testing is really going
18 to be covered by our ITAAC. We did look at our
19 Chapter 15 analyses to make sure there is no anything
20 that is going to be impacted. We looked at Chapter 16
21 tech specs making sure that there shouldn't be
22 anything. What it really boiled down to is breaker
23 coordination under 120 volts. It's very difficult to
24 get the sequence correctly and that is what we felt
25 like we would rather commit to in ITAAC rather than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have it in the DCD.

2 That needs to be an area that the way the
3 DCD described it it was just a questionable way of
4 testing versus what we had already recorded. We just
5 wanted to revise our ITAAC there in Tier 1 to make
6 sure that we got that incorporated on a start-up test
7 plan to do the chop test and FAT test, factory
8 acceptance test.

9 The departure on the additional division
10 of I&C power. This is another class 1E I&C power
11 supply that was required to support the fully
12 developed safety related logics so we added a fourth
13 regulating transformer. I know Alan didn't go into
14 that level of detail but by adding that fourth
15 regulating transformer and taking this departure we
16 improved PRA numbers. We also improved the
17 dependability of the electrical system.

18 The leading hydrogen recombiners, I
19 believe everyone is familiar with why that was done.
20 Control system architecture and technology. That is
21 just simply evolving technology. What we found was
22 when we are designing Lungmen and working with STP on
23 where we may want to go and, of course, we've got
24 several choices there to make.

25 We just need to make sure we use available

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 systems that are going to be supported throughout the
2 future. We recently found out that like the plant
3 that is now being built in Germany that is very
4 similar to the EPR that is being built in Finland will
5 be the last plant for that particular set of I&C
6 components and software will be supplied and the
7 vendor said they won't support it any longer after
8 that. We want to make sure we don't run into that and
9 we think through that pretty far ahead.

10 MEMBER SIEBER: Do you intend to buy the
11 software from another company or General Electric
12 engineer is going to design the software?

13 MR. SAVAGE: I don't know that I can
14 answer that question right now.

15 MEMBER SIEBER: Because the decision
16 hasn't been made?

17 MR. SAVAGE: Yes, sir. STP site
18 parameters, this was a departure that was somewhat
19 unusual as far as humidity being outside the prior
20 assumptions that came out of the URD. What was
21 apparent was that we had a site parameter that we
22 needed a departure from because of the main coolant
23 reservoir at STP. The main coolant reservoir is a
24 large pond. It's about the size of Lake
25 Okachobee, or it looks that way to me.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You can see it from space from a long ways
2 off but it's a non-seismic category one dam and it's
3 all above grade. Because of that we had to make
4 physical changes in water tight flood doors on the
5 reactor building and on the control building. It's
6 pretty evident why that site parameter had to be a
7 departure.

8 The departures for Tier 2 Reg Guides and
9 codes and standards updates you've got a couple of
10 tables in the DCD, one that addresses NRC Reg Guides,
11 one that addresses the latest codes and standards. We
12 wanted to do the best we could so as an example for
13 physical independence of electrical systems Reg Guide
14 1.75 we committed to Rev 3 which is February of '05.

15 Another example are the IEEE standards 384
16 and 603. We committed to the latest revision that is
17 currently endorsed by the NRC. Those were the types
18 of the Reg Guides and codes and standards that we took
19 into account. Also a later version of ASME code and
20 a later version of American Concrete Institute so that
21 we make sure that we've got the latest earthquake data
22 and related reservations that are referenced by the
23 ACI.

24 Other departures for STP 3 and 4 it really
25 comes out of what I have discussed previously.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Designed departures that are Tier 2 that require tech
2 spec changes like the RCIC pump. You no longer have
3 a barometric condenser that you have to monitor. The
4 new I&C system touches 13 different laces in tech
5 specs that have to be departures.

6 Any change to tech specs is considered a
7 departure under Part 52. If you change a i or dot a
8 t -- dot an i or cross a t, then that is definitely a
9 departure. As far as changes of intent to tech specs
10 we had eight places such as Standard Departure 16.5.1
11 that talks about unit responsibility.

12 Well, over the last several years through
13 improved tech specs all the plants and all the BWRs
14 have used the same nomenclature for their shift
15 supervision. I'm talking about when you needed an SRO
16 in the control room, when you didn't, etc., that was
17 a typical intent changed to these tech specs which
18 ended up being a departure.

19 Also, one of the changes of intent to tech
20 specs that isn't one of intent was to properly define
21 bases control and this is something again that has
22 been done through the last 10 or 15 years on BWR tech
23 specs but it wasn't done on the version that was
24 submitted by GE that is incorporated in the design
25 cert.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Then as far as editorial changes based on
2 advice from legal, we made sure we annotated every
3 editorial change because there has been a lot of
4 consistency work among the utilities so that the
5 operators see the same type of language no matter
6 which BWR they work at whenever they pick up a tech
7 spec.

8 As far as form and format and improving
9 the consistency of the language, those were
10 administrative or editorial type tech spec changes
11 that we documented its departures. The one thing of
12 note is that in talking with the South Texas project
13 they are very interested in working with us to create
14 fully improved tech specs.

15 Work in all the tech specs that are
16 applicable to the ABWR, etc., and make sure that we
17 get that into our design basis and our tech specs that
18 we will be using going forward.

19 CHAIR ABDEL-KHALIK: As part of the basis
20 control that you were talking about, are you committed
21 to giving them essentially copies of the design basis
22 calculations for them to maintain?

23 MR. SAVAGE: We are committed to work with
24 them on how we control bases within the tech specs and
25 our calcs that are behind those, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR ABDEL-KHALIK: But they are not
2 going to have copies of those?

3 MR. SAVAGE: No, sir. We'll maintain
4 design control. We will work with them.

5 CHAIR ABDEL-KHALIK: Okay. Thank you.

6 MEMBER MAYNARD: There are bases in the
7 tech specs that are part of the tech specs and they
8 will have that.

9 CHAIR ABDEL-KHALIK: The calculations
10 behind some of those.

11 MR. SAVAGE: Okay. So let me just review
12 with you the concept that there is not so many
13 departures as maybe the numbers indicate. We have
14 already gone through the 12 Tier 1 and Tier 2*
15 departures and what they incorporate and sort of a
16 little bit behind the whys of this. Those touch a lot
17 of other areas in the FSAR such as a new RCIC Wier
18 pump is going to have a new electrical control system,
19 etc.

20 When you make those other changes that is
21 a departure also although it is a Tier 2 departure
22 under the 50.59-like process. The point being is that
23 we've screened all of our departures per the Part 52
24 rules. We actually developed a 50.59-like process
25 that was actually a little more extensive on the South

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Texas project's 59.59 manual, modified that on how are
2 we going to evaluate all of these Tier 2 departures
3 most of the Tier 2 departures being fallout from Tier
4 1 departures.

5 Although I do want to point out some that
6 were Tier 2 stand-alone departures such as the
7 ultimate heat sink. That is, of course, a site
8 decision. The dual units, the fact that with the DCD
9 you have one reactor building, one turbine building,
10 one radwaste building. STP and building 2 units
11 should have a common radwaste building. That makes
12 sense.

13 It's a good economic choice. We'll have
14 tunnels between and that's a departure. Some of the
15 design departures are based on experienced review and
16 regulatory changes such as updating our suction
17 strainers, looking at how we locate certain equipment
18 such as Alan talked about. We are going to put the
19 diesel generators actually inside the building.

20 That was not done -- that was done during
21 the DCD but what we wanted to do was actually have
22 some of the controls moved to the reactor building
23 that were originally in the turbine building. It is
24 minor things like that, equipment location. Another
25 thing that we saw that we really wanted to change for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DCD or departures for STP 3 and 4 was radwaste
2 process. The design certification document talks more
3 in terms of systems and processes that are used in
4 Japan and Lungmen.

5 What we decided to do and what the
6 departure is for STP 3 and 4 is basically adopt or is
7 exactly adopt the ESBWR radwaste systems in building
8 because that is GE's latest best effort. It will use
9 our latest techniques on shielding, on dose calcs, on
10 analysis on how to configure the equipment, the fact
11 that we don't be using centrifuges.

12 If you read the DCD description of the
13 radwaste processing system you will see there is a lot
14 of equipment in there that plant managers at BWRs
15 decided they didn't need or they didn't want in their
16 radwaste building. We wanted to take that out.

17 MEMBER BONACA: I would imagine that STP
18 is asking for 60 years operation of this plant.
19 Right?

20 MR. SAVAGE: Right now they licensed it --
21 they have told me they want to apply for a 40-year
22 license.

23 MEMBER BONACA: 40-year license?

24 MR. SAVAGE: Yes, sir.

25 MEMBER SHACK: Even though the DCD is for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 60?

2 MEMBER MAYNARD: I didn't think you could
3 apply for a 60-year. I think you can only do a 40 and
4 then apply for a 20-year extension.

5 MR. GARTMAN: I believe that is correct.

6 MEMBER BONACA: So they have to go through
7 the normal process. I thought they were talking about
8 -- oh, okay.

9 MEMBER SIEBER: There's a couple more
10 plants for you to review.

11 MEMBER MAYNARD: I think all the new
12 plants want a design capable of supporting a 60-year
13 life.

14 MR. SAVAGE: That's right. We are
15 designing for 60-year life.

16 MEMBER MAYNARD: But I don't think they
17 can apply for a 60-year license.

18 MEMBER BONACA: I am saying that you would
19 want to incorporate already some of the basic
20 requirements that you have to address for an
21 additional 20 years just because it comes naturally.
22 I mean, the plant is designed for 60 years so,
23 therefore, you are not restricted in doing that.

24 MR. SAVAGE: Even though we have like
25 total of 118 Tier 2 departures, 55 of them are because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the changes in digital I&C and what you have to
2 change in FSAR Chapter 7. About 30 some odd of them
3 are because of a change in the radwaste building, etc.
4 The number may sound big, and it is big. we count
5 each and every change to the design cert but it is
6 mainly because of the major conceptual design changes,
7 the experience review, lessons learned, and those type
8 things.

9 The license topical reports. Most of
10 these are being driven by COL action items where there
11 was additional information requested to support the
12 DCD. We wanted to close as many of those as we could.
13 Some topical reports such as the RCIC pump are
14 addressing a design change, a departure, and we wanted
15 to go ahead and get that concept because we had a
16 pretty fully-developed mechanical concept and the Wier
17 pump information was available.

18 We felt like we could go ahead and have
19 the staff get an early review there. Items like the
20 plant procedures development plan, startup admin
21 manual. All of those things are pretty much straight
22 COL action items that we are willing to get closed
23 and, hence, we have submitted those LTRs to you all.

24 Of course, the cover letter explains to
25 you this is to close certain COL action items or this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is to install a new RCIC pump that improves the plant.

2 MEMBER ARMIJO: Why is the reactor
3 material surveillance program changed? It seems like
4 it's pretty cut and dried sort of stuff.

5 MR. SAVAGE: It is pretty cut and dried.
6 We've got some configuration and some specimen
7 changes, the size and the way the coupons were cut and
8 the way they were hung, etc. I forget but one of the
9 plants had some problem retrieving mirrors so we were
10 implementing lessons learned there.

11 Just in summary, let me just say that the
12 ABWR design improves on what we know about U.S.
13 operating designs. We have looked a lot at the
14 Japanese fleet. We have spent a lot of time talking
15 to K6 and K7. We spent a lot of time with Lungmen.
16 We have actually been talking about how to improve
17 operations training looking at things that the
18 Japanese have done in their simulator and within their
19 EOPs and our planning of how to do our EOPs.

20 We want to make sure that not only have we
21 taken advantage of the U.S. operating experience but
22 we have also taken advantage of what the foreign
23 plants are that are ABWR what they have learned in the
24 last 18 years of operation.

25 Any other questions?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I have a couple.

2 MR. SAVAGE: Yes, sir.

3 MEMBER SIEBER: The 1997 ABWR DCD,
4 is that modeled after the previous plant that GE has
5 built? Is that the K6 and K7?

6 MR. SAVAGE: K6 and K7. Yes, sir.

7 MEMBER SIEBER: But not Lungmen?

8 MR. SAVAGE: Not Lungmen.

9 MEMBER SIEBER: And these topicals is that
10 deviation from K6 and K7 or deviations from the DCD
11 which may or may not match K6 and K7?

12 MR. SAVAGE: They are deviations from the
13 DCD that may or may not match K6 and K7.

14 MEMBER SIEBER: So we can't go back and
15 look at K6 and K7 for where your analysis came from?

16 MR. SAVAGE: No, sir. We haven't intended
17 to. Mainly what we've looked at is operating
18 experience. No different than the way the INPO
19 program works in the U.S. as far as what have you all
20 learned during your operating time. We reviewed that
21 to decide is there anything that we could and should
22 change about Lungmen and/or any USA BWR. That is all
23 I'm saying we looked at. We did not look at it as a
24 design basis.

25 MEMBER SIEBER: I'm trying to lead you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 into saying something. K6 and K7 were designed to
2 codes and standards. The Japanese have codes and
3 standards which I think look pretty much like ours.
4 Their nuclear regulatory codes and standards laws look
5 something like ours, too. The plant would not
6 necessarily meet U.S. regulations in every respect.

7 MR. SAVAGE: We know it would not.

8 MEMBER SIEBER: Did you sit down with the
9 K6 and K7 designs to figure out what it is you had to
10 change?

11 MR. SAVAGE: Alan.

12 MR. BEARD: Yeah, I was going to say I
13 want to dispel the notion that K6 and K7 is the
14 absolute carbon copy for the DCD. It's not. it is
15 fundamentally the basis for what was certified but
16 there were significant departures from K6 and K7
17 versus what we certified in the DCD primarily in the
18 areas of physical separation both mechanically and
19 electrically as well as mitigation of smoke and fire.

20 MEMBER SIEBER: What I'm trying to get at
21 is to learn more about how the Japanese design plants.
22 I have some questions about instrumentation and
23 communications networks versus the frontend and the
24 backend and 3D concepts and cybersecurity. I don't
25 want to get real detailed here because I don't think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the purpose of this venue is that and you may not be
2 able to answer real detailed questions.

3 What I am looking for is there a
4 sufficient diversity between the Japanese plants and
5 1997 that we would not learn anything by looking at
6 the Japanese designs and protocol particularly in
7 instrumentation and control.

8 MR. SAVAGE: You are talking about --

9 MEMBER SIEBER: I'm looking at these
10 plants that are operating. I don't know that they are
11 building that many new plants right now.

12 MR. BEARD: If you were to look at K6 and
13 K7 we know there has been very significant changes in
14 technology in this area of instrumentation and
15 control. that would not be a very good reference
16 point. We certainly will update very substantially
17 beyond that.

18 MEMBER SIEBER: My guess is based on
19 earlier work as an I&C engineer for me and buying
20 computers which go obsolete in six months with new
21 techniques and what you would pay \$2,000 you now pay
22 \$300 for, I would imagine that you wouldn't find any
23 two plants unless they were built together on the same
24 site that employ the same instrument architecture.
25 That is probably correct. You haven't decided what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're going to do, who the vendors are going to be or
2 what the architecture is going to be for AP600, right?
3 Not AP600, ABWR. Is that correct?

4 MR. SAVAGE: Alan, you can confirm. Yes,
5 sir. I believe that's correct.

6 MEMBER SIEBER: Okay. Thank you.

7 CHAIR ABDEL-KHALIK: All right. At this
8 time I guess we'll -- thank you, gentlemen.

9 MR. TONNACI: I will pull up the remainder
10 of my presentation. Okay. Well, it's good to be back
11 up here. We'll wrap this up. Actually, much of my
12 presentation I gave via the questions and answers from
13 the first time I was here so there isn't too much left
14 to cover. Unless there are questions, I'm going to
15 zoom through the first couple slides and get to what
16 we haven't touched on yet.

17 We talked about the DCD. We talked about
18 the topical, South Texas and how they all relate so
19 I'm not going to go through that again unless there
20 are more questions on that.

21 MEMBER ARMIJO: I'm going to have to ask
22 a question. The last one, that arrow, it seems to go
23 in the wrong direction. Once you've done all of the
24 STP 3 and 4 COLAs and approved all of those documents,
25 why isn't there a simple arrow to update at ABWR CDC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Rev 5?

2 MR. TONNACI: GE needs to come in and
3 petition to update that. When they provide that
4 request, then we will at that time whatever they want
5 us to incorporate, probably all the topical and many
6 of the standard departures from South Texas, there
7 will actually be arrows, you're right, going from the
8 topical and the COLA down to the DCD. I envision
9 that is what we are doing.

10 MEMBER ARMIJO: If they made no changes,
11 absolutely no changes from those topical, all the
12 work has been done?

13 MR. TONNACI: Most of the work has been
14 done. There is very little.

15 MEMBER SIEBER: The slide we have in the
16 pack is different than the slide you have on the
17 screen.

18 MR. TONNACI: Oh, it is?

19 MEMBER SIEBER: Yeah. It's got an arrow
20 --

21 MR. TONNACI: Oh, I see. I think you are
22 probably right. That arrow should go the other way.
23 My daughter helped me with the fanciness and I think
24 I got carried away so thank you for that.

25 MR. GARTMAN: His daughter would have

1 gotten the arrow right.

2 MR. TONNACI: Probably so.

3 MEMBER CORRADINI: Just to make sure that
4 I'm understanding, from the standpoint of the next
5 step, you said the first time you were up here if the
6 STP -- if South Texas COLA was approved based on the
7 topical reports which are the departures with the DCD
8 4 that's it and you're done -- they're done?

9 MR. TONNACI: Yes.

10 MEMBER CORRADINI: And then somebody
11 downstream could do one of two things. Could say,
12 "I'm going to order a boodle of these from GE. Go do
13 me a DCD, otherwise I'm not going to do it." Or,
14 "I'll use STP 3 and 4 as their jumpoff point and say
15 I'm going to do it just like STP 3 and 4."

16 MR. TONNACI: That's right. That would be
17 the reference plant. STP 3 actually is the reference.

18 MEMBER SHACK: If you did that, that COL
19 is not challengeable or is final for STP but for the
20 next guy it wouldn't necessarily be final. Whereas if
21 it was incorporated into a DCD it would be final so
22 there is a difference between the two approaches.

23 MEMBER CORRADINI: But the difference is
24 pretty minimal because I'm going to have a new site
25 and I take the same plant and all the stuff, have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 give new PRA, have to do a new site analysis.

2 MR. GARTMAN: I don't actually know that
3 is correct. We would have to go back to Part 52 and
4 maybe get Jerry. Except for the site specific items,
5 these subsequent COLAs coming in I think could
6 piggyback on STP since the topical reports were
7 approved through the --

8 MEMBER SHACK: They could but the question
9 is whether they are as final as the DCD. There is no
10 question they can.

11 MR. GARTMAN: I think that's what I'm
12 getting at, that they do have that finality.

13 MEMBER SHACK: It is final.

14 MR. GARTMAN: That would be worth -- that
15 could be a takeaway for us to double check on. My
16 understanding of how Part 52 was designed to work was
17 that subsequent COLAs coming in could rely on the
18 reference COLA for that finality

19 MR. TONNACI: I am unsure so why don't we
20 get the answer and get it back to you.

21 MEMBER MAYNARD: But the reason that GE is
22 not really applying for Rev 5 right now under the
23 current law that would require rulemaking.

24 MR. TONNACI: Correct.

25 MEMBER MAYNARD: Now, there is proposed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rulemaking or the rules may change where that wouldn't
2 necessarily result in a rule change in the future.
3 Correct?

4 MR. TONNACI: They can make amendments.
5 Jerry was here and passed me a note. They can amend
6 DCD. Quite frankly I'm not sure what the mechanics
7 are.

8 MEMBER CORRADINI: But the amendment
9 process is what AP1000 learned. That's what we heard.

10 MEMBER SIEBER: That's under amendment.

11 MEMBER CORRADINI: I thought. That's a
12 question. I shouldn't say it so -- that was my
13 impression on whatever subcommittee we were at in
14 November.

15 MEMBER SIEBER: But it was reviewed as a
16 separate DCD not incorporating by reference.

17 CHAIR ABDEL-KHALIK: You can find out and
18 get back to us.

19 MEMBER SHACK: It's not a problem we need
20 to address at the moment.

21 MR. TONNACI: Okay.

22 MEMBER SIEBER: Ask George when he gets
23 here.

24 MR. TONNACI: I think I touched on much of
25 this about how we are going to approve the topical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reports. We already had a process in NRR when there
2 is a technical report coming in that many plants want
3 to use. You go through the approval process for that
4 topical when a plant comes in and applies to use it
5 and we look at it for their site-specific conditions.
6 As I said earlier, this is exactly what we are going
7 to do for these topical reports.

8 Okay. A question that Maitri has asked me
9 many times is what is the schedule. That is a little
10 hard to pin down so I'll share with you what I can.
11 Generally most of the topical reports are pretty far
12 ahead of South Texas because they came in many months
13 ahead of time but not all of them.

14 A couple of the last topical reports came
15 in just a month before South Texas. Those last couple
16 will pretty much follow along with the South Texas
17 approval process. The ones that we can do ahead of
18 time we will and the staff has already started
19 reviewing those.

20 The schedule we would like to get them at
21 least a batch to you late in the first quarter of 2008
22 but there are a lot of caveats on that that depend on
23 staff support and GE support that we need for RAIs and
24 so forth. Basically these are not part of a committed
25 schedule that we have at this time for the topical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reports. We will be following the South Texas which
2 is the only thing we are committed to.

3 The STP COLA, the lead for that is
4 actually George Wonder and on that day we'll be coming
5 into ACRS where the topical reports will only come in
6 if you ask for them. If you don't ask for them,
7 you'll see them anyways or have to go through the
8 questions through the South Texas review at that time.

9 The South Texas COLA currently --

10 MEMBER SHACK: Are these reviews ongoing
11 for these topicals?

12 MR. TONNACI: Yes. We have started but we
13 have not written any safety evaluations yet. We are
14 still in the RAI process for all of them.

15 MEMBER SIEBER: There are about half that
16 the RAIs have sent out that are answered. The other
17 half of them I don't think I saw any RAI on the
18 schedule. You're talking three months before you are
19 able to assemble the SER for that topical.

20 MR. TONNACI: That's right.

21 MEMBER CORRADINI: I just wanted you to
22 repeat what you said so I understand it properly. The
23 chance for the ACRS to see these topicals could be as
24 your SERs are developed or wait and they will have to
25 come up anyway through the COLA.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TONNACI: They won't come in per se.
2 Actually, they will because their safety evaluations
3 are put right into the COLAs so the answer is yes,
4 they will come in through the COLA.

5 MEMBER SIEBER: You've got a disk for a
6 topical report.

7 MEMBER CORRADINI: But it's not all of
8 them is the way I understand it. It's some of them
9 but not all.

10 MEMBER SIEBER: There are 13 here and I
11 think that is how many --

12 MR. TONNACI: That is how many we have.

13 MEMBER SIEBER: -- General Electric is
14 proposing to send in.

15 MR. TONNACI: That's right.

16 MEMBER SIEBER: What we haven't seen is
17 the SERs or the RAIs or the answers. That's what we
18 are waiting for.

19 MEMBER CORRADINI: Jack is right. I've
20 got that, too. You wrote down in the previous
21 viewgraph expect some other topical reports late in
22 first quarter of 2008 so more will come. Yes?

23 MR. TONNACI: In the previous slide?

24 MEMBER CORRADINI: In the slide you have
25 up. I'm sorry. I was ahead.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: You don't expect more
2 topical reports. You expect the SERs.

3 MR. TONNACI: I expect the SERs will be
4 ready for your viewing.

5 MEMBER CORRADINI: I misread that. I'm
6 sorry. I misread that.

7 MS. BANERJEE: This is Maitri Banerjee.
8 I don't think we received all the topical reports yet.
9 The last one was continued analysis but there were
10 three more like radiation protection, design
11 reliability, and preoperational test. Those are not
12 received yet.

13 MR. TONNACI: I think we talked about
14 those earlier. Those GE doesn't plan to send in at
15 this time. That's all we have. That's all I have
16 been made aware of at this point.

17 I want to just touch again on the STP
18 COLA. They currently schedule two rounds of reviews
19 by ACRS. One will be the safety evaluations with open
20 items and then come back later when the open items are
21 closed. There really isn't an official schedule for
22 South Texas at this time.

23 We recently sent a letter and you may have
24 seen or been aware of this that the South Texas
25 application while it was good and had a lot of detail

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there were portions that didn't have sufficient depth
2 for us to build a schedule. Because of that we
3 docketed it but we have not committed to a schedule
4 until we get the remainder of that information. Okay.

5 I was also asked to touch briefly on COL
6 information items and how they are handled so I'll
7 touch on those. COL information items are largely
8 used or have been used for operational programs such
9 as start-up testing and start-up manuals, those types
10 of things. Reactor vessel vibration was another one.

11 MEMBER SIEBER: Radiation control?

12 MR. TONNACI: Yeah. There are hundreds of
13 COL information items that are open. They are
14 basically open items from when they approved the DCD
15 that you couldn't close then. The idea was at that
16 time the COL applicant would close them when he made
17 his application to us. However, now we are realizing
18 in some cases they have actually got to go buy
19 equipment so they can't do it now either.

20 For example, start-up testing. You really
21 can't write up your start-up testing program until
22 you've got --

23 MEMBER CORRADINI: Until you know what you
24 are going to test.

25 MR. TONNACI: That's right. You get into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some of these situations where you can't do it now
2 either. GE has sent in topical reports that in some
3 cases do completely address the COL items and they
4 have done so. As a topical everybody will be able to
5 use it. An example is reactor vessel vibration. We
6 had a COL information item that says basically
7 demonstrate that the vessel is not going to shake
8 itself apart.

9 The technical report GE has written based
10 on the Japanese plants they sent it into us as a
11 topical and at this point once we go through the
12 approval process that information on them can be
13 closed in its entirety but there are others like
14 start-up testing that you can write up how you are
15 going to do it and what the administrative controls
16 are going to be but you can't go any further than that
17 until you've got the plant built so you can partially
18 close some of these but not completely.

19 The Reg Guide 1.206 realized that was
20 going to happen so they gave the applicant four
21 options to deal with COL information items you can't
22 close. They can say it's redundant to an ITACC. In
23 some cases it may be. They can propose a new ITACC
24 for these.

25 They can propose a license condition or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what South Texas has done in almost every case that
2 I've seen is they can simply say describe it in a
3 level of detail as much as they can right now and give
4 us a date when they are going to do the rest of it
5 which maybe six months before fuel load or whatever is
6 appropriate.

7 They've got to have sufficient detail and
8 justification now and we can go ahead and write our
9 safety evaluation for that portion to say as long as
10 they do this it will be closed out by the construction
11 inspection organization at the appropriate point
12 during construction and the safety evaluation will
13 simply address the technical merits of what they have
14 provided to us.

15 That's how COL information items work and
16 that is actually the end of my presentation. Are
17 there any other questions for me?

18 MEMBER MAYNARD: A quick one. We would
19 review the topical reports that GE submitted but not
20 the applicant at this point. The applicant may or may
21 not be referencing?

22 MR. TONNACI: The applicant is referencing
23 these topical reports.

24 MEMBER MAYNARD: So we would only be
25 reviewing these one time, the ACRS.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TONNACI: You would review them for
2 sure, say, if I brought RCIC into the first quarter,
3 you could review it then and we could answer whatever
4 questions. We would write a safety evaluation. When
5 that chapter, say Chapter 5 comes in as part of the
6 COLA and you've got more questions, there is no
7 finality to what we did six months or a year earlier
8 so basically you don't have to look at it but if you
9 have questions that have technical merit it is fair
10 game.

11 MEMBER CORRADINI: Then I guess I will ask
12 a question of the chair. Somehow we've got to figure
13 out a plan of attack so we don't have to go through
14 things twice.

15 CHAIR ABDEL-KHALIK: We just have to keep
16 good records, I guess. When those things come back
17 again if we don't have new questions, then --

18 MEMBER MAYNARD: It's it in a fairly short
19 time that works. The problem if it's over an extended
20 period of time you change memberships and that way we
21 end up having to review the same thing twice.

22 MEMBER SIEBER: Let me ask you a question.
23 The topical report does not represent an amendment to
24 the DCD.

25 MR. TONNACI: Not at this time. That is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correct.

2 MEMBER SIEBER: If somebody wanted to
3 build one of these plants he would cite the DCD.
4 That's already approved, okay? You wouldn't have to
5 submit additional information. Now you have written
6 a topical report. For example, constant pressure
7 power upgrade. Somebody says I have designed my plant
8 to meet that requirement and here is how I meet them
9 that are in that topical. Then you don't have to
10 review the topical again. All you have to do is
11 review conformance to the topical.

12 MR. TONNACI: You are exactly right.

13 MEMBER SIEBER: I think that is the way
14 this will work, too.

15 MR. TONNACI: You've hit it right on the
16 head. That's the way it works. When we get the COLA
17 those chapters come through there's chunks of it that
18 you don't have to look at but it doesn't mean you
19 can't if something has come up.

20 CHAIR ABDEL-KHALIK: We will try to time
21 the reviews of the topicals so that we wouldn't run
22 into that problem.

23 MEMBER CORRADINI: Freeze the membership.

24 CHAIR ABDEL-KHALIK: Okay. Any other
25 questions for Mark? Well, thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I would like to open the floor now for
2 members in attendance to see if there are any
3 additional questions or comments that we can take away
4 from today's presentation. Jack.

5 MEMBER SIEBER: The only thing I can say
6 would be advice in getting ready for these meetings.
7 In order to be able to deal with all these you
8 actually have to read the topical reports. I would
9 advise folks to do that if they haven't already done
10 it. I presume since we've had that disk for a month
11 and a half or two months that everybody has done it.

12 MEMBER CORRADINI: Don't put out a test on
13 that.

14 MEMBER SIEBER: Well, I didn't do it until
15 last week and I finished the last one this morning.
16 I would just point out that is another step that has
17 to be done offline.

18 CHAIR ABDEL-KHALIK: Sam.

19 MEMBER ARMIJO: I thought it was a good
20 presentation. I'm glad the list of topicals is
21 relatively short. Some of them are very
22 straightforward. I think --

23 MEMBER SIEBER: Draining the pump is easy.

24 CHAIR ABDEL-KHALIK: Yeah, and the
25 recombiner things pretty straightforward. Based on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what I see it should go pretty smooth.

2 CHAIR ABDEL-KHALIK: Bill.

3 MEMBER SHACK: No particular comments.

4 CHAIR ABDEL-KHALIK: Mario.

5 MEMBER BONACA: Nothing, thanks.

6 MEMBER MAYNARD: I was in the same boat.

7 The fact was I just reviewed my topicalals and then I
8 looked at the agenda and found out we're not going
9 over those specific areas. I appreciate the
10 presentation. I got a lot out of this since I was not
11 part of the ACRS when we did the original design
12 certification and I thought it was a very good
13 overview of the design and very good information.

14 I think that we need to make sure we try
15 to do this as efficiently as we can without having to
16 review the same thing twice. Also from several of the
17 topicalals that I looked at I'm not sure that we need to
18 look at all of these and look at all of them in very
19 much detail. I think we need to be selective as to
20 what we think we need to look at.

21 MEMBER SIEBER: We need a process. I
22 agree with that. We need a process where we can
23 review in advance of establishing a review schedule to
24 decide whether we need to review it or not because
25 just to have a meeting just for the fun of it is not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 my cup of tea.

2 CHAIR ABDEL-KHALIK: Maitri and I are
3 working on that. We have the detailed schedule.

4 MEMBER SIEBER: My suggestion is that you
5 assign these topical to various members who have some
6 expertise.

7 MEMBER CORRADINI: We have assignment
8 sheets.

9 MEMBER MAYNARD: There is an assignment
10 sheet.

11 MEMBER CORRADINI: Yes, we do. I've
12 already gotten my assignments by the chair so that's
13 why I'm asking all these questions.

14 MEMBER SIEBER: I don't have any
15 assignments.

16 MEMBER SHACK: You would be amazed how
17 easy it is to review a nonproprietary version of the
18 vessel surveillance program.

19 MS. BANERJEE: That one I need to send
20 out. I think we received the proprietary version.

21 MEMBER SHACK: We did before and you told
22 me to destroy it.

23 MEMBER SIEBER: You are supposed to make
24 a copy before you destroy it.

25 MR. CLARKE: Thank you for inviting us.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR ABDEL-KHALIK: Mike.

2 MEMBER CORRADINI: I just want to thank
3 GEH. I think the presentation is very helpful even
4 for those that supposedly were supposed to remember
5 this from 15 years ago. It was very, very helpful.
6 I thank the staff also because now I think I
7 understand the process. I was a bit confused with the
8 process but I get it.

9 CHAIR ABDEL-KHALIK: I would like to add
10 my thanks to both GEH and the staff for this
11 presentation. It has been very informative and will
12 be very helpful as we proceed along this path. Thank
13 you very much.

14 (Whereupon, at 4:57 p.m. the meeting was
15 adjourned.)

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5