

Official Transcript of Proceedings  
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards  
Subcommittee on Plant License Renewal

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, January 18, 2007

Work Order No.: NRC-1398

Pages 1-371

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

SUBCOMMITTEE ON PLANT LICENSE RENEWAL

OYSTER CREEK GENERATING STATION

+ + + + +

THURSDAY,

JANUARY 18, 2007

+ + + + +

The meeting was convened in Room T-2B3 of Two White Flint North, 11545 Rockville Pike, Rockville, Maryland, at 8:30 a.m., DR. OTTO L. MAYNARD, Chairman, presiding.

MEMBERS PRESENT:

OTTO L. MAYNARD

, Chairman

GRAHAM B. WALLIS, Vice-Chairman

WILLIAM J. SHACK, ACRS Member

MARIO V. BONACA, ACRS Member

DANA A. POWERS, ACRS Member

JOHN D. SIEBER, ACRS Member

SAID ABDEL-KHALIK, ACRS Member

J. SAM ARMIJO, ACRS Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1        NRC STAFF PRESENT:

2                                LOUISE LUND

3                                DONNIE ASHLEY

4                                MICHAEL JUNGE

5                                BARRY GORDON

6                                RICH CONTE

7                                MICHAEL MODES

8                                JIM DAVIS

9                                NOEL DUDLEY

10                               P. T. KUO

11                               SUJIT SAMMADAR

12

13        ALSO PRESENT:

14                               MIKE GALLAGHER

15                               PETE TAMBURRO

16                               FRED POLASKI

17                               AHMED OUAOU

18                               HARDIYAL MEHTA

19                               HOWIE RAY

20                               TOM QUINTENZE

21                               JOHN O'ROURKE

22                               TIM O'HARA

23                               JON CAVALLO

24                               MARTY McALLISTER

25                               JASON PETTI

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

ALSO PRESENT (Continued):

MIKE HESSHEIMER

PAUL GUNTER

RICHARD WEBSTER

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## I-N-D-E-X

<u>AGENDA ITEM</u>	<u>PAGE</u>
Opening Remarks	6
O. Maynard, ACRS	
Staff Introduction	8
Louise Lund, NRR	
AmerGen - Oyster Creek Presentation	10
A. Drywell Shell Corrosion Overview	17
Fred Polaski	
B. Drywell Shell Thickness Analysis	53
Dr. Hardayal Mehta (GE),	
Ahmed Ouaou	
C. Drywell Sand Bed Region	120
John O'Rourke, Jon Cavallo,	
Pete Tamburro, Howie Ray	
D. Embedded Portions of the Drywell Shell	180
John O'Rourke, Barry Gordon,	
Howie Ray	
E. Upper Drywell Shell	235
John O'Rourke, Howie Ray	
NRC Staff Presentation	
A. Introduction/Overview	247
Donnie Ashley, NRR	

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1	I-N-D-E-X (Continued)	
2	<u>AGENDA ITEM</u> (Continued)	<u>PAGE</u>
3	NRC Staff Presentation (Continued)	
4	B. NRC inspection during 2006 outage	248
5	Richard Conte, Region I	
6	Tim O'Hara, Region I	
7	Michael Modes, Region I	
8	C. Status of Open Items/Licensee	260
9	Commitments	
10	Donnie Ashley, NRR	
11	Hans Ashar, NRR	
12	D. Confirmatory Analysis of Drywell -	266
13	Sandia Model	
14	Hans Ashar, NRR	
15	Jason Petti, SNL	
16	E. Socket Welds	305
17	Jim Davis, NRR	
18	Public Comment	308
19	Paul Gunter (NIRS)	
20	Richard Webster (RELC)	
21	Subcommittee Discussion	353
22	O. Maynard, ACRS	
23		
24		
25		

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(8:33 a.m.)

OPENING REMARKS

CHAIRMAN MAYNARD: This meeting will now come to order. This is a meeting of the Plant License Renewal Subcommittee. I am Otto Maynard, Chairman of the Plant License Renewal Subcommittee for the Oyster Creek license renewal application.

ACRS members in attendance are Jack Sieber, Said Abdel-Khalik, Sam Armijo, Dana Powers, Graham Wallis, Bill Shack, and Mario Bonaca. Michael Junge of the ACRS staff is the designated federal official for this meeting. He is to my right.

The purpose of this meeting is to review the license renewal application for the Oyster Creek generating station, the draft safety evaluation report and associated documents with focus on questions that were raised during the October 3rd, 2006 License Renewal Subcommittee meeting.

We will hear presentations from representatives of the Office of Nuclear Reactor Regulation, Region I office, and AmerGen Energy Company. The subcommittee will gather information, analyze relevant issues and facts, and formulate proposed positions and actions as appropriate for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 deliberation by the full Committee.

2 The rules for participation in today's  
3 meeting were announced as part of the notice for this  
4 meeting previously published in the Federal Register  
5 on January 25th, 2006. That's 71 FR 4177.

6 We have received requests for time to make  
7 oral statements from Paul Gunter of Nuclear  
8 Information Resource Service and from Richard Webster  
9 of the Rutgers Environmental Law Clinic. These  
10 statements will be considered as part of the  
11 Committee's information-gathering process. We have  
12 provided time on today's agenda for these oral  
13 statements.

14 Comments should be limited to the issues  
15 associated with the Oyster Creek generating station  
16 license renewal application or draft safety evaluation  
17 report with focus on questions that were raised during  
18 the October 3rd, 2006 License Renewal Subcommittee  
19 meeting.

20 We have received no written comments from  
21 members of the public regarding today's meeting. I  
22 will say that we did receive information from Mr.  
23 Webster in response to some questions that were at the  
24 last meeting and also copies of some of their proposed  
25 presentation material.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           A transcript of the meeting is being kept  
2 and will be made available as stated in the Federal  
3 Register notice. Therefore, we request that  
4 participants in this meeting use the microphones  
5 located throughout the meeting room when addressing  
6 the Subcommittee. Participants should first identify  
7 themselves and speak with sufficient clarity and  
8 volume so that they can be readily heard.

9           It's going to be important to follow the  
10 agenda today. I am sure we will deviate some, but we  
11 do have important presentations from the license, from  
12 the NRC staff, and from members of the public. So I  
13 will be watching the time. And we all need to be  
14 paying attention to that, make sure we do focus on the  
15 right areas to get the right issues addressed in  
16 today's meeting.

17           I will now proceed with the meeting. And  
18 I call on Ms. Louise Lund of the Office of Nuclear  
19 Reactor Regulation to begin.

20           MS. LUND: Well, thank you.

21                           STAFF INTRODUCTION

22           MS. LUND: And good morning. My name is  
23 Louise Lund. I am the Branch Chief of License Renewal  
24 Branch A in the Division of License Renewal. Beside  
25 me is Dr. P. T. Kuo, our Acting Director for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Division of License Renewal.

2 The staff has continued their review of  
3 the Oyster Creek generating station license renewal  
4 application, which was submitted in July of 2005. Mr.  
5 Donnie Ashley, here to my right, is the project  
6 manager for this review. He will lead the staff's  
7 presentation in the afternoon.

8 In addition, we have several NRC members  
9 from Region I to discuss inspections that were held  
10 last October at Oyster Creek. We also have several  
11 members of the NRC technical staff in the audience to  
12 provide additional information and answer your  
13 questions.

14 As Dr. Maynard said at the last meeting in  
15 October last year, the ACRS Subcommittee had a number  
16 of questions. As a result of the meeting, the  
17 Committee requested additional information,  
18 specifically about the drywell shell, from the  
19 applicant, which they provided and included historical  
20 information and data as well as the results of the  
21 inspections that were held in October of 2006.

22 AmerGen has put together a comprehensive  
23 presentation to address the questions put forward by  
24 the Committee. In addition, the NRC staff provided a  
25 draft and final report of the analysis of a drywell

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 shell performed at Sandia to support the staff's  
2 review. We have representatives of Sandia here to  
3 answer any questions you may about their work.

4 Using insights from this work, the staff  
5 issued an update to the safety evaluation in December,  
6 which we provided to the Committee. You will be  
7 hearing about this information in more detail during  
8 the meeting today. In addition, you will be hearing  
9 from the regional inspectors that were present during  
10 the inspections in October 2006 and their observations  
11 of AmerGen's inspections.

12 With that, I would like to turn this  
13 presentation over to Mike Gallagher, who is the Vice  
14 President of Exelon's license renewal group, to begin  
15 the applicant's presentation.

16 AMERGEN - OYSTER CREEK PRESENTATION

17 MR. GALLAGHER: Good morning. My name is  
18 Mike Gallagher. And I'm Vice President of License  
19 Renewal Projects for AmerGen and Exelon. Also with me  
20 here from our management team is Tim Rausch -- he's  
21 our Site Vice President at Oyster Creek -- and Rich  
22 Lopriore. He's our Senior Vice President for  
23 Mid-Atlantic Operations.

24 On October 3rd, we last met and made a  
25 summary presentation on our license renewal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 application, including the drywell corrosion issue, at  
2 Oyster Creek.

3 The feedback that we received from you was  
4 that our presentation fell short of your expectations  
5 because it did not provide a sufficient level of  
6 detail on the drywell corrosion issue.

7 I acknowledge the shortcoming. And we  
8 have taken action to provide you the information  
9 necessary for your review. And in response to the  
10 questions from the last meeting, for instance, you  
11 told us you wanted to see more details about the  
12 drywell shell corrosion, including source documents  
13 and data that we previously shared with the NRC staff.  
14 You also told us that you would like to see pictures  
15 of the drywell shell in the sand bed region before and  
16 after the repair.

17 On December 8th, we provided you with a  
18 package of information in preparation for our meeting  
19 today and in response to your request. This  
20 information package contained several white papers on  
21 key areas of drywell corrosion issue as well as the  
22 key source and reference documents.

23 We were also able to include inspection  
24 information from our refueling outage, which was  
25 completed since we last met. This refueling outage

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 inspection information demonstrates that the drywell  
2 shell continues to meet code safety margins and is  
3 projected to do so through the period of extended  
4 operation.

5 In addition, we put together this  
6 presentation to ensure that we clearly communicate our  
7 conclusions and the detailed information upon which  
8 our conclusions are based.

9 There are two handouts for you today. The  
10 first is the presentation. That's the thicker  
11 handout. This is the presentation that we will be  
12 going over today. And the second is labeled  
13 "Reference Material." There are pictures. There are  
14 data graphs. And there is an integrated data sheet in  
15 there. And so we will be referring to some of that  
16 today.

17 CHAIRMAN MAYNARD: It will be important  
18 that we focus on the key areas. There's a lot of  
19 material, and that is very helpful. But we're not  
20 going to be able to spend a lot of time on every slide  
21 in here.

22 MR. GALLAGHER: That's correct, Dr.  
23 Maynard. That's why we broke it up into the reference  
24 material. If members have questions on some specific  
25 things, we can go into that. We only have some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 examples in the presentation. Okay?

2 Okay. We also included pictures of the  
3 drywell shell in the sand bed region before and after  
4 the repair. And we have also included the key data we  
5 will be discussing throughout the presentation today.  
6 We have experts here with us today to assist in our  
7 presentation and answer any questions you may have.

8 The purpose of this presentation is to  
9 communicate how we arrived at our overall conclusions,  
10 which are the corrective actions to mitigate drywell  
11 shell corrosion have been effective. Drywell shell  
12 corrosion has been arrested in the sand bed region and  
13 continues to be very low in the upper drywell  
14 elevations. Service life of the drywell shell extends  
15 beyond 2029 with margin. The corrosion on the  
16 embedded portion of the drywell shell is not  
17 significant due to environment of embedded steel and  
18 concrete. The drywell shell meets code safety  
19 margins. And we have an effective aging management  
20 program to ensure continued safe operation of Oyster  
21 Creek.

22 The way our presentation is organized  
23 today, we do have some up-front background information  
24 on the configuration and the cause and corrective  
25 actions. The first main section is the GE analysis,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 which we will be getting into. So if we could get  
2 through the background information, I would suggest we  
3 get through that quickly so we can get to the meat of  
4 the presentation, but we can get into any level of  
5 detail you want to get in.

6 CHAIRMAN MAYNARD: I understand the  
7 background. Basically we're going to focus on the  
8 water --

9 MR. GALLAGHER: The water leakage path.

10 CHAIRMAN MAYNARD: Yes.

11 MR. GALLAGHER: Yes. And so when we go  
12 through the configuration, we have a model here.  
13 We'll go through the water leakage path.

14 CHAIRMAN MAYNARD: Yes. So we don't need  
15 to go through the background of everything we have  
16 gone through before. But I do think it important to  
17 go over the water path.

18 MR. GALLAGHER: That's correct. So I'll  
19 turn it over now to Fred Polaski, who will lead us  
20 through that background information.

21 MR. POLASKI: Thank you, Mike.

22 As Mike said, I'm Fred Polaski. I'm  
23 Exelon's License Renewal Manager. I would like to  
24 introduce today's presenters. At the front table with  
25 me to my left is Mr. John O'Rourke. John is a member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 of the Oyster Creek license renewal team and formerly  
2 was the Assistant Engineering Director at Oyster  
3 Creek.

4 To my right is Mr. Ahmed Ouaou, who is a  
5 civil engineer on the Oyster Creek license renewal  
6 team.

7 To Ahmed's right is Howie Ray. He's a  
8 mechanical/structural design branch manager at Oyster  
9 Creek.

10 And to his right is Pete Tamburro, a  
11 member of the Oyster Creek Engineering Department, who  
12 has been involved with the drywell corrosion issue  
13 since 1988.

14 Other presenters today will be Dr.  
15 Hardiyal Mehta of General Electric; Mr. Barry Gordon,  
16 Structural Integrity Associates; Mr. Jon Cavallo of  
17 Corrosion Consultants and Laboratories.

18 Slide 3. This is our agenda for today.  
19 We're going to focus on the corrosion of the drywell  
20 shell at Oyster Creek. Mike said first we'll do a  
21 brief overview of the physical configuration and the  
22 leak path. And then we will discuss the drywell  
23 thickness analysis conditions in the sand bed region;  
24 embedded portions of the drywell shell; and, lastly,  
25 the upper shell.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           If we go on to slide 5, this is a  
2 cross-section of the reactor building at Oyster Creek.  
3 In the middle is the reactor vessel shown in green  
4 with the recirculation piping and pumps. Surrounding  
5 that, the red is the drywell shell. This is shown in  
6 the refueling condition.

7           So the reactor head and the drywell head  
8 are removed. The reactor cavity is depicted as being  
9 filled with water in the blue cross-hatch. And  
10 surrounding the drywell is concrete shielding as part  
11 of the reactor building.

12           VICE-CHAIRMAN WALLIS: In this  
13 configuration is the pressure of two psi around the  
14 drywell? Is that right?

15           MR. POLASKI: There is no --

16           VICE-CHAIRMAN WALLIS: Where's the two?  
17 Isn't the refueling where you have two psi around the  
18 drywell?

19           MR. POLASKI: In the analysis that was  
20 performed by General Electric, they assume two pounds  
21 on the outside of the drywell.

22           VICE-CHAIRMAN WALLIS: I wondered where  
23 that came from and how accurate it was.

24           MR. POLASKI: Well, we're going to --

25           VICE-CHAIRMAN WALLIS: Are you going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 get into that later on?

2 MR. POLASKI: We'll be getting into that  
3 in --

4 MR. GALLAGHER: Dr. Wallis, that's an  
5 input to the analysis. It's from the standard review  
6 plan.

7 VICE-CHAIRMAN WALLIS: How realistic is  
8 it?

9 MR. GALLAGHER: It's not because the --  
10 you know, the equipment hatches are open during an  
11 outage. So there is no --

12 VICE-CHAIRMAN WALLIS: Are you going to  
13 explain that later, are you?

14 MR. GALLAGHER: Yes. When we talk about  
15 the GE analysis, we'll have that.

16 VICE-CHAIRMAN WALLIS: All right.

17 A. DRYWELL SHELL CORROSION OVERVIEW

18 MR. POLASKI: So our next three slides are  
19 going to show details of the condition up here in the  
20 liner and reactor cavity, detail around a leakage  
21 path, around a bellows seal. And then we'll look at  
22 the sand bed.

23 Go to slide 6. All right. This is a  
24 detail of the reactor cavity liner. The cross-hatch  
25 link here is the one-eighth thick stainless steel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 liner for the reactor cavity that's constructed with  
2 eighth-inch thick stainless steel plates that are  
3 welded together in place during construction. And  
4 then there's concrete behind it. The plates are  
5 actually put in place first. And then the concrete is  
6 poured. And the plates are part of the form for  
7 pouring the concrete.

8 The blue depicts the leakage. The leakage  
9 occurs through numerous very small cracks in this  
10 liner in the weld.

11 VICE-CHAIRMAN WALLIS: It's detail B.

12 MR. POLASKI: Cause of the welds are the  
13 cracks, the stresses from welding, and fatigue on the  
14 plates. The water leaks through numerous very small  
15 cracks through the plate down between the plate and  
16 the concrete and then down into this bellows area.

17 Can we go to slide 7? This is the detail.  
18 Here is the refueling bellows seal. Concrete is out  
19 in this area. Below the seal is a concrete leakage  
20 collection trough, which is designed to collect any  
21 leakage from the bellows.

22 This is the drywell over here. And the  
23 gap between the concrete and the drywell, the red  
24 cross-hatch is a fire bar D. I will note this is not  
25 spelled correctly. It should be fire bar D and then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a one-inch gap.

2 The leakage comes up here at two, follows  
3 the blue path down outside the stainless steel liner.  
4 At three, it comes out from under the liner into the  
5 trough. And it should all go down through this one  
6 single drain line off of this trough. There's only  
7 one drain line. It's two inches in diameter.

8 What happened was there was damage to this  
9 lip on this drainage trough. And so the water that  
10 was coming down here, remember, this was coming around  
11 360 degrees around. We get into the trough and would  
12 overflow this lip into the gap down into the sand bed  
13 region.

14 This system, if the lip had not been  
15 damaged and the leakage was not too great would have  
16 been able to handle it. But because of the volume of  
17 the leakage in this damage, you would overflow the  
18 trough into that gap.

19 MEMBER SHACK: Now, did you say there's  
20 only one of those drains? So it has to flow all the  
21 way around to find the drain?

22 MR. POLASKI: Yes, yes. And here,  
23 remember, there's one for the trough. When we later  
24 talk about the sand bed region, there there are five.  
25 Okay? And this is one, and it's only two-inch.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           There were repairs made to this in 1988.  
2           And then at that point, though, this was before we  
3           applied strippable coating to the cavity liner. The  
4           amount of leakage was such that the trough wasn't able  
5           to handle it and the drain line would still continue  
6           to overflow.

7           Go to slide 8, please.

8           MEMBER SIEBER: Well, before you move on,  
9           is the reactor cavity stainless steel liner pinned in  
10          any way to the concrete --

11          MR. POLASKI: I am going to ask Mr. Ouaou  
12          to answer.

13          MEMBER SIEBER: -- or is it free-standing?

14          MR. POLASKI: Ahmed?

15          CHAIRMAN MAYNARD: You need to use the  
16          microphone.

17          MR. OUAOU: Ahmed Ouaou with AmerGen. The  
18          liner has no such studs that are attached to the  
19          concrete.

20          MEMBER SIEBER: Okay. I presume that each  
21          time the cavity is filled and drained, there is  
22          flexure, however, of the cavity wall. Is that where  
23          the fatigue cracks are coming from or is that one  
24          source?

25          MR. OUAOU: That's one source.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Okay. Thank you.

2 MR. POLASKI: Go on to the next slide.

3 All right. This is a detail of the sand bed region.  
4 And the dimensions are shown here. The leakage, you  
5 know, we'll pick it up here at five. It comes down on  
6 the outside of the drywell shell.

7 This green cross-hatch is the drywell vent  
8 lines. The extent of these is about six and a  
9 half-feet in diameter. So we either come in between  
10 them or around them into the sand bed region.

11 And this was originally full of sand. It  
12 was emptied in 1992. There are five drain lines out  
13 of this region. These drain lines were clogged, and  
14 the water would collect in this region.

15 Also depicted here, inside the drywell,  
16 the red cross-hatch is the concrete floor inside the  
17 drywell at an elevation of ten feet, three inches. It  
18 has a curb on the inside at two different elevations.  
19 Eleven foot is the lower part to the curb, and  
20 12-foot-3 is the upper part. And I will show that in  
21 our-three dimensional model.

22 So, with that, what I would like to do now  
23 is -- I'm going to pass this around after I talk about  
24 it. This is a three-dimensional model we have of the  
25 lower part of the drywell, 90 degrees.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The main part here, this is the concrete  
2 outside the drywell. The black here is the drywell  
3 shell. The green circles here on the inside coming  
4 out on the outside are the vent pipes that we showed  
5 you that were going to the torus.

6           This is the floor. Inside the drywell you  
7 will see a better one like this around. This is the  
8 curb on the inside. You can see it's lower underneath  
9 the vent headers and then higher in between.

10          This part of the structure here is the  
11 reactor pedestal. And inside this area is what we  
12 call the subflooring below the reactor and the control  
13 rod drives.

14          This small area here -- and it goes around  
15 from here and comes out on that side -- is the sand  
16 bed region. This is where it was filled with sand  
17 almost to the top. There was a small air gap. It's  
18 been removed.

19          This slide shows a cross-section of one of  
20 the drain lines that comes through the concrete. And  
21 the pipe just ends right here at the edge of the  
22 concrete. And I'll go into that in a little bit more  
23 detail.

24          On the back side here, you can see some of  
25 the other drain lines. And then these holes that are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 right here in between are the ten man-ways that were  
2 cut out through the concrete to gain access to the  
3 sand bed region for removal of the sand. And we use  
4 those for access to inspections during an outage.

5 Yes?

6 MEMBER SIEBER: The one purpose of the  
7 sand bed region was to provide a cushion support for  
8 the drywell base for seismic events. When you remove  
9 the sand bed, does that change the inspectoral  
10 response of the containment in the seismic event?

11 MR. POLASKI: The sand bed was there as a  
12 transition from a part of the drywell that's embedded  
13 in concrete to the free-standing pressure vessel.

14 MEMBER SIEBER: Right.

15 MR. POLASKI: And before it was removed,  
16 there was analysis done to determine that removing  
17 that sand would be acceptable and not having sand  
18 there was included in the analysis that General  
19 Electric did --

20 MEMBER SIEBER: Yes. I got the feeling  
21 from reading through that that the kinds of analysis  
22 that were done were ones that would say that when you  
23 refuel, there's downward pressure on the drywell and  
24 that it would withstand that, that it would withstand  
25 the hydrostatic pressure, but I don't recall seeing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 anything about seismic response.

2 MR. POLASKI: The analysis that was done  
3 for that condition for refueling included seismic.

4 MEMBER SIEBER: Okay.

5 MR. POLASKI: And we'll get through that  
6 in detail when Dr. Mehta gives that presentation.

7 VICE-CHAIRMAN WALLIS: Now, you had  
8 corrosion in the sand bed region. What did it look  
9 like? Where did this half-inch of rust go in the  
10 worst places? Was it still attached as a layer of  
11 rust or was it diffused throughout the sand bed region  
12 in some way? Was it washed away in some way or where  
13 did the steel go if it disappeared?

14 MR. GALLAGHER: Well, I think, Dr. Wallis,  
15 if you want to look at a picture pretty much right  
16 away --

17 VICE-CHAIRMAN WALLIS: Was it mostly rust  
18 in the form of attached rust or was it --

19 MR. GALLAGHER: Yes. We can show you a  
20 picture on page of the presentation if we can skip  
21 ahead to that --

22 VICE-CHAIRMAN WALLIS: It was attached  
23 rust.

24 MR. POLASKI: If you go to page 57 in the  
25 first --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. GALLAGHER: Yes, page 57 in your  
2 presentation. That's an as-found condition if we can  
3 go to 57.

4 VICE-CHAIRMAN WALLIS: So there was not  
5 much material in the sand that's dissolved and went  
6 into the sand or anything that was --

7 MR. GALLAGHER: Well, this is with the  
8 sand removed. So --

9 VICE-CHAIRMAN WALLIS: Yes, I know. But  
10 when you took the sand out, was it for the rust or was  
11 it just --

12 MR. GALLAGHER: It was sand. And this is  
13 the --

14 VICE-CHAIRMAN WALLIS: Sand. It was sand.  
15 Okay.

16 MR. GALLAGHER: This is the loose --

17 VICE-CHAIRMAN WALLIS: It was attached?

18 MR. GALLAGHER: It was attached. And then  
19 it would be removed.

20 MR. POLASKI: You can actually see this  
21 better on your picture, but this is the drywell shell.  
22 This area to the left is the floor in the sand bed  
23 region.

24 And you can see in the pictures -- it  
25 actually shows up better in the pictures you have in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 here -- there are heavy layers of thick rust, if you  
2 will, that were still attached. And this upper area  
3 had already fallen off.

4 MR. GALLAGHER: Yes. And then, Dr.  
5 Wallis, if you go to page 60 --

6 VICE-CHAIRMAN WALLIS: It does look like  
7 a real layer of rust?

8 MR. GALLAGHER: Yes.

9 MR. POLASKI: It was a real layer of rust.

10 MR. GALLAGHER: And then if you go to page  
11 60, you see it after we cleaned it.

12 VICE-CHAIRMAN WALLIS: I saw some of these  
13 last night, too.

14 MR. GALLAGHER: Yes. Okay. So did that  
15 answer your question?

16 VICE-CHAIRMAN WALLIS: Yes, it did. Thank  
17 you.

18 MEMBER SHACK: Just to come back to your  
19 model there, those 19 grid locations that you make,  
20 those are basically measured in the notches there of  
21 the curb at the 11-3 level?

22 MR. POLASKI: Yes. The 19 are in this  
23 area here.

24 MEMBER SHACK: In those notches? Okay.

25 MR. POLASKI: Yes. And the reason they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 had to be taken here is the elevation of the sand was  
2 12-foot-3, which corresponds to this top of the upper  
3 curb. So that the only place that you could take the  
4 measurements was in here.

5 MR. GALLAGHER: And, Fred, maybe we can  
6 pass that around.

7 MR. POLASKI: Yes. I am going to. So now  
8 if we go back to slide -- let's go back to 9. This is  
9 a cross-section of the reactor building, the drywell  
10 up here in the upper left-hand corner and the floor in  
11 the sand bed, 20-inch man-ways that were bored in  
12 there. This is one of the five drain lines out of the  
13 sand bed region.

14 VICE-CHAIRMAN WALLIS: How many man-ways  
15 did you have to make?

16 MR. POLASKI: Ten, one into each of the  
17 ten bays. There are ten vent headers here. So you  
18 had to put one in between each because you can't get  
19 past the vent headers once you're in the sand bed.

20 What we have depicted here, this drain  
21 pipe comes just to the edge or extends a short  
22 distance beyond the concrete. We have installed at  
23 the plant flexible plastic catch funnels that are used  
24 underneath leaks in the plant to get a valve leaking  
25 or something to use there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We installed on each of these drain lines  
2 five-gallon tubing run down to one of five five-gallon  
3 poly bottles, which are in the porous room that we  
4 would use to collect any water if there was still  
5 water leaking that would get into the sand bed region  
6 here.

7           I just want to note that here it is shown  
8 as a -- looks like an open bucket. This is really  
9 about a five-gallon bottle with a closed neck.  
10 Five-gallon tubing is in to connect it to and vent it  
11 through a filter so it's not an open bottle. So these  
12 are where any water leakage would be collected.

13           During the recent outage, these were  
14 checked daily. And there was no water found in any of  
15 these poly bottles. And when we were in the bays --  
16 and we were in all ten this time -- no water was found  
17 in any of those at all during the outage.

18           Next slide. This is a picture of the  
19 drywell. The red at the bottom is the sand bed  
20 region. And the important thing to note here is it  
21 shows the construction of the drywell is made out of  
22 essentially square plates welded together, the lower  
23 elevation, the thickness of 1.154 inches.

24           As you see, as you go further up, it gets  
25 thinner in the spherical region. Then it gets very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thick in the transition between the spherical and the  
2 cylinder. We call this the knuckle region there.  
3 It's two and five-eighths inches thick and then 640  
4 mls in the cylindrical region.

5 Also shown here are the elevations where  
6 we take UT readings from the inside of the drywell in  
7 the upper part of the drywell. And we'll discuss  
8 those a lot more later.

9 MEMBER ARMIJO: How far does the fire bar  
10 D extend around that shell?

11 MR. POLASKI: Ahmed, can you help me with  
12 that?

13 CHAIRMAN MAYNARD: You need to talk into  
14 the microphone.

15 MR. OUAOU: Ahmed Ouaou with Exelon. Fire  
16 bar D starts at elevation where the personal air lock  
17 is, 23, and it goes all the way up.

18 MEMBER ARMIJO: Okay.

19 MR. POLASKI: Any other questions on that?

20 (No response.)

21 MR. POLASKI: Slide 11.

22 VICE-CHAIRMAN WALLIS: So when you took  
23 this rust off, your people went in there and chipped  
24 it away or something? How did you get it out?

25 MR. POLASKI: They went in and physically

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 removed it.

2 VICE-CHAIRMAN WALLIS: It looks pretty  
3 claustrophobic in there, very tight.

4 MR. POLASKI: It's very tight. It is only  
5 15 inches up 5 and a half feet.

6 VICE-CHAIRMAN WALLIS: Right.

7 MR. POLASKI: When we ran and graphed the  
8 work in there, there are size restrictions on people  
9 we can hire. So it's very close. They went in and  
10 cleaned it with hand tools, power-operated rotary  
11 brushes and needlepoint brushes, and removed all of  
12 the loose rust down to the only thing left there was  
13 any tightly adhered corrosion.

14 MEMBER ARMIJO: Did they sandblast or  
15 anything like that to get it off?

16 MR. POLASKI: Oh, no.

17 MEMBER ARMIJO: Just manual?

18 MR. POLASKI: Manual, yes.

19 VICE-CHAIRMAN WALLIS: Did you have any  
20 estimate of the amount of rust?

21 MR. GALLAGHER: The number of pounds of  
22 rust or something like that?

23 VICE-CHAIRMAN WALLIS: It was tons in my  
24 calculation. There was a lot of rust.

25 MR. GALLAGHER: Yes. I don't know. Pete,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 do you have anything on that?

2 MR. TAMBURRO: This is Pete Tamburro for  
3 AmerGen. When we did go in in '92, we did do some  
4 samples of the thickness and how much had built up.  
5 And we did a correlation of how much rust products we  
6 would have expected versus the amount of loss. And it  
7 pretty well matched up.

8 VICE-CHAIRMAN WALLIS: So you actually  
9 weighed how much you took away?

10 MR. TAMBURRO: We measured the volume of  
11 how much was at a certain area.

12 VICE-CHAIRMAN WALLIS: Do you have a clue  
13 as to how much that was, the total rust you took away?

14 MR. TAMBURRO: I don't recall offhand.

15 VICE-CHAIRMAN WALLIS: It's useful, sort  
16 of the idea of how much there was, you know.

17 MR. TAMBURRO: I could get you that  
18 information.

19 VICE-CHAIRMAN WALLIS: If you look at the  
20 thicknesses, which are assumed in some of these  
21 calculations, it's several tons of rust.

22 MR. TAMBURRO: I could get you that  
23 information.

24 VICE-CHAIRMAN WALLIS: Okay. That would  
25 be useful. Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. POLASKI: Going on to slide 11,  
2 because of the corrosion, it's very simple: water  
3 accumulation in the sand bed region, resulting in  
4 corrosion in the exterior surface of the drywell  
5 shell.

6 Corrective actions were completed in 1992.  
7 The first one was that actions were taken to prevent  
8 water intrusion into the sand bed region. The basic  
9 way of doing this was application of metallic tape on  
10 the larger cracks on the liner and then coating of the  
11 entire reactor cavity liner prior to a slow-up in the  
12 refueling outage with a strippable coating. And this  
13 has been effective in reducing the leakage.

14 This last outage it was measured at about  
15 a gallon a minute. And it was well within the  
16 capacity of the leakage trough collection system and  
17 prevent any water from getting onto the drywell shell.

18 A second corrective action was eliminating  
19 the corrosive environments by removing the sand. And,  
20 lastly, the drywell shell after it had been cleaned of  
21 the corrosion products was coated with an epoxy  
22 coating.

23 MEMBER ARMIJO: Before you go on, you  
24 assert that the sand bed region -- that the water  
25 accumulated there, stayed there for a long time?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. POLASKI: Yes.

2 MEMBER ARMIJO: In the rusting --

3 MR. POLASKI: Yes.

4 MEMBER ARMIJO: Now, in the upper regions,  
5 you conclude that this fire bar D insulation retained  
6 water so that the corrosion continued because  
7 otherwise the water should have just run down the  
8 sides and nothing should have happened? So it must be  
9 porous or something that retains the water there in  
10 contact with the steel.

11 MR. POLASKI: Well, in the upper portion,  
12 you've got that fire bar D on there.

13 MEMBER ARMIJO: Yes.

14 MR. POLASKI: There were seven or nine  
15 flow samples removed from the drywell to determine  
16 what the corrosion mechanism was. And when they did  
17 those, the fire bar D was still attached to the plugs.  
18 And we are continuing to monitor the thickness in  
19 those areas with UT readings.

20 We take them at the lead areas, the  
21 thinnest areas, every other refueling outage. And as  
22 we'll get into the details later, the corrosion in  
23 that area is essentially zero except one location. I  
24 think it was .66 mls per year.

25 MR. GALLAGHER: But I think, to answer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 your question, Dr. Armijo, the material is like an  
2 asbestos material. So it would retain water. The  
3 other thing is, you know, what you said is correct.

4 The other thing is that we did investigate  
5 early on whether the material within the fire bar D  
6 would have had some, say, corrosive effect. And it  
7 was concluded that it was not a contributor to the  
8 corrosion.

9 MEMBER ARMIJO: Other than water  
10 retention?

11 MR. GALLAGHER: Other than the water  
12 retention.

13 MEMBER ARMIJO: Okay.

14 VICE-CHAIRMAN WALLIS: I'm surprised there  
15 was enough oxygen. I mean, it's not water that  
16 corrodes. You need air. Don't you need oxygen there  
17 to make rust?

18 MR. GALLAGHER: There is an air gap.

19 VICE-CHAIRMAN WALLIS: Yes, but you could  
20 have the air moving to put the oxygen in there. And  
21 it's a pretty stagnant area. It's also surprising  
22 there was enough oxygen to make all that rust.

23 MR. GALLAGHER: Do you mean in the sand  
24 bed region?

25 VICE-CHAIRMAN WALLIS: Yes. And the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 oxygen, you need a lot of air to make that oxygen,  
2 make tons of oxygen.

3 MR. POLASKI: Well, the water that would  
4 get in there during a refueling outage was oxygenated.

5 VICE-CHAIRMAN WALLIS: Yes, but you need  
6 a huge amount of oxygen to make the volume.

7 MR. POLASKI: This went on for a number of  
8 years, though.

9 MEMBER ARMIJO: This had gone on for a  
10 number of years before it was discovered.

11 VICE-CHAIRMAN WALLIS: That's still an  
12 awful lot of oxygen.

13 CHAIRMAN MAYNARD: Could we move on?

14 MR. POLASKI: Going to slide 12, we just  
15 want to get through some information on what we are  
16 doing to monitor the positions and verify that the  
17 corrective actions have been effective. During our  
18 refueling outage in October 2006, as I said before,  
19 the linkage from the reactor cavity liner is collected  
20 in a trough and out the trough drain line. It was all  
21 captured there. It was estimated about a gallon a  
22 minute. And it was captured through that drainage  
23 system and routed throughout the rad waste system and  
24 kept away from the drywell shell.

25 We took UT thickness measurements of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 drywell at the 19 monitoring locations at elevation  
2 11.3. This are the ones from inside the drywell down  
3 between the upper and lower curve break load event  
4 headers. And they showed no change in thickness from  
5 previous readings.

6 We were in all ten of the bays and did 100  
7 percent visual inspection of the epoxy coating in each  
8 of the bays. And that was found to be in good  
9 condition. And there was no water in the sand bed  
10 region throughout the outage.

11 Slide 13. Outside, on the outside of the  
12 drywell surface, in the sand bed region, there were  
13 106 UT measurements taken. These were in locations  
14 that had been last measured in 1992. Now, 1992 was  
15 when the sand was removed and the rust and corrosion  
16 was cleaned off.

17 At that time before they applied the epoxy  
18 coating, they determined those locations that were the  
19 thinnest regions and thinnest areas from looking at it  
20 through micrometer readings to determine the locally  
21 thinned areas. And then UT measurements were taken at  
22 those locations after having prepared the surface.

23 As you will see in some of the pictures,  
24 it's a very rough surface. You have to physically  
25 grind off that roughness to make it smooth enough for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the UT.

2 VICE-CHAIRMAN WALLIS: These were taken  
3 from inside?

4 MR. POLASKI: No. These are taken from  
5 outside in the sand bed region.

6 VICE-CHAIRMAN WALLIS: And how did the  
7 person decide where to put the measuring device when  
8 --

9 MR. POLASKI: Okay. In 1992, there was a  
10 team of NDE technicians and engineers went in there  
11 and did it, physically an examination of the surface.  
12 They used gauges and determined the areas that had the  
13 most corrosion on them, did UT measurements. They  
14 prepped those areas. And we'll show you in some  
15 pictures that it's very obvious where those are.

16 And so they took the measurements. And  
17 they had dimensions of where those UT measurement  
18 locations were. So when the technicians went in this  
19 time, they were able to --

20 VICE-CHAIRMAN WALLIS: When the  
21 technicians made the first measurements, someone  
22 decided where to measure.

23 MR. POLASKI: Yes. And that was done in  
24 1992.

25 VICE-CHAIRMAN WALLIS: And if you left it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the hands of the technician, then he can choose to  
2 measure thin bits or fat bits or what depending on  
3 where he puts or she puts the device.

4 MR. GALLAGHER: Now, what was happening,  
5 Dr. Wallis, is the purpose of that particular  
6 inspection was to find to thinned locations.

7 VICE-CHAIRMAN WALLIS: Did the person  
8 deliberately --

9 MR. GALLAGHER: Yes.

10 VICE-CHAIRMAN WALLIS: -- put the device  
11 on the thinner parts or --

12 MR. GALLAGHER: So what was done was it  
13 was -- let me just show you an example.

14 VICE-CHAIRMAN WALLIS: Instructions were  
15 to put the device on the thinner parts --

16 MR. GALLAGHER: Yes. The instructions --

17 VICE-CHAIRMAN WALLIS: -- or did someone  
18 devise the grid ahead of time?

19 MR. GALLAGHER: Instructions were a  
20 complete visual inspection of that surface before we  
21 coated it. And the instructions were to identify  
22 locations that were thinned. And this is relative to  
23 --

24 VICE-CHAIRMAN WALLIS: This is why the  
25 measurements are in such strange places?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. GALLAGHER: That's correct. And, just  
2 to pop you to a picture, Dr. Wallis, on page 91, if we  
3 could put that up, page 91 shows an example of that.  
4 That area that's circled. It looks like a divot.  
5 That is one of the actual locations that are measured.  
6 So that divot was intentionally put in place. So, in  
7 other words, it was prepped so that you could have a  
8 --

9 VICE-CHAIRMAN WALLIS: Thinking you made  
10 it thinner?

11 MR. GALLAGHER: In that particular case,  
12 yes, you know, to get --

13 VICE-CHAIRMAN WALLIS: Because they were  
14 so rough that you wanted it to be smooth?

15 MR. GALLAGHER: Right.

16 CHAIRMAN MAYNARD: You wanted to get it  
17 smooth enough for the UT.

18 MR. GALLAGHER: For the UT. Now, because  
19 you remember on the inside of the drywell, when we  
20 take the measurements there for the 19 grids, it's  
21 smooth.

22 VICE-CHAIRMAN WALLIS: And you don't know  
23 how thick it is. So there's no selectivity in where  
24 you put the --

25 MR. GALLAGHER: So you don't have to worry

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about where you put the probe. Here we were  
2 identifying the thinnest locations. We identify them  
3 and then we prep them. And then that would --

4 VICE-CHAIRMAN WALLIS: Make them thinner?

5 MR. GALLAGHER: In that particular case.  
6 And in 1992 we took the measurements. We took them  
7 again in 2006. And we go into that, the sand bed  
8 presentation. We have all that data in details.

9 VICE-CHAIRMAN WALLIS: Okay. So all of  
10 these ringed places I see, those are places where you  
11 measured, right?

12 MR. GALLAGHER: That's correct.

13 VICE-CHAIRMAN WALLIS: All right.

14 CHAIRMAN MAYNARD: Now, where that  
15 transition is, is that where the sand had stopped? It  
16 looks like it's pretty dramatic there.

17 MR. GALLAGHER: That's correct.

18 MR. POLASKI: On this picture, this area  
19 down here is where the sand was and where it badly  
20 pitted, corroded, and very rust surface.

21 Up here, this is the thicker part of the  
22 drywell shell around the van header. So I guess one  
23 thing you can say, this line that comes down here,  
24 this is a device that they use, the NDE techs, for  
25 locating where they are taking their measurements. So

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this is vertical. You are looking at an angle here.  
2 So this sort of shows that at this elevation is where  
3 the top of the sand was, heavy corrosion below it, no  
4 corrosion above it.

5 MEMBER ARMIJO: It makes the point that if  
6 water hadn't been retained, it would have just run off  
7 and there would have been no problem.

8 MR. GALLAGHER: That's correct.

9 MEMBER ARMIJO: I take it --

10 MEMBER SIEBER: You mentioned that in  
11 order for a technician to find from the outside the  
12 lowest or the deepest pit, they're going to use a  
13 depth gauge of some sort?

14 MR. POLASKI: We did. We used  
15 micrometers.

16 MEMBER SIEBER: And that means that it's  
17 relative to the surrounding material. So there is a  
18 chance that you didn't get to the thinnest part  
19 because it's a relative measurement.

20 MR. POLASKI: Well, I think what we can  
21 say on that is because they did -- in fact, inspection  
22 was done over 100 percent of it. I mean, we're  
23 looking for relative areas. Any of the thinned areas  
24 that they found relative to the surrounding areas were  
25 identified.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And when you look at the thickness of  
2 these UT readings that were taken, they range from  
3 some of the most corroded areas to some areas that are  
4 relatively thick and not much thinner than nominal.

5           MR. GALLAGHER: Yes. But you are right.  
6 They are relative. And that's why in some of the  
7 bays, that there's very little corrosion. The  
8 thinnest points are pretty thick. You know, they are  
9 nominal one inch. And then, you know, in the other  
10 bays, where there was corrosion, they are thinner, but  
11 they're the thinnest points.

12           MEMBER SIEBER: Well, when you think about  
13 the technique, there probably isn't -- given this  
14 geometry, there isn't any other way to do it. On the  
15 other hand, there is a chance that there is a thin  
16 point that you didn't get. That chance is probably  
17 small.

18           MR. GALLAGHER: That's correct.

19           MEMBER SIEBER: But it is still there.

20           MEMBER ARMIJO: These readings in '92 were  
21 taken before the epoxy paint was put on?

22           MR. POLASKI: That's correct.

23           MEMBER ARMIJO: So you prepped it either  
24 grinding or water brushing or something to get down to  
25 metal?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. POLASKI: Yes.

2 MEMBER ARMIJO: And then what kind of  
3 contact? Did you use a grease or water contact for  
4 the UT probe or --

5 MR. POLASKI: The UT measurements are with  
6 a probe and uses a standard coupling that they use on  
7 any kind of UT ratings.

8 MEMBER ARMIJO: Okay. But in 2006, when  
9 you went back, it had been painted and --

10 MR. POLASKI: Yes.

11 MEMBER ARMIJO: You'll account for that in  
12 your measurement?

13 MR. POLASKI: Yes.

14 MEMBER SIEBER: You have to remove the  
15 paint to do the --

16 MR. POLASKI: No, you don't.

17 MEMBER SIEBER: -- grout right through the  
18 paint?

19 MR. POLASKI: The UT techniques that are  
20 available today could measure the thickness of the  
21 metal and subtract out the thickness of the coating.

22 MEMBER ARMIJO: Okay. We'll get to that.

23 MR. GALLAGHER: Yes. We have a slide on  
24 the --

25 MEMBER SIEBER: Yes. We'll get to that in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 detail later when we get to the curvature issue.

2 MR. POLASKI: Yes. We will get to that  
3 later.

4 MEMBER SIEBER: I've got a couple of  
5 questions there.

6 MR. POLASKI: Okay.

7 MR. GALLAGHER: Yes. We do in the  
8 presentation have a slide on that particular thing.

9 MEMBER SIEBER: All right.

10 MR. GALLAGHER: Okay.

11 MR. POLASKI: And the last point I would  
12 like to make is that UT measurements on the inside of  
13 the drywell in the upper elevations at the 13  
14 locations that we have been monitoring since the early  
15 1980s were performed, these we routinely do every  
16 other refueling outage and have been doing every other  
17 refueling outage. And all of these locations showed  
18 there was only one location with a very small amount  
19 of one showing corrosion.

20 Twelve of them showed no corrosion. And  
21 the one that did have corrosion was very low, .66 mls  
22 per year. And that location will meet its required  
23 thickness through 2029 with margin.

24 Slide 14 --

25 CHAIRMAN MAYNARD: Just a head's up here.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 We're going to be tieing into a phone bridge here.  
2 And there may be some noise or whatever. So just to  
3 give everybody a head's up.

4 MEMBER SHACK: Just to come back, I mean,  
5 those locations are not that thinnest. So if you have  
6 ongoing rate at that location, suppose you applied  
7 that rate to another location that's thinner. Would  
8 it make your --

9 MR. POLASKI: Well, in the upper drywell,  
10 those are the thinnest locations. There was extensive  
11 -- and we're going to get into this detail later --  
12 extensive investigation going on at over 1,000  
13 locations to find the thinnest areas.

14 MEMBER SHACK: But the grid locations  
15 weren't necessarily the thinnest.

16 CHAIRMAN MAYNARD: Are you talking higher  
17 or lower?

18 MR. GALLAGHER: Which bridge?

19 MEMBER SHACK: Upper and lower. I'm  
20 sorry.

21 MR. GALLAGHER: In the sand bed region?

22 MEMBER SHACK: Yes. Okay. Right.  
23 Different regions.

24 (Whereupon, the foregoing matter went off  
25 the record briefly.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN MAYNARD: Go ahead.

2 MEMBER ABDEL-KHALIK: The first line of  
3 this table presumably refers to the 87-foot, 5-inch  
4 elevation. Is that correct?

5 MR. POLASKI: The cylindrical region here,  
6 yes, that's in the upper part above the sphere. Yes.

7 MEMBER ABDEL-KHALIK: Do you have a  
8 similar entry for the 71-foot, 6-inch elevation?

9 MR. POLASKI: I'll look at my drawing to  
10 make sure I'm sure it's right.

11 MR. GALLAGHER: Are you talking about the  
12 knuckle?

13 MEMBER ABDEL-KHALIK: Right above the  
14 knuckle.

15 MR. GALLAGHER: Okay.

16 MEMBER ABDEL-KHALIK: Because on your  
17 report, you indicate there was a measurement that was  
18 done at the 71-foot, 6-inch elevation, where the  
19 minimum thickness was actually .449 inches. And that  
20 would tell me that the margin available at that  
21 location would be considerably less than the margin  
22 you indicate on this table for the cylindrical region  
23 at the 87-foot, 5-inch elevation.

24 MR. POLASKI: So we're clear, what report  
25 are you reading from so we can --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER ABDEL-KHALIK: Your report that was  
2 submitted on December 8th.

3 MR. OUAOU: Ahmed Ouaou with AmerGen. I  
4 believe you had referred to the transition between the  
5 knuckle plate to the cylindrical portion.

6 MEMBER ABDEL-KHALIK: Correct.

7 MR. OUAOU: Yes. That was a measurement  
8 that was taken for the first time in 2006. And the  
9 point that you referred to is single point on that  
10 area. In fact, that would be compared against local  
11 criteria, as opposed to general criteria.

12 MEMBER ABDEL-KHALIK: So why is that not  
13 included in any of your tables?

14 MR. GALLAGHER: If we could clarify that?  
15 So what these tables are talking about is the average  
16 thickness as measured in the grids? That individual  
17 point, what you would do is compare that.

18 If you go to page 44, page 44 -- and we'll  
19 get into this in detail when we get into analysis.  
20 But page 44 shows the thicknesses for each location  
21 based on membrane stresses. And so, as you can see in  
22 the cylinder area, as long as it's greater than 301,  
23 it's acceptable because that's a local thickness  
24 criteria.

25 A single point that the thickness criteria

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 -- we describe this to you later in the presentation.  
2 It's basically a two and a half-inch diameter area.  
3 The thickness could be as low as 301.

4 MEMBER ABDEL-KHALIK: Yes. But,  
5 nevertheless, if you look at that spot, the margin  
6 would be less than the margin that you indicate for  
7 the higher elevation point, the 87 --

8 MR. GALLAGHER: Yes, for that specific  
9 point.

10 MEMBER ABDEL-KHALIK: -- foot, 5-inch  
11 elevation.

12 MR. GALLAGHER: Right.

13 MR. POLASKI: I think the major point we  
14 need to make here is that on slide 14, we're looking  
15 at average thicknesses. When we take these thickness  
16 readings and keep them for -- and a later presentation  
17 is going to go into this in great depth. It's a  
18 6-by-6 grid, 49 individual readings that are taken.

19 Yes, Pete?

20 MR. TAMBURRO: Pete Tamburro. The  
21 inspections we did at that elevation were one  
22 6-by-6-inch area above the transition weld on the  
23 plate that is nominally .66 inches and that one  
24 6-by-6-inch area below the transition weld, which is  
25 a plate nominally 2 and five-eighths inch, I think.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The number that you are citing is for a  
2 plate above the transition weld.

3           MEMBER ABDEL-KHALIK: Correct.

4           MR. TAMBURRO: And that local value would  
5 be compared to the criteria for the thinner nominal  
6 plates.

7           VICE-CHAIRMAN WALLIS: Would you explain  
8 this difference between the required general thickness  
9 and the required local thickness? And the required  
10 local thickness would seem to depend on how big that  
11 local area is.

12          MR. TAMBURRO: Right.

13          VICE-CHAIRMAN WALLIS: Thank you.

14          MR. POLASKI: That's correct. And they're  
15 limited to a two-and-a-half-inch diameter area.

16          VICE-CHAIRMAN WALLIS: Very small area,  
17 yes.

18          MR. GALLAGHER: What we do -- and we'll  
19 get into this in the presentation -- is that for a  
20 grid, the average thickness is calculated. And then  
21 it's bounced off the criteria for this average  
22 thickness. Each individual point that's measured is  
23 also looked at compared to its local criteria. And  
24 all the points lead to local criteria.

25          VICE-CHAIRMAN WALLIS: Then you look in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 adjacent points and see how big that area could be?  
2 Is that what you do?

3 MR. GALLAGHER: If there are multiple ones  
4 close by, that's looked at also.

5 VICE-CHAIRMAN WALLIS: If they're not, how  
6 big do you decide the local area is around the --

7 MR. GALLAGHER: The criteria for the local  
8 would be two-and-a-half-inch diameter.

9 VICE-CHAIRMAN WALLIS: How do you  
10 determine that two and a half is okay? Do you know  
11 that it's not bigger than that?

12 MR. GALLAGHER: Well, you know the grid  
13 size is a six by six.

14 VICE-CHAIRMAN WALLIS: If you have a fine  
15 enough grid, you can do that.

16 MR. GALLAGHER: -- how many points you --

17 VICE-CHAIRMAN WALLIS: If you don't have  
18 a fine enough grid, then you may have a difficulty.

19 MR. GALLAGHER: Then you would have to  
20 interrogate.

21 VICE-CHAIRMAN WALLIS: Yes.

22 MEMBER SIEBER: So you are treating this  
23 as a memory?

24 MR. GALLAGHER: Yes. In the upper  
25 drywell, we get into that. The upper drywell is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 controlled by membrane stresses. Buckling only  
2 controls in the sand bed.

3 MEMBER SIEBER: So that applies to  
4 hydrostatic forces.

5 PARTICIPANT: Pressure.

6 MR. GALLAGHER: The stresses, the membrane  
7 stresses.

8 MEMBER SIEBER: Right.

9 MEMBER ABDEL-KHALIK: So when that  
10 measurement at that location was made, it indicated a  
11 local fitting down to .449 inches at that location.  
12 It was decided not to enlarge the area of measurement.  
13 Why was that decision made?

14 MR. TAMBURRO: Again this is Pete  
15 Tamburro. We did review the data points around that.  
16 And that was a localized area. The other data points  
17 around it were thicker. We did investigate the data  
18 around that one individual point.

19 MEMBER ABDEL-KHALIK: Within the six-inch  
20 by six-inch area, but you didn't look at another  
21 six-inch by six-inch area in the immediate  
22 neighborhood?

23 MR. TAMBURRO: No.

24 MR. POLASKI: Any other questions?

25 (No response.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. POLASKI: Okay. That concludes my  
2 portion of the presentation on the overview and the  
3 physical condition of the plant. We're now going to  
4 go onto the section on the drywell shell thickness  
5 analysis. And I would like to introduce Dr. Hardayal  
6 Mehta of General Electric.

7 Dr. Mehta received his Ph.D. from the  
8 University of California at Berkeley. He's a  
9 registered professional engineer in the State of  
10 California and was elected an ASME fellow in 1999. He  
11 is the author or co-author of over 35 ASME papers.

12 Dr. Mehta has been with GE Nuclear  
13 Division since 1978 and currently holds the position  
14 of chief engineer, mechanics. He has over 30 years of  
15 experience in the areas of stress analysis,  
16 linear-elastic, and elastic plastic fracture  
17 mechanics, residual stress evaluation, and ASME  
18 code-related analyses for things with BWR components.

19 He has also participated as principal  
20 investigator or project manager for several BWR, VIP  
21 BWR owners' group, and EPRI-sponsored programs at  
22 General Electric.

23 Prior to joining General Electric, he was  
24 with Intel Corporation, where he directed various  
25 piping and structural analyses.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Dr. Mehta?

2 DR. MEHTA: Thank you, Fred.

3 B. DRYWELL SHELL THICKNESS ANALYSIS

4 DR. MEHTA: Good morning. I'm going to  
5 describe some of the structural analysis details of  
6 the drywell that we did contract. Going to slide 16,  
7 the analysis was completed in the early 1990s. And  
8 definitely this one, the analysis was without sand in  
9 the sand bed region.

10 I am going to provide some details on the  
11 modeling of the drywell, which was finite element  
12 model details; and the loads, load combinations that  
13 we used; and followed by the buckling analysis  
14 details, in which the sand bed region is controlled by  
15 the thickness. And the analysis that we did, buckling  
16 analysis, the sand bed thickness was assumed as  
17 uniform value of 736 mls. You recall the original  
18 thickness was 1.154 inches.

19 Again, in the ASME code analysis, which is  
20 the section 8 analysis, we used 62 psi as the peak  
21 pressure. And later on in the presentation, Mr. Ahmed  
22 Ouaou will be presenting results where the 62 psi peak  
23 pressure was reduced to 44 psi based on the peak  
24 pressure calculations that were done separately.

25 Go on to the next slide. This now is the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 modelling of the drywell in detail, slide 18. This,  
2 the first bullet provides some of the details of the  
3 general bulk of details in terms of height, diameter,  
4 and so on.

5 At the bottom of this slide, I have the  
6 material. The material that was ordered for the  
7 drywell, which is the material for the sphere,  
8 slender, dome, and transitions was SA-212, grade B  
9 material, which was over to S-8 standard  
10 specification.

11 Currently that material would be equal  
12 into SA-516, grade 70, which has 38 ksi yield and 70  
13 ksi ultimate stress, essentially equal into what we  
14 will order the material today.

15 MEMBER ARMIJO: Were those properties,  
16 mechanical properties, verified by independent testing  
17 or was that just as specified?

18 DR. MEHTA: As the ASME 8 to the  
19 quadrants, which are essentially equal into section 3  
20 and also the environments, which were also verified.

21 We go on to slide 19, finite element  
22 involving details. We used clean models,  
23 axisymmetric, B model, and the pie slice model. The  
24 axisymmetric model we'll use for the unflooded and  
25 flooded seismic inertial loading and also for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 thermal loading during the postulated accident  
2 condition.

3 The B model we used to come up with the  
4 initial spectrum analysis and to also check the John  
5 Blum original analysis. So that was used. And also  
6 we developed the displacement for the displacement or  
7 anchor displacement model.

8 The pie slice model was used for the  
9 section 8 analysis and buckling analysis that had all  
10 of the details essentially, like, for example, vent  
11 lines, which in axisymmetric model is not possible to  
12 present.

13 And, again, to emphasize, there was no  
14 sand thickness used in the studies, essentially  
15 assuming the sand had been taken out.

16 MEMBER SIEBER: So from the bottom of the  
17 sand bed on up, it's all free-standing?

18 DR. MEHTA: Yes.

19 MEMBER SIEBER: Okay. Thank you.

20 DR. MEHTA: Next slide. In the pie slice  
21 model, which is essentially where we transferred the  
22 load from the axisymmetric model, like seismic inertia  
23 and displacement were applied to the pie slice model.

24 In this case, given that there are ten  
25 vent lines, we used one-tenth, which is one-tenth of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 360-degree would be 36-degree pie slice. And  
2 essentially at that time the capabilities, comparable  
3 capabilities, that we're developing, that was  
4 consistent with that.

5 And the ANSIS model included from the  
6 drywell shell from the base of the sand bed all the  
7 way up to the top. And also the drywell thickness  
8 that was used was assumed in this analysis at 736 mls  
9 uniform throughout the sand bed region.

10 The next slide shows a picture of this.  
11 And what you will see, different colors here are  
12 essentially the thickness differences. That is, each  
13 color represents a particular thickness. And the sand  
14 bed region, which is at the bottom, has 736 loads  
15 thickness.

16 Move on to the next slide. In terms of  
17 the applied loads that we considered in the analysis,  
18 the gravity loads consisted of deadweight loads,  
19 penetration loads, live loads, and also during the  
20 refueling condition, the water load that is applied.

21 MEMBER ARMIJO: Does that include all the  
22 water that's inside the torus hanging off the vents?

23 DR. MEHTA: I believe that is the water  
24 that backs through the drywell dock head. And that --

25 MR. POLASKI: No.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: No.

2 MR. POLASKI: I think that Dr. Armijo's  
3 question was, does this analysis include the weight of  
4 the water down in the torus at the end of the vent  
5 line?

6 MEMBER SIEBER: The torus is reported  
7 separately from the drywell.

8 MEMBER ARMIJO: It is reported separately.  
9 So it's not transferring weight.

10 MEMBER SIEBER: There is some flexure in  
11 this.

12 VICE-CHAIRMAN WALLIS: There is some sort,  
13 yes. There is some sort of a bellows or something.

14 DR. MEHTA: That is how essentially we  
15 only -- the torus is actually isolated.

16 MEMBER SIEBER: It's independent.

17 DR. MEHTA: And the only modeling in terms  
18 of this thing we had was the vent line and then the  
19 vent header to which it connects. So that's where we  
20 have to --

21 MEMBER ABDEL-KHALIK: So there is no load  
22 transmission along the vent lines?

23 MEMBER SIEBER: Well, it's pressurable.

24 DR. MEHTA: It's only from just the edge,  
25 whatever passes through the vent header and so on,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 just connection, being connection. But basically that  
2 didn't affect much of the analysis.

3 MEMBER ARMIJO: Okay.

4 DR. MEHTA: The accident pressure at that  
5 time was 62 psi peak pressure. That was used in the  
6 analysis. And you will also see later on that through  
7 tech spec amendment, there was change of the peak  
8 pressure to 44 psi.

9 And the test results are in the data  
10 slides. At the end of this presentation, Mr. Ahmed  
11 Ouaou will be presenting the results corresponding to  
12 what we forecast.

13 There were accident condition temperature  
14 stresses, which are thermal gradient stresses are  
15 there. Those would be included as a part of the  
16 accident condition analysis.

17 MEMBER ABDEL-KHALIK: Now, the mechanical  
18 properties that you quoted earlier, the 38 ksi yield  
19 stress and the 70 ksi ultimate strength, are those at  
20 175 degrees F.?

21 DR. MEHTA: Those are up to about, I  
22 believe, 200 degrees Fahrenheit. So that's  
23 essentially consistent with the temperature with the  
24 stress of the next model.

25 And it's the same way in the case where

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the maximum stress is primary. Plus, secondary  
2 stresses that we see are actually during the  
3 post-accident condition. But the accident condition  
4 where the primary stress is maximized, the temperature  
5 is within the range of those properties.

6 The seismic loading we considered was  
7 inertial loading, which is due to the spectrum  
8 loading, and also the relative anchor displacement.  
9 Essentially in this case the drywell is connected to  
10 star truss. And that provides a later restraint. And  
11 that was used in the analysis.

12 And also during seismic shaking, there  
13 will be something that the reactor building will take  
14 the drywell for a ride, certain displacement that  
15 occurs. And that's 58 mls.

16 And that also produces seismic stresses in  
17 the drywell, which was considered in this analysis.  
18 In fact, that was about two-thirds of the --

19 VICE-CHAIRMAN WALLIS: Now, in a seismic  
20 event, does water slosh around inside this?

21 MEMBER SIEBER: Torus.

22 VICE-CHAIRMAN WALLIS: Well, also isn't  
23 there water in the drywell, too, or there isn't a  
24 combination of accident and seismic? So --

25 MR. GALLAGHER: In the reactor cavity are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you talking about, Dr. Wallis?

2 VICE-CHAIRMAN WALLIS: Yes.

3 MR. GALLAGHER: For the refueling case,  
4 there would be water in the --

5 VICE-CHAIRMAN WALLIS: You don't have  
6 seismic and refueling at that same time. So you don't  
7 have water in there during the seismic event?

8 MR. GALLAGHER: Yes. The load combination  
9 is seismic event, refueling with the two pounds  
10 external.

11 VICE-CHAIRMAN WALLIS: So does the water  
12 slosh around up there and --

13 MR. GALLAGHER: I guess. I mean --

14 VICE-CHAIRMAN WALLIS: Does that get  
15 analyzed?

16 DR. MEHTA: It was indicated that the only  
17 effect would be the weight of the water, which would  
18 be, in fact, if you take into account the other  
19 structures about 80 percent would be effective. So if  
20 we took the 80 percent of the water during the --

21 VICE-CHAIRMAN WALLIS: But does it move  
22 around dynamically, this water in a seismic event?  
23 And do you get extra loads because the water is  
24 sloshing around?

25 DR. MEHTA: Based on our previous

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 experience, it was our engineering judgment that  
2 because on what we would see, the sloshing would be  
3 minimal and would not, in fact, be --

4 VICE-CHAIRMAN WALLIS: It's so small, yes,  
5 because --

6 CHAIRMAN MAYNARD: That area would be  
7 fairly full of water, correct? Any sloshing at all  
8 would be spilling over the side, rather than sloshing.

9 VICE-CHAIRMAN WALLIS: Yes. As long as  
10 it's full, as long as it's full, you might be okay.

11 MR. GALLAGHER: And the displacements, Dr.  
12 Mehta, what's the displacement we're talking about?

13 VICE-CHAIRMAN WALLIS: It's very small.

14 DR. MEHTA: For example, anchor  
15 displacement was 0.058 inch. So we are looking at a  
16 very small displacement. And so it was our judgment  
17 that the sloshing wouldn't be significant.

18 Going to the next slide.

19 VICE-CHAIRMAN WALLIS: Are you going to  
20 explain to me now where the two psi comes from?  
21 Sorry.

22 MEMBER SIEBER: Let me just ask a quick  
23 question that will clarify something for me. On slide  
24 23, you talk about the upper constraint. And if you  
25 go back to slide 5, which is the drawing, could you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 show me where the upper constraint is? Detail B. Is  
2 that it?

3 PARTICIPANT: You'll need to talk into the  
4 microphone.

5 CHAIRMAN MAYNARD: Yes. You'll need to  
6 talk into the microphone.

7 MR. POLASKI: Again, you have to talk into  
8 the microphone.

9 (Laughter.)

10 PARTICIPANT: It's a test.

11 MR. GALLAGHER: Ahmed, why don't you point  
12 to it? And, Dr. Mehta, you can --

13 CHAIRMAN MAYNARD: Microphone. You need  
14 to be talking into the microphone, please.

15 VICE-CHAIRMAN WALLIS: They're consulting.

16 DR. MEHTA: I believe it is at 74 feet,  
17 3-inch or something.

18 CHAIRMAN MAYNARD: Again, microphone.  
19 Somebody needs to be talking into the microphone while  
20 somebody else is pointing.

21 MEMBER SIEBER: That's elevation 82 where  
22 you're pointing.

23 MR. OUAOU: The elevation, as indicated on  
24 the slide, is at 82, Dr. Mehta.

25 MEMBER SIEBER: Yes. Now, what does that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 consist of? Right now it looks like there's no  
2 contact. So why is that an upper constraint?

3 MR. OUAOU: What it is -- Ahmed Ouaou with  
4 AmerGen. What it is is a lug welded to the back of  
5 the shell with an insert in the concrete.

6 MEMBER SIEBER: Okay.

7 MR. OUAOU: And that is a gap, a fairly  
8 small gap, to allow for some movement, yet not  
9 restrained in the containment.

10 MEMBER SIEBER: And then surrounding that  
11 during construction was this insulating material?

12 MR. OUAOU: That's correct.

13 MEMBER SIEBER: Okay. Thank you.  
14 Appreciate it.

15 CHAIRMAN MAYNARD: I believe Dr. Wallis  
16 had a --

17 VICE-CHAIRMAN WALLIS: While we're on the  
18 -- he's going to get to the next slide.

19 MR. GALLAGHER: Yes, slide 24.

20 VICE-CHAIRMAN WALLIS: So when he puts up  
21 24, we'll ask him that one.

22 DR. MEHTA: Slide 23. In the seismic load  
23 definition, we use axisymmetric model. And, as the  
24 earlier discussion indicated, we considered the  
25 restraint at the star truss, which is 82 feet, 6

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 inches.

2 And we had two spectra, one at the  
3 foundation and the other one at the upper constraint.  
4 We used the envelope of the two spectra to input into  
5 the analysis, which was the axisymmetric model. From  
6 that, we look at the expiration profile, which was  
7 then put into the pie slice model.

8 The next slide shows the load combinations  
9 and the constituent loads.

10 VICE-CHAIRMAN WALLIS: Where did this two  
11 psi come from? Where did this two psi come from, this  
12 two psi external? Is that a realistic number or is  
13 that just some sort of conservative assumption or what  
14 is it? Where did this two psi come from? And is it  
15 realistic?

16 DR. MEHTA: This was in the specification.

17 VICE-CHAIRMAN WALLIS: Is it realistic?  
18 Does it happen? I mean --

19 MR. GALLAGHER: No, it does not.

20 VICE-CHAIRMAN WALLIS: Why do you put it  
21 in there?

22 MR. GALLAGHER: It's a conservatism. I  
23 think Dr. Mehta explained why that would be  
24 conservative.

25 MR. POLASKI: Ahmed, do you want to do it?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. OUAOU: Ahmed Ouaou with AmerGen.  
2 That two psi was part of the original design basis of  
3 the containment. It was in UFSAR. And it was felt  
4 that we should maintain the original load combinations  
5 that were in the UFSAR.

6 MR. POLASKI: This would imply that there  
7 is some cause for this pressure difference and that  
8 it's maintained in some way.

9 MR. OUAOU: Well, during normal operation  
10 of the plant, you would have that external pressure of  
11 two psi, but if --

12 VICE-CHAIRMAN WALLIS: Because there's a  
13 vacuum maintained inside?

14 MR. OUAOU: That's correct. But if the  
15 hatches are open and so on, you shouldn't really  
16 expect to see that, but for conservatism, to be  
17 consistent with the CLB of --

18 VICE-CHAIRMAN WALLIS: So you see the  
19 normal operation, but you wouldn't see it in  
20 refueling? Is that what it is?

21 MR. GALLAGHER: Dr. Wallis, just a  
22 clarification. For normal operation, I mean, normally  
23 you maintain the containments slightly pressurized.

24 VICE-CHAIRMAN WALLIS: You have two psi,  
25 then?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. GALLAGHER: No. Slightly pressurized,  
2 one pound. So you would have one pound in containment  
3 normally. And this is a two-pound external.

4 VICE-CHAIRMAN WALLIS: It's being  
5 conservative.

6 MR. GALLAGHER: Right.

7 VICE-CHAIRMAN WALLIS: During refueling,  
8 do you have that same thing?

9 MR. GALLAGHER: No. The refueling hatches  
10 are open.

11 VICE-CHAIRMAN WALLIS: Right. And how  
12 much of a contribution is this two psi to the  
13 buckling? It is trying to collapse things, isn't it?

14 DR. MEHTA: Two psi produces about 600 or  
15 700 psi compressive pressure --

16 VICE-CHAIRMAN WALLIS: That's significant.

17 DR. MEHTA: -- stress in the sand bed  
18 region.

19 VICE-CHAIRMAN WALLIS: Right. So you're  
20 adding something which is not realistic?

21 DR. MEHTA: That is conservative.

22 VICE-CHAIRMAN WALLIS: And how much of a  
23 contribution is this to the proportion of the stress?  
24 It's a big contributor, isn't it?

25 MR. GALLAGHER: No.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE-CHAIRMAN WALLIS: You said 60,000 psi  
2 produces --

3 PARTICIPANT: Six hundred.

4 MR. GALLAGHER: Six hundred.

5 DR. MEHTA: Six hundred. Yes.

6 VICE-CHAIRMAN WALLIS: Oh, that's all?

7 MR. POLASKI: So I guess the question  
8 would be, do you know? Did you do any studies? If  
9 you did not include the two psi internal pressure, how  
10 much difference would that have made in the results?

11 DR. MEHTA: It would be the compressive  
12 loading, which produces buckling in the sand bed  
13 region, would be lower by 600 psi.

14 VICE-CHAIRMAN WALLIS: Only 600 psi.  
15 That's not a lot, no.

16 MEMBER SIEBER: That's not a lot.

17 VICE-CHAIRMAN WALLIS: Okay. Good.

18 DR. MEHTA: Overload, as I would explain  
19 in the buckling case, is about 7.5 psi compressive  
20 stress.

21 MEMBER ARMIJO: So you could look at that  
22 two psi as really margined in your analysis that you  
23 haven't taken credit for?

24 MR. POLASKI: Yes, you could.

25 MEMBER ARMIJO: I mean, it's small, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it's not working in the wrong direction?

2 MR. GALLAGHER: Right. That's correct.

3 DR. MEHTA: In the load combinations,  
4 again, the refueling condition was gravity loads;  
5 pressure; water load; and the seismic, which was  
6 actually two times the design basis earthquake, which  
7 is the SSE condition. In effect, that is also  
8 conservative in the sense that generally for refueling  
9 and accident condition, it's the OBE, or operating  
10 basis earthquake, is considered into the evaluation.

11 MEMBER ABDEL-KHALIK: So which mechanical  
12 properties did you use for the 281 degrees F.  
13 analysis?

14 DR. MEHTA: In that one, the temperature  
15 gradient stress corresponding to that would be for the  
16 SA-212, grade B we used corresponding to between 200  
17 and 300 Fahrenheit "properties." From that, we used  
18 the average value.

19 MEMBER ABDEL-KHALIK: And what were those  
20 values compared to the room temperature values that  
21 you quoted earlier?

22 DR. MEHTA: It's up to 200 I believe are  
23 the same, no change.

24 MEMBER ABDEL-KHALIK: Okay.

25 DR. MEHTA: There is a slight change from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 200 to 300 degrees Fahrenheit, but in this case, the  
2 200, 175 degrees essentially --

3 MEMBER ABDEL-KHALIK: I'm asking about the  
4 281 degrees F. analysis.

5 DR. MEHTA: Yes. In that one, at that  
6 point, we linearally interpolated the properties, like  
7 E and alpha.

8 MR. GALLAGHER: Right. Do you recall the  
9 number, Dr. Mehta? I think he's asking for a number.  
10 Do you recall the number or do we have to get back to  
11 him?

12 DR. MEHTA: Number? I'm sorry. I don't  
13 have it, but for cog and steel, E would be like about  
14 26 or 27  $10^6$  psi. And then the alpha would be about  
15 6. or 7.0 times  $10^{-6}$  inch per inch.

16 MR. GALLAGHER: Thank you.

17 CHAIRMAN MAYNARD: Said, is that something  
18 you would like for them to get back to you on or --

19 MEMBER ABDEL-KHALIK: I think it would be  
20 a good idea to know the properties that were used in  
21 these calculations just for the record.

22 MEMBER ARMIJO: But the point is you did  
23 take into account the different mechanical properties  
24 at the higher temperatures and you have that data  
25 available for us?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MEHTA: Yes.

2 MEMBER ARMIJO: Okay. Thank you.

3 VICE-CHAIRMAN WALLIS: Now, this 74-foot,  
4 6 inches, is this vessel always filled so much during  
5 a post-accident condition? This is almost filling the  
6 whole thing, isn't it? This is an extreme case of  
7 some sort or what you expect in a post-accident  
8 condition?

9 MR. GALLAGHER: Yes. I think this goes  
10 all the way up to the vent.

11 VICE-CHAIRMAN WALLIS: Yes. It goes all  
12 the way up to almost fill the whole thing.

13 MR. POLASKI: These are the load cases  
14 that we have to analyze.

15 VICE-CHAIRMAN WALLIS: This is some  
16 conservative extreme assumption, is it, or something?  
17 This is the most water you could possibly put in there  
18 before it comes out?

19 PARTICIPANT: That's correct.

20 MR. GALLAGHER: Yes, this is conservative.

21 VICE-CHAIRMAN WALLIS: It just seems  
22 unusual. Maybe I don't understand the post-accident  
23 scenario.

24 MR. GALLAGHER: I mean, these are the load  
25 combinations that we're required to analyze for.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. POLASKI: These are the load  
2 combinations. These are the ones that in the current  
3 licensing basis before this analysis --

4 VICE-CHAIRMAN WALLIS: This in the worst  
5 that could possibly happen that you fill the whole  
6 thing up to the vent.

7 MEMBER SIEBER: It's very conservative.

8 MR. GALLAGHER: And, Dr. Wallis, I mean,  
9 you're hitting on some good points because if you even  
10 think this whole refueling, the refueling is our  
11 limiting case here for buckling. And so you think  
12 about it.

13 What it is is during refueling, which only  
14 occurs about 20 days out of every 2 years, that we  
15 would have a seismic event twice the design basis and  
16 we have this external pressure on the containment.

17 So probablistically it's pretty small, but  
18 this is what we're required to analysis for.

19 CHAIRMAN MAYNARD: Yes. The requirements  
20 for these types of analysis do require that level of  
21 conservatism.

22 MR. GALLAGHER: That's correct. That's  
23 correct.

24 CHAIRMAN MAYNARD: Yes.

25 DR. MEHTA: And these were also provided

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the design specification, which was the basis for  
2 the analysis that --

3 MEMBER SIEBER: Right. Okay.

4 VICE-CHAIRMAN WALLIS: But if we're trying  
5 to look at what is the real risk of something, it is  
6 nice to know what is the reality as well as what is  
7 some design specification.

8 MR. GALLAGHER: Right. I understand.

9 VICE-CHAIRMAN WALLIS: Could someone  
10 explain to me maybe later on about when, in ever, you  
11 get this 74-foot, 6 inches occurring in reality?

12 MR. POLASKI: We probably don't have that  
13 --

14 MR. GALLAGHER: We will follow up. We can  
15 follow up in a brief because what you would be into is  
16 your trip, your emergency operating procedures.

17 VICE-CHAIRMAN WALLIS: Right.

18 MR. GALLAGHER: And so it would be way  
19 beyond anything normal.

20 VICE-CHAIRMAN WALLIS: Okay.

21 MR. GALLAGHER: Yes.

22 DR. MEHTA: These load combinations that  
23 were used, now moving on to buckling analysis, 26,  
24 what I have provided here is first the basic summary  
25 of the buckling analysis. This was conducted in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 uniform drywell shell thickness of some 36 mls in the  
2 sand bed region.

3 The stress limits and safety factors in  
4 accordance with the code requirements, the analysis  
5 showed that the code case and 284 requirements are met  
6 and considered the design basis load and load  
7 combinations which were consistent with that as a part  
8 of the sensitivity study, would that consider a local  
9 area which is beyond the 736 ml thickness with a local  
10 thickness reduction of 536 mls, which is when we found  
11 that there was a more significant impact on the  
12 buckling.

13 And the last one is, as you would see,  
14 some more details of how the 736 mls are being  
15 monitored against acceptance criteria, which --

16 VICE-CHAIRMAN WALLIS: All right. When  
17 you do the buckling analysis, do you actually model  
18 the instability and its growth? Do you actually let  
19 the thing proceed to buckle or is it some kind of  
20 empirical method? Do you actually let the thing  
21 crumple when you do your analysis? It begins to go  
22 unstable and then presumably you stop or do you use  
23 some ASME coefficients of some sort?

24 DR. MEHTA: We use first the ANSIS model,  
25 which gives us the theoretical buckling load. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 then we actually reduce that by the so-called capacity  
2 reduction --

3 VICE-CHAIRMAN WALLIS: But you have to  
4 assume some sort of Eigen function or something. You  
5 have to -- I'm trying to figure out how much of this  
6 -- does ASME build some conservativeness or do you  
7 actually analyze the thing to the point where it  
8 collapses?

9 DR. MEHTA: The collapsed load was  
10 calculated, but then we apply -- the code case in 284  
11 has reduction in the theoretical calculated buckling  
12 load corresponding to what the --

13 VICE-CHAIRMAN WALLIS: How do you  
14 calculate the buckling load, then?

15 MR. GALLAGHER: I think if I can just  
16 interject here because I think Dr. Wallis is after  
17 looking at what margins are available --

18 VICE-CHAIRMAN WALLIS: No. Actually, does  
19 it buckle?

20 MR. GALLAGHER: No.

21 VICE-CHAIRMAN WALLIS: Your analysis  
22 doesn't go to a large deflection.

23 MR. GALLAGHER: You go to a stress value,  
24 but there's a safety factor in there. And the safety  
25 factor is dependent on your load combination either 2

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or 1.67. And Dr. Mehta will go through that, but so  
2 you go to the stresses with safety factor.

3 VICE-CHAIRMAN WALLIS: The buckling  
4 criteria -- and there is some ASME mixture of factors,  
5 rather than actually calculating buckling happening.  
6 Is that right?

7 MR. GALLAGHER: Yes.

8 DR. MEHTA: You're looking at buckling  
9 load, which I think the next couple of slides  
10 illustrate the process that you follow.

11 MEMBER ARMIJO: Basically you only get to  
12 a stress level that's half of what's required to  
13 buckle. You don't actually --

14 MR. GALLAGHER: Right, because there's a  
15 safety factor, too.

16 MEMBER ARMIJO: Yes.

17 MR. GALLAGHER: So you would get down to  
18 there still should be --

19 VICE-CHAIRMAN WALLIS: But you still have  
20 these NIs and alpha I's and those things.

21 MR. GALLAGHER: Yes.

22 CHAIRMAN MAYNARD: I appreciate everyone's  
23 patience here. We do have a number of people  
24 listening on phone calls. And it's important that we  
25 speak into the microphone and speak with a loud voice

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 so that everybody can hear.

2 DR. MEHTA: In the next slide, I will have  
3 some of the details of the --

4 MEMBER ABDEL-KHALIK: Can we go back to  
5 slide number 26? The locally thinned area, the  
6 12-inch by 12-inch area, where was that located in the  
7 36-degree pie slice?

8 DR. MEHTA: That was in between the -- for  
9 the sand bed because we believe that's where we saw  
10 buckling mode shape --

11 MEMBER ABDEL-KHALIK: No. Azimuthally  
12 where is it located? Around the angle within the  
13 36-degree pie slice?

14 DR. MEHTA: The 36-degree --

15 MR. GALLAGHER: It would be at the two  
16 edges.

17 MEMBER ABDEL-KHALIK: At the two edges.  
18 So half of it is located on one edge, and the other  
19 half is located on the other edge of the --

20 PARTICIPANT: So when you put the slice  
21 together, it's a 12-by-12.

22 MEMBER ABDEL-KHALIK: In the middle,  
23 between the two vent --

24 PARTICIPANT: And that's where the most  
25 stresses are --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ABDEL-KHALIK: Thank you.

2 MEMBER ARMIJO: I have a question on that  
3 I meant to ask earlier. You say the 12-by-12-inch  
4 area, 536 would have no significant impact on  
5 buckling. For that same thinning, how big an area  
6 would have a significant effect?

7 In other words, if this were a 4-foot by  
8 4-foot area at 536, would that make a difference?  
9 Would it be -- you know, I would like to just know how  
10 conservative or non-conservative is it, this  
11 12-by-12-inch.

12 DR. MEHTA: In this 12-inch by 12-inch  
13 area, where we put that in the worst location, we  
14 found about approximately a 9 percent reduction in the  
15 buckling load, which is kind of like considered like  
16 plus/minus 10 percent in the ASME code in the --

17 MEMBER ARMIJO: If you have made that area  
18 twice as big, would it have been like an 18 percent  
19 reduction in the buckling load or is it linear? I'm  
20 just trying to get an idea of how much of a --

21 DR. MEHTA: We only went up to 12-inch by  
22 12-inch, but my guess is that there will be further  
23 reduction. If it were a much larger area, then there  
24 would be a somewhat larger reduction. But in this  
25 case, we only considered 536.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. POLASKI: So, Dr. Armijo, I think the  
2 answer to your question is that they only looked at a  
3 12-by-12. And, actually, that 12-by-12 then tapers  
4 from 536 to 736. We did not investigate if there were  
5 larger areas.

6 And I don't believe that there was a need  
7 to do that based on the information they had available  
8 at the time. And we confirmed that later with NT  
9 measurements if there's no areas that come even close  
10 to this 536 on one-foot-square area.

11 MEMBER ARMIJO: Right. Basically if you  
12 conclude that where you have data it represents a 12  
13 by 12-inch region and the worst, if you measure a thin  
14 area -- I guess I lost my train of thought. I'm just  
15 trying to find out what we have to worry about here  
16 and --

17 MR. POLASKI: Later in the presentation --  
18 I would like to hold it until we get to it -- we've  
19 got a diagram that shows all of the readings that were  
20 taken on the containment. I think that will give you  
21 a good picture to show you that no areas are anywhere  
22 close to 536 in this kind of --

23 MEMBER ARMIJO: Of that much area?

24 MR. POLASKI: Yes, that much area, nothing  
25 anywhere --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 VICE-CHAIRMAN WALLIS: I would like to ask  
2 that this -- this is a GE analysis. Sandia also did  
3 an analysis. Are we going to hear a presentation of  
4 the Sandia? We are? Okay. Thank you.

5 MS. LUND: Yes. That will be later on  
6 this afternoon.

7 VICE-CHAIRMAN WALLIS: Okay.

8 DR. MEHTA: In the next slide, this slide  
9 illustrates the equation that was used for the log or  
10 compressive stress or buckling stress. As you will  
11 see, the first one on the numerator of this equation,  
12 on the right-hand side is  $\sigma_{IE}$ .

13 That is the theoretical stress, which when  
14 we do the modeling and just let it run, it will give  
15 an item value which is how much is the -- what is the  
16 theoretical buckling load for perfect shell as it is  
17 modeled is the buckling load compared to the applied  
18 load. If the item value is six, that means the  
19 theoretical buckling load is six times the upper --

20 VICE-CHAIRMAN WALLIS: Buckling is a  
21 global phenomenon, isn't it? It's not a local  
22 phenomenon?

23 DR. MEHTA: Right.

24 VICE-CHAIRMAN WALLIS: So how can there be  
25 a stress?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MEHTA: In the ANSIS model, it starts  
2 off with whatever is the lowest particular -- wherever  
3 the buckling is happening first. And so we look for  
4 the lowest item value. And that is the lowest  
5 buckling load. And then there are higher item values,  
6 which will show that some other locations may be  
7 valued.

8 So in this case, we use the boundary  
9 conditions in this one, symmetric-symmetric and so on,  
10 just to make sure whichever gives us the lowest ideal  
11 value.

12 VICE-CHAIRMAN WALLIS: I understand that,  
13 but where is this stress? I mean, if you have a  
14 narrow region, the stress is bigger there. So  
15 presumably the thinner region, the stress is bigger.  
16 So where is this allowable compressive stress? Is it  
17 the maximum one somewhere?

18 MR. GALLAGHER: We have a couple of --

19 MR. POLASKI: We have some pictures that  
20 we will show you --

21 MR. GALLAGHER: Slide 31 and 32 I think  
22 will hit that point.

23 VICE-CHAIRMAN WALLIS: But if you have a  
24 stress distribution, buckling must be something to do  
25 with the entire distribution, not just the local

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 stress.

2 MR. GALLAGHER: Dr. Wallis, if we could go  
3 to slide 31?

4 VICE-CHAIRMAN WALLIS: Maybe it's too  
5 complicated to explain.

6 PARTICIPANT: No, it isn't.

7 MR. POLASKI: Let's let Hardiyal go  
8 through. And we'll get to that. I think we'll show  
9 you the answer in a couple of slides.

10 VICE-CHAIRMAN WALLIS: Maybe Dr. Shack  
11 understands it all and can explain it to me in the  
12 break.

13 DR. MEHTA: So the sigma IE in this  
14 equation is the theoretical buckling stress. And then  
15 on the left of that is alpha I, which is the reduction  
16 of the reduction --

17 VICE-CHAIRMAN WALLIS: Is this an average  
18 stress or something? Where do I get this sigma IE?

19 DR. MEHTA: It's the average in the sense  
20 that the average in a stress in the sand bed region.  
21 And if I use that as a number --

22 VICE-CHAIRMAN WALLIS: Average stress?

23 DR. MEHTA: For the purposes of  
24 multiplying to get a theoretical number. Otherwise  
25 the stress distribution, we realize that it varies

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 through the sand bed region. But in order to apply  
2 the item factor of like 6.141, whatever the stress is,  
3 whatever the stress in the sand bed region, it is  
4 6.141 times or the --

5 VICE-CHAIRMAN WALLIS: Average stress?  
6 Times the average stress?

7 DR. MEHTA: It is for the purposes, Dr.  
8 Wallis, if we have to use a number, we use the average  
9 stress, but that --

10 VICE-CHAIRMAN WALLIS: Sigma IE is an  
11 average stress?

12 DR. MEHTA: Average stress.

13 VICE-CHAIRMAN WALLIS: Thank you. That's  
14 what I was trying to figure out.

15 MR. POLASKI: Dr. Mehta, just to be clear,  
16 it's the average in that grid, right, because you're  
17 on a --

18 DR. MEHTA: Or it's to the section through  
19 the sand bed region.

20 VICE-CHAIRMAN WALLIS: It's the whole  
21 thing. Yes. That's what I'm trying to get. Okay.  
22 And so a slightly thinner, narrower region wouldn't  
23 affect that significantly, right?

24 DR. MEHTA: Right. We essentially --

25 VICE-CHAIRMAN WALLIS: All right. That's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what I'm trying to get at. Thank you.

2 DR. MEHTA: In the one key factor in the  
3 analysis --

4 VICE-CHAIRMAN WALLIS: I'm sorry. This  
5 compressive stress, does it matter which direction  
6 this stress is on? You have tangential, and you have  
7 whatever you call the other ones, longitudinal or  
8 something stresses. Which stress is it or is it some  
9 combination of these stresses?

10 MR. POLASKI: So the question is, what  
11 combination of stress --

12 VICE-CHAIRMAN WALLIS: Yes. Stress is a  
13 tensor, isn't it? Which stress are you looking at  
14 here?

15 DR. MEHTA: There were all the applied  
16 stresses to the model as they -- you know, like, for  
17 example, the seismic stresses in the --

18 VICE-CHAIRMAN WALLIS: Yes, but stress is  
19 a tensor. So which stress is this stress?

20 DR. MEHTA: They were compressive in the  
21 --

22 VICE-CHAIRMAN WALLIS: In which direction?  
23 In the longitudinal? In the vertical sort of  
24 direction or the tangential? Does it matter which  
25 one?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MEHTA: In the vertical direction,  
2 which is the meridional direction, they were  
3 compressive.

4 VICE-CHAIRMAN WALLIS: That's the one you  
5 look at, the meridional. So the tangential stress,  
6 which we get in another mode somewhere here, doesn't  
7 have any effect? The circumferential compression  
8 doesn't tend to buckle it, like squeezing it a beer  
9 can and buckling it? It doesn't --

10 DR. MEHTA: The geometry of this is such  
11 that that meridional with compressive stress along  
12 with this thing produces tensile or hoop stress, which  
13 is a circumferential direction, which it tends to  
14 straighten out any imperfections, which may contribute  
15 to buckling. So we did take that into account, effect  
16 in order to modify the capacity reduction factor.

17 MR. POLASKI: Dr. Wallis, I think the next  
18 couple of slides will show you diagrammatically that  
19 the different --

20 VICE-CHAIRMAN WALLIS: So this compressive  
21 stress that's here, the sigma IE, is the meridional  
22 stress? Yes, this one. It's this one. It's not the  
23 circumference.

24 MR. POLASKI: It's this one, yes.

25 VICE-CHAIRMAN WALLIS: And the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 circumferential one has no effect?

2 MEMBER ARMIJO: It looks like it must  
3 because that's --

4 VICE-CHAIRMAN WALLIS: Must.

5 CHAIRMAN MAYNARD: Why don't we move on to  
6 a couple of slides? And then if it's not clear after  
7 that --

8 VICE-CHAIRMAN WALLIS: Maybe it will never  
9 become clear.

10 MR. POLASKI: Let's go through the slides.

11 DR. MEHTA: The slides will show buckling  
12 shape and the --

13 VICE-CHAIRMAN WALLIS: That helps. That  
14 helps, yes. That helps.

15 DR. MEHTA: And the third factor will be  
16 the  $\eta$  I in this equation, which is the plasticity.  
17 If it turns out that the buckling, calculated  
18 theoretical buckling stress, is quite a bit higher  
19 than the proportional limit, then there will be some  
20 plasticity. And there should be --

21 VICE-CHAIRMAN WALLIS: Right.

22 DR. MEHTA: Correspondingly, the load  
23 should be reduced. So we use that also as the factor  
24  $\eta$  I. And so overall the allowable stress is  
25 calculated firstly but from the theoretical buckling

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 stress times the capacity reduction factor alpha I and  
2 then the eta I, which is the plasticity reduction  
3 factor, divided by safety factor.

4 And we use a safety factor of 2.0 for the  
5 refueling condition and 1.67 for the post-accident  
6 condition, which are consistent with the ASME code and  
7 the code case and 280 code.

8 The boundary conditions for buckling  
9 analysis for the pie slice model, essentially there  
10 were only core combinations. So we use  
11 symmetric-symmetric, asymmetric-symmetric. And I'm  
12 going to on the next slide show how the  
13 symmetric-symmetric boundary condition would be. What  
14 you would see on this slide is the nearby bay has the  
15 same symmetric displacement as the main bay.

16 VICE-CHAIRMAN WALLIS: I have a question  
17 about this, too. You have a pie shape. You have a  
18 pie shape. So it seems that your buckling shape of  
19 the wavelengths are determined by this 36-degree  
20 segment. It doesn't allow you to have one which is,  
21 say, half goes around, includes two segments in a  
22 wavelength, doesn't it?

23 The fact that you have a pie constrains  
24 the kind of item values that you can pick up, does it?  
25 You've got this boundary condition which is sort of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 restricting the modes, isn't it?

2           Maybe Sandia can explain this to me later  
3 on. The fact that you have a pie restricts the  
4 buckling modes, doesn't it?

5           DR. MEHTA: Given this 36-degree segment,  
6 we have geometry up to this. And we have taken the  
7 worst bay in the sense that the --

8           VICE-CHAIRMAN WALLIS: There is symmetry  
9 around this pie. So it doesn't allow you to have  
10 modes which would not have equal behavior on both  
11 sides of the pie, right?

12           DR. MEHTA: Yes. In this case, it's equal  
13 behavior, which is the symmetry boundary condition.  
14 And the next slide, 29, shows where this could be one  
15 direction here, the other direction there. And so  
16 that is the asymmetric mode.

17           And so we did consider it  
18 symmetric-symmetric, symmetric-asymmetric, and  
19 asymmetric-asymmetric. And so the symmetric-symmetric  
20 gives up the lowest item value. That is the lowest  
21 buckling load.

22           MEMBER ABDEL-KHALIK: Are there any  
23 buckling modes in which the span can be greater than  
24 36 degrees?

25           DR. MEHTA: At least the way this is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 modeled?

2 MEMBER ABDEL-KHALIK: No. I mean, look at  
3 the symmetric-symmetric, which gives you the largest  
4 span, previous --

5 DR. MEHTA: Previous slide?

6 MEMBER ABDEL-KHALIK: If you were to do a  
7 full 360 degrees, are there any buckling modes in  
8 which the span can be greater than one-tenth the  
9 entire 360-degree?

10 DR. MEHTA: I believe in that case, those  
11 kinds of modes, you would have a higher item value  
12 because in this case, given that we have the  
13 360-degree slice, the boundary conditions we could  
14 supply were this. So I believe we are somewhat  
15 conservative --

16 VICE-CHAIRMAN WALLIS: If I crumple a beer  
17 can, it doesn't crumple into 36-degree pies. It does  
18 something else, right? So you're sort of forcing this  
19 thing to crumple into 36-degree pieces symmetrically.

20 MEMBER SIEBER: Well, it's complicated  
21 somewhat by the tank --

22 CHAIRMAN MAYNARD: First of all, crumpled.  
23 We probably should use a crumpled soft drink can, as  
24 opposed to a crumpled -- but they don't have pipes  
25 running out of them.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: The connection to the --

2 MEMBER ARMIJO: The reason 36 degrees was  
3 chosen, could you just address --

4 DR. MEHTA: At that time this was done in  
5 the '89-'90 time frame. The competent capability we  
6 had was about two orders of magnitude smaller than  
7 what we put on the program at that time we had. So  
8 that's all we only --

9 VICE-CHAIRMAN WALLIS: We'll ask Sandia if  
10 they got 36-degree --

11 CHAIRMAN MAYNARD: I understand that it  
12 was your position or assumption or guess that larger  
13 pie pieces would actually end up with a higher item  
14 value, which would be less likely to buckle.

15 MEMBER SIEBER: I think this is a vertical  
16 view. There are ten vents, which means the vents are  
17 36 degrees apart. They represent constraints.

18 CHAIRMAN MAYNARD: Right.

19 MEMBER SIEBER: And so the buckling, the  
20 big knee of the buckling, is going to be between the  
21 vents.

22 VICE-CHAIRMAN WALLIS: Are they  
23 constraints, though? They can move around.

24 PARTICIPANT: Not much according to this.

25 MR. GALLAGHER: Dr. Wallis?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: They do move around. They  
2 are not solid, but they are there.

3 MR. GALLAGHER: Yes. Around the vents,  
4 they are stiffened. So that the metal is much thicker  
5 around the vents.

6 DR. MEHTA: And the next slide essentially  
7 is --

8 MEMBER ARMIJO: Dr. Mehta, before you  
9 leave those, I still don't understand this. I see  
10 like a big sphere, and you're squeezing down on it.  
11 And I don't understand. These pictures show us  
12 looking down from the top.

13 MEMBER SIEBER: Right.

14 MEMBER ARMIJO: If we look from the side,  
15 what would it look like? I kind of thought it would  
16 buckle in the vertical direction, not in the  
17 circumferential direction.

18 MEMBER SIEBER: I did, too, initially.

19 DR. MEHTA: I do have one of the buckling  
20 modes, which was the limiting one for the buckled  
21 shape.

22 MR. GALLAGHER: Let's show them, Dr.  
23 Mehta. Let's show them that. Go to slide 31.

24 DR. MEHTA: Thirty-one? Okay. This is  
25 the buckling analysis. One of the modes for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 refueling condition case. Up here the red area is  
2 actually moving radially outward. And the new area is  
3 moving inward.

4 VICE-CHAIRMAN WALLIS: So if you looked on  
5 the vertical slides, it's buckling in that plane as  
6 well?

7 DR. MEHTA: And also it's moving out here.  
8 So it's symmetric with respect to the nearby bay. And  
9 so this is what is the theoretical buckle shape, which  
10 gives the least buckling load, which is this factor  
11 called 6.141. What that says is whatever load we  
12 applied for the refueling condition, the theoretical  
13 buckling load for this mode is 6.141 times that value.

14 VICE-CHAIRMAN WALLIS: But the load again  
15 you're having a stress only in one direction or  
16 something. That's what puzzles me because there are  
17 stresses in both directions here, which must both  
18 influence the buckling surely.

19 DR. MEHTA: The model has all of the  
20 loading applied to the appropriate nodal loading, so  
21 on. So it has exactly --

22 VICE-CHAIRMAN WALLIS: All the resources  
23 are in there, including the tensile ones.

24 DR. MEHTA: And only for convenience of  
25 calculation, what we did was we just calculated a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 single value of the average stress here just to show  
2 that if you take that average stress, multiply by  
3 this, that will be the total theoretical buckling  
4 load. But we know that the stress here is distributed  
5 in a way that it values.

6 MEMBER ARMIJO: Okay. I understand now.

7 DR. MEHTA: The next slide shows the  
8 asymmetric buckling mode. And in that case, as you  
9 will see here, the factor is 6.231, which is higher  
10 than 6.14. So essentially that is saying the  
11 symmetric-symmetric load would be the least buckling  
12 load.

13 MEMBER ABDEL-KHALIK: So mode one is the  
14 limiting one, where you have symmetric-symmetric?  
15 Mode three is less high or restrictive?

16 DR. MEHTA: Right.

17 MEMBER ABDEL-KHALIK: So the question then  
18 is if the span is longer, if you were to take two  
19 36-degree pie shapes and apply a mode one analysis on  
20 them with symmetry on both ends of the 72-degree --

21 MEMBER SIEBER: Right.

22 MEMBER ABDEL-KHALIK: -- pie shape, would  
23 you get a lower load?

24 DR. MEHTA: I believe you will get a  
25 rather higher load than that because that again would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 capture if we include more of the material, then that  
2 would contribute to --

3 VICE-CHAIRMAN WALLIS: Now, the smaller  
4 wavelengths are more unstable? The smaller  
5 wavelengths are more unstable? So I could go to a  
6 tiny, tiny one? And it would be most unstable? It  
7 doesn't make sense somehow. I thought the biggest  
8 wavelengths were most unstable.

9 DR. MEHTA: For example, the 360-degree  
10 model would capture all of that. And there what I  
11 have seen --

12 VICE-CHAIRMAN WALLIS: We'll see that.

13 DR. MEHTA: And what I have seen, I  
14 believe, in Sandia would prove that the factors are  
15 higher than what we have here.

16 VICE-CHAIRMAN WALLIS: It would be  
17 interesting to see if they get the same kind of  
18 pattern that you get. Okay.

19 MR. OUAOU: Ahmed Ouaou. Dr. Mehta, would  
20 you get more information if you described the boundary  
21 condition you used for the models that could explain  
22 the question whether the mode is going to be lower or  
23 higher? The boundary condition you can save it for  
24 the pie slice to conclude that the model represents --

25 VICE-CHAIRMAN WALLIS: It's a symmetric

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 boundary condition. You're not allowing it to be a  
2 72-degree -- we'll move on. I'm sure it will become  
3 clear at the end of the day.

4 DR. MEHTA: It's my engineering judgment  
5 that I believe it would be higher.

6 Next slide. Here are the details of the  
7 summary of the buckling radiation for the refueling  
8 case. As you would see up here, the bottom is the  
9 7.59 psi, which is the average value that we calculate  
10 for the refueling condition when all the loads were  
11 applied.

12 As you would see in what we saw, the 6.141  
13 was the factor that we got. So if we multiply 7.59  
14 psi by 6.14, this is the theoretical buckling stress  
15 like we get. Again, it's a single number that we are  
16 looking at.

17 VICE-CHAIRMAN WALLIS: So the two psi is  
18 contributing, the .59 part of this? Yes. The bottom  
19 line there, 7.59, you said earlier that the 2 psi  
20 contributes about .6. So it's about ten percent of  
21 it. It's the two psi.

22 DR. MEHTA: That's correct.

23 VICE-CHAIRMAN WALLIS: Okay.

24 DR. MEHTA: When the capacity reduction  
25 factor is 0.207, that indicates that with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 reduction by a factor of five for the radius  
2 imperfections that could be there and the actual  
3 shells.

4 Now, then we looked at the fact that the  
5 geometry of the spherical shell in the sand bed region  
6 is such that we applied compressive stress produces  
7 hoop tension, which tends to actually straighten out  
8 some of the imperfections.

9 And for that, we went to Dr. Clarence  
10 Miller, who was the author of food case and 284. He  
11 also currently is the chief engineer at Chicago Bridge  
12 and Iron. And he concurred with this approach. He  
13 said this approach to take into account that the  
14 tensile circumferential stress would raise this factor  
15 from above.

16 And so we calculated this or this  
17 circumferential stress that was produced in the sand  
18 bed region for the applied building. But was it equal  
19 in pressure calculated as if what that tensile stress  
20 is in terms of equal in pressure.

21 VICE-CHAIRMAN WALLIS: Take that away.  
22 That's uniform.

23 DR. MEHTA: Uniform spherical.

24 VICE-CHAIRMAN WALLIS: You subtracted  
25 that? That was a later calculation? You subtracted

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the uniform stress?

2 DR. MEHTA: This one was just in terms of  
3 if I had a hoop stress --

4 VICE-CHAIRMAN WALLIS: Right, right.

5 DR. MEHTA: -- in a sphere, then what the  
6 value equal in pressure would be. And then there is  
7 a parameter which we go through. And all that  
8 indicates is essentially this, the modified capacity  
9 reduction factor, is 0.3 --

10 VICE-CHAIRMAN WALLIS: That's modified by  
11 the circumferential stress?

12 DR. MEHTA: Due to the circumferential.

13 VICE-CHAIRMAN WALLIS: Okay. Good. Thank  
14 you. That's --

15 DR. MEHTA: All that indicates is that due  
16 to the tensile stress in the sand bed region, the  
17 actual penalty factor, instead of .207, would be .326.  
18 So then if we multiply this number by this number, we  
19 get 15.18, I guess.

20 Since this stress is very small, it's way  
21 below the proportion limit. There was the elasticity  
22 reduction factor was essentially 1.0. So this when  
23 you multiplied by 1.0, we get the inelastic buckling  
24 stress, which is 15.18 psi.

25 And if you apply a factor of safety of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 two, then we get this number. It just turns out in  
2 this case this number would just about be the value  
3 that is required from what we calculated here.

4 Now, again, this is based on 736 mls of  
5 uniform thickness assumed throughout the sand bed  
6 region.

7 MEMBER ABDEL-KHALIK: So without taking  
8 credit for the circumferential stress, what would the  
9 code safety factor be?

10 DR. MEHTA: It would be considerably  
11 lower. For example, it would be in the ratio of .207  
12 divided by .326. So at least by about the value  
13 increased from .207 to .326, which was about 60  
14 percent increased.

15 And we had consulted Dr. Clarence Miller.  
16 He had also written a report. He agreed with this  
17 approach that we used. And also he had produced a  
18 Welding Research Council bulletin number 406, which  
19 came out in 1995, had the same formulas in there which  
20 were used in this approach.

21 VICE-CHAIRMAN WALLIS: I think that's why  
22 in the accident load case you're okay because there is  
23 a compressive stress in the accident load case, but  
24 there's also a significant tensile stress, which  
25 probably means it doesn't seem to be a buckling

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis for the accident load case, although there is  
2 a compressive stress.

3 PARTICIPANT: We presented the core  
4 accident.

5 MR. GALLAGHER: We presented the limiting  
6 case here, Dr. Wallis, which is --

7 VICE-CHAIRMAN WALLIS: You did do an  
8 accident load case? I don't think Sandia did. Maybe  
9 I'm --

10 MR. GALLAGHER: For the accident pressure  
11 load case, Har? Dr. Hardiyal Mehta?

12 DR. MEHTA: I'm sorry?

13 MR. POLASKI: The question is, as part of  
14 this analysis, did you do a buckling analysis for the  
15 other load conditions, for the accident condition?  
16 Did you do that analysis?

17 DR. MEHTA: Yes. We -- oh, for buckling?

18 MR. POLASKI: Yes, for buckling.

19 DR. MEHTA: For buckling, we realized that  
20 either the refueling or the post-accident condition is  
21 governing. We realized that with the large internal  
22 pressure, the buckling would not be an issue during  
23 the --

24 VICE-CHAIRMAN WALLIS: That's right. So  
25 it's the tensile stress that saves you in that case.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Thank you.

2 DR. MEHTA: Going to slide 34, as I  
3 mentioned earlier, a local area of 12-inch by 12-inch  
4 was considered in the modeling to do the sensitivity  
5 study. There we produce this 12-inch by 12-inch area  
6 to the end of the model to be where you saw the  
7 buckled shape, which would tend to produce the largest  
8 change in the item value.

9 And then that was used as a criterion for  
10 the locally reduced message, which may be measured  
11 during the UT inspection.

12 VICE-CHAIRMAN WALLIS: And you put it in  
13 the worst place, did you? You put it in the worst  
14 place as well as having --

15 DR. MEHTA: Exactly, from effect on the  
16 buckling load point of view.

17 MEMBER SIEBER: Are we to conclude from  
18 that that the min. wall thickness varies from point to  
19 point as far as the examinations that the licensee is  
20 to make and that you just aren't going to apply a  
21 constant min. wall for a given elevation in the  
22 vessel?

23 MR. POLASKI: The answer to that is the  
24 analysis, as we saw with the colored pictures where  
25 the coupling would occur --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes.

2 MR. POLASKI: -- those are the areas that  
3 were most susceptible to buckling. It was done at a  
4 736 ml uniform thickness. We applied a 736, as I  
5 remember --

6 MEMBER SIEBER: Everywhere?

7 MR. POLASKI: -- everywhere.

8 MEMBER SIEBER: Okay.

9 MR. POLASKI: So in areas other than the  
10 limiting buckling areas, we actually had more --

11 MEMBER SIEBER: You have more margin --

12 MR. POLASKI: More margin.

13 MEMBER SIEBER: -- as opposed to allowing  
14 a reduction in the required thickness?

15 MR. POLASKI: Yes.

16 MEMBER SIEBER: Thank you.

17 DR. MEHTA: Going on to the next slide,  
18 essentially concluding the buckling analysis,  
19 conclusions, which were essentially the same measure  
20 presented earlier, we used 736 mls uniform cell  
21 thickness.

22 CHAIRMAN MAYNARD: Again I would ask you  
23 to speak up a little bit because people on the phones  
24 are having a hard time hearing sometimes.

25 DR. MEHTA: Okay. Thanks.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE-CHAIRMAN WALLIS: Can you tell me who  
2 is on the phone, out of curiosity?

3 MR. JUNGE: The State of New Jersey. I  
4 think one of the congressmen is listening, Region I,  
5 and someone from Rutgers environmental law clinic.

6 VICE-CHAIRMAN WALLIS: Okay. Thank you.

7 DR. MEHTA: Essentially this slide  
8 summarizes what I had presented for the document  
9 evaluation. And next I will be moving on to the  
10 asymmetrical section 8 stress analysis.

11 MEMBER ABDEL-KHALIK: Excuse me. Before  
12 we move on, the fact that the locally thinned area --  
13 the placement of the locally thinned area along the  
14 symmetry lines for mode one makes that the worst  
15 condition. That is not necessarily the case for mode  
16 three, is it?

17 DR. MEHTA: After putting that locally  
18 thinned area, we again draw the analysis whatever the  
19 lowest mode was. It turned out to be also  
20 symmetric-symmetric. And so I'm assuming that there  
21 will be higher modes later on.

22 MEMBER ABDEL-KHALIK: No. I mean, if you  
23 were to do the analysis where the locally thinned area  
24 is in the middle of one of the peaks for mode three,  
25 would the minimum thickness be different than 536 mls?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MEHTA: Well, the same item factor,  
2 the minimum thickness, would be different and probably  
3 would be even lower because what we had considered was  
4 the worst location, the thickness we assumed was 536  
5 mls.

6 Now, if we consider an area where it is  
7 not associated from the worst type of mode shape  
8 location point of view, then naturally the area would  
9 be even thinner there. That's my --

10 MEMBER ABDEL-KHALIK: Okay. Thank you.

11 MEMBER ARMIJO: I think I finally figured  
12 out what I was trying to ask a while ago. For this  
13 12-inch by 12-inch area, how thin would the steel have  
14 to be in order to lose your factor to safety in this  
15 12-by-12-inch when you have a 12-by-12-inch thinned  
16 area?

17 You know, you say that it has no  
18 significant impact of 536. What thickness does it  
19 have a significant impact to the point where you would  
20 lose your safety factor?

21 Do you see what I am trying to say? You  
22 know, do you have more margin here or is this the very  
23 edge or what?

24 MR. POLASKI: Is there any analysis going  
25 to share that's thinner than 536? How thin do you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 have to go before buckling might actually occur?

2 MR. OUAOU: Ahmed Ouaou with AmerGen. We  
3 do not have any analysis other than the 536 in the  
4 12-by-12 area to demonstrate it.

5 MEMBER ARMIJO: A judgment question for  
6 Dr. Mehta. Do you think it would be -- are you right  
7 on the edge at 536 or 400 in a 400 mls 12-by-12-inch  
8 area, still have no significant impact or would you  
9 have crossed the line?

10 VICE-CHAIRMAN WALLIS: Of course, it's a  
11 hole.

12 MEMBER ARMIJO: Yes. Well, a hole, you  
13 know, for buckling, if it's just a small hole, it  
14 won't make any difference. So at some point, so this  
15 is an area thickness issue. And I'm just trying to  
16 find out how far as we in the locally thinned area --

17 VICE-CHAIRMAN WALLIS: Well, the vents  
18 have been --

19 MEMBER ARMIJO: But they are stiffened  
20 with these giant --

21 CHAIRMAN MAYNARD: Do you have that  
22 information or is that something we need to go back --

23 MR. GALLAGHER: We don't have a  
24 calculation that -- the only thing we can say, as Dr.  
25 Mehta mentioned earlier, is that this was about a 9

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 percent reduction, you know, going to 536. So to get  
2 to the safety factor, you have a 50 percent reduction.  
3 So you can go lower than 536. We just don't know how  
4 much more.

5 MEMBER ARMIJO: That's what I'm trying to  
6 get at. How far as we from --

7 MR. GALLAGHER: We don't have that  
8 analysis.

9 MEMBER ARMIJO: Okay.

10 DR. MEHTA: Going on to the ASME code  
11 section 8 stress analysis, slide 37. In this, the  
12 stress analysis that we conducted according to the  
13 ASME code guidelines, also we used one of the  
14 allowable stress limits from standard code section  
15 3.8.2 because the ASME code did not have guideline for  
16 the forced accident condition allowable stress limits.

17 The stress limits on safety factors were  
18 according to the ASME code. The analysis showed that  
19 the ASME code requirements were met. And also later  
20 on in this slide, you will see the calculation of the  
21 stresses based on the reduced pressure of 44 psi.

22 That reduction in pressure amounts to  
23 about a maximum of 5,200 psi. And the minimum  
24 required general and local drywell shell thicknesses,  
25 those results are also presented later in this slide.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And all of these are used for the acceptance criteria  
2 in the inspection results.

3 We're going to now the details of this,  
4 use the 1962 ASME code section 8 and also 3 code cases  
5 which supplemented the requirements in the '62 edition  
6 of the code.

7 The original code also didn't have certain  
8 guidance in two areas. One area was whether local  
9 areas increased membrane stress due to any thickness  
10 reduction as to how far they could be or how the  
11 extent of that area could be, which we have to use in  
12 the case of '62 psi peak pressure, which was not  
13 needed, actually, in the case of 44 psi peak pressure  
14 because the stresses come out to be lower. And for  
15 the, as I mentioned earlier, post-accident condition,  
16 we used the limit from standard plan section 3.8.2.

17 This slide summarizes the allowable  
18 stresses that we used in the code analysis. The three  
19 categories are general primary membrane stress,  
20 general primary membrane plus bending, and the primary  
21 plus secondary.

22 In the all conditions except the  
23 post-accident, the limits are again consistent with  
24 what's in the ASME code for level C condition, which  
25 is essentially for the accident condition.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And for the post-accident condition, these  
2 limits are corresponding to the 38,000 psi general  
3 primary membrane is the eave stress and 7,000 is for  
4 the primary plus secondary stress.

5           Going on to the next slide, this slide,  
6 the table summarizes the radius calculated stresses  
7 and the comparison with allowable values and the  
8 percentage margin.

9           As you will see, they appear. The first  
10 column has the thicknesses that were used in the  
11 analysis. These are uniform thicknesses in each of  
12 the region.

13           The stress category and then the  
14 calculated stress magnitudes are here. And these are  
15 the allowable stresses. In this case, instead of  
16 19,300 psi, we used to the extent that the ASME code  
17 permits, that the local membrane stress is what's  
18 above 110 percent of the general membrane stress  
19 limits.

20           The implication is if in an operating  
21 structure you could have to some extent regions in  
22 which the stresses between 100 and 110 percent of  
23 allowable. So that was used here, which is not  
24 necessarily in the case of 44 psi peak pressure, as  
25 will be shown later.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           This, the last column shows the margins  
2           that are with respect to the allowable stress. As you  
3           could see, each of these meets the criteria.

4           VICE-CHAIRMAN WALLIS: Do you have any  
5           comment on the size of the margin?

6           MR. POLASKI: We will address that in the  
7           next section on the presentation. It's going to  
8           discuss the change from 62 to 44 and how we gained  
9           margin in that area.

10          VICE-CHAIRMAN WALLIS: You will tell us  
11          why three percent was okay?

12          MR. POLASKI: Well, we're going to show  
13          you that it's actually a lot more than three percent.

14          CHAIRMAN MAYNARD: Yes. This is based on  
15          the 62 psi.

16          MR. POLASKI: This is 66.

17          CHAIRMAN MAYNARD: Okay. Okay. And that  
18          extra two psi --

19          MEMBER ARMIJO: And thank you.

20          VICE-CHAIRMAN WALLIS: Thank you, Dr.  
21          Mehta.

22          MR. POLASKI: I would now like to  
23          introduce Mr. Ahmed Ouaou. Mr. Ouaou was a member of  
24          the Oyster Creek license renewal team. He has worked  
25          on several license renewal projects, starting with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Peach Bottom license renewal project.

2 He holds a Bachelor's degree in civil  
3 engineering from the University of Nevada and is a  
4 registered professional engineer in California and  
5 Pennsylvania. He has over 30 years experience in the  
6 design and construction of nuclear power plants.

7 Mr. Ouaou will be presenting information  
8 on the change that was made to the internal design  
9 pressure of the drywell. The analysis that was  
10 performed by General Electric was at 62 psi internal  
11 pressure. And Mr. Ouaou will discuss the change to 44  
12 psi design pressure.

13 Ahmed?

14 MR. OUAOU: Thank you, Fred. Good  
15 morning.

16 CHAIRMAN MAYNARD: Good morning.

17 MR. OUAOU: The analysis that Dr. Mehta  
18 described, again, is based on the two psi. And, as  
19 Dr. Wallis pointed out, the margin is to be spread a  
20 little in certain areas. And to address that  
21 question, Oyster Creek investigated the potential of  
22 evaluating de-establishing an Oyster Creek-specific  
23 design pressure.

24 The 62 psi was based on generic tests at  
25 the day-to-day. And the containment design is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 somewhat different at Oyster Creek, particularly in  
2 the venting from the drywell to the pressure chamber  
3 or which decreases the pressure inside the drywell  
4 considerably.

5 Slide 41, please. This slide, again, it  
6 was recognized that the pressure is conservative and  
7 analysis was conducted in early '90s to establish  
8 unique design pressure. That analysis concluded that  
9 the peak accident pressure inside the drywell is 38.1  
10 psi. And it was increased by a 15 percent margin and,  
11 thus, to 44 psi.

12 VICE-CHAIRMAN WALLIS: Now, in 1966, there  
13 was an overload test of the drywell and vent system,  
14 71.3 psi? You actually tested. It says, "Pneumatic,"  
15 which seems to me strange. But, anyway, pneumatic  
16 test? The whole thing was blown up to see if it would  
17 pop. It's loaded inside with a pressure to see if it  
18 would -- and so there was a test, which showed that it  
19 was good for at least 71 psi.

20 Is there any kind of a test of this  
21 damaged drywell in terms of hydraulic or pneumatic  
22 testing?

23 MR. POLASKI: The only test that would  
24 have been done would be the integrated leak rate  
25 test. Howie, do you know when that was done last?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. RAY: That was done, I --

2 MR. POLASKI: Introduce yourself.

3 MR. RAY: Oh. Howie Ray, AmerGen. The  
4 next is coming up in 2008. The last one was 1990, I  
5 believe, or no.

6 MR. GALLAGHER: No. Two thousand. We did  
7 it in 2000.

8 MR. RAY: Two thousand, ten years, ten  
9 years from 2010.

10 VICE-CHAIRMAN WALLIS: So you do actually  
11 test the drywell under pressure?

12 MR. GALLAGHER: Right.

13 VICE-CHAIRMAN WALLIS: And what sort of  
14 pressure did you test it at in the 1990-something?

15 MR. GALLAGHER: It's down to the 44 --

16 VICE-CHAIRMAN WALLIS: Oh, you tested it  
17 at 44 or 44 is a design thing. You actually tested it  
18 at 44?

19 MR. GALLAGHER: Yes. This is the  
20 integrated leak break test that's done in accordance  
21 with --

22 VICE-CHAIRMAN WALLIS: Okay. So you did  
23 test it. And that test was at 44 psi?

24 MR. GALLAGHER: Yes, that's correct.

25 VICE-CHAIRMAN WALLIS: Okay. Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. QUINTENZE: My name is Tom Quintenze.  
2 I am the site lead for license renewal at Oyster  
3 Creek. We do our integrative leak rate test per our  
4 technical specifications. As indicated, it's done  
5 periodically. The test pressure that we put that  
6 under periodically is 35 pounds pressure. And that's  
7 per our technical specifications.

8 VICE-CHAIRMAN WALLIS: You don't go up to  
9 44, then?

10 MR. QUINTENZE: That is correct.

11 VICE-CHAIRMAN WALLIS: But in '66, you  
12 went up to 71. It's called an overload test. You  
13 don't do overload tests anymore.

14 MR. QUINTENZE: Okay. In 1966, when the  
15 vessel was constructed, there was a test that was done  
16 per the start-up testing requirements that were put  
17 upon the vendors. And at that point in time, the  
18 vessel would have put it into a test, which would have  
19 been approximately 1.1 times the design pressure.

20 CHAIRMAN MAYNARD: I believe that all the  
21 nuclear reactors initially built with containments,  
22 you do an initial structural integrity test. And the  
23 integrated leak rate test that we do every ten years  
24 or so is primarily to identify leakage or --

25 VICE-CHAIRMAN WALLIS: Right. It's a load

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pressure.

2 MR. POLASKI: Correct.

3 MR. GALLAGHER: Tom, thanks for clarifying  
4 these pressures. Thanks.

5 VICE-CHAIRMAN WALLIS: We don't have a  
6 test at 44 psi, then?

7 MR. GALLAGHER: Tech specs at 35.

8 MEMBER SHACK: If you don't expect failure  
9 at 44, there's no way to know what your margin is.

10 VICE-CHAIRMAN WALLIS: But if you had gone  
11 above 44 and not failed, you would know something.

12 MEMBER SHACK: You still don't know what  
13 your margin is.

14 VICE-CHAIRMAN WALLIS: No, no.

15 MEMBER SHACK: I mean, the whole question  
16 here is to identify margin.

17 VICE-CHAIRMAN WALLIS: Yes.

18 MEMBER SIEBER: You only get to do that  
19 once.

20 CHAIRMAN MAYNARD: Do you know, 44 psi, is  
21 that what your current safety accident analysis would  
22 show your peak pressure to be or is that just what you  
23 are now using as your containment design pressure?

24 MR. OUAOU: The containment design  
25 pressure is 38.1. The design pressure is 44. That's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in accordance with our current CLB and the approved --

2 VICE-CHAIRMAN WALLIS: And in an accident,  
3 you don't go above that, right, presumably?

4 MR. OUAOU: Accident, you should not go  
5 above 38.1.

6 MEMBER SIEBER: Thirty-eight, yes.

7 VICE-CHAIRMAN WALLIS: 38.1.

8 MR. OUAOU: Right.

9 VICE-CHAIRMAN WALLIS: Okay.

10 MEMBER ABDEL-KHALIK: Just for  
11 clarification, the integrated leak tests are done at  
12 35 psi A or psi G?

13 MR. POLASKI: We'll ask Tom to clarify.

14 PARTICIPANT: G I would hope.

15 MR. QUINTENZE: I am Tom Quintenze,  
16 AmerGen. That should be 35 psi G.

17 MEMBER ABDEL-KHALIK: Thank you.

18 MR. OUAOU: The reduction in pressure was  
19 approved in a technical specification in 1993. And  
20 the reduction resulted in approximately 200 psi and --

21 VICE-CHAIRMAN WALLIS: Excuse me. When  
22 you do these integrated leak tests, you don't put  
23 strain gauges on the drywell?

24 MR. POLASKI: No.

25 VICE-CHAIRMAN WALLIS: You have no idea

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what the stresses are that you generate from this? It  
2 would be sort of interesting.

3 MEMBER SIEBER: You are looking for leaks.

4 MR. POLASKI: It's a test to measure  
5 leakage.

6 VICE-CHAIRMAN WALLIS: Yes, I know.

7 MR. POLASKI: You pressurize over time and  
8 measure leakage.

9 MR. OUAOU: As a result of the reduction  
10 of pressure, we recalculated the required thicknesses,  
11 as I will show you, next slides.

12 MR. POLASKI: Slide 42, please.

13 MR. OUAOU: This slide was prepared, I  
14 guess anticipating Dr. Wallis' question on the  
15 margins, to compare the margin between the 62 psi and  
16 the 44 psi. As you can note, there is a lot of  
17 margin. The margin increase is significant.

18 And I would also like to note that the  
19 2006 analysis we did was based on minimum measured  
20 thicknesses and an average measure of thicknesses up  
21 to the October 2006 refueling outage.

22 And if you compare the two, there are some  
23 differences between what was used in the GE analysis  
24 versus what it recorded for 2006 for the cylinder.  
25 The original GE analysis, or 1993 analysis, used 619.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And what we used for 2006 is 604 mls thickness.

2 Next slide, please.

3 MEMBER SHACK: Just to clarify, so you  
4 take the minimum average thickness you measure over  
5 your six-by-six grids and you assume that is uniform  
6 over the whole shell --

7 MR. OUAOU: Exactly.

8 MEMBER SHACK: -- or that region of the  
9 shell?

10 MR. OUAOU: The region, right.

11 The next slide, we talked earlier about  
12 that summarizes the two required thicknesses: local  
13 thickness and the general thickness and how they are  
14 calculated.

15 The minimum required general thickness for  
16 44 psi was calculated based on the previous analysis  
17 that Dr. Mehta described adjusted for reduction in  
18 pressure, from 62 to 44.

19 Minimum required thickness is based on the  
20 ASME code provisions, which allow an increase of one  
21 and a half times the allowable stress for local  
22 membrane areas. And, as indicated in the bullet  
23 there, the area that the minimum local thickness is  
24 applied to is less than two-and-a-half-inch diameter.  
25 And it also has other provisions in the code that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 provide you additional guidance.

2 What happens if you have more than one in  
3 a particular area, two inches closer? And how do you  
4 get them forced and so on? And we do use those  
5 provisions to do the evaluation on a day-by-day basis.

6 Next slide, please. Forty-four. This  
7 slide summarizes the various thicknesses that you use  
8 as acceptance criteria. The first column, that's the  
9 original nominal design thickness, second column is  
10 the minimum measured general thickness 2000 through  
11 2006. The third column is the minimum required  
12 general thickness for the pressure for the membrane  
13 stresses 452.

14 I would like to point out that in the sand  
15 bed region, relatively required thickness is buckling.  
16 And that's 47.36 mls. On the 479 is required for  
17 pressure really does not enter into the picture  
18 because the pressure --

19 VICE-CHAIRMAN WALLIS: These figures are  
20 based on the ASME allowable loads. They're not based  
21 on a yield stress. So there's a big factor of safety  
22 in here presumably.

23 MR. OUAOU: There is a factor of safety,  
24 2 and 1.67 --

25 VICE-CHAIRMAN WALLIS: The actual

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thickness before anything yields is considerably less  
2 than we show here presumably.

3 MR. OUAOU: The last column is the minimum  
4 required thickness.

5 VICE-CHAIRMAN WALLIS: By ASME, right.

6 MR. OUAOU: By ASME. Slide 45, please.  
7 This slide summarizes the analysis that I just  
8 described to you. The drywell shell, thin drywell  
9 shell, was analyzed in accordance with ASME and the  
10 requirements.

11 The stress limits are in accordance with  
12 the code considering all load-to-load combinations.  
13 To begin the margin, what we pursued, the change in  
14 design basis was approved to reduce pressure from 44  
15 psi to 62 psi.

16 That resulted in considerable margin that  
17 I shared with you in the last slide. And those as a  
18 result of -- you know, following the approval of the  
19 reduction of pressure, we calculated the requirement  
20 of thicknesses which will be used to monitor against  
21 going forward.

22 MR. POLASKI: Thank you, Ahmed.

23 That completes our presentation on the  
24 thickness that was performed on the drywell shell  
25 thickness.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN MAYNARD: I think before we go to  
2 the next segment, we're at the point in the agenda for  
3 a break. So we'll take a 15-minute break here and  
4 then come back. We'll come back at five till.

5 (Whereupon, the foregoing matter went off  
6 the record at 10:39 a.m. and went back on  
7 the record at 10:57 a.m.)

8 CHAIRMAN MAYNARD: I would like to restart  
9 the meeting here. So we'll turn it back over to you  
10 for the next segment in the presentation.

11 MR. POLASKI: Thank you, Dr. Maynard.

12 The next part of our presentation, we've  
13 got corrosion in the sand bed region. As I discussed  
14 previously, the sand bed region is that part of the  
15 drywell where corrosion is reduced to shell thickness  
16 resulting in the smallest margin to the code-allowable  
17 thickness.

18 As you heard in Dr. Mehta's and Mr.  
19 Ouaou's presentation on the drywell thickness  
20 analysis, AmerGen has established the thickness needed  
21 for the drywell to meet the ASME code design thickness  
22 with the safety factors required by the code.

23 This section of the presentation will  
24 present information on the history of the corrosion  
25 with drywell shell in the sand bed region, including

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 corrective actions that have been taken in the current  
2 condition of the drywell shell in the sand bed region.

3 We will provide information on the coding  
4 that was applied to the exterior surface of the  
5 drywell shell in the sand bed region. We also provide  
6 information on the statistical analysis performed and  
7 the UT thickness measurements that are made to  
8 determine the thickness of the drywell shell.

9 Finally, we will provide the results of  
10 inspections performed during the recent refueling  
11 outage in October 2006. We believe that this  
12 information will support AmerGen's position that the  
13 Oyster Creek drywell shell meets its ASME code design  
14 thickness and that AmerGen has the aging management  
15 programs in place to ensure that the drywell shell  
16 will continue to meet its design requirements.

17 We would now like to introduce Mr. John  
18 O'Rourke, who will lead the presentation on the sand  
19 bed region. Mr. O'Rourke holds both Bachelor's and  
20 Master's degrees in mechanical engineering from Drexel  
21 University. He is a registered professional engineer.

22 Prior to joining the Oyster Creek license  
23 renewal project, Mr. O'Rourke was the Assistant  
24 Engineering Director at Oyster Creek. He previously  
25 held various engineering and management positions in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Exelon's Nuclear Engineering Department. And he has  
2 over 30 years' experience in nuclear power.

3 Mr. O'Rourke?

4 MR. O'ROURKE: Thanks, Fred.

5 C. DRYWELL SAND BED REGION

6 MR. O'ROURKE: This part of the  
7 presentation will discuss the sand bed region and will  
8 support the following conclusions. First, corrosion  
9 on the outside of the drywell shell in the sand bed  
10 region has been arrested.

11 Fred had previously discussed the cause of  
12 the corrosion and the corrective actions taken. And  
13 we will shortly show you the ultrasonic measurement  
14 data and the train graphs that support this  
15 conclusion.

16 Our second conclusion is that the coating  
17 shows no degradation. And we have shown you one  
18 photo. We'll show you some additional photos of the  
19 coated shell to support this conclusion.

20 Thirdly, there is sufficient margin to the  
21 minimum thickness requirements. Along with the  
22 ultrasonic measurement data we will present the  
23 available margins with the minimum margin being 64  
24 mls.

25 After the corrosion problem was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 discovered, over 500 ultrasonic measurements were  
2 taken from inside the drywell. Three hundred sixty  
3 degrees around the drywell had elevation 11-foot-3,  
4 which is within the sand bed region on the outside and  
5 just above the floor and curb on the inside of the  
6 drywell.

7           When thin locations were identified,  
8 ultrasonic measurements were taken to locate the  
9 thinnest locations. We then did grid measurements at  
10 the thinnest locations and selected 19 locations for  
11 continued corrosion monitoring, with at least one of  
12 those grids being in each of the 10 bays.

13           What is shown now is a plan view of the  
14 drywell showing the locations of the 19 monitored  
15 points shown as magenta squares. Also, note the  
16 trenches in bays 5 and 7 that I will later discuss in  
17 a presentation. However, these were trenches that  
18 were excavated in 1986 as part of the corrosion  
19 investigation.

20           The next slide shows an elevation view  
21 showing the typical grid locations where the  
22 ultrasonic measurements were taken from inside at  
23 elevation 11-foot-3. This is the graphical response  
24 to Dr. Shack's question earlier about where we took  
25 the measurements.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   The next slide, 51, this is a detailed  
2 view of the bay 5 trench excavation. And it also  
3 shows the additional excavation that we did in the  
4 outage.

5                   VICE-CHAIRMAN WALLIS: Can we go back to  
6 the picture you just showed with the magentas and all  
7 of that? You have taken these measurements under the  
8 vent pipe because presumably the curve prevents you  
9 from going in the other area.

10                  MR. O'ROURKE: That is correct.

11                  VICE-CHAIRMAN WALLIS: So we don't know  
12 what is happening in the lowest region between the  
13 vent pipes --

14                  MR. O'ROURKE: Only in the trenches. And  
15 we'll --

16                  VICE-CHAIRMAN WALLIS: -- or didn't you  
17 measure from the other side in that region?

18                  MR. O'ROURKE: At this point, when we were  
19 taking these measurements, the sand was still in the  
20 sand bed region.

21                  VICE-CHAIRMAN WALLIS: Okay. At this  
22 point.

23                  MR. O'ROURKE: Yes, yes.

24                  VICE-CHAIRMAN WALLIS: But later on you  
25 got measurements in the area between the vent pipes?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. O'ROURKE: Yes, from the external.

2 VICE-CHAIRMAN WALLIS: The outside?

3 MR. O'ROURKE: That's correct. Back to  
4 slide 51, showing the details of the excavation in bay  
5 5; and slide 52, which shows the excavation in bay 17.

6 VICE-CHAIRMAN WALLIS: Do you see the ones  
7 that later had water in them, these trenches?

8 MR. O'ROURKE: Yes. As I previously  
9 noted, trenches in bays 5 and 17 were excavated in  
10 1986 to determine the corrosion in the sand bed region  
11 at elevation below the drywell interior floor. Bays  
12 5 and 17 were selected because ultrasonic measurements  
13 indicated that these bays had the least and the most  
14 corrosion, respectively.

15 The trenches extend to about the elevation  
16 of the bottom of the sand bed, as I showed in the  
17 previous two slides. Ultrasonic measurements were  
18 taken in the trenches, confirmed that the corrosion  
19 below elevation 11-foot-3 was bounded by the  
20 monitoring at elevation 11-foot-3. And in the next  
21 slide, we'll show you the ultrasonic measurement data.

22 This slide summarizes the measurements  
23 taken during the 2006 outage. And, as you can see,  
24 the bay 17 trench data on the right is bounded by the  
25 monitoring locations, particularly 17A, 17D, and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 two to the right of those. You see that the 17A top  
2 shows considerably more thickness. This is indicative  
3 of the air-sand interface that we had shown on a  
4 previous photograph.

5 Bay 5 did not exhibit as much wall loss.  
6 The trench numbers represent some corrosion that  
7 occurred prior to the coating of the external shell  
8 and the refinishing of the floor in the sand bed  
9 region. And ongoing corrosion is bounded by the  
10 monitoring at elevation 11-foot-3.

11 Slide 55, to summarize the corrective  
12 actions for the sand bed region, we removed the sand.  
13 We cleaned the shell. We took ultrasonic measurements  
14 externally. We coated the shell. And then we  
15 performed ultrasonic measurements internally as the  
16 baseline for future monitoring.

17 I would now like to show you a couple of  
18 photographs of the condition of the drywell shell  
19 after the sand removal. This photograph, which we had  
20 shown earlier, indicates the condition of the shell  
21 following sand removal and prior to cleaning of the  
22 shell.

23 VICE-CHAIRMAN WALLIS: It looks to me as  
24 if some of the rust has come off because there's a  
25 sort of a cliff there where you see the rust.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. O'ROURKE: Any of the rust that had  
2 fallen off it was part of the --

3 VICE-CHAIRMAN WALLIS: Almost fallen off  
4 because there is a real layer of rust which suddenly  
5 in the bottom right-hand there which --

6 MR. POLASKI: I think what you have to  
7 remember is this is a picture in the sand bed region  
8 after the sand had been removed. So there had been  
9 people in there working to remove the sand and clean  
10 the --

11 VICE-CHAIRMAN WALLIS: And after that,  
12 they took some rust away as well.

13 MR. POLASKI: They could have knocked some  
14 off and moved some of it because you will note on here  
15 where it still shows against the drywell shell down at  
16 the bottom, which is where you think it would --  
17 expect it to be retained the longest before you  
18 actually went in to clean it off.

19 MR. O'ROURKE: Moving on to photo 58,  
20 another photo of the shell in the sand bed floor prior  
21 to the repairs. And you can see in the floor the  
22 exposed rebar due to the finished condition of the  
23 floor.

24 CHAIRMAN MAYNARD: Now, that was from  
25 original construction or was that something that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 occurred after original construction?

2 MR. O'ROURKE: We believe that is from  
3 original construction. Once the sand was in there,  
4 there was no other access to that area.

5 MR. POLASKI: And the reports indicate  
6 that from when they removed the sand, the floor in  
7 some of the bays had been properly finished and were  
8 in good condition. Other bays were six to eight  
9 inches lower than they should have been, having never  
10 been completely constructed.

11 MEMBER ARMIJO: The area where the rebar  
12 was exposed, did that happen to be in a bay where  
13 there was very little corrosion in the sand bed area  
14 or where there was a lot of corrosion in the sand bed  
15 area?

16 MR. O'ROURKE: It varied between bays.  
17 Some bays showed damage, and some did not.

18 MEMBER ARMIJO: So what I'm trying to get  
19 at is, if you saw exposed rebar, it had nothing to do  
20 with the corrosion in the sand bed area because there  
21 were some areas -- you know, if you had seen exposed  
22 rebar in areas where there was no sand bed corrosion,  
23 then you would say clearly that was there before  
24 construction and it couldn't have been caused by the  
25 water.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. GALLAGHER: Yes. Pete, do we have  
2 that correlation?

3 MR. TAMBURRO: This is Pete Tamburro. It  
4 varied. There was no relationship between the severe  
5 corrosion on the vessel and the degradation of the  
6 floor.

7 MEMBER ARMIJO: Did you see exposed rebar  
8 in regions where there was no corrosion of the vessel?

9 MR. TAMBURRO: Yes.

10 VICE-CHAIRMAN WALLIS: What are we looking  
11 at on the right of this picture here? It's  
12 corrugated.

13 MR. TAMBURRO: That's the rebar.

14 VICE-CHAIRMAN WALLIS: On the right-hand  
15 side is rebar?

16 MEMBER SIEBER: It's rebar.

17 MR. GALLAGHER: That's the frame. Ahmed,  
18 please describe the frame.

19 MR. OUAOU: Ahmed Ouaou with AmerGen. On  
20 the right-hand side, what we have is a conduit through  
21 which rebar is the main reinforcement for structure --

22 VICE-CHAIRMAN WALLIS: So we are looking  
23 at, those ribs are rebar on the right-hand side?

24 MR. OUAOU: They're rebar. That's  
25 correct. Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: What's the general scale  
2 of this picture? Is that like six inches from the --

3 MR. GALLAGHER: Yes. These pictures are  
4 really hard to get perspective on, but, as we said,  
5 the sand bed region was 15 inches wide, right? But  
6 there are a lot of optical illusions and things like  
7 that --

8 MEMBER SIEBER: Right.

9 MR. GALLAGHER: -- in these because the  
10 shell curves, you know.

11 MEMBER SIEBER: That's about 15 inches,  
12 the dark area there.

13 MR. GALLAGHER: From left to right would  
14 be about 15.

15 MEMBER SIEBER: Okay. Thanks.

16 MEMBER ABDEL-KHALIK: Was the rebar itself  
17 significantly corroded?

18 MR. POLASKI: Pete, can you address that?

19 MR. TAMBURRO: No, the rebar was not  
20 significantly corroded.

21 VICE-CHAIRMAN WALLIS: It looks corroded,  
22 though.

23 MR. TAMBURRO: This picture really is  
24 tinted poorly.

25 MR. GALLAGHER: Now, for clarity, are you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 talking about the rebar in the floor?

2 MR. TAMBURRO: Yes.

3 VICE-CHAIRMAN WALLIS: The rebar on the  
4 side looks really --

5 MR. GALLAGHER: Now, there are two  
6 different things here. The side if I can answer that  
7 first, the side, those, the rebar is encased in pipe.  
8 Okay. So you're --

9 VICE-CHAIRMAN WALLIS: Actually, the  
10 conduit, it's the conduit we see.

11 MR. GALLAGHER: You're looking at the  
12 pipe. The rebar --

13 VICE-CHAIRMAN WALLIS: The conduit has  
14 disappeared in places.

15 MR. GALLAGHER: The rebar in the floor --  
16 well, no. There are individual pipes there, Dr.  
17 Wallis, so that it looks like a ribbed configuration.  
18 But there are individual pipes. The rebar in the  
19 floor is not load-bearing structural rebar. So, you  
20 know, it is not a significant --

21 VICE-CHAIRMAN WALLIS: But if I look at  
22 the pipes, the fifth one alone, it looks as if it's  
23 disappeared. It looks very, very corroded in my  
24 picture here.

25 MR. GALLAGHER: The fifth one?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE-CHAIRMAN WALLIS: The fifth one in,  
2 yes. You see there's an edge to it. The bottom of it  
3 seems to have disappeared.

4 MR. GALLAGHER: I don't think we can  
5 comment on that particular one at this point.

6 CHAIRMAN MAYNARD: Now, is that rebar or  
7 is that actually like fidgeting cables that run  
8 through those conduit?

9 MR. OUAOU: It is rebar. It's almost  
10 treated like you suggested, with like a tendon, but  
11 what really happened is that the main concrete was  
12 much to provide the area. And, as a result, rebar was  
13 exposed for the reason that it was encased in these  
14 conduits that we're looking at, but it's actually  
15 grouted inside. So if the conduit corrodes, the rebar  
16 function is not going to be impacted.

17 MR. O'ROURKE: And, just to summarize,  
18 this is the condition of the floor after the removal  
19 of the sand. So we believe that these were unfinished  
20 and not as a result of --

21 VICE-CHAIRMAN WALLIS: Did the NRC go into  
22 this space?

23 CHAIRMAN MAYNARD: It is my understanding  
24 that during the inspection in 2006, an NRC inspector  
25 did go into these areas.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ASHLEY: Yes, sir. He's here today.

2 VICE-CHAIRMAN WALLIS: Did he look at the  
3 rebar and the conduit? And was it as corroded as it  
4 appears to be here?

5 CHAIRMAN MAYNARD: Tim O'Hara?

6 MR. O'HARA: Good morning. My name is Tim  
7 O'Hara from Region I. I was on site during the entire  
8 inspection. I entered two of the sand bed bays, which  
9 allowed me to look at approximately four total bays.

10 You can look to the side and see them. I  
11 also reviewed all of the visual inspection records.  
12 And the licensee did document all the conditions they  
13 found in there, including the condition of the sand  
14 bed floor and so forth.

15 VICE-CHAIRMAN WALLIS: And the rebar?

16 MR. O'HARA: And the rebar, yes.

17 VICE-CHAIRMAN WALLIS: And did you see the  
18 extent of the corrosion of the rebar?

19 MR. O'HARA: I don't think it was  
20 extensive.

21 VICE-CHAIRMAN WALLIS: The extent of it?  
22 Because in this picture, it just looks --

23 MR. O'HARA: That wasn't the intent of the  
24 inspection.

25 VICE-CHAIRMAN WALLIS: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. O'HARA: We were looking at the  
2 coating on the drywell, but the general condition was  
3 looked at and noted. Any conditions that the licensee  
4 thought were not correct were put in their corrective  
5 action process and analyzed.

6 MR. GALLAGHER: And, remember, this  
7 picture is from 1992, Dr. Wallis.

8 MEMBER SHACK: I mean, I thought these  
9 floors were finished up to make them smooth, to make  
10 sure that you can drain the water. So, I mean, it  
11 presumably doesn't look like this anymore.

12 MR. GALLAGHER: Yes. These pictures are  
13 from 1992. That's correct.

14 MR. POLASKI: As we go on to the next  
15 several slides, we will show you what it looks like  
16 today or what it looked like in '92 after the --

17 MR. O'ROURKE: And slide 59 leads us into  
18 those photographs. We'll show you the condition of  
19 the drywell shell as repairs were in progress.

20 Slide 60 shows the photograph of the shell  
21 after cleaning and the corrosion products removed. It  
22 also shows the sand bed floor after the coating was  
23 applied. That's a partial answer to Dr. Shack's  
24 question.

25 The next photograph shows --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE-CHAIRMAN WALLIS: What's that thing  
2 in the background? It looks like a sheet of plastic  
3 or something. What is that?

4 MR. POLASKI: Yes. That very well could  
5 be plastic. You remember these pictures were taken  
6 during the actual application, repairs still in  
7 launch. So you will see plastic in that area.

8 VICE-CHAIRMAN WALLIS: Well, the sand bed  
9 floor needed quite a bit of repair it looks like.

10 MR. O'ROURKE: Slide 61 shows the shell as  
11 it's being coated with the primer coat and also again  
12 a view of the sand bed floor.

13 Slide 62 shows the shell after the epoxy  
14 coating was applied. It also shows the caulk seal  
15 that was applied to the interface between the external  
16 shell and the sand bed floor.

17 And I will note that there are some  
18 additional photos in your reference books.

19 MEMBER ARMIJO: Was that caulk sealing  
20 kind of pressurized to kind of get it into the gap or  
21 was it just kind of surface, like you do with a  
22 bathtub or something?

23 MR. O'ROURKE: Pete, do you have an answer  
24 to that question?

25 MR. TAMBURRO: The caulk ceiling was a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fairly viscous epoxy caulking. And it was forced into  
2 that gap with a trowel and pushed in there.

3 MR. GALLAGHER: Thanks, Pete.

4 VICE-CHAIRMAN WALLIS: So if there's no  
5 water there, it doesn't matter, does it?

6 MR. O'ROURKE: That's correct.

7 I'm looking at slide 63.

8 VICE-CHAIRMAN WALLIS: How about the  
9 draining of the sand bed floor? It presumably has to  
10 run around circumferentially to find a drain. Did you  
11 worry about leveling it off or putting a slope on it  
12 or it slopes to the drain or what? How did you do  
13 that?

14 MR. O'ROURKE: That is correct. The  
15 directions were to slope. When the floors were  
16 finished, the direction was to slope it away from the  
17 drywell and toward the drain.

18 VICE-CHAIRMAN WALLIS: All right.

19 MR. O'ROURKE: And remember Fred's earlier  
20 discussion that there are five sand bed drains, --

21 VICE-CHAIRMAN WALLIS: Right.

22 MR. O'ROURKE: -- as opposed to the one on  
23 the --

24 VICE-CHAIRMAN WALLIS: The one on the top,  
25 right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. O'ROURKE: -- the unique trough up  
2 above. Continuing with the background and history for  
3 the sand bed region, the epoxy coating applied to the  
4 external shell was a three-part coating system  
5 designed for applications on corroded surfaces.

6 The first coat that I showed in a previous  
7 slide in the photograph was a rust-penetrating sealer  
8 designed to penetrate rusty surfaces, reinforce the  
9 rusty steel substrate, and ensure adhesion of the  
10 epoxy coating.

11 Two coats of epoxy coating were then  
12 applied. This coating is designed for more severe  
13 surfaces than we expect at Oyster Creek, a couple of  
14 which are noted on the slide.

15 Prior to application of the coating, it  
16 was tested in a mock-up for coating thickness and  
17 absence of holidays or pinholes. And we used two  
18 coats to minimize any chance of pinholes or holidays.  
19 And the coats are of a different color to facilitate  
20 future inspections.

21 Fred?

22 MR. POLASKI: Thank you, John.

23 I would now like to -- you have heard from  
24 Mr. O'Rourke about the corrective actions taken to  
25 stop the corrosion of the drywell shell in the sand

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bed region. One of the key aspects of the corrective  
2 action was application of the epoxy coating to the  
3 exterior surface of the shell.

4 Our next presenter is Mr. Jon Cavallo, who  
5 will speak about the coating on the drywell shell.  
6 Mr. Cavallo is the Vice President of Corrosion Control  
7 Consultants Alliance Incorporated. He's a registered  
8 professional engineer in six states and holds a  
9 Bachelor's degree from Northeastern University in  
10 Boston, Massachusetts.

11 He also is a Certified society of  
12 Protective Coatings protective coatings specialist and  
13 holds registration as a certified protective coatings  
14 engineer from the National Board of Registration for  
15 Nuclear Safety-Related Coating Engineers and  
16 Specialists.

17 He is active in a number of technical  
18 societies, including ASTM, National Association of  
19 Corrosion Engineers, National Society of Professional  
20 Engineers, and the Society of Protective Coatings.

21 Mr. Cavallo served as the editor of the  
22 EPRI report "Guideline on Nuclear Safety-related  
23 Coatings Division I," assisted in development of and  
24 teaches EPRI code in his training courses. He's also  
25 the principal investigator of the EPRI report

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 "Analysis of Pressurized Water Reactor on Qualified  
2 Original Equipment Manufacturer Buildings" and since  
3 2000 has been a member of the NEI PWR containment sump  
4 task force.

5 Mr. Cavallo?

6 MR. CAVALLO: Thanks, Fred. Good morning,  
7 gentlemen.

8 I was asked to take an independent look at  
9 the approach that Oyster Creek has taken to mitigating  
10 the corrosion on the exterior shell of the drywell in  
11 the sand bed region.

12 First off, I went back and looked at the  
13 background and history from a regulatory standpoint of  
14 good guidance that we received to approach this  
15 project.

16 The Oyster Creek protective coatings  
17 monitoring and maintenance program, aging management  
18 is consistent with NUREG-1801, which is a GALL report  
19 volume II, appendix XI.S8, which is the appendix  
20 devoted to coatings condition assessment. However,  
21 you should note that that appendix only covers coating  
22 service level I coatings, which is coatings inside of  
23 the primary pressure boundary inside the drywell.

24 Oyster Creek in my opinion wisely extended  
25 that requirement to the service level II coating,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 which they applied to the exterior of the drywell  
2 using many of the same quality approaches that are  
3 used in containment coatings.

4 Next slide, please. The coatings applied  
5 to the exterior of the drywell, which we have seen  
6 some photographs of in the previous presentation,  
7 coating service level II, the evaluation and continued  
8 monitoring of those coatings are conducted in  
9 accordance with ASME section 11, subsection IWE by  
10 qualified VT inspectors. In other words, they are  
11 inspected the same way using the same techniques that  
12 are used inside the containment, both BWRs and PWRs.

13 The coated areas are examined at a minimum  
14 for visual anomalies, which includes flaking,  
15 blistering, peeling, discoloration, and other signs of  
16 distress. This approach is consistent again with the  
17 NUREG-1801 and its attendant ASTM standards.

18 The whole premise of ASME section 11,  
19 which is used for examination of the pressure  
20 boundaries in PWRs and BWRs, is the degradation of a  
21 vessel that's got a coating on it will be indicated by  
22 a visual precursor defect in the coating.

23 And, again, the ASME section 11,  
24 subsection IWE protocol is to remove that coating and  
25 examine the substrate. That way we have a consistent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 manner to look for any continuing corrosion of the  
2 drywell shell on the exterior there, the sand bed  
3 region.

4 Now, I wanted to spend a little time  
5 discussing how barrier coatings such as the one that  
6 John described prevent corrosion of the scale  
7 substrates.

8 Basically we have four conditions  
9 necessary for metallic corrosion: an anode; a  
10 cathode; an electrical conductor; and some type of an  
11 electrolyte, which is a liquid that conducts  
12 electricity.

13 We as coatings engineers can only do one  
14 thing. We can't control the anodes. We can't control  
15 the cathodes. We can't control the electrical  
16 conductors because they were already inherently in the  
17 steel. So what we do is apply a barrier coating  
18 system, which isolates the moisture, the electrolyte,  
19 and breaks the corrosion cycle.

20 This is what has been done in the Oyster  
21 Creek sand bed region. Repeating what John told you,  
22 the Oyster Creek sand bed region coating system is  
23 really a three-step process.

24 First off, the surface preparation was  
25 done in accordance with SSPS SP2 hand tool cleaning,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 which I think gets back to Dr. Wallis' question about  
2 what was done. That removes loose rust, loose mill  
3 scale, and loose coating. And loose is defined as  
4 determined by moderate pressure with a dull putty  
5 knife by code.

6 With that level of surface prep, which was  
7 appropriate, they then applied a pre-prime, which is  
8 an epoxy, which penetrates into the semi-irregular  
9 shape of the substrate, and then applied two coats --

10 VICE-CHAIRMAN WALLIS: About that  
11 pre-prime, it is a very key thing, isn't it? I mean,  
12 if you leave too much dry rust on, then it doesn't  
13 really adhere to the steel.

14 MR. CAVALLO: Exactly. I am going to in  
15 a little bit talk about how this was controlled as a  
16 special process similar to welding.

17 VICE-CHAIRMAN WALLIS: Okay. Okay.

18 MR. CAVALLO: I didn't mean to cut you  
19 off, sir.

20 VICE-CHAIRMAN WALLIS: No, no. I just  
21 wanted to focus on that particular thing. The  
22 pre-prime is an important step in this.

23 MR. CAVALLO: Yes, sir, it is, absolutely.  
24 And, remember, our coating systems such as this one  
25 are actually designed. I mean, people think anybody

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can paint. It's not true.

2 So we have selected a system with good  
3 history in this type of application. Then we applied  
4 two coats of the Devran 184 epoxy, which is a standard  
5 epoxy phenolic, which is used a lot for this region,  
6 which provides that barrier for moisture.

7 And, finally, we saw pictures of the  
8 Devmat 124S caulking, which was applied by troweling  
9 into the interface between the concrete floor and the  
10 steel substrate, again another moisture barrier.

11 MEMBER ARMIJO: Just to understand, the  
12 pre-prime, is it intended? Is it preferred that it be  
13 in contact with the metal or is it okay that it's in  
14 contact with a surface oxide that is adherent to the  
15 metal?

16 MR. CAVALLO: Both, actually. It's  
17 designed as an adhesion promoter. It soaks into any  
18 crevices in that remaining corrosion. And, remember,  
19 this is very tightly adherent corrosion and mill  
20 scale.

21 MEMBER ARMIJO: Right.

22 MR. CAVALLO: And also it's an epoxy  
23 polyamine. So it does bond to the steel substrate  
24 that may be exposed. So you have a combination of  
25 both conditions. And it is an adhesion promoter and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 gives something for the next two coats to stick to.

2 VICE-CHAIRMAN WALLIS: You mean if you  
3 have a pit, it just bridges over the pit, does it?

4 MR. CAVALLO: No. It actually soaks in.  
5 It's a fairly slow-drying material. And it acts a lot  
6 like our old bridge paint did. It's to simulate that.

7 Now, my conclusion is in basically  
8 reviewing the approach and the engineering involved is  
9 that this coating system is appropriate for the  
10 intended service, which is to prevent further  
11 corrosion of the steel in the sand bed region drywell  
12 shell.

13 Some of the reasons I came to that  
14 conclusion are that we have created now a very benign  
15 corrosion environment. Before the sand was removed,  
16 we actually almost had an emergent condition. We had  
17 moisture trapped in there held against the surface by  
18 the sand. Now we have a dry --

19 CHAIRMAN MAYNARD: I'm sorry. Can you  
20 wait just a minute? We're trying to get this muted.  
21 We are getting some noise from one of the lines. So  
22 if the people on the telephone will be quiet, we'll go  
23 ahead and continue with the discussion. Go ahead,  
24 Jon.

25 MR. CAVALLO: All right. So, anyways, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 have removed all the sand. We removed the water. We  
2 have a benign environment, a fairly low radiation dose  
3 rate. So I don't worry about any sort of radiation  
4 damage. This coating typically good to 1 times 10<sup>9</sup>  
5 rads or more total lifetime dose. And we're never  
6 going to see anything like that.

7 Finally, it's an enclosed space. It's  
8 shielded from atmospheric moisture, shielded from the  
9 site environment. So we have now a very benign  
10 environment.

11 The coating system is compatible with that  
12 environment. Back to your question about the adhesion  
13 promoter, that adhesion promoter which is your  
14 penetrating sealer is designed to adhere to a  
15 minimally prepared surface is what we're talking about  
16 here, where we're leaving some corrosion product  
17 behind. And also the two-coat applied over top of  
18 that is used an awful lot in chemical tanks. So our  
19 environment is far less severe than that.

20 And, then finally, this coating system can  
21 be successfully applied by brush and roller. Because  
22 of their very tight environment, we couldn't get into  
23 very sophisticated spray equipment, such things like  
24 that. So this is appropriate to be applied that way.

25 Now, Oyster Creek also did something which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I think is quite noteworthy. They actually create a  
2 mock-up of the sand bed region with the drywell shell  
3 before they actually applied the coating in service.  
4 And they did surface preparation and coating  
5 application using the same mechanics in this mock-up  
6 area with the restricted access.

7 This was a proof of principle on the  
8 coating system and also was used to train the  
9 mechanics who did the surface prep and the coating  
10 work. This includes the caulking also.

11 And then, finally, what they did was  
12 actually do a holiday test, which was an electrical  
13 test, to see whether or not they had pinholes on this  
14 mock-up. So this was treated very similar to a  
15 special process like we would have for welding. So it  
16 was well over and above what you normally see in an  
17 outside containment coating's work effort. So there  
18 was quite a bit put into that.

19 MEMBER SIEBER: So a holiday as referred  
20 to in your previous slide is a pinhole?

21 MR. CAVALLO: Yes, sir. And usually  
22 holidays are not visible. They're solvent blistering.

23 Now, I am going with periodic condition  
24 assessment maintenance if there is any required. And  
25 I am not sure there ever will be any. In my opinion,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Oyster Creek sand bed region shell coating will  
2 continue to perform satisfactorily for the life of the  
3 plant, very similar to our other coatings in the world  
4 of nuclear reactors.

5 What Oyster Creek is going to do is  
6 inspect or they have inspected 100 percent of the sand  
7 bed region drywell shell coating during the 2006  
8 outage. And they will continue to do this inspection  
9 on a periodicity of three bays every other outage with  
10 all ten bays inspected every ten years.

11 Now, this ten-year cycle is in accordance  
12 with recommendations that industry has published,  
13 including the EPRI guideline in protective coatings,  
14 where for coating service level II coatings, these  
15 coatings outside containment in a benign environment,  
16 we recommend a periodicity of inspect them all every  
17 ten years due --

18 VICE-CHAIRMAN WALLIS: Can I ask, this is  
19 presumably a tough ductile type of coating? It's not  
20 brittle in any way?

21 MR. CAVALLO: Absolutely not. It's --

22 VICE-CHAIRMAN WALLIS: As the steel moves  
23 during pressurization and so on, it's not going to  
24 crack?

25 MR. CAVALLO: No. Actually, the coatings

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 condition, if you think of a storage tank, we have  
2 something called oil canning, where it actually moves  
3 up and down quite a bit. So we've got to get very  
4 little movement here. So yes, it is appropriate.

5 MEMBER ARMIJO: So this has been on for 14  
6 years already, right, due to 2006 and -- are we going  
7 to talk anymore about the inspection of the coating or  
8 is this it?

9 MR. POLASKI: We are going to later --

10 MEMBER ARMIJO: In 14 years, have you seen  
11 the need to repair it or repaint it or whatever?

12 MR. POLASKI: No. We're going to -- I'll  
13 let Mr. Howie Ray present that. Howie is going to  
14 present information on inspection results.

15 MR. RAY: Yes. We've done visual  
16 inspections on all ten bays in 2006 by qualified  
17 individuals. And the coating was found to be  
18 satisfactory. And we do it on a monitoring basis to  
19 make sure that we're planning the recoating before  
20 we're filled.

21 MEMBER ARMIJO: If you had found some  
22 defects, it is repairable?

23 MR. CAVALLO: Yes, sir. Yes, sir. This  
24 is a repairable coating.

25 MEMBER SIEBER: Let me ask another

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 question. In your professional opinion, is a ten-year  
2 interval adequate for this application in these  
3 conditions?

4 MR. CAVALLO: Yes, sir. Based on -- I  
5 edited the document that the ten-year quote comes out  
6 of. So that is my professional opinion.

7 MEMBER SIEBER: Okay.

8 MEMBER SHACK: You did see some  
9 degradation in the coating on the floor, though,  
10 right? Did I read that somewhere?

11 MR. GALLAGHER: No. What you might be  
12 thinking about, Dr. Shack, is there was between the  
13 floor and the wall, not the containment shell, the  
14 back side wall, a gap in a couple of places. And that  
15 was repaired

16 MR. POLASKI: Are there any other  
17 questions on the coating system?

18 (No response.)

19 MR. POLASKI: Jon, thank you.

20 MR. CAVALLO: You are welcome.

21 MR. POLASKI: The next part of our  
22 presentation is going to cover the methods that are  
23 used to make UT thickness measurements drywell shell  
24 and how this data is analyzed.

25 Presenting this information will be Mr.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Pete Tamburro. Mr. Tamburro holds a Bachelor of  
2 Science degree in chemical engineering from Clarkson  
3 University and a Master's degree in computer science  
4 from Dickerson University.

5 He is a professional engineer who holds a  
6 professional engineer's license from the State of New  
7 Jersey. He has worked in the nuclear industry since  
8 1980 and has 25 years experience at Oyster Creek and  
9 Three Mile Island. He has worked on the drywell  
10 corrosion issue since 1988, mostly dealing with data  
11 collection analysis and documentation.

12 Mr. Tamburro?

13 MR. TAMBURRO: Thank you, Fred. I am here  
14 to tell you what we did with the 2006 data.

15 This slide 72. First I would like to  
16 present some background history. In 1992, the sand  
17 was removed and the coating applied. We performed a  
18 baseline inspection on the 19 monitor locations.

19 VICE-CHAIRMAN WALLIS: Can you go back  
20 over how those locations were selected?

21 MR. TAMBURRO: Yes, sir. In the mid '80s,  
22 when we recognized that there was a problem, we did an  
23 extensive investigation from the inside and did over  
24 500 UT inspections throughout the --

25 VICE-CHAIRMAN WALLIS: Five hundred on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that side?

2 MR. TAMBURRO: Yes, sir. Those 500  
3 identified the thinnest areas. We then characterized  
4 those areas and expanded those areas to a six-inch by  
5 six-inch area, which we monitor now.

6 VICE-CHAIRMAN WALLIS: And do you monitor  
7 it by monitoring all over it or one spot in it or  
8 what?

9 MR. TAMBURRO: We monitor it by taking a  
10 series of inspections --

11 VICE-CHAIRMAN WALLIS: So it's not just  
12 one reading?

13 MR. TAMBURRO: No, sir.

14 VICE-CHAIRMAN WALLIS: It's a whole lot of  
15 readings at --

16 MR. TAMBURRO: It's a lot. It's 49  
17 readings.

18 VICE-CHAIRMAN WALLIS: Okay. That helps.

19 MR. TAMBURRO: And I will get into that in  
20 --

21 VICE-CHAIRMAN WALLIS: Why is it only at  
22 one elevation? Why not at several elevations?  
23 Because there is an area involved. Why is it all at  
24 11-foot, 3 inches?

25 MR. TAMBURRO: The 11-foot, 3-inch area

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was inspected because of the limited access due to the  
2 concrete curb on the inside.

3 MR. GALLAGHER: Yes, Dr. Wallis --

4 VICE-CHAIRMAN WALLIS: It's the lowest you  
5 could get to. It's the lowest you could get to, isn't  
6 it? Yes. It's the lowest you could get to in there.  
7 But on the outside, you can get lower than that.

8 MR. TAMBURRO: Yes, sir. And we have  
9 inspected externally lower than 11-foot, 3.

10 MR. O'ROURKE: And this is a graphical  
11 representation we showed earlier.

12 VICE-CHAIRMAN WALLIS: Outside you can get  
13 lower than that because --

14 MR. GALLAGHER: Yes. Dr. Wallis?

15 VICE-CHAIRMAN WALLIS: -- generally the  
16 corrosion might be worse lower down.

17 MR. O'ROURKE: That's correct, on the  
18 outside.

19 VICE-CHAIRMAN WALLIS: On the outside.  
20 And so you can get lower than that outside?

21 MR. TAMBURRO: Yes, sir.

22 MR. GALLAGHER: Yes. And, Dr. Wallis,  
23 just --

24 VICE-CHAIRMAN WALLIS: Just tell us about  
25 that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. GALLAGHER: Yes. But visually if you  
2 just want to look at it real quickly, on page 101 --  
3 now, it's hard to see when it flips up here, but we  
4 also included that chart in your handout book, the  
5 last page of your reference material. There's an 11  
6 by 17 depiction of this.

7 VICE-CHAIRMAN WALLIS: Whereabouts is  
8 that?

9 MR. GALLAGHER: And we're going to go  
10 through all of this.

11 VICE-CHAIRMAN WALLIS: You are going to go  
12 through that later on?

13 MR. GALLAGHER: Yes. We're going to go  
14 through all of this. But what this is is this is a  
15 graphical representation of all the data in the sand  
16 bed region in 2006. And you can see the coverage is  
17 pretty wide. This includes the grids, the trenches,  
18 and the individual points.

19 VICE-CHAIRMAN WALLIS: Okay.

20 MR. GALLAGHER: And we are going to  
21 explain each one of these as we go through this  
22 section right here.

23 VICE-CHAIRMAN WALLIS: Okay. Thank you.

24 MR. GALLAGHER: That summarizes that --

25 VICE-CHAIRMAN WALLIS: I don't want to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 hold you up. So we'll get to that, right?

2 MR. TAMBURRO: Okay. On slide 72, in  
3 1992, we found that our thinnest average reading over  
4 a 6-by-6-inch area was 800 mls. And our thinnest  
5 individual reading, which was measured from the  
6 outside, was 618 mls. Then when you compared them to  
7 the appropriate acceptance criteria, they both met the  
8 acceptance criteria.

9 Moving on to --

10 VICE-CHAIRMAN WALLIS: That's over half an  
11 inch less than it started out at or about a half an  
12 inch less?

13 MR. TAMBURRO: Yes, sir, at the thinnest  
14 areas. Yes, sir.

15 Slide 73. In 1994, we repeated the  
16 inspections on the 19 grids. And in 1996, these  
17 inspections showed no statistical changes in the means  
18 and the thinnest area and the thinnest individual  
19 points. This became the basis for the conclusion that  
20 the corrosion had been arrested.

21 MEMBER ARMIJO: I guess I looked at a  
22 different set of data. It looked to me like all your  
23 1996 measurements were much higher than the previous  
24 measurements.

25 MR. TAMBURRO: Yes, sir. There is an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 anomaly with the 1996 data in which they are higher.

2 Yes, sir.

3 MEMBER SIEBER: What do you think causes  
4 that?

5 MEMBER ARMIJO: Yes. Right.

6 MR. TAMBURRO: We've taken some analysis.  
7 And we have had our NDE folks look at what some of the  
8 potential reasons were. They have indicated that a  
9 couple of potential reasons were that the contractors  
10 that did the '96 inspections did not remove the grease  
11 that was on the locations that could attribute to it.

12 There are other factors, such as not  
13 putting the machine, the UT machine, in the proper  
14 setting. However, we cannot positively confirm why we  
15 had this --

16 MEMBER SIEBER: It's an epistemic error?

17 MR. TAMBURRO: Yes, sir.

18 MEMBER SIEBER: And it looks like a bad  
19 calibration, wrong block, or perhaps a miscalibration?

20 MR. TAMBURRO: Yes, sir.

21 MEMBER SIEBER: But it's systematic across  
22 all of the readings?

23 MR. TAMBURRO: However, the 2006 data has  
24 come in line and is consistent with the 1992 and 1994  
25 values.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Well, the '94 is the ones  
2 that are off, right?

3 MR. TAMBURRO: No, sir. The '96 --

4 MEMBER SIEBER: '96.

5 MR. TAMBURRO: -- are the ones that are  
6 off.

7 MEMBER SIEBER: Okay. Well, that's a  
8 problem, I guess, as I see it, because somebody around  
9 the 1996 time frame should have caught that --

10 MR. TAMBURRO: Right.

11 MEMBER SIEBER: -- to figure out why that  
12 was that way --

13 PARTICIPANT: At the time, during the  
14 inspection.

15 MEMBER SIEBER: -- and corrected it  
16 because if you do it again, that could give you --

17 MR. TAMBURRO: Yes, sir.

18 MEMBER SIEBER: -- bad data. And you're  
19 relying on that trend because of the smaller margin  
20 that you have. You're relying on that trend to  
21 predict when you need to do the next inspection or  
22 whether you can run at all.

23 MR. TAMBURRO: Yes, sir. And we've  
24 learned from that. Our new criteria requirements are  
25 very clear and have eliminated what we think are the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 potential causes of the problem in '96.

2 MEMBER SIEBER: Could you be more specific  
3 in telling me what it is you do differently because of  
4 that?

5 MR. TAMBURRO: Well, what we do  
6 differently at this point is we require that the probe  
7 be put in one orientation. Prior to that, there was  
8 no requirement. And the inspector could have  
9 literally rotated the probe, which would have given us  
10 different readings.

11 We also instruct the operator to clean off  
12 the grease and ensure that the surface condition of  
13 that monitored location is free of the grease. We  
14 also require the --

15 MEMBER SIEBER: You need the grease in  
16 there as a coupling?

17 MR. TAMBURRO: No, sir. No. The grease  
18 is put on there between inspections to inspect the  
19 surface from corrosion. We removed the grease and  
20 then used a coupling as part of the UT process.

21 MEMBER SIEBER: But that is also a great  
22 type --

23 MR. TAMBURRO: It's more of a water  
24 lubricant. It does have some viscous properties to  
25 it, but it's not as thick as the grease we use to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 protect it on the surface.

2 MEMBER SHACK: You are protecting the  
3 surface because you haven't put the approximate  
4 coating on the --

5 MR. TAMBURRO: Yes, sir. It's bare metal,  
6 and it's on the inside.

7 MR. GALLAGHER: On the inside.

8 MR. TAMBURRO: And we want to protect the  
9 surface.

10 MR. GALLAGHER: Now, one thing on this  
11 that I want to point out, the staff also had a concern  
12 along your lines, Mr. Sieber, on this. And one of our  
13 commitments that we have committed to is if we take  
14 the data and the 19 grids and they are outside of our  
15 expectations, we notify the NRC within 48 hours and  
16 then enter into our corrective action system.

17 CHAIRMAN MAYNARD: That's what I was going  
18 to -- I'm assuming that under your current program you  
19 do take a look at your data compared to what you had  
20 and look for anomalies before you just move on?

21 MR. GALLAGHER: That's correct.

22 MEMBER SIEBER: Does that cause you to  
23 quarantine the inspection area until the NRC has an  
24 opportunity to look at what it is you're doing or do  
25 you just move on, close up shop, and send a notice in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 --

2 MR. POLASKI: You've got to remember that  
3 these locations are inside the drywell. So you'll  
4 take these during an outage.

5 MEMBER SIEBER: Right.

6 MR. POLASKI: And we have a requirement if  
7 we find an anomaly or some problem with them to notify  
8 the NRC within 48 hours for corrective action. We  
9 need to get dialogue with the NRC and fulfill the  
10 corrective action process, investigate the --

11 MEMBER SIEBER: And right now there is no  
12 quarantine requirement?

13 MR. GALLAGHER: Well, we would do an  
14 investigation as part of our corrective actin. So  
15 those types of things would be done to make sure we  
16 understand the issue and can take additional  
17 information or whatever.

18 But the key point was we would notify the  
19 NRC. And we would go through our corrective action  
20 process. And we would finish that before we come up  
21 from that outage.

22 MEMBER SIEBER: Let me ask a couple of  
23 other detailed questions. Do you use the same  
24 instrument each time, -- probably not -- transducer?

25 MR. TAMBURRO: No, we do not. We use

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 qualified instrumentation to our procedures. We  
2 calibrate them to cow blocks what are appropriate for  
3 the thickness.

4 MR. GALLAGHER: Are you talking --

5 MEMBER SIEBER: The reason for my question  
6 is the footprint of the transducer is usually a  
7 rectangle. And you're trying to measure something  
8 that's spherical. And so you have a gap between the  
9 top of the transducer and the material that you're  
10 measuring due to the fact that you have a flat surface  
11 against a spherical surface. And the footprint  
12 determines how big that gap is.

13 And so I think you can calibrate that to  
14 see both the inside wall and the outside wall. Is  
15 that the way that it is done or can an error be made  
16 where you are actually looking at the surface of the  
17 transducer and the outside wall?

18 MR. TAMBURRO: The current technology  
19 we're using measures the second bounce in the steel.

20 MEMBER SIEBER: Okay.

21 MR. TAMBURRO: And it eliminates any gaps  
22 between the probe.

23 MEMBER SIEBER: Okay. So you're going  
24 from the far wall back and taking both pulses?

25 MR. TAMBURRO: We're going from the far

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 wall back, back to the far wall, and measuring that  
2 reflection.

3 MEMBER SIEBER: Okay. And that appears on  
4 the scope?

5 MR. TAMBURRO: Yes, sir. And our ND  
6 technician can give you more details.

7 MR. McALLISTER: Good morning. Marty  
8 McAllister with AmerGen. The two different  
9 techniques, one that is used on the outside surface,  
10 where it's coated, is the echo-to-echo technique that  
11 Pete described, where we're actually timing the second  
12 round trip to measure the thickness.

13 For the readings that are taken on the  
14 inside, that's the traditional technique, no  
15 echo-to-echo, no curvature effects. Does that answer  
16 your question?

17 MEMBER SIEBER: Yes.

18 VICE-CHAIRMAN WALLIS: You have also got  
19 some indication of the condition of the coating, don't  
20 you? It echoes from the coating into --

21 MR. McALLISTER: If we are able to punch  
22 the ultrasound through the coating, then yes, the  
23 coating is tightly adhered from the exterior.

24 VICE-CHAIRMAN WALLIS: But you don't  
25 measure anything.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: You can --

2 CHAIRMAN MAYNARD: Jack, you need to get  
3 to a microphone.

4 MEMBER SIEBER: You can differentiate  
5 between the coating and material.

6 MR. McALLISTER: That's correct. If we  
7 did a traditional technique from the exterior, it  
8 would include that coating thickness.

9 MEMBER SIEBER: Right.

10 MR. TAMBURRO: Okay. Continuing on, in  
11 2006, we repeated the -- excuse me. The 19  
12 inspections in '94 and '96 also became the basis for  
13 an NRC SER that concluded that your key inspections  
14 were no longer required and the coating inspections  
15 were sufficient.

16 In 2006, we again repeated the inspections  
17 of the 19 grids. The data was consistent with the  
18 '94-'92 data and leads to the conclusion that the  
19 corrosion has been arrested. When you --

20 VICE-CHAIRMAN WALLIS: I would think you  
21 would want to do some UT measurements anyway --

22 MR. TAMBURRO: And we did in 2006.

23 VICE-CHAIRMAN WALLIS: -- or just say,  
24 "We'll never do any again."

25 MR. TAMBURRO: No, sir.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE-CHAIRMAN WALLIS: Just  
2 defense-in-depth. And every two years, you do some UT  
3 measurements.

4 MR. TAMBURRO: And in 2006, we did.  
5 Moving on to slide 74, I would like to go over the  
6 methodology in which we do these 19 inspections. Each  
7 of the inspections are marked on the inside of the  
8 drywell with a permanent marker.

9 We use a stainless steel grid, which has  
10 mark slits on the grid, which line up with the  
11 permanent marker on the drywell. We did insert a UT  
12 probe through these holes. The diameter of these  
13 holes is such that the probe fits snugly inside the  
14 holes.

15 We take 49 readings at the critical  
16 locations. Again, the probe is placed through the  
17 holes. This is how we can ensure that we get to the  
18 same location every inspection.

19 VICE-CHAIRMAN WALLIS: Is this where the  
20 coverage I think comes in? I mean, that's a flat play  
21 on a round --

22 MR. TAMBURRO: If you'll notice, this has  
23 a little bit of a curve to it.

24 VICE-CHAIRMAN WALLIS: I would think so.  
25 I would think so, yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. TAMBURRO: The protective grease is  
2 removed. We do our inspections, and then we reapply  
3 the protective grease.

4 Slide 75 is a little schematic of this  
5 grid. The data is then collected. We calculate the  
6 mean of the data, the standard error of the mean. And  
7 we look at the thinnest points.

8 VICE-CHAIRMAN WALLIS: Does it vary much  
9 over this small area?

10 MR. TAMBURRO: Yes, it does.

11 VICE-CHAIRMAN WALLIS: It does?

12 MR. TAMBURRO: Yes. And, as you have seen  
13 in the pictures, the back side is very rough.

14 MEMBER SIEBER: Yes. It looked pretty  
15 lumpy.

16 MR. TAMBURRO: On to slide 76. And that  
17 leads into my next slide. There is a fair amount of  
18 uncertainty on the means and variance. And that's due  
19 to the roughness.

20 If you go from one point to another, you  
21 will see a fair amount of variation. That's why you  
22 see some fairly large standard errors on these means.  
23 That's the major contributor to the large standard  
24 errors.

25 On to slide 77. The data, the means, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the finished points of each grid are trended over  
2 time. So this --

3 MEMBER ARMIJO: I guess I wouldn't call  
4 those errors. I think that's just variability.

5 MR. TAMBURRO: Variability, yes, sir.

6 MEMBER ARMIJO: In what you measure it?

7 MR. TAMBURRO: It's not experimental  
8 error.

9 MEMBER ARMIJO: That same transducer on a  
10 flat place, measure it over and over again. You would  
11 get much

12 MR. TAMBURRO: Yes, sir. I'm not much of  
13 a statistician. So I have been confusing error with  
14 variance.

15 MEMBER ARMIJO: Okay.

16 VICE-CHAIRMAN WALLIS: It's surprising  
17 that a mean could increase with time.

18 MR. TAMBURRO: The mean within that  
19 standard error --

20 VICE-CHAIRMAN WALLIS: That's not mood.  
21 That's --

22 MR. TAMBURRO: Within that variance.

23 Excuse me. You see fluctuations in the readings.

24 It's not a physical characteristic that the steel  
25 grows. It's just that the numbers will change over

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 time within a variance.

2 MEMBER ARMIJO: That variance, the  
3 experimental variance, is very small compared to the  
4 variability of the material you are measuring.

5 MR. TAMBURRO: Due to the roughness on the  
6 back side.

7 MEMBER ARMIJO: Yes, right.

8 MR. POLASKI: And just to maybe explain a  
9 little bit more, if you had shown me this and some  
10 data and you hold this up and you're a technician,  
11 you're in there, you put this in exactly the same  
12 place, well, it's visually lined up.

13 If you walk just a little bit, 1/32 of an  
14 inch, each of these readings will be different because  
15 it's so rough on the other side. That's why you get  
16 this difference in the mean because if you shifted one  
17 way, some of them go up, some go down. It can affect  
18 the average a little bit. It could be one way. It  
19 could be the other.

20 MR. TAMBURRO: And then each point is  
21 different.

22 VICE-CHAIRMAN WALLIS: What does an  
23 ultrasonic measurement mean if there is a roughness  
24 which is grainier than the size of the instrument?

25 MR. TAMBURRO: What we do is then we take

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 49 points and analyze it for --

2 VICE-CHAIRMAN WALLIS: Don't you get a  
3 fuzzy reflection or something or what do you get when  
4 you have a waviness which is finer than the size of  
5 the instrument?

6 MR. TAMBURRO: I'm going to ask Marty  
7 McAllister to answer the question.

8 MR. McALLISTER: Marty McAllister with  
9 AmerGen. Yes. You will get less of a reflection back  
10 from a rough surface. The machines that we use, the  
11 data loggers, they're designed to trip at a certain  
12 gate level, certain amount of sound that is being  
13 echoed back.

14 VICE-CHAIRMAN WALLIS: Does it tend to  
15 reflect from the troughs or the peaks if you get a  
16 wiggly surface?

17 MR. McALLISTER: It will trip off the  
18 thinnest.

19 MEMBER SIEBER: It's a visual, right?

20 MR. McALLISTER: That's correct.

21 VICE-CHAIRMAN WALLIS: It's surprising if  
22 you have done all of this prep and you have cleaned it  
23 and you almost -- you didn't grind it, but you --

24 MEMBER ARMIJO: The diameter of the signal  
25 that is going out, you could pick the size of your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 probe, right? So you can have a very tiny little  
2 signal going to the sound.

3 MR. McALLISTER: The probes are a pulse  
4 echo. Half the probe is sending sound. The other  
5 half is receiving it. They're kind of focused so it  
6 will create more of a line of sound.

7 VICE-CHAIRMAN WALLIS: What's the diameter  
8 of the signal? What's the diameter of the measuring  
9 beam?

10 MR. McALLISTER: It would be a line that  
11 would be the width of the transducer.

12 VICE-CHAIRMAN WALLIS: Which is?

13 MR. TAMBURRO: At the hole size.

14 VICE-CHAIRMAN WALLIS: Hole size.

15 MR. GALLAGHER: And, Dr. Wallis, I think  
16 you got confused on the exterior and interior.

17 VICE-CHAIRMAN WALLIS: The exterior is  
18 rough, right?

19 MR. GALLAGHER: We talked about the --

20 VICE-CHAIRMAN WALLIS: You're measuring  
21 from the inside?

22 MR. GALLAGHER: On the inside. When we  
23 talked about the dish where we prepared the surface,  
24 that's on the outside. And I hope to get to --

25 VICE-CHAIRMAN WALLIS: That's right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER ARMIJO: But literally from this  
2 data, you could in principle drop contour maps of what  
3 that surface looks like.

4 MR. GALLAGHER: That's correct, yes.

5 MEMBER ARMIJO: But you haven't needed to  
6 do that or found trying to do that?

7 MR. TAMBURRO: No. We have data. We have  
8 all 49 points.

9 VICE-CHAIRMAN WALLIS: Have you shown us  
10 some of these grids of 49 points?

11 MR. GALLAGHER: In the calculations that  
12 we submitted --

13 VICE-CHAIRMAN WALLIS: We seem to presume,  
14 but there isn't that much variability from one point  
15 to the next over such a short distance or is there?

16 PARTICIPANT: I think there would be.

17 MR. TAMBURRO: There is a variability.

18 PARTICIPANT: We have a table.

19 VICE-CHAIRMAN WALLIS: You have a table?

20 PARTICIPANT: Yes.

21 VICE-CHAIRMAN WALLIS: From one point to  
22 the next, just that short distance?

23 MR. TAMBURRO: Yes, sir.

24 MR. POLASKI: It's one inch.

25 VICE-CHAIRMAN WALLIS: One inch? It

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 doesn't vary by half an inch thickness. It varies by  
2 --

3 MEMBER ARMIJO: It's small numbers.

4 VICE-CHAIRMAN WALLIS: Mls. It varies by  
5 mls.

6 MR. TAMBURRO: Okay. So moving on to  
7 slide 77, we trend the data, both the means and the  
8 thinness, over time. And the 77 is a schematic of  
9 what this -- a representation. The thickness is the  
10 y-axis. And the time is the x-axis.

11 On 78, we then take that data. And we  
12 develop a curve fit of that trend. That curve fit is  
13 based on least squares fit.

14 VICE-CHAIRMAN WALLIS: But since the  
15 corrosion has been arrested in your view, there  
16 shouldn't be any. It should just be flat.

17 MR. TAMBURRO: Yes, sir. And it is flat.  
18 And I'll get into how we look at that in about four  
19 slides.

20 VICE-CHAIRMAN WALLIS: Okay.

21 MR. TAMBURRO: We then test the curve fit  
22 to the data and determine if it meets the curve with  
23 95 percent confidence. If it does meet the curve with  
24 95 percent confidence, then we use the curve for  
25 projection. The next slide shows how we do that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 projection.

2 VICE-CHAIRMAN WALLIS: Does it usually  
3 meet the curve with that confidence, then?

4 MR. TAMBURRO: Prior to --

5 MEMBER POWERS: Can you go back to the  
6 previous slide?

7 MR. TAMBURRO: Yes, sir. Could you repeat  
8 the question, please?

9 MEMBER POWERS: I haven't asked it yet.

10 MR. TAMBURRO: Okay.

11 (Laughter.)

12 MEMBER POWERS: You are looking for a  
13 curve with zero slope, is what you're looking for?

14 MR. TAMBURRO: No. At this point I'm  
15 looking for a curve with a slope.

16 MEMBER POWERS: Are you doing an --

17 CHAIRMAN MAYNARD: Dr. Powers, could you  
18 get closer to the microphone?

19 MEMBER POWERS: You are doing an F test,  
20 which is a test of variance?

21 MR. TAMBURRO: A test of variance to occur  
22 with a slope. Yes, sir. At this point we're looking  
23 for a slope.

24 MEMBER POWERS: I'm just not sure. You've  
25 got to look at the ratio of the two variances. And I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 don't know what the second variance is.

2 MR. TAMBURRO: The two variances we are  
3 looking at are the ratio between the sum of the  
4 squared error and the sum of the residual errors.

5 MEMBER POWERS: Okay. So you're just  
6 looking at your inherent error versus your systematic  
7 error?

8 MR. TAMBURRO: Yes, sir.

9 MEMBER POWERS: Okay.

10 MR. TAMBURRO: Again, if that curve fits  
11 meets the data with 95 percent confidence, then we  
12 will perform a projection using that curve fit.

13 Slide 79 provides a schematic of how we do  
14 that. We calculate a lower 95 percent confidence  
15 interval on that curve fit; again, if that curve fit  
16 has satisfied a 95 percent confidence F test.

17 This schematic shows also the upper  
18 confidence level, but we don't use that. The  
19 intercept between the lower 95 percent confidence  
20 intervals and 2029 is how we project our margin.

21 VICE-CHAIRMAN WALLIS: The upper 95  
22 percent confidence looks nonphysical somehow.

23 MR. TAMBURRO: Yes, sir. Yes, sir.

24 MEMBER POWERS: So the statistics isn't  
25 inherent here. Why 95 percent?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. TAMBURRO: Ninety-five percent is what  
2 we typically have used with analysis and has been  
3 generally accepted by the regulation.

4 MEMBER POWERS: Why does he accept 95  
5 percent?

6 MR. TAMBURRO: I can't answer the  
7 question.

8 MR. GALLAGHER: It is reasonable  
9 assurance.

10 MR. TAMBURRO: It is a high confidence  
11 level. I am sure on the upper drywell if we used 99  
12 --

13 MEMBER POWERS: There are multiple ways of  
14 looking at it. You can say, "If I did this 20 times,  
15 one out of those 20 times, you would violate this," in  
16 which case you are dead meat, right?

17 MR. TAMBURRO: We've done sensitivity  
18 studies. We have done --

19 MR. GALLAGHER: In this one area.

20 MR. TAMBURRO: We've done sensitivity  
21 studies on the upper drywell and have used 99 percent  
22 confidence. We still meet margin. We still meet 2029  
23 with margin.

24 CHAIRMAN MAYNARD: That might be a better  
25 question to ask the staff when they're giving their

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 presentation this afternoon, too.

2 MEMBER SHACK: There is no answer to that  
3 question.

4 (Laughter.)

5 CHAIRMAN MAYNARD: I am just trying to  
6 move us along, Dana.

7 MR. TAMBURRO: So why did you ask it of  
8 me?

9 (Laughter.)

10 MEMBER POWERS: Because I ask the staff  
11 and I never get an answer. I thought maybe there was  
12 some hope.

13 PARTICIPANT: What if you didn't meet your  
14 F test?

15 MR. TAMBURRO: The next set of slides goes  
16 into that.

17 MEMBER ARMIJO: Well, if you don't meet  
18 the F test, that means that physically something is  
19 changing and the data shouldn't be correlated with a  
20 straight line.

21 MR. TAMBURRO: If I don't meet the F test,  
22 I don't have high confidence that there is a straight  
23 curve with a slope. This method worked well for the  
24 sand bed prior to 1992.

25 We had rates between 10 and 20 mls per

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 year. It only took us 4 or 5 inspections to come up  
2 with F tests that met 95 percent confidence. And we  
3 did these projections.

4 It's also working in the upper regions,  
5 where we have more than ten inspections over more than  
6 ten years. And now we're in certain areas. We're  
7 finding areas that are meeting the F test with 95  
8 percent confidence. And we're finding rates of less  
9 than that.

10 However, using the 2006 data for the sand  
11 bed and moving on to slide 80, we only have four data  
12 sets. And with very high variance, the data did not  
13 meet the F test 95 percent confidence. So we had to  
14 do more conservative analysis and simulation to show  
15 that we would have seen high rates.

16 And I'm going to move on to slide 81.

17 MEMBER POWERS: Do you see evidence of  
18 pitting in your -- corrosion at all?

19 MR. TAMBURRO: I'm sorry. I didn't hear  
20 the question.

21 MEMBER POWERS: Do you see evidence of  
22 pitting corrosion?

23 MR. TAMBURRO: We don't see evidence of  
24 pitting. We do see evidence of local areas  
25 progressing further than other areas, but those would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not be characterized as pits. They would just be  
2 characterized as areas that have progressed further.

3 CHAIRMAN MAYNARD: I do want to keep us  
4 moving along here. I don't know how much more time  
5 that you need, but I don't want to cut off the people  
6 for their time this afternoon, too.

7 MR. TAMBURRO: I'll try and hurry it up.  
8 So let's move on to slide 82. We performed  
9 simulations based on Monte Carlo-type simulations.  
10 And the simulations were intended to answer the  
11 question, what's the minimum rate I would have  
12 observed with 95 percent confidence given that I only  
13 had 4 inspections and I had variances between 8 and 16  
14 mils? This is not a rate we saw, but it is a rate we  
15 should have seen given the number of inspections and  
16 how much variance is.

17 Slide 83 provides a schematic of how the  
18 random number generator was used. It took a mean, a  
19 standard error, and 49. We got out of the random  
20 number generator an array of 49 values, which is  
21 normally distributed, with a mean and a standard  
22 error, not necessarily the same as what was input  
23 because of the random generator nature of --

24 MEMBER POWERS: How do you know your  
25 generator was not correlated?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. TAMBURRO: I don't know. We used the  
2 standard random number generator from a standard  
3 product.

4 MEMBER POWERS: Mr. Gnu's book on  
5 semi-numerical algorithms goes at great lengths to  
6 decry the use of standard numerical number generators.  
7 He will regale you with stories of how correlated they  
8 are.

9 MR. TAMBURRO: Thank you.

10 Moving on to slide 84, we then did -- this  
11 slide is busy. I'm going to walk through it slowly.  
12 We then simulated a series of inspections. So item 1  
13 we simulated for our worst location, which was  
14 location 19A. We input a value of 800 mls, which was  
15 the reading in 1992. We inputted standard error. And  
16 the generator gave us a 49-point array, which we then  
17 calculated the mean and standard error. This is a  
18 simulator standard error.

19 In 1994, for 1994, we inputted a value 2  
20 mls less. In this case, we simulated a rate of one ml  
21 per year, so two years differential, one ml a year,  
22 two mls less.

23 For 1996, we did the same thing. And for  
24 2006, again, we lowered the input mean by the  
25 appropriate value for a one-year period, one ml PRA.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   With this simulation, we then performed a  
2 curve fit. And then we performed the F test on this  
3 value. If the F test was successful, we counted it  
4 successful. We repeated this 100 times and counted  
5 the number of successful tests.

6                   On to the next slide. We then increased  
7 the rates. So this slide is a schematic that shows  
8 how we progressed at greater rates and the number of  
9 times the F test was successful.

10                   For example, for 2 mls per year, we passed  
11 the F test 27 out of 100 times. At 8 mls per year, we  
12 passed the F test 98 out of 100 times. We refined the  
13 analysis. And at 6.9 mls per year, we passed the F  
14 test 96.2 times. We did it ten times just to be sure.

15                   VICE-CHAIRMAN WALLIS: This is a very  
16 conservative --

17                   MR. TAMBURRO: Yes, sir. Yes, sir.

18                   MEMBER ARMIJO: I don't believe it,  
19 frankly, because it doesn't correlate at all with your  
20 data.

21                   MR. TAMBURRO: No, it doesn't.

22                   MEMBER ARMIJO: And maybe it's telling me  
23 that if it had been as much as 6 mls per year  
24 corrosion rate, you would have had 96 percent  
25 confidence of finding it, but you didn't.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. TAMBURRO: That's exactly the point,  
2 sir.

3 MR. GALLAGHER: And one point we are  
4 trying to make with this is that when you take a look  
5 at the data, it's flat-lined. It's flat-lined. And  
6 we're just using this to show that our inspection  
7 frequencies are conservative.

8 So given this projection, people fast  
9 forward given this projection. You know, it goes out  
10 ten years. We're inspecting again in four years. So  
11 we have a conservative inspection.

12 MR. TAMBURRO: Mike, you stole my next  
13 slide.

14 MR. GALLAGHER: Sorry, sir.

15 MR. TAMBURRO: So that's what the next  
16 slide says. 6.9 mls per year is the minimum rate we  
17 did not observe. We should have observed it with high  
18 confidence. So our next inspection is going to be  
19 prior to when we project that rate into the future.

20 For the most limiting locations, 19A and  
21 17D, if we did have a rate of 6.9 mls per year, which  
22 we don't, we would reach our minimum value by 2016.

23 VICE-CHAIRMAN WALLIS: But you are  
24 assuming that there is no change in the physical  
25 situation in that period of time, that you can just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 extrapolate past experience. And caution would  
2 indicate that you ought to do something sooner because  
3 something may have happened. Epoxy may have changed  
4 in some way unpredicted and so on.

5 MR. TAMBURRO: Yes, sir. And moving on to  
6 the next slide --

7 VICE-CHAIRMAN WALLIS: This is like  
8 predicting the weather in New England 20 years from  
9 now or something.

10 MR. TAMBURRO: And moving on to the next  
11 slide --

12 MEMBER POWERS: It would be just as bad 20  
13 years from now as it is today.

14 CHAIRMAN MAYNARD: Let's move on. Next  
15 slide.

16 MR. TAMBURRO: Even though the analysis  
17 shows 2016, we will inspect in 2010. So that is much  
18 sooner than this conservative analysis tells us we  
19 should inspect. And further inspections, we'll use  
20 the same methodology to establish required inspection  
21 frequencies.

22 MR. POLASKI: So that completes Pete's  
23 presentation. Are there any further questions on  
24 that?

25 (No response.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. GALLAGHER: Yes. Dr. Maynard, what we  
2 have next is about the 2006 actual data. So we can  
3 continue or --

4 CHAIRMAN MAYNARD: I would like to go  
5 ahead and continue just for a little while here. If  
6 it runs too long, we may have to stop, but I would  
7 like to get finished with your presentation before we  
8 break for lunch.

9 MR. GALLAGHER: Okay.

10 PARTICIPANT: The entire thing?

11 CHAIRMAN MAYNARD: Yes, the licensee's  
12 presentation.

13 VICE-CHAIRMAN WALLIS: The whole thing?

14 MR. POLASKI: It won't take us long to go  
15 through the rest of this presentation on the sand bed  
16 region. So Mr. Howie Ray is now going to make a  
17 presentation on the results of the October 2006  
18 refueling outage.

19 Mr. Ray is a design manager, has been a  
20 design manager, at Oyster Creek for the last two years  
21 and will --

22 CHAIRMAN MAYNARD: I'm sorry. I didn't  
23 mean to complete your entire presentation but the  
24 section that we're in right now.

25 MR. POLASKI: Yes. We're going to do the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sand bed region now.

2 CHAIRMAN MAYNARD: Sorry.

3 MR. POLASKI: Thank you.

4 MR. RAY: Thank you, Fred.

5 My name is Howie Ray. I'm going to give  
6 you the scope of the 2006 inspection that was  
7 performed in the sand bed region. We did visual  
8 inspection of the coating in all ten bays. That's  
9 external to the drywell.

10 We did UT measurements in 19 grids at  
11 elevation 11-foot, 3. That's internal to the drywell.  
12 And we did UT measurements of the 106 locally thin  
13 single point locations external in the sand bed  
14 region.

15 The results of the visual inspection of  
16 the external shell showed no degradation. This was  
17 performed by qualified NDE personnel. And these were  
18 all satisfactory.

19 Going on to the next slide, this shows you  
20 pictures of the drywell shell. This is 2006 pictures.  
21 You saw earlier the 1992 pictures. You can see the OD  
22 surface of the shell is still in good condition. Just  
23 to point out --

24 VICE-CHAIRMAN WALLIS: What are those  
25 stalic types at the bottom there that stick out from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the coating?

2 MR. RAY: I'm sorry? Could you repeat?

3 VICE-CHAIRMAN WALLIS: What are those  
4 spiky things that stick out from the coating? What  
5 are they? Does that have something to do with how the  
6 coating was applied? That thing there, yes. What's  
7 that?

8 PARTICIPANT: That's a good point.

9 MR. RAY: That's just the caulk. That's  
10 a caulk between the shell and the --

11 VICE-CHAIRMAN WALLIS: That's the caulk?

12 MR. RAY: Yes, probably just --

13 MEMBER SIEBER: There's another one where  
14 the --

15 CHAIRMAN MAYNARD: Jack? Jack?

16 MEMBER SIEBER: There's another one where  
17 the external UT inspection circle is to the left,  
18 right above it.

19 MR. RAY: These surfaces were visually  
20 inspected by qualified, and they were satisfactory.  
21 So some of these pictures are deceiving.

22 VICE-CHAIRMAN WALLIS: There's some color.  
23 You have some color in --

24 MR. RAY: Yes. The other thing I wanted  
25 to point out, too, is on the floor. That's a concrete

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 floor there on the left-hand side. Fred, do you want  
2 to point that out, where the orange color is? I just  
3 want to point out that the shell and the caulking  
4 there were satisfactory. That is no indication of any  
5 corrosion off of the shell.

6 MEMBER ABDEL-KHALIK: What is the cause of  
7 the discoloration on the floor?

8 MR. RAY: If you recall the covers to the  
9 rebar, right on this side is the biological concrete  
10 wall. And there's a possibility of just some of that  
11 discoloration coming off the surface rust on that  
12 cover. But these were, there was no unsatisfactory  
13 condition.

14 VICE-CHAIRMAN WALLIS: So those yellow  
15 patches mean nothing or they're an illusion or  
16 something?

17 MR. RAY: I think they're just shadows in  
18 the --

19 VICE-CHAIRMAN WALLIS: Yes?

20 MR. RAY: Going on to the next slide, if  
21 there are no other questions on that one, this is  
22 another picture. We have talked about this one. So  
23 I won't spend too much time. But I did just want to  
24 point out that the transition, it's obvious where the  
25 top elevation of sand was prior to being removed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           Going on to the next slide, I wanted to  
2 give you a picture of the bay 19 caulking conditions.  
3 This is the bay with our minimum margin at this point  
4 just to show you that the shell, caulking, and floor  
5 are all in good condition.

6           MEMBER ARMIJO: Just for a scale, what is  
7 the width of that caulking thing? Is that an inch or  
8 two or --

9           MR. TAMBURRO: This is Pete Tamburro.  
10 It's approximately an inch.

11          MEMBER ARMIJO: It gives you an idea of  
12 the granularity.

13          MR. RAY: Okay. The UT measurements at  
14 the 19 internal grid locations were completed. And no  
15 ongoing corrosion was identified, as Peter just went  
16 through and described how we looked at those.

17                 This next slide, this shows a table of the  
18 UT measurements of the 19 grid locations that we have  
19 taken since 1992. Just to highlight the yellow cells,  
20 these are the minimum readings that have been taken  
21 throughout the years. And these are the values used  
22 to develop the margins for each bay. If you look on  
23 bay 19A, you can see 62 mls there is our lowest margin  
24 at this point.

25                 The next slide shows a simplified

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 tabulation of all the bays with their minimum margins.  
2 And you could see bay 19 minimum with bay 3 having a  
3 maximum of 439 mls.

4 The next slide, this is a trend graph. We  
5 do have graphs of all of the 19 grid locations that  
6 are in your reference book. We have included the  
7 lowest margin and one of the more significant margins,  
8 then, for your review.

9 Some keys to point out here are the top  
10 horizontal line shows the original plate thickness of  
11 1,154 mls. The bottom horizontal line shows the  
12 minimum required shell thickness of 736. And the line  
13 in between there you can see that has a slope, it's a  
14 15 mls per year slope there on the left up to 1992.  
15 That shows the significant corrosion that existed  
16 before the sand was removed.

17 Also, just to note there that we're  
18 showing the standard errors there, the 8.4 mls, the  
19 9.9. And those are not corrosion rates. They're  
20 standard deviations.

21 And then you can see from 1992, when we  
22 removed the sand, it's fairly obvious that we did  
23 correct the situation in that area.

24 And I just wanted to point out another  
25 point of reference on here is between 1994 and 1996,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 those were two outages where we did not install these  
2 triple coating. And you can see it did not have any  
3 adverse effect on the --

4 VICE-CHAIRMAN WALLIS: I'm surprised with  
5 all these readings going down so rapidly that you  
6 didn't do something before 1991-92. It's past  
7 history, but it just seems strange that headed for  
8 disaster in '94 --

9 MR. TAMBURRO: I think the answer would be  
10 there was a lot being done. It was just very  
11 difficult to get in there to the sand.

12 MR. POLASKI: There were things being  
13 done. I mean, the drain lines were cleared to drain  
14 water out. That wasn't successful. They then  
15 installed a cathodic protection on two bays. And that  
16 didn't solve the problem. And ultimately they decided  
17 in 1992 --

18 PARTICIPANT: Get the sand out.

19 MR. POLASKI: -- they had to take the sand  
20 out.

21 MR. RAY: Just quickly to show you we did  
22 bay 1D in there also, which has 365 mls of margin.  
23 Okay. So the 2006 UT readings, let's see. There were  
24 106 individual UT measurements taken externally to the  
25 sand bed region.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           It was verified that all 106 measurements  
2 continue to meet the local thickness requirements.  
3 That's both buckling and membrane stresses.

4           The 2006 measurements that were taken  
5 external to the drywell, we've determined they are not  
6 directly comparable to the 1992. We have talked a  
7 little bit about it before with the difference in  
8 technique that we have encountered there.

9           The next slide, we'll just go through and  
10 highlight what the differences were from the UT  
11 technique that we used in 1992 and that they were  
12 using in 2006.

13           So in 1992, we did the readings on  
14 uncoated surface. The surface had to be prepped  
15 enough to get the transducer in there. It's obviously  
16 a cupped surface. And traditional pulse, the echo  
17 technique was used for that technique.

18           Today's technique, we are using the echo  
19 technique. It does take the readings through the  
20 coating. And it also allows the --

21           VICE-CHAIRMAN WALLIS: The cup thing could  
22 also make this cup --

23           MR. RAY: -- between the transducer and  
24 the --

25           VICE-CHAIRMAN WALLIS: When you make a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cup, the way we have been through this before, you are  
2 actually making it a little bit thinner where you put  
3 the transducer than it really is or than it was  
4 before.

5 MR. RAY: That's absolutely right. You  
6 would expect to have a little bit less just based on  
7 that factor.

8 VICE-CHAIRMAN WALLIS: How big is that?  
9 How much stuff do you take out to make that --

10 MR. RAY: Actually, we have demonstrations  
11 if you're really interested in this stuff, but I think  
12 it was about 20 mls, Marty?

13 VICE-CHAIRMAN WALLIS: It's 20 mls. Okay.  
14 So it's significant compared with the 60 mls you're  
15 talking about for the margin.

16 MEMBER SIEBER: Well, you usually take it  
17 down to where the lowest bid is.

18 MR. O'ROURKE: I don't think we're saying  
19 we took off 20 mls. I think the variability between  
20 the readings for 2000 to 2006 was 20 mls.

21 MR. RAY: Right. Yes. That's what we're  
22 saying. So that way --

23 CHAIRMAN MAYNARD: Keep it down to the  
24 point where you've got it smooth enough to do that --

25 MR. GALLAGHER: That's right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. RAY: So we did have to remove some  
2 margin when we did that. And that's why we wanted to  
3 minimize it as much as possible.

4 MR. GALLAGHER: I guess the point was,  
5 Howie, from Dr. Wallis' question, --

6 MR. RAY: I'm sorry.

7 MR. GALLAGHER: -- we took it down to the  
8 lowest point. I mean, presumably we didn't go lower.

9 VICE-CHAIRMAN WALLIS: You might have  
10 done, yes.

11 MR. GALLAGHER: But we tried not to.

12 VICE-CHAIRMAN WALLIS: Lower than the  
13 average, certainly, yes.

14 MEMBER SIEBER: You actually can't help it  
15 a little bit lower, but it's on the order of a couple  
16 of mls.

17 MR. POLASKI: When we show you results,  
18 things are not points that are showing that they're  
19 the lead areas or the cleanest areas.

20 MR. RAY: Because of those differences,  
21 we're going to treat the 2006. We used a much more  
22 rigorous approach in going and doing these and  
23 identifying the exact locations. So we're going to --  
24 these 2006s are baseline going forward. We will be  
25 going back in 2008 and remeasuring these.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The next slide, this gives the external  
2           108 points inspection results. The key thing here,  
3           this basically shows that there's very few points that  
4           are less than the 736 criteria. In bay 13, the lowest  
5           reading we have now is the 602 mls. And that still  
6           satisfies the required local thickness of 536 mls.

7           The difference here between the 1992 total  
8           and the 2006 total, we could not go back and duplicate  
9           the 125 points. Some of the points they took in 1992  
10          were the same in the areas that were cupped. And we  
11          just went and got the finished reading, each one of  
12          those cups. So we will be using 106 to clearly  
13          identify as we should in the pictures, and we have a  
14          good baseline to move forward.

15          Okay. This next picture, we did talk  
16          about this a little bit before. But this schedule  
17          illustrates all of the 19 grid internal UT readings  
18          along with 106 external finished points that we took  
19          in 2006. And we also have included the trench UT  
20          readings, which adds up to kind of the numbers -- and  
21          this also illustrates that right above the 11-foot-3  
22          line, you can see that that is where most of our grids  
23          are and that is where we are seeing the thinnest  
24          readings. And that is where the points were picked.  
25          The majority of the points that were thinnest were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 picked in that area. So that helps demonstrate that  
2 the 11-foot-3 elevation.

3 This sketch demonstrates the very few  
4 measurements fall below the general required thickness  
5 of 736 mls. We have yellow indicated there for  
6 between 636 to 736 mls. We have one red spot there in  
7 bay 13, which is the 602 mls that we measured. And  
8 1992 was the thinnest reading of 618.

9 I guess an important point was in 1992,  
10 they did do a full detailed round with micrometers to  
11 make sure that that was, in fact, the thinnest area in  
12 that area. They did a six-inch square.

13 PARTICIPANT: Characterization.

14 VICE-CHAIRMAN WALLIS: So there are quite  
15 a few yellow regions. On the right there, there's --

16 MR. RAY: Right. These are in the -- we  
17 wanted to show you how many different points there  
18 were. They're actually all in the six-by-six grids  
19 there.

20 VICE-CHAIRMAN WALLIS: So the other ones  
21 are actually mixed in with green ones --

22 MR. RAY: That's correct.

23 VICE-CHAIRMAN WALLIS: -- in the same  
24 region.

25 MR. RAY: That's correct. They go into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that calculation.

2 MR. POLASKI: One thing, just to be clear,  
3 the triangles are the single points that were taken  
4 from the outside.

5 VICE-CHAIRMAN WALLIS: Right.

6 MR. POLASKI: The rectangles, the square  
7 boxes were the grids that were taken from the inside.  
8 And it's in a particular grid. And I'll point this  
9 one in bay 17. There were local points in the 49 that  
10 were less than 736. We showed them as yellow just so  
11 you can --

12 VICE-CHAIRMAN WALLIS: It's one-seventh of  
13 them, yes.

14 MR. POLASKI: Any small squares are part  
15 of a larger square or rectangle.

16 MEMBER SHACK: Why do I have seven points  
17 in some of the grids?

18 MR. POLASKI: I am going to ask Pete to  
19 address that.

20 MR. TAMBURRO: During the characterization  
21 in the mid '80s, some of the areas to the left showed  
22 that they were nominal. So we did not go and do a  
23 further characterization. So those areas with only  
24 seven, even today, have thicknesses that are very  
25 close to nominal.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. RAY: Okay. If there are no more  
2 questions with that, we will move on to slide 102.

3 VICE-CHAIRMAN WALLIS: So let us see. The  
4 7 are the ones which are the smaller green square, and  
5 the 49 are the big green rectangle?

6 MR. POLASKI: That's correct.

7 MEMBER SHACK: Now, if you're coming down  
8 in elevation, basically from the top of the sand bed  
9 down towards that seam, is there a trend in the  
10 thickness loss in places where you have enough  
11 measurements?

12 MR. TAMBURRO: The trend is that the  
13 majority of the loss is in the middle, where you see  
14 the grids. The inspections of the external below  
15 those grids and even in the trenches show that the  
16 loss is not as severe.

17 MR. POLASKI: And I think the other thing  
18 to remember on this picture is that where we show in  
19 color. This is where we took measurements. The place  
20 that's white was thicker than that. And sometimes  
21 people tend to lose that that the white is showing a  
22 lot of areas greater than 736.

23 VICE-CHAIRMAN WALLIS: Isn't corrosion  
24 worse, sort of the interface between water and air so  
25 that if the sand bed was partially flooded, it would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 actually be protected by the water at the bottom?

2 MR. POLASKI: Well, there where the  
3 interface is where it's at the worst, but if you see  
4 from your pictures, there was corrosion on this whole  
5 area.

6 VICE-CHAIRMAN WALLIS: Yes, but it's worst  
7 somewhere partway up. It's not at the bottom.

8 MR. POLASKI: Yes, yes.

9 MR. RAY: We will be talking about that  
10 later.

11 MR. POLASKI: Okay.

12 MR. O'ROURKE: Slide 102. To summarize,  
13 we have shown you the ultrasonic measurement data that  
14 supports our conclusion that the corrosion on the  
15 outside of the drywell shell in the sand bed region  
16 has been arrested.

17 Our direct visual examinations have  
18 supported the conclusion that the coating shows no  
19 degradation and, therefore, continues to protect the  
20 external shell.

21 And based on the ultrasonic measurement  
22 data and trend graphs, we supported the conclusion  
23 that sufficient margin exists to the minimum thickness  
24 requirements.

25 Going forward, we have defined an aging

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 management program that includes visual inspection of  
2 the exterior coating in a minimum of three bays every  
3 other outage and inspecting all ten bays once every  
4 ten years.

5 VICE-CHAIRMAN WALLIS: Now, why is it  
6 restricted to three bays? Is it very difficult to do  
7 more?

8 MR. O'ROURKE: It's just distributing them  
9 over the ten-year period?

10 VICE-CHAIRMAN WALLIS: Yes, but it just  
11 seems a little risky to do a few bays and not look at  
12 everything.

13 MR. POLASKI: Dr. Wallis, it is difficult  
14 to get into this area. I mean, we showed you those  
15 20-inch-diameter man-ways. Those have shielding --

16 VICE-CHAIRMAN WALLIS: So you are telling  
17 me that we have got a camera, a robot that runs all  
18 the way around or something?

19 MR. POLASKI: No, no.

20 CHAIRMAN MAYNARD: And I would assume that  
21 your program is set up that where if you started  
22 seeing degradation, that the frequency would be  
23 revisited to see if you need to go into all --

24 MR. POLASKI: That's correct, yes.

25 MR. O'ROURKE: We will also be repeating

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the ultrasonic measurements at the 19 grid locations  
2 at elevation 11-foot-3 in 2010 and then every 10 years  
3 thereafter and will be repeating the ultrasonic  
4 measurements at the 106 locally thin locations from  
5 the exterior in the 2008 outage and then in 2 bays  
6 every outage thereafter.

7 VICE-CHAIRMAN WALLIS: Do you have any  
8 measurement of humidity in this region ongoing?  
9 Wouldn't it be useful just to have a humidity meter in  
10 the sand bed region and see how wet it is?

11 MR. POLASKI: There have been some. You  
12 know, we have been asked that question. One of the  
13 concerns is any instrumentation will be exposed to a  
14 reasonably high radiation field in there. I mean,  
15 this is inside the shield wall around the drywell. We  
16 don't expect any instruments that would measured  
17 humidity would survive.

18 But this was an area that once you close  
19 it off, you don't get any ventilation flow through  
20 here.

21 VICE-CHAIRMAN WALLIS: That's why I'm  
22 surprised it rushed it so much because I calculated  
23 you need several hundred thousand cubic feet of air to  
24 get the oxygen to make all that rust.

25 MR. POLASKI: But then once the curb --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: I mean, it's a conductor.

2 CHAIRMAN MAYNARD: We have got several  
3 side conversations going on. Let's go ahead and move  
4 on here.

5 MR. POLASKI: That completes our  
6 presentation on the sand bed region.

7 CHAIRMAN MAYNARD: Yes. Before we go into  
8 the next section, we're at the point in the agenda for  
9 a lunch break. I would like to ask the members if 40  
10 minutes would be enough for lunch. Is that  
11 acceptable? That way we won't get too far behind.  
12 Okay. We will --

13 MEMBER BONACA: I have another question.  
14 A question I have is more real to the MR scientists.  
15 Since the leakage from the refueling liner happened so  
16 early in the life of this plant, did you ever consider  
17 replacement? Did you ever consider replacing the  
18 liner?

19 MR. RAY: We've done extensive back in  
20 1988 -- when we did put this in our non-conformance  
21 system, we did an extensive review of it and  
22 determined that because of the welding and -- I'm not  
23 getting to your question. You are asking for a direct  
24 liner replacement?

25 MEMBER BONACA: Yes. I mean, clearly a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 list from your perspective that the water is for  
2 refueling cavity and has been plaguing you. And I'm  
3 sure this problem right now ends up being very  
4 expensive.

5 MR. GALLAGHER: The only thing we have  
6 investigated was about repairs. We actually attempted  
7 some repairs in 1983. And right now we feel that we  
8 are adequately controlling the leakage with the  
9 metallic tape and the strippable coating and that we  
10 can ensure that no water gets in the sand bed region.  
11 And so that's what we have done.

12 CHAIRMAN MAYNARD: Mario, I've got some  
13 additional questions on that area, too. I think that  
14 when we're finished with our presentation, maybe we'll  
15 pursue that just a little bit.

16 I would like to go ahead and break for  
17 lunch now. Licensee will come back up here after  
18 lunch. And we'll have a chance for more questions.  
19 We'll break for lunch. And we'll come back at ten  
20 after, ten after 1:00.

21 (Whereupon, a luncheon recess was taken  
22 at 12:27 p.m.)

23 CHAIRMAN MAYNARD: Okay. I'd like to go  
24 ahead and resume the meeting. So we'll turn it back  
25 over to the next agenda item.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. POLASKI: Thank you.

2 Mike Gallagher is going to start off with  
3 some information about questions on some of the  
4 conditions during the accident analysis.

5 MR. GALLAGHER: Mr. Chairman, we had to  
6 follow up on three questions. I think they came from  
7 Dr. Wallis. So do you want me to defer that?

8 CHAIRMAN MAYNARD: Yes. Why don't we wait  
9 until he gets back? He should be back here.

10 MR. GALLAGHER: Okay. So we'll do that  
11 after another break.

12 CHAIRMAN MAYNARD: Okay.

13 MR. POLASKI: Okay. Our next section of  
14 the presentation is dealing with the imbedded portion  
15 of the drywell shell. We'd like to discuss the  
16 condition of the imbedded shell. We're talking about  
17 the condition of the drywell shell in the sand bed  
18 region.

19 If you'll remember, the sand bed region is  
20 the portion of the drywell shell that transitions from  
21 the lowest portion of the drywell shell, which is  
22 fully imbedded in concrete both on the interior and  
23 the exterior. The upper portions of the drywell,  
24 which is a free standing pressure vessel. We will  
25 discuss the condition of the imbedded section,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 conditions that exist on the surface of the drywell  
2 shell when water intrudes between the steel of the  
3 shell and the concrete pour both on the inside and the  
4 outside of the drywell during construction, and the  
5 results of inspections that were performed in 2006.

6           When we were here in October of last year,  
7 we only discussed potential corrosion on the exterior  
8 surface of the imbedded section of the drywell shell.  
9 During our refueling outage in October of '04, we  
10 discovered water below the concrete floor on the  
11 inside of the drywell. This was not expected, and is  
12 a condition that was not covered in the Oyster Creek  
13 licensure application.

14           We have supplemented our application to  
15 include this environment and have modified our aging  
16 management programs accordingly. So today we will be  
17 discussing the impact of water on both the interior  
18 and the exterior surfaces of the imbedded section of  
19 the shell.

20           And Mr. John O'Rourke will lead our  
21 presentation on this topic.

22           MR. O'ROURKE: Thanks, Fred.

23           The next part of this presentation focuses  
24 on the imbedded shell and will support the following  
25 conclusions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 First, corrosion on the imbedded surfaces  
2 of the drywell shell, both interior and exterior, is  
3 not significant, and we will provide you with a  
4 discussion of the environment of imbedded steel in  
5 concrete and how it prevents significant corrosion.

6 Our second conclusion is that based on  
7 recent ultrasonic inspections in the trench areas is  
8 that if there is ongoing corrosion, it's estimated at  
9 less than one mil per year.

10 And our final conclusion, again, based on  
11 the ultrasonic inspections is that the drywell shell  
12 meets design requirements with margin through the  
13 period of extended operation.

14 First, let me briefly orient the  
15 subcommittee with several physical sketches. This  
16 sketch shows the elevation of the interior of the  
17 drywell, and in particular, Fred is going to point out  
18 several locations on the right and left side at the  
19 drywell floor at elevation ten foot, three.

20 Also, on the left side is the concrete  
21 that was removed from Bay 5 to form that trench. The  
22 area under the reactor vessel, which we refer to as a  
23 sub pile room, and the trough that's inside sub pile  
24 room that is 360 degrees around the perimeter of the  
25 room and directs any drywell leakage to the sump.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Also of note on the right side where the  
2 curve exists, that joint between the concrete curve  
3 and the drywell shell, we added a caulk sealant to  
4 that during the last outage, and we will discuss that  
5 more.

6           The next sketch that shows the drywell  
7 support structure, starting at the bottom, it consists  
8 of a ten foot thick concrete mat. On top of that is  
9 a concrete pedestal that is over 21 feet thick.

10           Also of note is the sand bed region and  
11 the and the 20 inch manway that provides access to the  
12 region, and we have a torus room with an elevation of  
13 minus 19 foot, six that goes around the reactor  
14 building.

15           Also of note is a waterproof membrane that  
16 was installed when the concrete was placed. You can  
17 see that that waterproof membrane goes underneath the  
18 concrete mat and up the outside of the concrete  
19 surfaces up to a level of plus five foot, zero.

20           The next Slide 108 is a close-up of the  
21 drywell support skirt.

22           CHAIRMAN MAYNARD: Just a quick question.  
23 Your elevations, are those from a reference point or  
24 is that from sea level?

25           MR. O'ROURKE: Sea level.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Slide 108, this is a close-up of the  
2 drywell support skirt and the sand bed region and what  
3 illustrates one of the five drains that Fred had  
4 previously mentioned out of the sand bed region, but  
5 it also shows the plate thicknesses and the transition  
6 area in the imbedded shell where it transitions from  
7 the 1,154 mils to 676 mils.

8 Slide 109, again, this is a plan view of  
9 the drywell showing the trench locations, and I had  
10 previously shown you slides of the details of those  
11 trenches.

12 Continuing with the discussion of the  
13 imbedded external shell in Slide 110, any corrosion of  
14 the drywell exterior imbedded surface occurred because  
15 of water leakage into the sand bed region, and  
16 corrective actions that had been taken for the sand  
17 bed region have arrested corrosion of the drywell  
18 exterior imbedded shell, including preventing water  
19 leakage from entering the sand bed region and sealing  
20 the joint between the drywell shell and the floor of  
21 the sand bed region to prevent water from contacting  
22 the external shell, as I had noted in a previous  
23 slide.

24 Slide 111. For the interior imbedded  
25 shell the water that was identified in the trenches in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Bays 5 and 17 inside the drywell when the foam filling  
2 was removed during the 2006 refueling outage was  
3 determined to have originated from equipment leakage  
4 inside the drywell and not from external sources.

5 The investigations during the outage into  
6 the source of the water indicate that there could have  
7 been water below the drywell interior floor for an  
8 extended period of time. To get more information  
9 regarding the condition of the shell, concrete was  
10 removed from the Bay 5 trench to expose an additional  
11 six inches of drywell shell that had been imbedded on  
12 both sides for ultrasonic thickness measurements in a  
13 newly exposed area.

14 CHAIRMAN MAYNARD: I'm sorry. Can you  
15 just -- again, I need to relate exactly where you're  
16 looking at now. Maybe I have to go back to the slide  
17 here.

18 MR. O'ROURKE: Okay. Let's go back to  
19 Slide 108. First, on the external side, the seal, you  
20 see the word "seal." That indicates where we put the  
21 caulk seal and we showed the photographs of that seal  
22 and the condition of that seal as we inspected it in  
23 2006.

24 When we go to the interior, if you back up  
25 to Slide 106, the curve on the right shows the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 interface between the concrete inside the drywell and  
2 the drywell shell.

3 CHAIRMAN MAYNARD: It's the trench on the  
4 left that got full of water.

5 MR. O'ROURKE: The trench on the left that  
6 got filled with water.

7 MR. POLASKI: This is the trench at Bay 5,  
8 and you'll note that the bottom of that trench  
9 corresponds to the bottom of the sand bed region. So  
10 when we're talking imbedded region, we're talking from  
11 here down, and when we move that additional concrete  
12 from this region, the detail doesn't show here. This  
13 is the first time we're able to give UT thickness  
14 measurements on the drywell shell in a region that had  
15 been imbedded both on the inside and the outside.

16 MR. O'ROURKE: Okay. This is the blow-up  
17 that I showed previously of the Bay 5 trench, also  
18 showing the additional concrete that we removed. When  
19 we took the foam out of this trench, we had about five  
20 inches of water in the bottom of the trench. We do  
21 have a photograph of that coming up in a later slide.

22 MR. SHACK: This is an experiment to test  
23 the corrosion environment.

24 MR. O'ROURKE: And back to Slide 112, we  
25 did remove the additional six inches to interrogate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the area that had been imbedded on both sides sine the  
2 original construction, and we will present the  
3 ultrasonic measurement data for this inspection as  
4 part of this presentation.

5 The corrective actions implemented during  
6 the 2006 refueling outage included caulking the joint  
7 between the drywell interior floor and the drywell  
8 shell, and I pointed that location out in the  
9 elevation view. We also made repairs to the  
10 collection trough inside the sub pile room to prevent  
11 any leakage into the concrete, both of which I had  
12 shown on that previous slide.

13 Fred.

14 MR. POLASKI: Thank you, John.

15 Our next section is going to be a  
16 presentation on corrosion of steel imbedded in  
17 concrete. Making this part of the presentation will  
18 be Mr. Barry Gordon. Mr. Gordon holds Bachelor's and  
19 Master's degrees in material science engineering from  
20 Carnegie Mellon University. He has been involved with  
21 nuclear systems corrosion concerns for over 38 years  
22 while working for Powell Laboratories, General  
23 Electric Nuclear Energy, and Structural Integrity  
24 Associates.

25 He is a member of the National Association

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of Corrosion Engineers for 34 years and has served as  
2 unit committee chairman of corrosion and nuclear  
3 energy systems and group committee chairman of energy  
4 technology.

5 Mr. Gordon is an NACE certified corrosion  
6 specialist and a registered professional engineer in  
7 corrosion engineering. He has authored or co-authored  
8 over 50 corrosion publications, including chairing the  
9 2006 ASM Volume 13(c) section on corrosion in a  
10 nuclear power industry.

11 Also, Mr. Gordon is currently preparing  
12 the utility requirements document for materials for  
13 advanced light water reactors for EPRI.

14 Mr. Gordon.

15 MR. GORDON: thank you very much, Fred.

16 I'm going to briefly discuss some of the  
17 science involved, why carbon steel and concrete  
18 environments work so well together. You know, any  
19 construction site you'll see lots and lots of rebar  
20 and the pouring of concrete onto the steel, bare  
21 carbon steel, and why it's a satisfactory structural  
22 system.

23 We've used, you know, tunnels and  
24 concrete-like steel pipe, and there's a reason for  
25 doing this.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   The first slide.

2                   The drywell shell is constructed first,  
3                   and then on each side the interior and exterior  
4                   concrete was poured in. When you have wet concrete in  
5                   contact with steel, the concrete mixture is at very  
6                   high pH, and this forms a passive film on the surface  
7                   of the carbon steel, and it's a very resistant film.

8                   And as the concrete hardens, even though  
9                   it becomes very hard, it still contains pores in the  
10                  concrete and the concrete contains it's called pour  
11                  water, and this pour water is, again, very high pH and  
12                  it mitigates corrosion.

13                 So looking at the slide, again, the  
14                 concrete. The shell is constructed first, covered  
15                 both surfaces of the imbedded steel with concrete.  
16                 The high pH is like 12.5 to 14 during the hydration of  
17                 the cement, which is one of the mixtures in the  
18                 composite concrete material. It forms a passive film  
19                 on the surface which mitigates corrosion, and again,  
20                 that's why this system is used for constructing  
21                 buildings, tunnels, swimming pools, whatever.

22                 Going to Slide 116, the reactor cavity  
23                 water, looking at the exterior environment now. The  
24                 reactor cavity water, which leaked down, went through  
25                 sand bed, was certainly affected by the sand bed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 region, and there may be some concern for that.

2 But a chemical analysis of this water,  
3 again, it's reactor cavity water which is very high  
4 purity to begin with, reveals that the pH is greater  
5 than seven. The fluoride content was 0.045 parts per  
6 million, and the sulfate concentration was 0.32 parts  
7 per million. That's very high purity.

8 And the next line I have there is an  
9 average of 3,600 waters, potable waters, natural  
10 waters around the United States, and it shows that the  
11 typical concentration is much higher, orders of  
12 magnitude higher in chloride and orders of magnitude  
13 higher in salts.

14 DR. WALLIS: So why was there so much  
15 corrosion on the outside originally?

16 MR. GORDON: It doesn't take -- in that  
17 particular area, in the sand region, there's no  
18 concrete there to protect it.

19 DR. WALLIS: But still why is it  
20 aggressive though? It should be neutral.

21 MR. GORDON: Oh, I mean, pure water will  
22 certainly corrode steel, but I'm talking about in the  
23 area where it is imbedded in concrete. It's a  
24 different environment.

25 Again, the American Concrete Institute has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rules on what kind of water is aggressive to concrete,  
2 and the GALL report and the EPRI studies have all  
3 supported the same level, and both these levels of the  
4 water obtained from the sand bed region is high purity  
5 and is not an aging concern.

6 Continuing with Slide 117, then the water  
7 would have been the same high quality as we saw as  
8 listed in the previous slide, but it would be  
9 interacted with the high pH pour water, concrete pour  
10 water, and it would provide a passive film for the  
11 carbon steel.

12 Again, per the GALL report and for the  
13 EPRI report, which is listed here, since the pH is  
14 greater than 5.5 and the chloride content is way below  
15 500 ppm and the sulfate is below 1,500 ppm, there is  
16 not an aging concern for imbedded steel in concrete.

17 Now let's look at the surprise water that  
18 was found during the last inspection on the interior  
19 surface and see why that is also not a concern. A  
20 chemical analysis was performed on this water, and the  
21 next slide will actually show what this water looks  
22 like. Again, the pH of this water was 8.4 to 10.2,  
23 and this is even after it's exposed to the CO<sub>2</sub> in the  
24 air, which would lower the pH. So the pH is probably  
25 at least two points higher than this.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 High pH, and that's what you want to  
2 maintain a passive film on carbon steel.

3 The chloride content, again, 13.6 to 14.6  
4 ppm. It's way below the limit of 500 ppm.

5 Sulfate, again, 228 to 230, way below the  
6 1,500.

7 The calcium content is just presented here  
8 as a point of interest, and we'll discuss that in the  
9 next slide. There's no GALL or EPRI concern with  
10 that.

11 So this water that you have looked at in  
12 the trench five is considered high purity concrete  
13 pour water, which mitigates corrosion of carbon steel.  
14 Again, this water that was found there complies with  
15 the GALL and EPRI and ACI recommendations.

16 The next slide shows the trench five, the  
17 water that was found in trench five, and the calcium  
18 content, which I illustrated on the previous slide  
19 indicates that the water was there for quite some  
20 time. Water leaches out calcium hydroxide first from  
21 concrete and it's an indication it took some time to  
22 get there and, again, it mitigates corrosion.

23 Any subsequent water that may be found in  
24 the interior of the drywell also will be affected by  
25 this concrete pour water, have a high pH, and will be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 also high puree and will not lead to any degradation  
2 of the carbon steel.

3 MR. ARMIJO: Where did this water come  
4 from?

5 MR. GORDON: This is apparent during a  
6 maintenance.

7 MR. ARMIJO: It was a spill.

8 MR. GORDON: Yes, spills and things like  
9 that.

10 MR. GALLAGHER: As we mentioned in the  
11 beginning, it's equipment leakage. So the design of  
12 the drywell and the equipment leakage collection  
13 system, and so any leakage would come down, go in the  
14 sub pile room, go in a trough, and then goes into the  
15 sump. So it's designed that way to collect any  
16 leakage. That's where this leakage came from.

17 MR. ARMIJO: But did this water migrate  
18 through the concrete or did it just kind of flow over  
19 the top of something and just pour into this hole?

20 MR. POLASKI: It could have come from two  
21 sources. The investigation showed that the trough  
22 that we pointed out earlier in the sub pile room that  
23 all of the leakage is supposed to flow into and then  
24 drain to the sump did have some leakage in it. It was  
25 not in the condition it should have been, and that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some of that water did migrate through the concrete  
2 and showed up in these troughs.

3 The other thing is John mentioned earlier  
4 that we have now installed caulking at the edge of the  
5 curve, you know, against the scale of the drywell.  
6 Most other BWRs have that caulked. Oyster Creek did  
7 not. Oyster Creek is unique. It has a curve there,  
8 but if there was any leakage that got on the shell of  
9 the drywell and ran down, it could have gotten  
10 directly below the concrete. Either of those ways  
11 could have accounted for this.

12 MR. GORDON: And, again, this slide shows  
13 the water, and you can see the carbon steel there, the  
14 bare carbon steel. This has some superficial  
15 corrosion on it.

16 What happens to the steel that's not  
17 protected by the water, basically the side pH water.

18 MR. SHACK: Did you make inspections or,  
19 okay, there is inspections later.

20 PARTICIPANTS: Yes.

21 MR. GORDON: What happens to the steel  
22 that isn't protected by this high pH, high purity  
23 water? When the drywell is inerted, the cathodic  
24 reactant for the Trojan (phonetic) reaction oxygen is  
25 depleted and corrosion would basically stop at that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 point.

2 Any possible subsequent steel corrosion  
3 would occur only during the brief outages, which are  
4 just a few, you know, ten days per year on average,  
5 and you wouldn't expect to see much atmospheric  
6 corrosion.

7 Finally, the transport of any oxygenated  
8 water that may come in from equipment manipulation  
9 would be affected by the high pH core water and also  
10 it would have to displace the oxygen depleted water  
11 before you'd see any corrosion.

12 So basically imbedded steel in concrete is  
13 not a concern on either the interior or the exterior  
14 of the drywell.

15 CHAIRMAN MAYNARD: Are you going to  
16 provide more justification for the superficial  
17 corrosion that you saw there or cover that in the  
18 inspection? I mean, you made a statement that  
19 there's some superficial rust there. I'd like to have  
20 a little bit more to go on than just that. How do you  
21 know it's superficial?

22 MR. GALLAGHER: Yes, Howie, answer that.

23 MR. RAY: Yes, so that's going to actually  
24 lead into the infraction to be performed.

25 CHAIRMAN MAYNARD: As long as it gets

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 covered there

2 MR. POLASKI: We will cover it in a couple  
3 of slides.

4 MR. GALLAGHER: And, Dr. Maynard,  
5 basically the bottom line is on the interior when we  
6 did UTs in the trench, and so you could easily wipe  
7 off the corrosion, and then we UTed the whole trench  
8 area and we have that data in here.

9 MR. POLASKI: So any other questions on --

10 DR. ABDEL-KHALIK: How much farther do you  
11 think beyond the trench that you dug in does the water  
12 extend or is the concrete in intimate contact with the  
13 steel along this entire bottom surface?

14 MR. POLASKI: The concrete that's on the  
15 inside --

16 DR. ABDEL-KHALIK: Right.

17 MR. POLASKI: -- as we said before, the  
18 concrete or the drywell shell was welded together and  
19 then the concrete was poured on the outside and then  
20 on the inside. So it is in intimate contact.

21 DR. ABDEL-KHALIK: So if it is in intimate  
22 contact, why is there water in the top part that you  
23 dug out?

24 MR. POLASKI: Well, even though it's in  
25 intimate contact, you can still get water into that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 There isn't really a gap there, but water can get in  
2 between, you know, soaked into the concrete along the  
3 steel.

4 MR. GALLAGHER: Yes, the concrete pour  
5 water throughout the concrete slab, and you know, so  
6 there's water there.

7 MR. RAY: Yes, the concrete is poured in  
8 different sections. So there's actually a pass where  
9 the water can get into the concrete or could migrate  
10 through the different paths and seek its elevation, to  
11 answer your question.

12 DR. ABDEL-KHALIK: Can you speak up a  
13 little bit louder?

14 MR. RAY: Yes. The concrete was poured in  
15 several different layers. So there are --

16 DR. ABDEL-KHALIK: Horizontal halves?

17 MR. RAY: Horizontal, yes.

18 DR. ABDEL-KHALIK: So, I mean, if I look  
19 at this picture, how much water is there and how much  
20 water don't I see?

21 MR. POLASKI: We believe based on what we  
22 found, when we found this water there was about five  
23 inches in the bottom of Trench 5. It was pumped out  
24 and then it filled back in again. So it was coming  
25 from, you know, underneath the concrete and other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 areas.

2 We believe that the whole inside of the  
3 drywell below the floor has water in there.

4 MR. ARMIJO: So you think there's water in  
5 this lower part of the sphere --

6 MR. POLASKI: Yes.

7 MR. ARMIJO: -- between the concrete and  
8 the shell.

9 MR. POLASKI: Yes, that's correct.

10 MR. ARMIJO: And the source is the sump.

11 MR. POLASKI: Well, the source is  
12 equipment leakage. It wasn't from the sump itself,  
13 but from the troughs that then lead into the sump  
14 indicated there was leakage out of that trough.  
15 However, there would have been water in the past if  
16 there was a leakage in the drywell, and again, there  
17 was some small amount of leakage in the drywell; if it  
18 got on the drywell shelf, could have run down and  
19 gotten directly below. It could have been there for  
20 years.

21 MR. GALLAGHER: Let's be clear. The  
22 trough that we're talking about is this trough that  
23 goes 360 degrees on the interior of the sub pile room.  
24 That's designed to collect the water and then move it  
25 to the sump.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           There were some defects in this trough so  
2           that some water could have got into the concrete. We  
3           don't know how far, you know, water is down there.  
4           We're assuming it's down there and that we've taken  
5           action to have an aging management program, assuming  
6           it's there to check, and that's what we've done.

7           MR. ARMIJO: Well, the water level, you  
8           know, if it's in direct contact, if it refills, the  
9           water level is coming from somewhere. That's at least  
10          that elevation or higher.

11          MR. GALLAGHER: Yes, and this elevation  
12          here is the highest at that point. It's higher than  
13          the bottom of the trench was. We've corrected this  
14          trough. So we wouldn't expect anymore water to get in  
15          there, but we added it to our aging management program  
16          to verify that, to verify if there's any ongoing  
17          effect.

18          But this trough elevation, see, right  
19          here, if you look at the side, that's the bottom of  
20          the trough, and then the bottom of the trench we're  
21          talking about is at the bottom of the sand bed floor.

22          So any water you have coming down here  
23          going into the trough, if the trough was not finished  
24          correctly, would have gone into the concrete. So we  
25          fixed that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ARMIJO: But it's feasible the whole  
2 bottom of that shell could have water in it.

3 MR. GALLAGHER: And that's what we're  
4 presuming. We haven't verified it, you know, because  
5 we only excavated down here.

6 MR. POLASKI: We're assuming there's water  
7 there, but Mr. Gordon's presentation is just  
8 addressing what would the conditions be, and once that  
9 water gets in there --

10 MR. GALLAGHER: It should be benign.

11 MR. POLASKI: -- it should be benign. A  
12 passive layer was there when the concrete was  
13 initially poured.

14 MR. SHACK: It would be better if it  
15 wasn't there.

16 MR. GALLAGHER: That's correct.

17 MR. GORDON: But you know, concrete, even  
18 if it's very well cured and very old, it still has  
19 this moisture in it. It's like a very hard sponge  
20 with this concrete pour with a high pH pure water. So  
21 it really is basically a hard sponge, and it works  
22 very successfully with steel.

23 DR. ABDEL-KHALIK: But that would not be  
24 the source of the water you're seeing. I mean, you  
25 pumped it out and the thing filled up again.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. RAY: The source of the water was  
2 coming through the trough. We paired a void there,  
3 and we won't have that source of water.

4 DR. ABDEL-KHALIK: Okay. If you went and  
5 looked at it today, it would be full of water again?

6 MR. RAY: We would not expect it. It  
7 still had a little moisture in the bottom Trench 5  
8 when we started back up. With the operating cycle, we  
9 would expect that to evaporate off.

10 MR. SIEBER: Did you find cracks in the  
11 concrete?

12 MR. RAY: No, we've done structural  
13 monitoring, logged into the concrete, and had no  
14 significant cracks. The only void we found was in  
15 that trough, and we did verify there was leakage  
16 through there with a leak test.

17 MR. POLASKI: Any other questions? Okay.

18 MR. SHACK: It just seems like 40 years of  
19 operation to find a trough has a hole in it.

20 MR. POLASKI: Yes.

21 MR. ARMIJO: When the trough was first  
22 excavated, was there any data that showed that there  
23 was water in the trough when it was first built?

24 MR. GALLAGHER: The trench?

25 MR. ARMIJO: The trench, I mean, yeah, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 trench. When that was opened up the first time, did  
2 people find that full of water?

3 MR. GALLAGHER: When it was opened up the  
4 first time, I don't think there was any water in  
5 there, but we did find we did have some information  
6 that there was water there at one point, and in  
7 subsequent checks it wasn't there. So that's why we  
8 thought there was not a water environment in the lower  
9 elevation of the drywell, and that's why we hadn't  
10 included that as an environment in our LRA.

11 One thing we did though. We said, well,  
12 let's look at these trenches again, and that's when we  
13 identify this and put it in our corrective action  
14 system to update our LRA.

15 MR. ARMIJO: Have you ever experienced  
16 recirc water pump seal leak?

17 MR. GALLAGHER: Plant -- Tom Quintenze.

18 MR. QUINTENZE: I'm Tom Quintenze,  
19 AmerGen.

20 The question, I believe, was have you ever  
21 experienced recirc pump seal leaks.

22 MR. ARMIJO: Yes.

23 MR. QUINTENZE: And the answer to that is  
24 yes.

25 MR. ARMIJO: Would that be the source of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this water?

2 MR. QUINTENZE: It could be the source of  
3 water. In earlier years we did have some significant  
4 leak, but current history indicates that we've  
5 maintained our unidentified leak rate, which would be  
6 leakage from a recirc pump seal at a very low level,  
7 on the order of .1 to .2 gallons per minute.

8 MR. GALLAGHER: We know that we do have  
9 equipment leakage, like control rod drives. There's  
10 some leakage from them typically. They're right above  
11 the sub pile room, you know, right above this room  
12 here, and water drips down in all BWRs, and that's the  
13 case.

14 As Tom mentioned, there is an unidentified  
15 leakage criteria, no more than five gallons a minute  
16 unidentified leakage in your primary containment, and  
17 you know, we meet the technical specification limits  
18 by far. But this is designed to collect that leakage,  
19 any leakage like that and then take it away to the  
20 sump and then pump it out of containment.

21 MR. ARMIJO: Thank you.

22 MR. SIEBER: Given enough time though,  
23 that's a lot of water.

24 MR. GALLAGHER: Yes.

25 MR. POLASKI: All right. We've now heard

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about the effect of water on carbon steel imbedded in  
2 concrete and how we expect minimal corrosion on the  
3 imbedded part of the drywell shell. I'd now like to  
4 have Mr. Howie Ray present the results of inspections  
5 that were performed during October 2006 refueling  
6 outage for the imbedded portion of the drywell shell.

7 MR. RAY: Thanks, Fred.

8 During the 2006 refuel outage, visual  
9 inspections of the surface of the trenches did show  
10 minor corrosion. It was easily removed with no  
11 material loss of metal or degradation of the surface,  
12 and the visual examinations were done satisfactorily  
13 at those surfaces.

14 And as we just discussed, you know, that  
15 superficial effect was what you would expect based on  
16 the technical (speaking from an unmiked location).

17 The UT measurements taken in trenches were  
18 used to compare the total corrosion on the inside and  
19 outside between 1986 and 2006. It is known that there  
20 was significant corrosion that was ongoing in the  
21 exterior surface that was not imbedded up to 1992 when  
22 the sand was removed.

23 The material loss identified was  
24 consistent with the corrosion rates on the outside of  
25 the drywell before the sand was removed in 1992.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           So the next slide illustrates the 1986  
2 readings versus the 2006 readings for both Trench 5  
3 and Trench 17. This did not include the additional  
4 six inches of surface UTs that we exposed. We'll  
5 discuss that later.

6           What's critical here is there is a  
7 difference of 38 mils for both of those trenches, but  
8 that we would note that that occurred between the 1986  
9 and 1992 time frame, before the sand was removed, and  
10 you had significant corrosion going. So that would  
11 not be an unexpected corrosion rate.

12           CHAIRMAN MAYNARD: Okay. How do you know  
13 that that occurred over that time frame as opposed to  
14 something that has recently started? It's kind of  
15 hard to get a rate.

16           MR. RAY: Well, we're assuming that, but  
17 we know we had significant corrosion going on while  
18 the sand was there. We've shown that on the graphs  
19 with both of them. Bay 17 and Bay 5 both had  
20 significant corrosion rates going on.

21           So if you took that across those years  
22 that you had the sand installed with the water, we can  
23 assume it. We can't verify that, but you do have  
24 still good coating on the outside and you have a  
25 technical justification that says that water in this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 area would not cause significant corrosion inside the  
2 drywell.

3 MR. GALLAGHER: And part of the basis is,  
4 when we get to the next slide, when we interrogated  
5 the six inches below the concrete floor, the corrosion  
6 rate -- Howie, why don't you go into that and you can  
7 show him that -- the corrosion rate which is really  
8 over the entire period of time since that shell was  
9 imbedded in concrete.

10 MR. ARMIJO: Before you go, did you find  
11 water to the same extent in Trench 17 as you did in  
12 Trench 5?

13 MR. RAY: No, we did not. The Trench 17  
14 is about six inches shallower than the trench in Bay  
15 5.

16 MR. GALLAGHER: So it's a higher  
17 elevation. There was a little moisture in there,  
18 but --

19 MR. ARMIJO: If there had been water  
20 there, it would have drained to a lower level?

21 MR. GALLAGHER: Yes.

22 MR. RAY: It was seeking its elevation.  
23 It was voiced in Bay 17, but there's no standing  
24 water.

25 DR. ABDEL-KHALIK: The statement that was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 made earlier that the water from both the inside and  
2 outside surface of the imbedded region is not  
3 conducive to corrosion.

4 MR. POLASKI: That's correct.

5 DR. ABDEL-KHALIK: And that statement is  
6 presumably applicable prior to 1992.

7 MR. POLASKI: That's correct.

8 DR. ABDEL-KHALIK: So how can you say that  
9 38 mils of corrosion had occurred between 1986 and  
10 1992? How are these two statements consistent?

11 MR. POLASKI: Between 1986 and 1992 there  
12 was still sand in the sand bed region and there was  
13 corrosion ongoing on the exterior of --

14 MR. RAY: These are not imbedded. This is  
15 actually in the -- above the floor.

16 DR. ABDEL-KHALIK: Yes, I understand, but  
17 the statement was made that the leachate from the sand  
18 region, the water that came out of that, which  
19 presumably is the same as the water on the outside  
20 surface of the imbedded region, is not conducive to  
21 corrosion.

22 MR. GALLAGHER: For clarity, let's go to  
23 Slide 51, which is the trench cross-section, and so  
24 somebody can point with a pointer, but basically what  
25 we're saying is you can see the curbs at the top here,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the lower curb and the upper curb. So one side is  
2 imbedded in concrete, on the interior. On the  
3 exterior it is not in the sand bed region. So these  
4 measurements that we're talking about here are in the  
5 trench, which goes from, say, the sand bed floor, you  
6 know, up to, I guess, where the lower curb is So --

7 DR. ABDEL-KHALIK: So they're in opposite  
8 below the sand bed --

9 MR. GALLAGHER: Not below the sand bed  
10 floor, right. So when the exterior side of that --  
11 Fred, point to that -- that's where the sand was. So  
12 it corroded on the exterior side of that.

13 DR. ABDEL-KHALIK: Thank you.

14 MR. GALLAGHER: And then what we did is go  
15 further down there in that six inches right there to  
16 get concrete on both sides, to see what it looked like  
17 on both sides.

18 And Howie is going to talk about that  
19 next.

20 MR. RAY: Thank you.

21 So what we did do in Bay 5, we did  
22 excavate an additional six inches of shell surface in  
23 the bottom of the trench in Bay 5. That did give us  
24 an area that was previously imbedded on both sides,  
25 which now would give us some good data that would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 validate what you're trying to say.

2 We measure an average thickness of that  
3 additional surface. It was 1,113 mils as compared to  
4 a nominal of 1,154 mils, which would have been the  
5 initial installed thickness in 1966. If you took that  
6 time frame, that 41 mils relates to about a mil per  
7 year, which is fairly insignificant. It would still  
8 be bounded by anything that we have, you know, that  
9 we're monitoring above.

10 There are 106 individual UT measurements  
11 made from the exterior of the sand bed region. They  
12 are baseline for monitoring corrosion of the interior  
13 inbedded surface of the drywell for future outages,  
14 and we basically believe that the coating on the  
15 exterior shell remains in good condition, and the  
16 changes are only expected at wetted surfaces inside  
17 the drywell which would occur during refuel outages.

18 The joint sealant between the sand bed  
19 floor and the exterior drywell shell was inspected and  
20 found to be in good condition. No water was  
21 identified in any of the sand bed regions. All ten  
22 bays were inspected.

23 That's it for the imbedded. Back to John  
24 for conclusions.

25 MR. O'ROURKE: Slide 127.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           To summarize our conclusions on the  
2 imbedded shell, we discussed the ultrasonic  
3 measurement data that demonstrates that corrosion on  
4 the imbedded surfaces of the drywell shell, both  
5 interior and exterior, is not significant, and we  
6 discussed the environment of imbedded steel in  
7 concrete and how it prevents significant corrosion.

8           We also demonstrated that if there is any  
9 ongoing corrosion, it is estimated to be less than one  
10 mil per year. And at less than one mil per year, the  
11 drywell shell meets code thickness requirements with  
12 margin through the period of extended operation.

13           MR. SHACK: You lost 41 mils. When did  
14 you make the trench? We estimate there was no water  
15 when you cut the trench, right?

16           MR. POLASKI: It was in 1986.

17           MR. SHACK: 1986, okay. So --

18           MR. O'ROURKE: Well, the 41 mils though is  
19 the portion that we newly excavated in the 2006 outage  
20 that had been previously imbedded on both sides since  
21 1966 when the --

22           MR. SHACK: I'm trying to figure out how  
23 long it was submerged in water though. In 1986 it  
24 wasn't. So it's something less than --

25           MR. POLASKI: Well, in 1986 there was no

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 standing water found in the sump or in the trench.

2 MR. O'ROURKE: Slide 128.

3 Our aging management program going forward  
4 includes repeating the ultrasonic measurements in both  
5 trenches, including the newly excavated six inches in  
6 2008, and if those results indicate no significant  
7 changes, we plan to fill the trenches with concrete  
8 and restore the curb to its original configuration,  
9 and we will repeat the ultrasonic measurements at the  
10 106 external points in 2008, performing ultrasonic  
11 measurements in two bays every refuel outage starting  
12 in 2010 with all bays inspected every ten years.

13 Fred.

14 MR. POLASKI: Thank you, John.

15 Any other questions on the imbedded  
16 portion of the drawing?

17 What we'd like to do now --

18 CHAIRMAN MAYNARD: Excuse me. I think I  
19 heard a question over here.

20 MR. POLASKI: Okay.

21 DR. ABDEL-KHALIK: If you were to actually  
22 restore the curb to the original configuration, you  
23 would have no way of knowing whether additional water  
24 is seeping in the gap between the bottom and sperical  
25 surface of the shell and the concrete.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. O'ROURKE: That is correct, but by  
2 restoring the concrete to its original configuration,  
3 we will re-put that passivating layer back in place.  
4 So we will be protected as the rest of the imbedded  
5 shell is currently protected.

6 DR. ABDEL-KHALIK: But you wouldn't know  
7 that the state or whether or not there is any water  
8 below the surface of where you're at now.

9 MR. O'ROURKE: That's correct. However,  
10 our corrective actions that we implemented during this  
11 outage intended to prevent any water from getting into  
12 the space between the shell and the concrete, included  
13 not only fixing the trough, but also the caulk that I  
14 mentioned that was applied to the concrete shell  
15 interface on the inside of the drywell to prevent any  
16 leakage, potential leakage, down the shell from  
17 getting into that area.

18 MR. SIEBER: And if it did, you would not  
19 care, right?

20 MR. POLASKI: That's correct. If you  
21 remember Mr. Gordon's presentation was that that  
22 passive layer was formed with the concrete was poured.  
23 Any water that would get in there because of being  
24 with the concrete would have a high pH, was  
25 nonaggressive, wouldn't impact that passive layer, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that passive layer will prevent any further corrosion  
2 of the imbedded steel.

3 MR. ARMIJO: But that water really  
4 shouldn't be there.

5 MR. O'ROURKE: And our current actions are  
6 attempting to minimize that water from getting in  
7 there.

8 MR. GALLAGHER: On thing for clarity. You  
9 know, it's not that there's no monitoring even when we  
10 fill these trenches back up because what we talked  
11 about is the 106 points. The reason why we talked  
12 about them in this section is because it does provide  
13 some monitoring in the area behind the curb. So,  
14 again, if you looked at the overall graph, the data  
15 that's in your handout, a lot of the individual points  
16 are behind the curb, and so we are monitoring, you  
17 know, that area.

18 DR. ABDEL-KHALIK: What is the volume of  
19 your sump?

20 MR. GALLAGHER: The sump volume? Tom,  
21 anybody, the volume of the sump?

22 MR. RAY: I could guess. Do you remember,  
23 Tom?

24 MR. POLASKI: Or do you remember what the  
25 physical size of it is?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. QUINTENZE: Tom Quintenze, AmerGen.

2 I would estimate that the volume of the  
3 sump is approximately 500 gallons.

4 DR. ABDEL-KHALIK: So at an unidentified  
5 leak rate of five gallons per minute, you can actually  
6 fill the sump in 100 minutes, correct?

7 MR. GALLAGHER: Right.

8 DR. ABDEL-KHALIK: So it is quite possible  
9 that you can fill the sump and you will have water  
10 standing on the floor, on the concrete floor.

11 MR. GALLAGHER: No, the sump is pumped  
12 out.

13 DR. ABDEL-KHALIK: Is pumped out?

14 MR. GALLAGHER: Yes.

15 DR. ABDEL-KHALIK: At what --

16 MR. GALLAGHER: Well, it's an automatic  
17 pump.

18 MR. SIEBER: Now, any time you put drips  
19 and drains onto the floor, you're going to find water  
20 on the floor. I mean, some people are more careful  
21 about how they pipe the drips and drains away, but  
22 apparently yours just go to the floor, right?

23 MR. GALLAGHER: Yeah, the collection  
24 system is the floor.

25 MR. SIEBER: I got it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. POLASKI: Any other questions on the  
2 imbedded section?

3 What we'd like to do now is there were  
4 some questions we were asked this morning. We got  
5 some answers and new information. So Mike Gallagher  
6 has got some information about the conditions for the  
7 analysis.

8 MR. GALLAGHER: Just a couple of final  
9 questions. I think, Dr. Wallis, they were mostly from  
10 you. The one on the two pound external pressure, yes,  
11 physically that's not possible for the refueling  
12 condition for the hatches are open. It is an accident  
13 condition. The torus reactor building vacuum breakers  
14 would limit the pressure inside the containment to  
15 less than a negative two pounds, you know. So that's  
16 why that two pounds was put in place, to envelope that  
17 in the analysis.

18 DR. WALLIS: Maximum possible.

19 MR. GALLAGHER: Yes.

20 DR. WALLIS: Okay.

21 MR. GALLAGHER: And then the other  
22 question was about the elevation 74.6 about flooding  
23 up containment. In a DBA analysis, it does not go  
24 anywhere near that high. It's really just for severe  
25 accident management procedures. You could flood; if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you don't have your ECCS and things like that, you  
2 could flood up behind the top of the --

3 DR. WALLIS: But to the vents.

4 MR. GALLAGHER: -- add the fuel, and then  
5 not to --

6 DR. WALLIS: So it's the maximum possible?

7 MR. GALLAGHER: It's the maximum possible.

8 And then the third question you had was  
9 about how much rust did we measure, and Pete Tamburro  
10 has the answer to that.

11 MR. TAMBURRO: The answer to that is --

12 CHAIRMAN MAYNARD: Microphone, please.

13 MR. TAMBURRO: Thank you.

14 This is Pete Tamburro speaking.

15 We did not do a complete 100 percent  
16 characterization of the rust. We did go into some of  
17 the worst bays and look at a 12 by 12 inch area. The  
18 thickness of the corrosion byproduct was an inch and  
19 a quarter to an inch and a half in thickness.

20 DR. WALLIS: Inch and a half of rust?

21 MR. TAMBURRO: Yes, sir.

22 And we then did a calculation to determine  
23 if that amount of rust was consistent with how much  
24 material we had lost. The calculation showed that it  
25 was consistent.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   We then took that corrosion byproduct and  
2 sent it to our labs for further analysis.

3                   DR. WALLIS: So you didn't do an  
4 integrated measurement of how many truckloads of rust  
5 you took away.

6                   MR. TAMBURRO: No, sir.

7                   DR. WALLIS: No. Okay.

8                   CHAIRMAN MAYNARD: But you know it has got  
9 to be a lot.

10                  DR. WALLIS: Yeah.

11                  DR. ABDEL-KHALIK: I have a follow-up  
12 question. Is the status of the sump pump or the sump  
13 level monitored in the control room?

14                  MR. POLASKI: Yes, it is. There's  
15 surveillance tests the operators perform when it's  
16 pumped out, and they put it out to measure the leakage  
17 and how much water is going into the sump.

18                  CHAIRMAN MAYNARD: Isn't that one of the  
19 input to your leak rate calculations?

20                  MR. POLASKI: Well, that is the primary  
21 for unidentified leakages, is the pump-out.

22                  DR. ABDEL-KHALIK: Okay. Thank you.

23                  MR. POLASKI: If there are no other  
24 questions, we'll now go on to the final part of our  
25 presentation on the upper drywell shell. We have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 presented information so far on both the sand bed and  
2 the imbedded regions of the drywell shell and why the  
3 drywell shell meets the code required thickness in  
4 these areas. The upper region as we define it in this  
5 presentation are those elevations of the drywell above  
6 the sand bed region.

7 Extensive ET measurements of the drywell  
8 shell thickness have been performed in the upper  
9 regions of the drywell shell. Corrosions in the upper  
10 regions have been much less than in the sand bed  
11 region, and there is more margin to code design  
12 thickness requirements.

13 The UT thickness measurements are taken  
14 and analyzed using the same methods as were previously  
15 discussed by Mr. Tamburro for the sand bed region. We  
16 provided you with information and details from the  
17 upper drywell shell in the package that we provided in  
18 December. Because much of that information is the  
19 same as we have already present, we will be focusing  
20 our presentation on the current condition in the upper  
21 drywell shell and results of the 2006 refueling outage  
22 inspection.

23 This will be a brief summary so we can  
24 answer any questions you may have. Mr. O'Rourke will  
25 be making this presentation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. O'ROURKE: Thanks, Fred.

2 This part of the presentation will discuss  
3 the upper drywell area and will support the following  
4 conclusions.

5 First, the areas we are monitoring are the  
6 lead indicators of corrosion on the outside of the  
7 shell. Recall from Fred's previous discussion if  
8 water gets past the seal leakage trough, this is the  
9 area of the shell that would be wetted first, and this  
10 area does not have an epoxy coating as the sand bed  
11 region. It was coated with a red lead primer only,  
12 and I will show you the ultrasonic inspection data for  
13 this area.

14 Our next conclusions are that the  
15 corrosion of the upper shell is less than one mil per  
16 year and upper drywell shell has a minimum of 137 mils  
17 of margin, which is 25 percent of the minimum required  
18 thickness of 541 mils. And we will discuss the  
19 ultrasonic measurement data and trend graphs that  
20 support this conclusion, all of which supports the  
21 overall conclusion that based on current corrosion  
22 rate, we had margin through the period of extended  
23 operation.

24 DR. WALLIS: Now, this leakage by the  
25 upper shell is presumably not everywhere. It's just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in certain places, isn't it? I get the idea that the  
2 rivulets run down rather than the stream that runs  
3 down over the whole upper shell when there's a leak.  
4 So you'd expect corrosion just in certain places where  
5 these rivulets are?

6 MR. POLASKI: Today we don't expect any  
7 leakage to get on --

8 DR. WALLIS: No, but I just wonder how you  
9 sample when you've got this very non-homogeneous  
10 corrosion pattern.

11 MR. GALLAGHER: Yes, and I think John is  
12 going to get into that next and who you where our  
13 finished locations are.

14 DR. WALLIS: And down at the bottom where  
15 you've got sand to sort of distribute the water, it's  
16 different from at the top where you've got streams if  
17 any is coming down in certain places.

18 MR. O'ROURKE: Right, and because of that,  
19 starting in 1983 --

20 CHAIRMAN MAYNARD: Let's take just a  
21 moment here.

22 There went an eardrum, I think. Are you  
23 okay now?

24 All right. Let's try to resume.

25 MR. O'ROURKE: Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           So starting in 1983 over 1,000 ultrasonic  
2 measurements were taken around the circumference of  
3 the drywell at three elevations to locate those areas  
4 of corrosion on the external surface of the drywell  
5 shell.

6           In addition, a random sampling of  
7 additional locations in the upper drywell were  
8 measured to insure that the thinnest locations had  
9 been identified. Thirteen grid locations have been  
10 selected for ongoing monitoring.

11           DR. WALLIS: Do we have a picture of the  
12 pattern of those 1,000 measurements somewhere?

13           MR. GALLAGHER: In the package of  
14 information we sent in on December 8th, there were  
15 some drawings in there from the clickable links and so  
16 that there was the original drawings that we had that  
17 information.

18           CHAIRMAN MAYNARD: Let's go ahead.

19           MR. O'ROURKE: Concluding with this slide,  
20 these locations are measured every other refueling  
21 outage, which is our ongoing aging management program  
22 for this area.

23           The next is planned view of the drywell,  
24 and what it does show here are the 13 locations that  
25 we monitor every other outage.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. GALLAGHER: But I think to get to Dr.  
2 Wallis' original question, so you can see we  
3 identified where the thinnest occasions were, and  
4 yeah, they aren't like randomly -- they're not evenly  
5 distributed throughout the drywell.

6 CHAIRMAN MAYNARD: Based on the original  
7 of the thousands that you took before.

8 MR. GALLAGHER: Go around each area and  
9 interrogate it.

10 DR. ABDEL-KHALIK: Now, this last outage  
11 you identified another location at the 71 foot, six  
12 inch elevation. Is that going to be added to this  
13 collection of locations to be monitored?

14 MR. POLASKI: The measurements we did at  
15 the 71.6 foot were at the transition from the knuckle  
16 region to the thin above that. We did it in this  
17 outage. We've got the next outage. We're taking  
18 readings at four locations around the circumference of  
19 the elevation. We did two on this outage, two the  
20 next outage, and then four years later we're going to  
21 repeat those to determine whether there's any  
22 corrosion occurring in those areas or not. It says in  
23 the future and beyond will depend on what we find  
24 during these two sets of readings.

25 MR. O'ROURKE: So to summarize what Fred

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 just said, we're going to take readings in those  
2 locations twice, four years apart in the same  
3 occasions.

4 CHAIRMAN MAYNARD: And I take it these are  
5 included in your aging management program and your  
6 commitments.

7 MR. O'ROURKE: Yes.

8 MR. GALLAGHER: Yes, they're commitments.

9 MR. O'ROURKE: Yes, they are.

10 MR. GALLAGHER: The comment is that if  
11 they weren't bounded, we would continue, and that's  
12 what John had said.

13 MR. O'ROURKE: Right. On Slide 133, this  
14 slide and the next slide will show the ultrasonic  
15 measurement data for the upper drywell. The third  
16 column from the left shows the minimum required  
17 thickness of 541 mils.

18 The next column show the actual  
19 measurements taken between 1987 and 2006, and note  
20 that in some columns there are multiple numbers.  
21 These indicate separate readings taken in the same  
22 year.

23 MR. ARMIJO: What was the nominal  
24 thickness of the steel?

25 MR. O'ROURKE: Six, forty.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ARMIJO: No, no. It would have to be  
2 higher.

3 DR. WALLIS: That's too much. It's more  
4 than that.

5 MR. O'ROURKE: Oh, I'm sorry.

6 MR. GALLAGHER: We have a --

7 MR. O'ROURKE: The way we define the upper  
8 drywell shell, it's made up of several thicknesses of  
9 plates. The 640 is the very upper cylindrical region.

10 MR. GALLAGHER: Yes, the summary that we  
11 had kicked off at the beginning was on page 14. So it  
12 shows what the nominals are, you know, for the  
13 cylinder, which is 640, the upper sphere is 722.

14 MR. ARMIJO: There's no measurements for  
15 what would correspond to Bay 19. Is there a reason  
16 for that?

17 MR. GALLAGHER: Bay 19?

18 MR. ARMIJO: I mean, they all eventually  
19 correspond to one of these bays in some way, don't  
20 they?

21 I'm just trying to see if, you know, we  
22 had in the sand bed region a lot of corrosion in Bay  
23 19. Is there any correlation with the corrosion at  
24 the higher elevation?

25 MR. POLASKI: We will let Mr. Tamburro

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 respond to that.

2 MR. TAMBURRO: This is Pete Tamburro.

3 No, when we did the initial investigation  
4 at the upper elevations with thousands of readings, we  
5 did not find representative thin areas in Bay 19.

6 DR. WALLIS: It's Bay 13 that looks the  
7 worst?

8 MR. TAMBURRO: Bay 13 looks the worst at  
9 the upper elevations. So there's no direct  
10 correlation between the worst areas and the sand bed  
11 and the finished areas.

12 DR. WALLIS: It's all strange, all  
13 strange. You'd expect the water runs down in one  
14 place the worst.

15 CHAIRMAN MAYNARD: Apparently not.

16 MR. O'ROURKE: Continuing on Slide 133,  
17 the final column to the right shows our projected  
18 thicknesses in 2029, and you can note that most of the  
19 locations show no ongoing corrosion.

20 The trend graphs, trend graphical  
21 representations of this data are in your reference  
22 books. So we do not show those in this presentation.

23 Slide 134 continues with the remainder of  
24 the data for the locations that were monitored.

25 Slide 135 summarizes the previous two

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 slides, and as you saw, we have 12 of 13 locations  
2 that show no statistically observable corrosion. The  
3 location with a minimum margin, that is, the 137 mils,  
4 has no ongoing corrosion, and we have one location  
5 with a very low corrosion rate of 0.66 mils per year  
6 with a projected thickness in 2029 of 720 mils  
7 compared to a minimum required thickness of 541 mils.

8           Again, in summary, we discussed the  
9 initial inspections followed by random sampling that  
10 identified the areas of corrosion that are the lead  
11 indicators of corrosion on the outside of the upper  
12 drywell shell. The ultrasonic measurements indicate  
13 no ongoing corrosion except at one location which is  
14 less than one mil per year, giving the upper drywell  
15 shell a minimum of 137 mils of margin, which is 25  
16 percent of the minimum required thickness of 541 mils  
17 and overall based on current corrosion rates, the  
18 upper drywell shell will have margin through the  
19 period of extended operation.

20           MR. POLASKI: Thank you, John.

21           That concludes our presentation on the  
22 upper drywell shell. If there's no questions on that,  
23 I'd like to summarize with our overall conclusions.

24           First, the corrective actions to mitigate  
25 drywell shell corrosion have been effective.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Second, the drywell shell corrosion has  
2           been arrested in the sand bed region and continues to  
3           be very low on the upper drywell elevations.

4           Third, the corrosion on the imbedded  
5           portion of the drywell shell is not significant.

6           Fourth, the drywell shell meets code  
7           safety margins.

8           And finally, we have an effective aging  
9           management program in place to insure continued safe  
10          operation of the risk free drywell.

11          CHAIRMAN MAYNARD: At this point I'd like  
12          to go back to the question Dr. Bonaca brought up a  
13          little earlier, and that's relative to the leakage.  
14          I know it's your position that the leakage is low  
15          enough. It's manageable and will be diverted away.  
16          I guess I'd like to have a little bit better  
17          understanding of what it would take.

18          What are you doing to try to eliminate  
19          water through the cracks, the small cracks in the  
20          liner and stuff there?

21          MR. GALLAGHER: Yeah, I mean, the main  
22          thing we're doing is the metallic tape and the  
23          strippable coating. So, you know, we would continue  
24          to look at improvements in that, better materials and  
25          that type of thing. You know, we had already

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 attempted welding, and we don't think that's a right  
2 repair. We had not looked at should we do an entire  
3 replacement just because we can control what we have.

4 DR. BONACA: Well, one of the reasons why  
5 I asked that question is that, you know, that  
6 statement is made that one GMP leakage is  
7 insignificant. Well, I mean, it may be insignificant,  
8 but there are some operators that actually instrument  
9 the drains, the alarm if there is any water coming  
10 down, the painstaking action taken to prevent leakage.

11 Now, in all of the actions you have  
12 described to us at this meeting and previously, all  
13 you're doing is try to minimize the consequences of  
14 water coming down, which is inconsistent with the GALL  
15 approach to this issue, I mean, for the long run.

16 So that's why I was asking that question  
17 because I sense that -- and I have no idea what the  
18 cost will be -- but I don't think the cost will be,  
19 but I don't think the cost will be so much more than  
20 the money you're spending to do this kind of problem.  
21 I mean, you've gone through a tremendous amount of  
22 effort, and inspections also are costly, and I have no  
23 appreciation for what the relative cost would be.

24 MR. GALLAGHER: We certainly haven't  
25 evaluated that part of it. We could take a look at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that. You know, the way we thought we were being  
2 consistent with GALL was to have an aging management  
3 program on the shell itself. So that's what we had.  
4 That's what our aging management program is on, but I  
5 understand your point.

6 DR. BONACA: Well, if I remember, I mean,  
7 in GALL, you know, a key issue as a management program  
8 is to prevent leakage, to monitor the bellows, and to  
9 monitor the steels, and the intent -- and typically it  
10 doesn't talk about the liner because it's not usual  
11 that you have liner with cracks, and so that's  
12 probably the reason why GALL doesn't speak about that.

13 But anyway, that's the question I had.

14 MR. GALLAGHER: Okay. We understand.

15 CHAIRMAN MAYNARD: Does anybody else have  
16 any questions here for right now?

17 Okay. Thank you very much.

18 Our agenda next calls for a break, but  
19 since we had a late lunch, I think what I'd like to do  
20 is to go ahead with the first part of the staff's  
21 presentation and maybe get through the Region 1  
22 inspection part.

23 MR. ASHLEY: Can I have about two minutes  
24 to set up?

25 CHAIRMAN MAYNARD: Okay. Very good.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Whereupon, the foregoing matter went off  
2 the record at 2:14 p.m. and went back on  
3 the record at 2:19 p.m.)

4 CHAIRMAN MAYNARD: All right. If everyone  
5 will take their seats, I think we're ready to resume.

6 Mr. Ashley, whenever you're ready.

7 MR. ASHLEY: Thank you, Dr. Maynard.

8 My name is Donnie Ashley. I'm the project  
9 manager for the Oyster Creek license renewal  
10 application, and I will be doing the run through for  
11 the committee this afternoon.

12 With us today we have Rich Conte, Mike  
13 Modes, and Tim O'Hara, who are going to discuss the  
14 NRC inspections during the fall of 2006. Hans Ashar  
15 and I will discuss the status of the open items in the  
16 licensee commitment from the last SER. And Hans Ashar  
17 and Jason Petti from Sandia National Labs will take up  
18 probably most of our agenda to discuss the Sandia  
19 analysis. And then Jim Davis is going to take just a  
20 couple of minutes to bring you back the answer that  
21 you had on questioned socketed welds.

22 So with that, if we could, I'd like to  
23 turn it over to Rich Conte.

24 MR. CONTE: Good afternoon. I'm Richard  
25 Conte. I'm Chief of the Engineering Branch, number

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one, in Region 1. I was the team manager for the 13th  
2 inspection in 2006 of Oyster Creek.

3 With me I have Tim O'Hara, one of the team  
4 members, who is an ISI specialist, and also I have  
5 with me another specialist, Michael Modes. Michael  
6 was an advisory member. He was off on another  
7 project, but he was also the team leader for the  
8 license renewal inspection earlier in 2006.

9 In the next three slides what I'd like to  
10 briefly do is summarize the scope and results of the  
11 fall outage. Yesterday we issued the report number  
12 13. We have extra copies here on the table, and it is  
13 publicly available as of today.

14 Prior to the outage, the NRC staff had  
15 scheduled inspections for the outage, and in  
16 particular, we noted that there were certain license  
17 renewal commitments that the licensee or AmerGen was  
18 going to perform. Most of the focus for us at least  
19 was on the in service inspection, visual examination  
20 of the drywell in the torus area.

21 The inspection also assessed an emergent  
22 issue with the water in the trenches that came up.

23 The review is a multiple week inspection  
24 with the assistance of experts not only in the Region  
25 1 staff, but also NRR staff.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The State of New Jersey representatives  
2 also observed a number of activities, including  
3 internal NRC staff conference calls during the course  
4 of the inspection.

5           DR. WALLIS: Are you going to describe the  
6 visual inspection results?

7           MR. CONTE: Yes.

8           DR. WALLIS: I mean separately. Okay.  
9 I'll wait for that then.

10          MR. CONTE: Can I have Slide No. 4?

11                 Basically the inspection looked at the  
12 ultrasonic measurements and visual test results and  
13 the related evaluations by AmerGen. We also observed  
14 the epoxy coating in three of the ten bays. Two were  
15 entered by Tim O'Hara and one was entered by the  
16 senior resident, Marc Ferdas, who was also a member of  
17 the team.

18                 And when you went into the bays, you could  
19 also see adjacent bays. So I would say about 40 or 50  
20 percent of the area was reviewed.

21                 And of course, we reviewed all of the  
22 visual VT results that AmerGen documented on their  
23 records.

24                 We also reviewed AmerGen's efforts to  
25 identify and mitigate the sources of water which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 accumulated in the trenches that were previously dug  
2 out for the UT measurements on the drywell shell, and  
3 we also reviewed the potential impact on structural  
4 integrity on the concrete drywell floor and the  
5 potential conditions in the imbedded portion of the  
6 drywell shell, and we insured that the repairs had no  
7 impact on the design and licensing basis for  
8 operations.

9 More specifically, at this point let's go  
10 on to Slide No. 4 or 5.

11 We verified that all of the ultrasonic  
12 results, ultrasonic test measurements or results met  
13 the calculated minimum code required thicknesses for  
14 the area.

15 DR. WALLIS: As calculated by Sandia or by  
16 whom?

17 MR. CONTE: These were calculated by  
18 AmerGen. This is based on their test records.

19 DR. WALLIS: These are based on the  
20 minimum code required thickness as calculated by  
21 AmerGen.

22 MR. CONTE: AmerGen's calculated. We  
23 basically were in the field verifying the proper  
24 implementation of their program.

25 We also found no adverse conditions with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 respect to the epoxy coating on the outside of the --

2 DR. WALLIS: Would you tell me about that  
3 because I look at these pictures that you've seen, I'm  
4 sure. There are sort of yellow and orange regions.  
5 Is this an optical illusion, but in fact they really  
6 looked white everywhere or did it have yellow  
7 splotches on it?

8 MR. CONTE: I will let Tim O'Hara address  
9 that, Doctor.

10 MR. O'HARA: We observed AmerGen  
11 performing the visual inspections. The specification  
12 or procedure that they used had criteria as to what  
13 was to be reported. As part of the data sheets they  
14 reported what they saw, what the inspector saw, and  
15 they attached a picture to each one.

16 So the areas that we didn't physically  
17 look at ourselves, we looked at their data sheets.

18 DR. WALLIS: But you did look at some,  
19 physically looked at them.

20 MR. O'HARA: Yes, we looked at -- I looked  
21 at --

22 DR. WALLIS: And did they have these sorts  
23 of yellow areas or they just looked white everywhere?

24 MR. O'HARA: They looked basically gray or  
25 white.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Gray or what everywhere.

2 MR. O'HARA: The epoxy is more gray than  
3 white.

4 DR. WALLIS: Did you touch these  
5 protrusions and see if they were soft in any way?

6 MR. O'HARA: I did not.

7 MR. CONTE: Continuing with this  
8 particular slide, we found no adverse conditions with  
9 the repairs in and around the trough near the bottom  
10 of the reactor vessel, and we also found acceptable  
11 the structural integrity evaluations that AmerGen  
12 developed.

13 Can I have Slide No. 6?

14 Overall we thought that AmerGen had a  
15 technical basis for sufficient justification to  
16 restart the unit. We found no safety significant  
17 conditions with respect to primary containment  
18 prohibiting restart, and there was reasonable  
19 assurance that primary containment prohibited restart  
20 and there was reasonable assurance that primary  
21 containment is capable of performing its design  
22 function throughout the next operating cycle.

23 With that I'd like to ask if there's any  
24 questions.

25 DR. BONACA: The epoxy you just looked at,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the inspection is just visual.

2 MR. O'HARA: Yes.

3 DR. BONACA: And there was no -- I mean,  
4 I was following up with the question of Dr. Wallis.

5 MR. O'HARA: I didn't memorize the  
6 inspection criteria, but it was basically evaluate the  
7 surface, look for any blistering, cracking, peeling or  
8 anything like that, and report any of those conditions  
9 throughout the specific entire area of that bay, and  
10 that's what the inspector did.

11 DR. WALLIS: It's a bit hard to tell  
12 blisters from the protrusions because it's a very  
13 rough surface, isn't it?

14 MR. O'HARA: I don't think it would be.  
15 I mean, if you saw blistering, you'd see  
16 irregularities in even the rough surface, my opinion.

17 CHAIRMAN MAYNARD: Did you verify the  
18 credentials of the inspectors, verify that the AmerGen  
19 folks performing the inspections were qualified for  
20 the inspection?

21 MR. O'HARA: We sampled both in the UT and  
22 the VT qualification area to make sure that the folks  
23 were qualified. We didn't check everyone.

24 CHAIRMAN MAYNARD: Okay.

25 DR. ABDEL-KHALIK: Your conclusions

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1       pertain only to the end of the upcoming operating  
2       cycle. They do not go beyond that; is that correct?

3               MR. CONTE: That's correct. We're relying  
4       on the current evaluation that will evaluate for the  
5       period and the extended operations.

6               Are there any other questions on our  
7       inspection?

8               MR. ARMIJO: What was your basis for  
9       saying that the water in the trenches had no adverse  
10       impact on structural integrity?

11               And then the second part is you mentioned  
12       or reported this tracer dye testing to try and find  
13       the source of that water.

14               MR. CONTE: That's correct.

15               MR. ARMIJO: Did you get any results? Did  
16       you find out anything?

17               MR. CONTE: There were some flaws, and if  
18       you remember, the 106 drawing from AmerGen or the  
19       slide had the trough and the sump underneath it and  
20       the trench. And when they did a good visual  
21       inspection of that trough, they found imperfections,  
22       including a bottle. We, at least AmerGen suspects  
23       that it was probably new construction.

24               When they did do this dye penetrant, they  
25       put the dye penetrant in the trough, and eventually

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 after a day or so the dye penetrant did show up in the  
2 trench, Bay 5, which is the one at the higher  
3 elevation.

4 That kind of confirmed that the water is  
5 at least coming from the trench, but they couldn't  
6 rule out that water is also dripping down the sides of  
7 the drywell from the CRD area going on the concrete  
8 floor and also going out to the trenches also. At  
9 this point we believe they caught most of that water  
10 that was bypassing the sump. They took the bottle  
11 out, made repairs, and they did do a level test on the  
12 trough to make sure that there wasn't any reduction in  
13 the level. So when they unplugged it to the sump, the  
14 water was properly draining to a sump.

15 The basis for why there was no adverse  
16 impact is basically on the science that you heard,  
17 that our expert in the region gave us basically the  
18 same position that the water and concrete and steel  
19 environment is a high pH and highly likely even  
20 putting a protective coating on the drywell of that  
21 area.

22 MR. ARMIJO: Thank you.

23 MR. CONTE: Are there any other questions  
24 on the inspection?

25 DR. WALLIS: I'm curious. Maybe you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not the right person. All of this thing here talkinga  
2 bout high pH, how do they ever get a low pH in the  
3 sand bed region to cause all of that corrosion?

4 MR. MODES: You're right. It's not the  
5 right people.

6 MR. ARMIJO: There isn't a source of --

7 DR. WALLIS: There's no source of acidity,  
8 is there?

9 MR. ARMIJO: -- basic salt. Once the  
10 corrosion occurs --

11 CHAIRMAN MAYNARD: Sam, will you talk into  
12 the microphone?

13 MR. ARMIJO: Well, I just think it's a  
14 different environment.

15 DR. WALLIS: You think it's neutral water,  
16 which is adequate to do it.

17 MR. ARMIJO: Yeah. It comes in as neutral  
18 water and then it's in protection here.

19 DR. WALLIS: Okay.

20 DR. ABDEL-KHALIK: Is there any source of  
21 biological growth between the bottom of the drywell  
22 and the surface of the concrete in the imbedded  
23 region?

24 MR. CONTE: I couldn't answer that  
25 question right now. No one has seen that area. You'd

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have to core bore in that area.

2 DR. ABDEL-KHALIK: Just by looking at the  
3 small area that was excavated.

4 MR. CONTE: Well, you observed the  
5 trenches.

6 MR. O'HARA: I didn't see any evidence,  
7 you know, from looking at what I looked at.

8 MR. CONTE: And he did look at the  
9 trenches inside.

10 DR. ABDEL-KHALIK: If there were  
11 biological growth in areas that you could not see,  
12 would that change the water chemistry and make it more  
13 conducive to corrosion?

14 MR. MODES: You're barking up the flow  
15 accelerated corrosion tree here.

16 DR. ABDEL-KHALIK: No, no, no, no, no.

17 MR. MODES: With a microbiological  
18 accelerated corrosion environment, that's basically  
19 what I'm saying, and the answer is obviously yes. If  
20 it were present, it would change the chemistry, as it  
21 does in flow assisted or accelerated, depending on the  
22 political whim, accelerated or assisted corrosion,  
23 yeah, absolutely.

24 MR. SIEBER: It would be rare in  
25 containment.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MODES: It would be extremely rare.

2 MR. DAVIS: This is Jim Davis from the  
3 staff.

4 The way they made that containment was a  
5 shell was built first and it was sitting right by the  
6 ocean for several years, and then it was not cleaned  
7 off, and the concrete was put around it. So that was  
8 not very uncorrosive water that was down there in the  
9 sand bed region.

10 DR. WALLIS: And it could be biological  
11 spores coming in, too.

12 MR. DAVIS: There could be, but I believe  
13 they checked, and they didn't find any evidence of  
14 MIC.

15 MR. ASHLEY: Dr. Maynard, I think that's  
16 it for this portion. I would ask Mr. Modes, Conte,  
17 and Mr. O'Hara to stay with us in case you have  
18 additional questions.

19 CHAIRMAN MAYNARD: Okay. I think what I'd  
20 like to do right now is we'll take a break and then  
21 we'll come back and do your open item status and then  
22 go into Dr. Asher.

23 We'll take a 15 minute break. We'll come  
24 back at 15 till.

25 (Whereupon, the foregoing matter went off

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the record at 2:33 p.m. and went back on  
2 the record at 2:47 p.m.)

3 CHAIRMAN MAYNARD: All right. Let's go  
4 ahead and resume the meeting.

5 MR. ASHLEY: Thank you, Dr. Maynard.

6 As we identified in the original safety  
7 evaluation report with open items that was issued in  
8 August of this year, we had five open items  
9 specifically related to the drywell. Some of those  
10 items were originally identified in the audit report  
11 that was conducted by Dr. Chang's team that did the  
12 audits for those.

13 They were directly related to the work  
14 that Mr. Ashar was doing in Section 4.7. So we put  
15 all of the open items in the one section, but they  
16 were identified throughout the evaluation, not just in  
17 the TLAA.

18 The first open item on drywell corrosion  
19 sampling in the transition area. The second had to do  
20 with corrosion in the imbedded areas of the concrete.  
21 Buckling analysis, the drywell shell thickness, and  
22 the minimum available thickness margins, and also  
23 questions on protective coatings.

24 As the applicant identified in their  
25 presentation, the same areas that we were looking at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in their subsequent actions.

2 Following the inspections and the audits  
3 that were conducted and in discussions with the  
4 application, they made several new commitments that  
5 were added to their aging management programs, and  
6 those were identified in our SER that was published in  
7 December 2006.

8 I won't read these to you, but I'll just  
9 give you highlights from those new drywell  
10 commitments. These commitments did not replace  
11 commitments. They were additive in nature. They  
12 increased the sample size in the transition area  
13 originally. They had committed to doing one sample  
14 during their inspections, and they have increased that  
15 number to four.

16 They've also, as they discussed, talkinga  
17 bout taking additional UT measurements in the drywell  
18 during the 2008 outage, and also on the locally  
19 thinned areas identified during the 2006 outage.

20 Then again in 2010 they had committed to  
21 doing the UT thickness measurements on the outside of  
22 the drywell in --

23 DR. WALLIS: This sounds like more than  
24 they mentioned in their presentation or have I got it  
25 wrong.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ASHLEY: No, sir. I think it's  
2 exactly the same.

3 DR. WALLIS: It's supplementary to one.

4 MR. ASHLEY: Yes, sir.

5 DR. WALLIS: Okay.

6 MR. ASHLEY: They've also agreed and  
7 committed to visual inspection of the drywell shell  
8 inside the trenches. That was the last presentation  
9 the applicant did in Bay 5 and Bay 17, and to repeat  
10 those again in 2008.

11 They also have committed to performing  
12 visual inspection of the moisture barrier between the  
13 drywell shell and the concrete floor.

14 MR. SIEBER: Do you believe that if the  
15 licensee performs these additional commitments along  
16 with their other program that that represents an  
17 adequate surveillance to assure containment integrity?

18 MR. ASHLEY: Yes, sir, we do.

19 MR. SIEBER: Okay. Thank you.

20 DR. WALLIS: Is there some basis for that  
21 rationale? Is there some rationale for that  
22 statement?

23 MR. ASHLEY: The ten elements that were  
24 described in their aging management program meet the  
25 requirements of the GALL.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 DR. WALLIS: So you go back to GALL.

2 MR. ASHLEY: Yes, sir.

3 DR. WALLIS: There's no attempt to sort of  
4 look at what's the risk that if they only look at a  
5 few bays that they will miss something in the critical  
6 period of time? There's no assessment of that?

7 MR. ASHLEY: It appears to us in the  
8 information that the applicant has provided to us that  
9 they've made a good effort to identify those areas  
10 that need to be evaluated and that they're using  
11 proper methods for identifying issues or addressing  
12 the issues as they come up and putting it in the  
13 corrective action program, which is the expectations  
14 for the program.

15 MR. SIEBER: It actually seems to me that  
16 what is important is the rate of corrosion or rate of  
17 degradation. So I would think that if any of these  
18 every other cycle examinations shows an increase in  
19 corrosion rate or reduction in margin, that that would  
20 constitute a basis for a reexamination of the whole  
21 program to re-determine what the correct frequency of  
22 inspection should be.

23 MR. ASHLEY: Yes, sir. Should they go  
24 into a period of extended operations, that would  
25 become their current licensing basis.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: Right.

2 MR. ASHLEY: And part of that expectation  
3 is for the applicant to make sure that their programs  
4 get evaluated and they feed back into their programs  
5 lessons that they're learning as they go through the  
6 program and manage it with the corrective action  
7 program. It's part of their license basis.

8 MR. SIEBER: See, right now the rate of  
9 corrosion for the last few years has been pretty close  
10 to zero, which provides some technical basis for the  
11 frequency that they have established.

12 On the other hand, should that change for  
13 any reason, that would prompt a reexamination of that  
14 commitment, in my opinion.

15 MR. ASHLEY: Yes, sir, and as you look  
16 through the commitments that have been made, they've  
17 agreed to do those things as well.

18 MR. SIEBER: Okay. Thank you.

19 MR. ASHLEY: Yes, sir.

20 CHAIRMAN MAYNARD: Any other questions on  
21 the open items?

22 MR. ASHLEY: If not, sir, I'd like to  
23 introduce Hans Raj Ashar from HRR and Jason Petti, who  
24 are going to discuss the structural integrity analysis  
25 of the degraded drywell containment.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Ashar.

2 MR. ASHAR: Can you hear me? Here. Plug  
3 in this one. I want to make sure they can hear me.

4 I'm Hans Ashar with the Division of  
5 Engineering in NRR. I'm not saying what branch I  
6 belong to because the branches are changing every day.

7 The first thing I want to point out, the  
8 intent of this analysis. Our intent of this study was  
9 to assess the ability of the containment shell to  
10 withstand the postulated loads.

11 Now, in doing so, we did look at the GE  
12 analysis that was done in '92-'93 time frame, and you  
13 heard something about it from Dr. Mehta and the  
14 applicant. But took our own part as part of the  
15 analysis methodology, and we did develop sampling and  
16 everything else. We did different than what they had  
17 done at that time.

18 We used 360 degree model of drywell to  
19 study the special variation of that degradation.  
20 Stress and stability analysis is a drive for as  
21 designed and degraded shell conditions for postulated  
22 loads.

23 So we tried to do both, first baseline  
24 with undegraded shell, and then the degraded shell.  
25 I will show you degraded shell picture a little later.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: You say "we" did it. This is  
2 Sandia.

3 MR. ASHAR: Sandia National Lab and NRC  
4 together because NRC is the one who funded the study,  
5 and what we wanted, we wanted to have Sandia know  
6 about it so they can conduct particular analysis, you  
7 know.

8 Now, I want to give you a little  
9 background why I show Sandia National Lab, and I  
10 requested my management to have this study done at  
11 Sandia National Lab.

12 Now, I was quite aware of earlier studies  
13 that Sandia had done on degraded containments in  
14 general, and that was meant for the severe accident  
15 studies and mainly for what is the effect of seven  
16 degradations in PWR and BWR on capacity of those  
17 containments.

18 Those studies were done in two negative  
19 force. It was dug up in negative force. I was  
20 heavily involved in that particular effort at that  
21 time, but when I heard about the type of serious  
22 degradation that we have seen in this particular  
23 plant, I felt that we've got to do some kind of  
24 confirmatory analysis to see that, hey, this degraded  
25 containment or degraded drywell shell can withstand

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 those postulated loadings for which it is designed.

2 That was the main purpose of doing it, and  
3 Sandia was chosen because of their experience, earlier  
4 experience. They had the core ready for  
5 implementation. So they used that core that they had  
6 already developed before.

7 We did use wall thinning used to model  
8 degradation. So what we did was, again, we divided  
9 the spherical portion into ten bays just like what you  
10 saw earlier, but instead of being one shell thickness  
11 to all the bays, what we did was we took the average  
12 of all the readings that we knew about from the UT  
13 measurements, and we said with the average of those  
14 things we are going to assign to each bay.

15 And each bay had their own radar  
16 (phonetic) different from each other because most of  
17 the serious degradation was in the lower ten percent  
18 of the shell, the bay. Okay? So we took those worst  
19 conditions that they had given to us on UT  
20 measurements and we averaged them out and spread it to  
21 the one bay.

22 We took the same from another bay, and we  
23 studied to the other bays.

24 In addition to that distribution, we  
25 included two slices, thin slices of strips (phonetic)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 into the model to see the inclusion of buckling due to  
2 the cleanest area. We did not consider any statistic  
3 research. We are going to take the longest result in  
4 that particular bay and what was that? Point,  
5 seventy, .76, .68 inches or whatever it was, we used  
6 it in a slice of two and a half feet by one and a half  
7 feet, and we put them into the model.

8 MR. ARMIJO: That was just an arbitrary  
9 area selection, the two and a half --

10 MR. ASHAR: It was arbitrary.

11 MR. PETTI: No, the UT measurements we  
12 used were from in the sand bed region. They were from  
13 one specific UT measurements in 1993 documented by GPU  
14 Nuclear. Those readings were taken from the exterior,  
15 I believe, before the coating was applied, after it  
16 was clean, but then before the coating was applied.  
17 I believe that that was the case.

18 In that case there was in two bays below  
19 the vent line. In Bay 1 and Bay 13 there were these  
20 patches of clustering of very low points that are able  
21 to sort of carve out, and I believe in Bay 1 the  
22 description in the document of the UT measurements, it  
23 did give some approximate dimensions of the region  
24 that was thinner than the surrounding, and that's what  
25 that basis was for Bay 1.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In the Bay 13, there were no specific  
2 dimensions given. So I carried that over, the same  
3 dimensions as Bay 1, just to kind of have the same  
4 basic shape as I did in Bay 1.

5           MR. ASHAR: Yeah, this is general layout.  
6 Now you know very well the use. So I'm not going to  
7 spend too much time on this. Let's go to the next  
8 one.

9           Yeah, this shows the various parts of the  
10 drywell. Now I think you are quite familiar with  
11 this, too.

12           This I think I should spend some time with  
13 this.

14           DR. WALLIS: How many nodes did you have  
15 or mesh --

16           MR. PETTI: I believe the elements was  
17 about a quarter of a million elements in the --

18           DR. WALLIS: And they were denser in the  
19 regions of interest.

20           MR. PETTI: The two local areas where we  
21 had the thinnest spot under Bay 1 and Bay 13, they  
22 were thinner. They were about one inch nominal  
23 element size and about four inches throughout the rest  
24 of the containment.

25           MR. ASHAR: Sandia, there are a number of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 things that we put together. Develop appearances that  
2 define an element model, baseline model and degraded  
3 model, two models for there.

4 Degraded model, data came from the UT that  
5 we knew about in 1993, and UT had other containment  
6 issues, also are integrated into the degraded model.

7 LOCA formation and three LOCA formations  
8 were analyzed here: accident, which is LOCA plus  
9 temperature; temperature, pressure and seismic. All  
10 three are in this one.

11 Post accident that you heard about, this  
12 one totals one of the worst loading combinations for  
13 the shell. So we tried to use that as one of the  
14 refueling lowering, which happens to be critical for  
15 the buckling of the shell point of view.

16 So these are three LOCA formations  
17 considering the analysis. This stress analysis,  
18 stability analysis, they --

19 DR. WALLIS: Stability analysis, how was  
20 that done?

21 MR. PETTI: That was the buckling  
22 analysis.

23 MR. ASHAR: It is the buckling analysis.

24 MR. PETTI: It's the same as the --

25 DR. WALLIS: Was this done by the finite

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 element analysis predicting a growing instability or  
2 is it done by some kind of ASME factors?

3 MR. PETTI: A combination of the two. The  
4 same finite element model that was used for the stress  
5 analysis is used for the IGAN value (phonetic)  
6 buckling analysis, but the numbers that come out of  
7 that then need to be fed into the ASME N-284  
8 procedures where there are the factors that are  
9 applied to it, to the numbers you get out of the  
10 computational analysis.

11 DR. WALLIS: And you're able to identify  
12 the worst mode?

13 MR. PETTI: Correct. The analysis gives  
14 the first mode.

15 MR. SHACK: Yeah, what did your worst mode  
16 look like?

17 MR. PETTI: There's a slide near the back.

18 DR. WALLIS: It's a suspense item.

19 MR. ASHAR: Jump back to the stress, the  
20 stress slide.

21 MR. PETTI: It's down here near the  
22 bottom, that little black area there, near this bottom  
23 picture where it says refueling buckling, right here.

24 MR. ARMIJO: Is that right under a vent?

25 MR. PETTI: No, it's between the two vent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 lines.

2 PARTICIPANT: You have the LOCA buckling  
3 in the thin region there.

4 MR. PETTI: Well, actually we didn't send  
5 from each, the typical bays. We went from center of  
6 line to a bay to a center of line of bay. So the  
7 region between the center of the vent line to the  
8 center of the vent line had a uniform thickness  
9 assigned to it. Plus you can see this real little  
10 dark area that's where there's extra refinement, where  
11 there was one of those local thinned areas as well.

12 So the first buckling we saw in the  
13 analysis was in between the two bays that was just  
14 adjacent to one of those thinned areas.

15 DR. WALLIS: There wasn't something that  
16 repeated itself every 36 degrees

17 MR. PETTI: No, not on the lowest mode.  
18 As you get up higher in modes they become a bit more  
19 complex.

20 DR. WALLIS: So you weren't as artificial  
21 as GE with their pie.

22 MR. PETTI: Correct.

23 DR. WALLIS: Of course, they had this  
24 boundary condition that forced them to have some --

25 MR. PETTI: Right. At least for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 degraded case, we had the same type of behavior.

2 MR. ASHAR: We did this one. (Speaking  
3 from unmiked location.)

4 MR. JUNGE: Hans, could you turn up the  
5 mic? Is there a volume on that?

6 MR. ASHAR: Can you hear?

7 CHAIRMAN MAYNARD: I think when he turns  
8 away from it, his voice --

9 MR. ASHAR: Oh, okay.

10 MR. JUNGE: You're going to have to look  
11 straight at it because when you turn your head away  
12 from the mic --

13 MR. ASHAR: Okay. Can you hear me now?  
14 Okay.

15 CHAIRMAN MAYNARD: Turn your chair more.

16 MR. ASHAR: This are is shown as buckling.  
17 It's a factor of safety here, for example, is 2.15.

18 PARTICIPANT: Three, point, eight, five.

19 MR. ASHAR: Three, point, eight, five?

20 PARTICIPANT: Yes, you said 2.15.

21 MR. ASHAR: Yes, 3.85. I'm sorry.

22 MR. SHACK: Two is required.

23 MR. ASHAR: Two is required. Three,  
24 point, eight, five is what from the analysis. That's  
25 for the undegraded case. These are 2.15; two is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 required; 2.15.

2 Stress-wise, the stresses are computed  
3 this way. We call it a stress ratio, but it's an  
4 analysis test which we got from the analysis, divided  
5 by the --

6 DR. WALLIS: Can I ask you about that? On  
7 page 54 you have these red numbers which would appear  
8 to be bigger than the allowable stress.

9 MR. ASHAR: On the report, yes.

10 DR. WALLIS: Very little was said about  
11 them in the report.

12 MR. PETTI: Which table number are you  
13 specifically --

14 DR. WALLIS: Well, any table. Each table  
15 has a red --

16 MR. PETTI: Right. The accident load  
17 case.

18 DR. WALLIS: It would appear to exceed the  
19 allowable stress. Is that --

20 MR. PETTI: Right. The red numbers, the  
21 one red number in Table 3-5, the way that we did the  
22 stress assessment was the one stress limit was 29 KSI.  
23 The general membrane stress was 29 KSI ASME limit. So  
24 when I was assessing the results of the analysis, I  
25 would go through and in each region, main region of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the drywell, I would pick out the maximum stress from  
2 the analysis. If that then exceeded the 29, I would  
3 go back into the analysis and look deeper into where  
4 that stress was.

5 In the one case, in Table 3-5 in the upper  
6 sphere, that happened to be at the junction between  
7 two plates of differing thicknesses, which then  
8 becomes an ASME code, a gross structural discontinuity  
9 which has a higher limit.

10 So I just highlighted it in red to show  
11 that I had --

12 DR. WALLIS: Which is okay when you apply  
13 the ASME.

14 MR. PETTI: Right, the ASME. In the other  
15 cases where you're down at the lower sphere, in Tables  
16 3-5 and I believe in 3-6, where you have a secondary  
17 stress due to the thermal loading from the accident  
18 condition, where we increased the temperature of the  
19 shell from 70 degrees Fahrenheit to 292 degrees per  
20 the load case, you do get these very large bending  
21 stresses at the junction where the shell emerges from  
22 the --

23 DR. WALLIS: Are those the ones in  
24 parentheses?

25 MR. PETTI: Those are the percentages. If

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you applied the limits on the column on the right --

2 DR. WALLIS: I remember.

3 MR. PETTI: -- but in the ASME code it  
4 does state that for the accident load condition, which  
5 is service level C, that there are no official checks  
6 on those stresses.

7 DR. WALLIS: So which is 168 percent?  
8 That seems like a large number.

9 MR. PETTI: Right. That's if you were  
10 checking with that number, but if you do assess the  
11 ASME code due to that thermal loading, it's not  
12 required to be assessed in the code.

13 DR. WALLIS: So it's okay?

14 MR. PETTI: Yeah, based on the  
15 interpretation.

16 MR. ASHAR: Under Level C currently it's  
17 okay because the secondary effects of temperature are  
18 not being considered.

19 DR. WALLIS: But they're real, aren't  
20 they?

21 MR. ASHAR: Please?

22 DR. WALLIS: They exist.

23 MR. ASHAR: Not necessarily. ASME comes  
24 out with this secondary stress kind of designation.

25 MR. HESSHEIMER: I'd like to just maybe

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 offer a comment on the analysis. When those --

2 CHAIRMAN MAYNARD: Could you identify  
3 yourself, please?

4 MR. HESSHEIMER: Oh, I'm sorry. I'm Mike  
5 Hessheimer from Sandia National Labs. I supervised  
6 the work that Jason did on the analysis of the  
7 structure. I'm also a member of the ASME boiler and  
8 pressure vessel code committees.

9 The analysis that's done according to the  
10 code uses the elastic analysis methods. There's no  
11 relief due to plastic deformation. So the code  
12 recognizes that there are local areas where local  
13 yielding will occur and relieve the stresses, which is  
14 why that's allowed for secondary stresses where there  
15 are gross discontinuities. There are no stress limits  
16 specified because the stresses that are calculated in  
17 an elastic analysis are unrealistically high because  
18 they don't allow local yielding of the material.

19 If we had done an inelastic analysis,  
20 which normally is not done for design programs, those  
21 stresses, you would have reached the yield limit in  
22 those areas. You would have had plastic deformations,  
23 and the stresses would have been self-limiting.

24 DR. WALLIS: That's allowed in the code?

25 MR. HESSHEIMER: It is allowed in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 code.

2 DR. WALLIS: Well, when I see the 168  
3 percent of ASME limit, am I to be concerned?

4 MR. HESSHEIMER: I'm sorry?

5 DR. WALLIS: I should not be concerned  
6 when I see that?

7 MR. HESSHEIMER: Based on an elastic  
8 analysis that's correct. You should not be concerned  
9 for secondary stress.

10 DR. WALLIS: But suppose it were 200  
11 percent. How big does it have to be before I get  
12 worried?

13 MR. HESSHEIMER: There are no strain  
14 limits defined in the ASME code.

15 DR. WALLIS: Does plastic give foams  
16 forever?

17 MR. HESSHEIMER: Essentially that's the  
18 assumption inherent in the code. Now, you could argue  
19 with the code committee, but that is --

20 DR. WALLIS: What's the difference between  
21 plastic deformation and a failure?

22 MR. HESSHEIMER: But you can get a lot of  
23 plastic deformation and relieve the stresses in that  
24 area. It's a result of performing an elastic analysis  
25 in areas where local yielding can occur, and it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 recognized by the code.

2 I guess I would want to make one point  
3 about that, is that those high stresses occur both in  
4 the analysis of the undegraded vessel and the degraded  
5 vessel.

6 DR. WALLIS: Yes, I noticed that.

7 MR. HESSHEIMER: The effect of the  
8 degradation does not cause much of a change there.  
9 It's more of a function of how the analysis is done  
10 and the local boundary conditions in that area. So  
11 the code does recognize that at those levels when you  
12 are using only elastic analysis methods, you will get  
13 stresses that exceed --

14 DR. WALLIS: But how do you decide when  
15 those stresses are too big?

16 MR. HESSHEIMER: There probably should be  
17 some strain limits that need to be evaluated, but I  
18 think this is one of those things I think is just --  
19 and I don't want to speak on behalf of the entire code  
20 committee -- but it's recognized as a practice that  
21 works. There have not been problems with it.

22 DR. WALLIS: Well, I'm very puzzled  
23 because suppose all the entries in this table were  
24 red. Then it would still be okay?

25 MR. HESSHEIMER: No, because not all of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       them are secondary stresses.

2                   DR. WALLIS:   How do I know which?

3                   MR. SHACK:   But, again, the idea is that  
4       you can't get big plastic deformations unless the  
5       primary stresses are clad.

6                   DR. WALLIS:   Yes, right, right.

7                   MR. SHACK:   You get very localized plastic  
8       deformations in the secondary, and so --

9                   DR. WALLIS:   Right, but it just says  
10       primary plus secondary.  There's no separation of the  
11       two in the table.  So I don't quite know what --

12                   MR. PETTI:   The previous table has just  
13       the primary.  So Table 3-5 is just the primary  
14       stresses.

15                   DR. WALLIS:   So you compare 3-5 with 3-6.

16                   MR. PETTI:   Correct, and that shows you  
17       what the addition is to get the secondary stresses.

18                   DR. WALLIS:   Okay.  So the local funnel  
19       distributions, it relaxes uniplasty (phonetic).

20                   MR. HESSHEIMER:  That's correct.

21                   DR. WALLIS:   But the overall stressing of  
22       the whole thing is okay.

23                   MR. HESSHEIMER:  That's correct.

24                   MR. SHACK:   Now, you sort of calculated  
25       the buckling here for the best estimate that you've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 shown here. Then you sort of go through the minimum  
2 thickness study. You end up with a number that seems  
3 significantly different than the GE analysis. Are you  
4 going to talk about that at all?

5 MR. PETTI: We do have that one plot  
6 that's in there that shows the different analyses I  
7 ran and the different factors of safety that's kind of  
8 in one of the back-up slides we have. We could put  
9 that up and discuss that if you want to.

10 MR. SHACK: Yeah, why don't you put that  
11 up and discuss it?

12 DR. WALLIS: So you have a different mode  
13 of buckling, don't you, really? You have a different  
14 shape to the -- as it begins to distort, it distorts  
15 in a different mode from the GE mode. The GE mode is  
16 a 36 segment.

17 MR. PETTI: Right.

18 DR. WALLIS: Thirty-six degree segment  
19 repeated all the way around.

20 MR. PETTI: Right, right, and since we  
21 have the full 360 degree model --

22 DR. WALLIS: Well, I'm surprised that you  
23 get a different number.

24 MR. PETTI: Correct. The models are  
25 different. There are different assumptions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: It's not realistic. Yours  
2 should be more realistic.

3 MR. PETTI: More realistic in the sense  
4 that we do have the full 360 degree model. We did  
5 have to take -- since we didn't have the independent  
6 data that GE had when they did their analysis, a lot  
7 of the data, and it's documented in the report, was  
8 taken directly from their analysis and then had to be  
9 modified to fit my model, the new model that was  
10 created.

11 So it's not surprising that the numbers  
12 are not exact. It would be surprising if they were.

13 DR. ABDEL-KHALIK: But the loading is the  
14 same in both analyses.

15 MR. PETTI: The loadings are the same.  
16 The only difference was in the seismic loading  
17 application. We used the static coefficients from the  
18 FSAR, and they had actually based theirs on natural  
19 dynamic analyses that we didn't have the data to do  
20 that.

21 DR. WALLIS: Is that the same kind of  
22 factors that they had? They had a factor of .2, which  
23 turned into a factor of .34 when they took account of  
24 tension and so on. Did you use that same approach?

25 MR. PETTI: For the refueling load case,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we did not increase the capacity factor. That's why  
2 our minimum thickness is showing higher than theirs.

3 DR. WALLIS: Right.

4 MR. PETTI: From our reading of the N-284  
5 ASME load case, it states that that is justified when  
6 there's internal pressure, and in the refueling case  
7 there is no internal pressure. So we did not feel  
8 justified in applying that.

9 DR. WALLIS: Would you tell us about that?  
10 I don't know the code. Which of these is the  
11 appropriate way to proceed? I mean, should you --

12 MR. PETTI: There's another slide that we  
13 have.

14 MR. SHACK: That then is the fundamental  
15 reason you're getting the different answers.

16 MR. PETTI: There are two reasons. One is  
17 it's a different model. There's no way to compare  
18 directly between ours and GE. That's why we did the  
19 baseline analysis where we put the nominal original as  
20 designed thicknesses. Our intent was to then compare  
21 those to our degraded model to see really the relative  
22 difference in the stresses, the relative difference in  
23 the factors of safety from the buckling analyses, not  
24 so much to compare directly with the GE, even though  
25 we know that that will be done. We weren't trying to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 tie that back.

2 Here is the section from the Article 1500  
3 from the N-284 SME load case, which is what we used  
4 for the buckling that GE had originally used, and this  
5 quote just states that due to internal pressure  
6 there's a smoothing of the initial imperfections; that  
7 then you could, if justified, if you justify that, you  
8 could increase the capacity reduction factor, and they  
9 have applied that and GE provided justification. We  
10 didn't feel that that was justified based on what we  
11 knew of that.

12 MR. SHACK: If you applied that, what  
13 would you get for your minimum uniform thickness?

14 MR. PETTI: We didn't do that analysis.

15 MR. SHACK: You didn't do that.

16 DR. WALLIS: Well, it's a big factor.

17 It's a factor of --

18 MR. ASHAR: Yeah, 80 percent higher.

19 DR. WALLIS: So you would get a much  
20 thinner, an even thinner value than GE if you applied  
21 their factor.

22 MR. PETTI: It's possible, but we didn't  
23 do that analysis.

24 DR. ABDEL-KHALIK: But based on your  
25 interpretation of the code and based on the parametric

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 result that you showed in the graph before, you feel  
2 that if a thickness were to drop below .844 inches,  
3 the safety factor would decrease below two.

4 MR. PETTI: Uniformly.

5 DR. ABDEL-KHALIK: Yes.

6 MR. PETTI: Uniformly, but we do know from  
7 the UT data that it is not uniformly degraded.

8 DR. ABDEL-KHALIK: Right. I understand.

9 MR. PETTI: That's why the first analysis  
10 we did we did some spatial variation.

11 DR. ABDEL-KHALIK: I do understand that  
12 there are differences between the two analyses, but I  
13 want to sort of compare apples to apples between the  
14 two analyses, recognizing the differences between the  
15 two.

16 MR. PETTI: Sure.

17 DR. ABDEL-KHALIK: So the number that you  
18 have here of .844 inches corresponds to the number  
19 used in the GE analysis of .736 inches.

20 MR. PETTI: Given the differences and the  
21 different assumptions and the different ways we apply  
22 the buckling load case, correct.

23 DR. ABDEL-KHALIK: Now, all of the margins  
24 reported by the applicant are based on this .736 --

25 MR. PETTI: Correct.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. ABDEL-KHALIK: -- inch uniform  
2 thickness number. That minimum thickness is taken to  
3 be the value that you calculate of .844. These  
4 margins would be considerably lower than what's  
5 reported by the applicant.

6 MR. ASHAR: That is correct. I think it  
7 will come out about 1.67, something like that, a  
8 buckling factor. Close to it. If you bring down the  
9 4736 --

10 CHAIRMAN MAYNARD: You're facing away from  
11 your microphone.

12 MR. ASHAR: I'm sorry. I am, yeah. I'm  
13 sorry.

14 Jason, the question is regarding how much  
15 safety we would have if he used .750.

16 MR. PETTI: Well, we haven't done that  
17 analysis. So --

18 MR. ASHAR: We haven't done the analysis.  
19 That's true.

20 MR. PETTI: -- we can't make a statement.

21 DR. ABDEL-KHALIK: But if you were to  
22 extrapolate that graph, I mean, it seems like a fairly  
23 smoothly varying function. You would get down to that  
24 safety factor of about 1.5, 1.6 versus two at the .736  
25 inch thickness. Is that correct?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. PETTI: If we had done an analysis at  
2 .736, the safety factor would be lower than two. I  
3 can't tell you what it would be, but according --

4 DR. ABDEL-KHALIK: Well, it's  
5 extrapolating your --

6 MR. PETTI: It would be lower than two.  
7 I can't give you an exact number.

8 DR. ABDEL-KHALIK: You're not willing to  
9 extrapolate.

10 MR. PETTI: No, I'm not willing to  
11 extrapolate.

12 DR. WALLIS: This is the bottom line of  
13 the whole study. You have a number and GE has a  
14 number, and GE has used some modified capacity  
15 reduction factor which we're not quite sure about.  
16 You don't use that. You've got a different number  
17 from GE. Who should I believe and what should I use?

18 MR. SHACK: They both predicted the number  
19 is greater than two.

20 MR. ARMIJO: Not at 736.

21 MR. SHACK: But on the condition that it  
22 is, it's 2.15. Now, --

23 MR. ASHAR: Correct.

24 MR. SHACK: -- the argument here is that  
25 you can't go and do this uniform thickness model and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you have to do a more realistic calculation.

2 MR. PETTI: You're not giving enough  
3 credit to the shell in its current condition by doing  
4 the uniform thickness analysis, correct.

5 MR. SHACK: But it is acceptable from your  
6 analysis in the condition that it's now in.

7 MR. PETTI: That's for NRC to make that  
8 judgment, not me.

9 MR. ASHAR: Yeah, yes.

10 MR. SHACK: At least it meets the code  
11 requirement.

12 MR. ASHAR: No, the reason we did not use  
13 that increased capacity reduction factor -- can you  
14 hear me all right? -- was that we did not have the  
15 basis for doing it because ASME requires that if we  
16 have justification to increase even in the loads under  
17 pressure, you can do it. You go through some test  
18 data, some kind of verification data. It is correct  
19 to do so. We did not use that.

20 Now, if the applicant has those bases with  
21 them, we did not have a chance to look at those  
22 things. So we don't know about it. So we decided not  
23 to use that.

24 DR. WALLIS: So you make your decision --

25 MR. ASHAR: But still, but in spite of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that, we did come out with a factor of safety for the  
2 existing conditions.

3 DR. WALLIS: So you're making your  
4 decision based on the Sandia analysis.

5 MR. ASHAR: Sandia.

6 DR. WALLIS: Which is your analysis, not  
7 on the --

8 MR. ASHAR: No, I want you to -- I want to  
9 rephrase myself. We are not basing everything on  
10 Sandia. This is one part in total judgment on our  
11 part --

12 DR. WALLIS: But the basic decision should  
13 be based on what the applicant submits.

14 MR. ASHAR: The applicant submits  
15 applicant's commitment for programmatic --

16 DR. WALLIS: You base your decision on  
17 what the applicant submits and then you do  
18 confirmatory work.

19 MR. ASHAR: Confirmatory, right, exactly.

20 DR. WALLIS: And if it turns out that this  
21 modified capacity reduction factor was misapplied in  
22 some way, that might change your conclusion?

23 MR. ASHAR: I would say it would not  
24 change your conclusion because still under existing  
25 conditions it does satisfy the buckling factor.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: If they can't use the  
2 circumferential stress in the way that they did.

3 MR. ASHAR: Yeah, you see, that's the  
4 reason we don't want to use hard and fast number from  
5 Sandia analysis.

6 MR. DUDLEY: This is Noel Dudley, project  
7 manager for license renewal.

8 What the process is is that we reviewed  
9 the license renewal application. We asked questions  
10 on the information in the license renewal application,  
11 had responses. We had an open item, and we gathered  
12 more commitment or different commitments from the  
13 licensee and closed out the open item.

14 At that point the staff had made a  
15 decision that the commitments were satisfactory for  
16 maintaining public health and safety.

17 DR. WALLIS: I'm trying to determine if  
18 you understand the ASME method and these modified  
19 capacity reduction factors because surely part of your  
20 decision has to be made based on what is submitted by  
21 the applicant.

22 I don't understand that. Does somebody  
23 here really understand these modified capacity  
24 reduction factors.

25 MR. DUDLEY: And I don't think it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 necessary.

2 DR. WALLIS: It's not necessary?

3 MR. DUDLEY: It's not necessary because  
4 there are commitments to do UTs every two years.

5 DR. WALLIS: But how do we know it's safe  
6 now?

7 MR. DUDLEY: Because it met regulatory  
8 requirements.

9 DR. WALLIS: How did it meet regulatory  
10 requirements?

11 MR. DUDLEY: It was within the code.

12 DR. WALLIS: The code is based on this  
13 modified capacity reduction factor, which we need to  
14 understand, right?

15 MR. SHACK: Yeah, as I understand it, the  
16 current Oyster Creek analysis is a claim to be a  
17 bounding analysis with the minimum thickness of 736,  
18 and that's acceptable if you accept that it's a  
19 bounding analysis. They haven't attempted to do an  
20 analysis of the current configuration.

21 DR. WALLIS: But their analysis is based  
22 on this modified capacity reduction factor, which we  
23 have to understand, I think. Somebody has to  
24 understand it.

25 DR. ABDEL-KHALIK: Lets say you backtrack

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and you haven't done the Sandia calculation yet, and  
2 you're basing your decision on the applicant's  
3 analysis. And you look at the analysis and you ask  
4 your experts and they say, no, the ASME code does not  
5 allow this capacity reduction factor to be modified in  
6 this case because there is no internal pressure under  
7 this loading condition.

8 And if that is the case, that would have  
9 changed the safety factor from two to 1.27. What  
10 would have been your response with regard to a  
11 communication for additional information from the  
12 applicant?

13 MS. LUND: I think that if we do have a  
14 situation where -- and this does happen with  
15 applications that we do receive where, you know, we  
16 have some questions about the conclusions or the data  
17 or something that they've provided -- we would have to  
18 look at the assumptions that were made.

19 But I think what Hans had done in this  
20 case is to look at trying to evaluate it, and of  
21 course, you're saying that if we didn't have the  
22 Sandia report, but I think that it was part and parcel  
23 of trying to look at what had been done and make sure.

24 I think one of the recognitions as well is  
25 that the GE study that was done, it was an old study.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Okay? There were limitations to doing it in a slice.  
2 We did not try to just go through and do exactly the  
3 same thing that GE had done just to confirm the  
4 numbers for that. I think we were trying to do  
5 something that at least in Hans' and Jason's mind was  
6 more representative of what they needed to look at.

7 So I think that as far as the staff goes,  
8 you know, that's the type of analysis, that's the kind  
9 of thought process we tend to go through no matter  
10 whether it's this or something else.

11 In addition to that, I think that the  
12 point has been made both in the GE study and also in  
13 this study, too, that the way it was modeled, you  
14 know, the real situation -- I think you have to  
15 remember that the real situation is not a uniformly  
16 thinned shell. The real situation isn't the same as  
17 modeled for both of them because I think that both of  
18 them were trying to be modeled in a conservative  
19 manner.

20 DR. WALLIS: The issue is what is the  
21 decision going to be based on, and the Sandia model  
22 may be fine, but it's NRC work. You base the  
23 licensing decision on work done by NRC or by what's  
24 submitted by the applicant?

25 And if the applicant's work has this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 uncertainty about it and you're not quite sure that  
2 it's appropriate to apply this modified reduction  
3 factor, then maybe the GE work is not a basis for a  
4 decision.

5 MS. LUND: Right.

6 DR. WALLIS: Then okay for you to make a  
7 decision based on your work. I'm not quite sure. I  
8 think I'm always being told that it's up to the  
9 applicant to submit a case.

10 DR. ABDEL-KHALIK: If I may expand on  
11 this, what in your view is the analysis of record?

12 MS. LUND: The applicant's is the analysis  
13 of record.

14 DR. ABDEL-KHALIK: Now, if the analysis of  
15 record is deficient, what would be your response?

16 MS. LUND: Well, I think that the  
17 discussion that has gone on here today has been there  
18 is a probably a difference of approach as far as  
19 whether or not to consider this factor. I'm not sure  
20 that we've decided that the applicant's study is  
21 deficient in that particular manner.

22 CHAIRMAN MAYNARD: I think we've talked  
23 about. I'm not sure we're going to get any better  
24 answer. What I would propose is that this be a  
25 specific agenda item for the full committee meeting

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 because I do think it needs to be better addressed  
2 probably by the licensee in defending their  
3 calculation and also by the NRC on what the acceptance  
4 is.

5 So I would propose that we have this as an  
6 agenda item for that. I do think it's an important  
7 issue and needs to be clarified. I don't think we're  
8 going to get any further today.

9 MR. GALLAGHER: Mr. Chairman, it's Mike  
10 Gallagher, AmerGen.

11 I just wanted to make sure it was clear.  
12 So we did specifically talk about this capacity factor  
13 reduction methodology. That's what Dr. Mehta was  
14 talking about, that we consulted with the code case  
15 center. That's the issue that we went through, and  
16 the internal pressure was one way, but you know, there  
17 were other ways where the hoop stresses could be  
18 distributed and it was appropriate.

19 MR. SHACK: Code interpretation then.

20 MR. GALLAGHER: Dr. Mehta, can you come up  
21 and answer that question?

22 DR. MEHTA: Mehta with (unintelligible).

23 When we were doing this analysis, we  
24 talked to Dr. Clarence Miller of Chicago Bridge and  
25 Iron who is the author of the code case 284, and also

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 at the time when we did the analysis, the revision was  
2 going on on 284, Revision 1.

3 And when we used this approach, we first  
4 actually consulted him, and then we said, well, we  
5 want to use this kind of approach and explained to him  
6 how we were going to do that, and he wrote a technical  
7 report that he agrees with this approach.

8 and so essentially our conclusion was that  
9 the author who wrote this code case 284, if he agrees  
10 with this approach, which would seem reasonable, and  
11 our own technical justification was in effect the  
12 internal pressure would not do much to straighten out  
13 any imperfections. It's the internal pressure as it  
14 manifests itself in tension which will pool these  
15 imperfections and make them a little more straight,  
16 thereby the reduction factor will be a little bit  
17 lower.

18 And so that was our own technical  
19 justification within ourselves, and then Dr. Clarence  
20 Miller agreed, and he said that he agrees with this  
21 interpretation.

22 MR. GALLAGHER: And just one other point  
23 of clarity. So that was part of the original analysis  
24 that was done in 1992 and is the current licensing  
25 basis that was reviewed by the staff earlier. So, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 know, it was reviewed by the staff.

2 CHAIRMAN MAYNARD: Well, again, I  
3 appreciate your comments. I do think it would still  
4 be a good agenda item for the full committee meeting,  
5 give both the licensee and the staff a chance to  
6 revisit this and make sure they're still consistent.

7 MR. ARMIJO: I just want to ask a question  
8 for clarity. Did you use the internal pressure to  
9 generate these capacity factors, reductions for the  
10 refueling case when there no internal pressure.

11 MR. GALLAGHER: Dr. Har Mehta can explain  
12 that.

13 DR. MEHTA: The question, whether the  
14 refueling condition case we use --

15 MR. ARMIJO: Yes. Can you use that?

16 DR. MEHTA: Yes, we used that.

17 MR. ARMIJO: And why?

18 MR. GALLAGHER: No, he said since there is  
19 no internal pressure during refueling, what do we use  
20 to justify the capacity reduction factor.

21 DR. MEHTA: We looked at the average of  
22 the section in the sand bed region and determined what  
23 is the circumferential tensile stress, and subsequent  
24 to this code case and 284, Dr. Miller wrote a WRC  
25 running research council bulletin 406 in which he had

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a procedure where from the circumferential tension he  
2 calculates the coolant pressure and then puts into the  
3 equation to raise the capacity factor.

4 MR. GALLAGHER: Right. So pressure is one  
5 way. There's other stress. Other stresses command--

6 DR. WALLIS: Well, I understand that  
7 Sandia did not use the capacity reduction factor.

8 MR. PETTI: Right. As you can see in the  
9 quote there it says justification can be provided. So  
10 we just didn't have any justification to apply that,  
11 and our --

12 DR. WALLIS: But there is no internal  
13 pressure really.

14 MR. PETTI: Correct.

15 DR. WALLIS: It's just sort of a surrogate  
16 stress.

17 MR. PETTI: Correct. It's a matter of the  
18 interpretation of the language there, and we --

19 DR. WALLIS: Plus there must be some  
20 physics behind this sort of thing.

21 MR. PETTI: -- did not have any other  
22 documentation.

23 DR. WALLIS: There must be some real  
24 physics which says if you have a circumferential  
25 stress you can do something with it, not this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 inventing an unreal pressure.

2 MR. PETTI: But that's why we did have  
3 justification to do it. That's why we didn't apply  
4 it. If they have justification, we weren't -- that  
5 was not made available to us. So we didn't feel we  
6 were justified in applying it.

7 MR. GALLAGHER: And Chairman Maynard, we  
8 can definitely talk about it at the full committee if  
9 you'd like. I just wanted to make sure it was clear  
10 that this capacity factor reduction we did talk  
11 specifically about and the justification was with the  
12 author of the code case. So I just wanted to make  
13 sure that was clear.

14 CHAIRMAN MAYNARD: And I acknowledge you  
15 did discuss it and you did provide that information.  
16 I think for the NRC staff probably more so than for  
17 you, but part of this now becomes a legal question as  
18 to what is the analysis of record. What can you and  
19 can you not take credit for?

20 And I think it's probably more of  
21 questions for the staff. I think it would be good for  
22 the licensee to re-address that again back at the full  
23 committee meeting, but for the staff to take a look.

24 MR. GALLAGHER: Okay. I understand.  
25 Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. ABDEL-KHALIK: This opinion was sought  
2 and obtained in 1992 when the analysis was done, and  
3 perhaps it would be prudent for the applicant to seek  
4 an interpretation of the current interpretation of the  
5 ASME code.

6 CHAIRMAN MAYNARD: Sometimes there's a  
7 difference between an opinion and official approval  
8 letters. So, again, I think that both the applicant  
9 and the NRC staff need to revisit this and come back  
10 to full committee meeting and address the  
11 acceptability of it.

12 MR. ASHLEY: Yes, sir, and if I might add,  
13 from the safety valuation report standpoint, the  
14 commitments that the applicant has made to us is that  
15 when they do these next outages and when they do these  
16 next testing, they will inform us of the results of  
17 those tests, and if there is anything that we felt  
18 like would put them below the margin by their  
19 definition or by this definition, we would take  
20 appropriate action at that point, but it would be  
21 monitored and it's not just to put the report out and  
22 then be done with it because we felt like the  
23 commitments that the applicant made we'll monitor  
24 that.

25 CHAIRMAN MAYNARD: I want to make sure I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 understand what I think I heard you say, is that when  
2 you're informed of the results that if they were below  
3 what the Sandia calculation is, you would be made  
4 aware of that.

5 MR. ASHLEY: If they were different from  
6 the numbers they got on this outage, any difference at  
7 all, they would evaluate.

8 MR. SHACK: Yeah, I mean, I think if you  
9 see significant thinning, you would have to come back  
10 and look at it again because unless you accept this,  
11 you can't accept the bounding analysis. Therefore you  
12 have to analyze the as is case, which apparently has  
13 been done.

14 DR. WALLIS: The question is will it  
15 buckle now. That's the real question.

16 MR. SIEBER: Doesn't it stand to reason  
17 that if you can't accept some analysis now, then you  
18 can't draw a conclusion from today's data?

19 DR. WALLIS: So what's the basis for  
20 drawing the conclusion?

21 MR. SIEBER: That's right.

22 DR. WALLIS: From any data.

23 MR. ARMIJO: Well, if you can't use the  
24 Sandia analysis for drawing a conclusion, why are we  
25 even talking about it? That's nonsense.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   CHAIRMAN MAYNARD: But from what I  
2 understand, both analyses show that it's okay today  
3 with a safety factor of two. So it really gets into  
4 what is the real margin there. Is it the licensee's  
5 calculation or is it the Sandia calculation, which  
6 could impact what the future inspections and stuff  
7 might have to be looking for.

8                   Both of them showed that today it was  
9 okay.

10                  MR. ARMIJO: Right, and I think that the  
11 GE calculations made in what, 1989-1990, used the 736  
12 number when, in realty the number is much, much higher  
13 based on measurements in 2006. So in any future  
14 discussion we should be talking with the realistic  
15 dimensions of this containment because I think we're  
16 just not using the margins which we've measured and  
17 then using margins which you can argue whether they're  
18 valid or not. They come from stress or pressure or  
19 something else. So I think we should just update that  
20 GE study to using current values might solve the  
21 problem.

22                  MR. CU: Right. This is P.T. Cu.

23                  I just want to make a comment that we  
24 understand the members' concern, and I guess we don't  
25 have the ready answer to you. We'll come back to you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN MAYNARD: I do think it would be  
2 best to address it at the next meeting and have  
3 everybody a chance to be thinking, talking some  
4 factual versus what they think may be the case.

5 MR. ASHLEY: Did you have anything  
6 additional?

7 MR. ASHAR: This is the last slide. It  
8 may be amazing or confusing.

9 MR. SHACK: It's hard to say we're not  
10 counting on the same studies.

11 MR. ASHAR: We are, but to understand,  
12 it's a three prong approach in decision making from a  
13 regulatory point of view. The numbers are not  
14 something that strictly we're going to adhere to. It  
15 is the programmatic thing that we are working together  
16 with because we knew that the real difference between  
17 what they've done in 1993 and what we are doing right  
18 now. So we expect the differences.

19 Now, this difference is a little critical.  
20 I agree with you, and we have to come to some kind of  
21 determination as to which way to go.

22 DR. WALLIS: Well, the Sandia study is  
23 much more realistic than the GE one.

24 MR. ARMIJO: It's a modern analysis.

25 DR. WALLIS: It's 360 degrees, puts in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 different thicknesses in different bays, and so on.  
2 Now, the question is whether you can use it as the  
3 basis for your decision.

4 MR. ARMIJO: That's for the lawyers.

5 MR. ASHAR: We were using the logic if we  
6 are going to use this in one particular portion, but  
7 you are quite right. There is going to be a problem,  
8 and we have to work with it.

9 MR. SAMMADAR: This is Sujit Sammadar with  
10 NRC.

11 Typically we never use NRC studies because  
12 it's a back of the envelope to justify anything that  
13 the applicant has. The applicant stands on their own  
14 merit. So the Sandia study will not be a  
15 justification for anything, but all it demonstrates to  
16 us is given the current condition, what they have  
17 concluded, we get the similar conclusions from the  
18 Sandia study even though the two studies do not line  
19 up.

20 There were differences in how the studies  
21 were conducted and what they give us, but the bottom  
22 line conclusion is about the same. They still  
23 maintain that factor of --

24 CHAIRMAN MAYNARD: I understand, and  
25 again, I believe what the issue is is that the staff

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 has taken credit for the applicant saying they meet  
2 the code, and the real question is an issue has come  
3 up as to what does the code require and does the  
4 applicant's analysis meet the code, and so I guess  
5 what we really need to do is the staff's position and  
6 justification that the applicant's analysis meets the  
7 code.

8 MR. CU: We will get back to the  
9 committee.

10 MR. ASHLEY: Hans, did you have  
11 additional?

12 MR. ASHAR: No, I don't think so.

13 MR. ASHLEY: With that --

14 CHAIRMAN MAYNARD: Any other questions for  
15 the staff?

16 MR. ASHLEY: We have one additional item.

17 CHAIRMAN MAYNARD: We have got the socket  
18 welds. I'm sorry.

19 MR. ASHLEY: You had a question at your  
20 previous meeting about socket welds, and Jim Davis is  
21 going to give you some information.

22 Jim.

23 MR. DAVIS: I'm Jim Davis from the staff.

24 CHAIRMAN MAYNARD: Can you speak up a  
25 little bit and can we hold down the side

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 conversations?

2 Thank you.

3 MR. DAVIS: We have gotten a commitment  
4 from Oyster Creek to look at one socket weld  
5 destructively, and we were questioned on the  
6 reliability of that. So what I did was a lot more  
7 research.

8 What the issue is is for Class 1 socket  
9 welds, Class 1 and Class 2 socket welds, less than  
10 four inch nominal pipe size, should they be included  
11 in the one time inspection of small bore piping. The  
12 GALL report does not include them.

13 I had extensive discussions with the  
14 technical staff on this issue, and what we concluded  
15 is currently IWB and IWC require a surface exam for  
16 socket welds, between one and four inches. There's no  
17 requirement for socket welds under one inch, and all  
18 of Oyster Creek's socket welds are under one inch.

19 I looked at the literature and I found out  
20 that most failures are vibrational fatigue, and they  
21 initiate on the ID. So doing a surface exam doesn't  
22 really help you much, and the NRC position is if it's  
23 ID initiated doing a surface exam is not appropriate  
24 even though it's in the code, and they've been  
25 granting relief to use a VT-2 or visual exam.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So the conclusion we drew was that looking  
2           at one or even several socket welds will not really  
3           prove very much, and so that we're not going to  
4           require socket welds be examined. So that's basically  
5           the story. So there will be no additional  
6           examinations of socket welds required.

7           CHAIRMAN MAYNARD: All right. Any  
8           additional questions on socket welds?

9           MR. SIEBER: I think that was my issue.  
10          I'm satisfied with that answer.

11          CHAIRMAN MAYNARD: Okay.

12          MR. ASHLEY: The conclusion will have to  
13          await our next meeting.

14          (Laughter.)

15          CHAIRMAN MAYNARD: Okay. Any other  
16          questions for the staff right now?

17          If not, I'd like to thank you for your  
18          presentation, and I believe next we have Mr. Gunter  
19          and Mr. Webster.

20          Take a moment or two here to transition  
21          seats.

22          (Whereupon, the foregoing matter went off  
23          the record at 3:46 p.m. and went back on  
24          the record at 3:48 p.m.)

25          CHAIRMAN MAYNARD: I think if we can get

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 everybody to sit down and be quite, we'll go on with  
2 the comments from the public.

3 And before you get started, I'd like to  
4 say that I appreciated getting a copy of your slides.  
5 I understand there may have been some changes since  
6 then, but at least to get some prep work there done,  
7 and so I really appreciate that and look forward to  
8 hearing your comments.

9 So I think, Mr. Gunter, you're going to  
10 lead it off.

11 MR. GUNTER: Thank you.

12 I'm going to offer just a very brief  
13 introductory remark. My name is Paul Gunter. I'm  
14 Director of the Reactor Watchdog Project for Nuclear  
15 Information and Resource Service.

16 We are one of six intervenors before the  
17 Atomic Safety and Licensing Board. We offered one, a  
18 single contention.

19 Subsequent to our communications with  
20 AmerGen on the drywell liner corrosion issue and  
21 subsequent to our filing of the single contention, we  
22 do recognize that AmerGen has offered a set of  
23 commitment changes.

24 However, the commitment changes still  
25 raise concerns, and we're here today to address some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of those concerns, and I will be turning it over to  
2 our attorney in this proceeding, Mr. Richard Webster.  
3 Mr. Webster's background is that he has a Bachelor's  
4 degree in physics from Oxford University, a Master's  
5 degree in engineering hydrology from Imperial College.  
6 He has his law degree from Columbia Law School, and he  
7 is currently the staff attorney for Rutgers  
8 Environmental Law Clinic.

9 So Richard.

10 MR. WEBSTER: Thank you, Paul, and thank  
11 you to all of the committee members here for inviting  
12 us along, and thanks for the time last time. I'll try  
13 not to overrun in the way that I did last time.

14 I'm presenting here on behalf of a  
15 coalition of environmental groups and citizens groups  
16 who are collectively known as the Coalition to Stop  
17 the Relicensing of Oyster Creek.

18 So I just want to review what we did at  
19 the previous meeting first and then move into what's  
20 new. So the previous meeting I think we decided that  
21 we should put the horse before the cart. That means  
22 that we should first establish margin and then for  
23 both the sand bed and the imbedded region, and then  
24 we should determine whether that margin can be  
25 maintained, and if so, how it can be maintained.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Now, at the last meeting we realized that  
2           in terms of establishing margin there are significant  
3           issues in terms of paucity of data, nonrigorous  
4           statistics, large uncertainty, unrealistic modeling,  
5           and many cumulative, unjustified assumptions.

6           In terms of whether the margin can be  
7           maintained, we realize there are significant issues of  
8           equipment failure leading to ongoing leakage, operator  
9           failures, uncertainty in the measurements, lack of  
10          data to predict the corrosion rate, and in the scope  
11          and frequency of the monitoring.

12          So just to emphasize those are the key  
13          issues, so far the applicant has measured less than  
14          one percent of the sand bed area, and it says the last  
15          measurements are in '94, where they have now done the  
16          measurements in 2006. So we have a gap between '94  
17          and 2006. I was kind of surprised that the applicant  
18          used the '96 numbers in their simulations. I think  
19          those numbers should be excluded. They've been shown  
20          to be systematically in error, and therefore, I think  
21          we really only have three valid measurements, not  
22          four.

23          So when the applicant is doing its  
24          statistical analysis, I really don't think they should  
25          take credit for four measurements.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           Again, last time we found that the  
2 applicant had fitted the data to the normal  
3 distribution by segmenting the data and editing out  
4 pits that were beyond a certain number of standard  
5 deviations. There seems to be no change in that and  
6 no word from the applicant about that. I guess  
7 they're still doing that.

8           The acceptance criteria are based on the  
9 modeling and idealized geometries. I think the Sandia  
10 report has addressed that to some extent.

11           The margin was not established, but there  
12 was a .064 inches was claimed. That's still the same  
13 now.

14           We had argued that the visual assessment  
15 of the coating alone was inadequate, that we need  
16 better detection of corrosive conditions and faster  
17 response, and that there were no measurements in the  
18 imbedded region.

19           Now, what's new so for the sand bed, we  
20 had the historic results and we now have the results  
21 in 2006. For the imbedded region we now have one 42  
22 point grid taken in Trench 5 in 2006, and they found  
23 water on the inside of the shell as we've heard during  
24 the last outage.

25           So those are the primary new factors, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I guess the Sandia study is the other big factor. So  
2 I'm going to start, first of all, while talking about  
3 the sand bed. Then I'll just wrap up by talking about  
4 the imbedded region.

5 And before I forget, I've also sent a  
6 letter sweeping up a couple of questions that were  
7 left over from last time, and actually raising a  
8 couple other issues to do with the torus program, the  
9 potential missed commitment in the torus program,  
10 which I have been unable to resolve as of this point,  
11 and summarizing a few of the items I'm going to  
12 present here.

13 So I think we are fully familiar by now  
14 with the schematics. We don't need to dwell too long  
15 on those.

16 So the Sandia study, I mean, let's pick up  
17 here. Obviously the Sandia study is a very serious  
18 concern. We have a national laboratory where the  
19 supervisor of the study apparently is ASME committee,  
20 and they have decided that the modeling done by GE  
21 basically got the wrong answer. There's an  
22 assumption about the capacity reduction factor that  
23 was unjustified.

24 So that was supposed to be a confirmatory  
25 study, and Sandia did caution that it cannot be used

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as an absolute study. It can only be used as a  
2 confirmatory study, and basically what we find is that  
3 the confirmatory study has shown lack of confirmation.  
4 The assumptions that went into the GE study, the  
5 confirmatory study, are incorrect.

6 I mean, there are two big problems. One  
7 is the capacity reduction factor, but the other, as  
8 we've heard, is in the model because the GE study was  
9 a 36 degree symmetric model. It couldn't predict the  
10 lowest mode of buckling.

11 And so we think when you get that kind of  
12 situation what's needed next at minimum is a more  
13 refined approach to modeling. Just having two models  
14 that don't agree with each other and then hoping for  
15 the best we don't think is an adequate way to proceed.

16 I mean, the purpose of the Sandia study  
17 was to see what the effects of the degradation were,  
18 and what the Sandia study finds is that there has been  
19 a 43 percent reduction in safety factor for buckling  
20 the sand bed region under refueling conditions due to  
21 the degradation.

22 As I said, it found that 8.44 inches  
23 uniform thickness should be the -- is the number  
24 Sandia can justify as opposed to .736 inches, which  
25 both the applicant and GE want to adopt. And it has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 found that the safety factors for buckling under  
2 refueling conditions were -- actually they were  
3 predicted at 1.95 in the upper drywell, which I was  
4 kind of surprised that no one mentioned because that  
5 is less than required, a factor of two, and they're  
6 predicting 2.15 in the sand bed.

7 Now, the problem with this is I think, Dr.  
8 Wallis, the last time you mentioned the sensitivity  
9 analysis is going to be critical in this. You start  
10 to change the assumptions a little bit and the outcome  
11 could change a lot.

12 So what we have here is a model that's  
13 based on some assumptions that are conservative and  
14 some assumptions that are not conservative. If we  
15 start to think about what the uncertainties in this  
16 prediction, I think we see that there's an  
17 uncertainty. We know somewhere the factor of safety  
18 for the model actually or for the drywell overall has  
19 existed in 1992, which is what the Sandia study  
20 models, is somewhere on the order of two. It could be  
21 more than that; it could be less than that. We know  
22 it's on the order of two.

23 But I don't think that's enough to justify  
24 relicensing. What that shows you is that we don't  
25 really know whether it meets the code or not. We know

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that in fact what it shows you is we know there's a  
2 slim chance probabilistically that it doesn't meet the  
3 code.

4 The problem with the Sandia study or the  
5 lack of conservative assumptions are that actually  
6 there was some observed filling in the sand bed  
7 exterior measurements in October 2006, and in fact,  
8 I've looked back at the tables, comparing the tables  
9 presented by the applicant to you in the information  
10 package they sent and the tables of degradation. They  
11 degraded modeling in the Sandia study, and actually  
12 the two for Bay 1 don't reconcile.

13 The Bay 1 local region, Sandia used .705,  
14 but according to the applicant on page 612, Table 2,  
15 UT thickness measurements in '92, the thinnest measure  
16 in Bay 1 was .68. So already the Sandia model looks  
17 like it didn't take account of the thinnest  
18 measurement for '92.

19 Now, if we move on, look at the thinnest  
20 measurement for 2006. **It's actually .665. So already**  
21 **there's a problem here. The Sandia model doesn't**  
22 **predict what at the current state of the drywell is.**  
23 **It predicts what -- well, actually it predicts what**  
24 **Sandia thought it was, but what it doesn't look like**  
25 **it really was back in '92.**

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And the biggest one I've said before is  
2           that Sandia did not estimate the uncertainty of this  
3           prediction, didn't really do a lot of sensitivity.  
4           They did not move those degraded regions around to see  
5           how they would change it. They did not look at the  
6           uncertainty in the measurements themselves, and along  
7           the way you can point to various other assumptions  
8           which may not be conservative.

9           Now let's look. This is the applicant's  
10          claims basically, and so you can see that what's  
11          happened over time here. In 1969, if we look on the  
12          left-hand side at the small area thickness, this is  
13          what the applicant is running for single point  
14          measurements, and so originally I'm just taking the  
15          nominal, and then on a single point basis actually the  
16          applicant measured from the inside, .603, in 1992, but  
17          subsequently they've sought to correct that  
18          measurement, and I'll go into this in more detail  
19          later, but they're now saying that the thinnest  
20          measurement actually measured from the interior is  
21          .648.

22          And the thinnest measurement in 2006  
23          measured from the exterior was .602. So from the  
24          applicant's basis they say, well, you know, based on  
25          the GE study, .536, we'll figure that is acceptable.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 So that's fine.

2 The problem with that -- well, I'll go  
3 into the problem with that later.

4 The way you see is at minimum we see a  
5 dramatic reduction from 1969 to now, a huge reduction  
6 in the margin, and the same thing for the mean  
7 measured thicknesses. These are looking at the grids  
8 that the applicant has used, not the exterior  
9 measurements.

10 Again, taking the nominal 1969, it comes  
11 down to .8. As we've said, if .736 is acceptable,  
12 then you have a margin of .064. The question again is  
13 uncertainty. What is the uncertainty of those  
14 measurements? What's the uncertainty in the  
15 acceptance criteria? Is there a possibility that  
16 those two bars may overlap?

17 And, again, you see a dramatic reduction  
18 in margin from 1969. This is simply not the same  
19 plant that it was in 1969, and we see the same thing  
20 with the pressure. I mean, what has happened over  
21 time here is as the margins have gotten narrower and  
22 narrower and narrower, the conservatism in the  
23 analysis has gradually been eaten out of the analysis.  
24 We saw with the pressure initially there was a  
25 conservatism in the analysis. So the pressure was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going to be 66 psi.

2 Then because they didn't meet that, they  
3 took that conservatism out, and so at minimum even by  
4 the applicant's own admission, this plant has far  
5 narrower margins than it had in 1969. I mean, based  
6 on the modeling that we have actually it's our  
7 contention that we don't know if there's any margin at  
8 all right now, and the applicant certainly has not  
9 demonstrated an ability to maintain even the margin  
10 that they claim. So let's move forward in that.

11 I mean, I'm kind of attached to actually  
12 looking at the data. So I decided to have the data  
13 plotted out, and these are all based on the GE  
14 acceptance criteria of .736. So I'll sort of go  
15 through and then give some illustration if we change  
16 that to the .844 that Sandia is predicting.

17 So this is Bay 1, and I think that's  
18 interesting about this is that you see a pretty large  
19 area in the middle here that's got thinness to it, and  
20 then you see another area down here that's thin, too,  
21 a separate area. So there's another nonconservative  
22 part of the Sandia model. They have one degraded area  
23 and actually have it directly underneath the vent  
24 pipe.

25 Actually there are two -- I mean, look.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 These are the only numbers we have for this area or  
2 that we have in the 2006 numbers, but I actually  
3 haven't seen those. The only presentation of those  
4 that I've seen is the ones given in Table 2 in your  
5 packet. So this is the only drawing I'm able to  
6 create from this.

7 And what it shows me is that we don't know  
8 much about this area, but what we do know is there are  
9 probably two scenarios, the local in 736 and they are  
10 reasonably extensive, and they're probably not  
11 centered around the vent pipe.

12 And if we were to up the required amounts  
13 to .844, because remember the applicant's methodology  
14 for those acceptance criteria is to take the uniform  
15 thickness requirement and compare that to -- well,  
16 actually let me backtrack. The applicant has a  
17 strange approach to these numbers. Let me go on and  
18 show you something here.

19 The applicant, obviously, if it decided  
20 that each of these numbers represents an area, it  
21 would have a problem because what it's doing for the  
22 .25 square foot grids it compares them to the uniform  
23 thickness, and so it says, well, are my grids less  
24 than .736. If so, I have a problem.

25 The difficulty -- but then for these, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 applicant actually applies the individual measurement  
2 amount and says, well, for these individual  
3 measurements, are they less than .536 or whatever the  
4 figure is, .5-something.

5 Now, the problem with that is each of  
6 these measurements could well represent an area that's  
7 as big as or bigger than a quarter of a square foot.  
8 Indeed, the report, for one, they actually -- and I'll  
9 go through it -- actually tells you that the area  
10 represented by the point is bigger than a quarter of  
11 a square foot. So the applicant's approach to  
12 acceptance is completely inconsistent.

13 Sometimes they take the average of a  
14 quarter of square foot area and compare that to the  
15 uniform criteria, and sometimes they compare it to the  
16 individual point criteria, and sometimes they take the  
17 individual point which represents an area of over a  
18 quarter of a square foot, but then don't use the area  
19 account, the area acceptance criteria.

20 And I think earlier on you hit the nail on  
21 the head when you were asking about how do they come  
22 up with these areas that are thinner. As far as I can  
23 tell if the applicant measures on the edge of the grid  
24 a point that's less than .736 -- I'm talking about the  
25 results taken from the inside now -- if they measured

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that, they don't then move the grid over and take  
2 another grid and move the grid up and take another  
3 grid and try to map out the area that's thinner than  
4 .736. They just move on and then just average that  
5 out.

6 And conceptually we think that's a  
7 problem. They need to be measuring the areas.  
8 However you cut off though, where you set the  
9 criteria, which is obviously a matter of debate, but  
10 minimally you have to measure these areas and figure  
11 out how big they are, and then once you know how big  
12 they are, you can actually, you know, think about  
13 modeling.

14 For the moment we really have no idea how  
15 big they are.

16 Now, this is just Bay 5, and the reason I  
17 put this one up is to show you that if we compare Bay  
18 1 with Bay 5, Bay 5 is the bay with pretty much the  
19 least corrosion, and I think that I heard the  
20 applicant say they selected Bay 5 for the trench  
21 because it had the least corrosion.

22 And so it struck me as kind of strange  
23 that they dug down and measured the corrosion in the  
24 imbedded region in Bay 5 because you kind of  
25 anticipate that Bay 5 would have the least corrosion

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the imbedded region, at least in terms of the  
2 exterior imbedded region. But I'll come back to that  
3 when I do my imbedded region point.

4 So this is Bay 9. Again, if we up the  
5 criteria now to .844, you see that they have a large  
6 area over here, which is thin.

7 This is Bay 11. Actually if you up the  
8 criteria to .844, there are no measurements thicker  
9 than .844 in Bay 11.

10 This is Bay 13. It's interesting. Sandia  
11 said they weren't able to put an amount on this. I  
12 actually found an E-mail from the applicant that  
13 characterizes this area as 15 by 43, 15 inches by 43  
14 inches, and then as I said before, this is .7 in Bay  
15 13. If you go back to the original report, the report  
16 says that .7 represents an area of a quarter of a  
17 square foot. It says it's no more than that.

18 Of course, that was in 1992, and then  
19 these are the actual measurements in Bay 13, and what  
20 you see is that that's the .7 there. That came in as  
21 .618. So there's a quarter of a square foot area at  
22 least which is at a thickness of about .618.

23 Now, the applicant says, "Oh, that's okay  
24 because, you know, there's that 536 criterion, and the  
25 problem with that .536 criterion is there's actually

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what GE showed was that a uniform thickness of 736  
2 mils. This sand bed region exactly met the code.

3 What it actually showed when you go back  
4 and look at the reports is that if there's a degraded  
5 region that's thinner than .73, that's thinner than  
6 .736 inside that uniform sand bed region, it's about  
7 ten percent below the code.

8 So that GE report, even if it's right,  
9 doesn't really tell you that you can allow areas of  
10 more than one square foot to be thinner than .536. In  
11 fact, what the applicant has said if you turn to my  
12 letter, what the applicant has unequivocally said is  
13 the areas corrode at less than .736 inches could be  
14 contiguous provided their total area did not exceed  
15 one square foot.

16 Now, the problem I have with this is it is  
17 looking a lot like there's an area in the middle there  
18 that's exceeding one square foot. It seemed like they  
19 exceeded that in '92 as far as I can tell.

20 Now, I note what the response is. We  
21 selected these thinnest points. So those are biased  
22 towards the thin side. Well, yeah, that may be true,  
23 but we don't have any other points. We really don't  
24 have that much idea what's in between those points.  
25 We know it's rough. I mean I question whether, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 know these guys can really spot the thinnest. I think  
2 somebody else was questioning that, whether they can  
3 really spot the thinnest area.

4 What we do know is that this large area  
5 here which is thinner than .736, or even if .736 is  
6 right, which obviously Sandia doesn't think so, you  
7 still have a problem or the applicant still has a  
8 problem because they've said that it should be less  
9 than one square foot, and it simply isn't.

10 So now we tried to come up with some  
11 statistical approach. I mean the applicant's  
12 statistics, as we heard earlier, were shaky, and so we  
13 tried to help them out a little bit here by doing some  
14 statistics.

15 Dr. Hausler actually ran this little  
16 statistical analysis looking at extreme values. Very  
17 simple, a reduced area on the bottom in terms of  
18 ranking, and then the pit depth of the side, and so  
19 you know, what you find is we extrapolate out, is that  
20 there's obviously a chance they didn't find the finish  
21 point. If these are randomly selected, which they're  
22 not, if they were randomly selected, there's a 2.5  
23 percent chance that the mission would give a thickness  
24 less than .536, and at 99 percent certainty, the  
25 thickness of each point is .449.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Now, as I said, we know they're not  
2 randomly selected. I don't really know. We haven't  
3 figured out how to do the statistical treatment for  
4 non-random selected points, but somebody had better  
5 figure this out because there is a chance when you get  
6 these measurements that they miss the thinnest point  
7 and, therefore, there's a chance that they're already  
8 going below the acceptance criteria. You just can't  
9 take the point you happen to measure, and so that  
10 looks okay to me and so that's fine.

11           You really need to do some extreme values,  
12 and I think we talked about this before, and the other  
13 thing you really need to do is figure out what these  
14 challenges are. Now, you know, we had a discussion  
15 before about 95 percent. What's the basis of 95  
16 percent, and it's an issue we rate. If one in 20  
17 times you find your containment system isn't working  
18 the way you like, is that acceptable?

19           It doesn't sound like it to me, but you  
20 know, I don't really -- I haven't really gone through  
21 all of the analysis to figure it out, but what I'm  
22 hearing is nobody else has either, and that's what  
23 worries me or worries us as a group, is that nobody  
24 has really figured out what chance of this thing not  
25 working is acceptable.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   We know there is a chance it doesn't work.  
2                   The question is how high can that chance be. The  
3                   applicant appears to be saying five percent chance is  
4                   okay. I don't know if that's the NRC position. I  
5                   certainly haven't seen the NRC position, the staff  
6                   position anywhere specifically addressed, but I think  
7                   that's something we really need to look at in this  
8                   case.

9                   I want to get back to the errors. What  
10                  we've done here is actually just taken a very  
11                  simplistic -- just taken off that graph and I start if  
12                  you go back to the -- just come back. So here we are.  
13                  If you include those points, those higher points, then  
14                  I think the average comes out to just about exactly  
15                  736.

16                  So I said, well, let's just fiddle around  
17                  with it and carve that end off and see what we get  
18                  then and let's cut this end off and see what we get  
19                  then. And then we know that this point is around a  
20                  fourth of a square foot, and let's put that on the  
21                  graph, and that's what we've done here.

22                  So if your area, a quarter square foot,  
23                  you know is about .62 inches, it actually comes out to  
24                  about 2.5 square foot, that area that I indicated with  
25                  both sides cut off. That comes out to about .68

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 inches, 3.75 square foot, to around .71 inches, and  
2 then 4.4 each square foot, pick up 27 points.

3 So, again, you do have significant areas  
4 that are thinner than .736, and it seems to me that  
5 what the GE modeling -- even if the GE modeling is  
6 right, what it's showing is that if it was uniform  
7 with those indentations it wouldn't meet code case.

8 Now, we know its not uniform with those  
9 indentations, but we really -- you know, we haven't  
10 seen any modeling from the applicant on how to deal  
11 with that. We've seen a lot of hand waving, but no  
12 actual modeling, and the applicant has said,  
13 remember -- you know, the applicant has stated -- let  
14 me say it again -- areas corroded to less than .736 in  
15 thickness could be contiguous --= I'm quoting you from  
16 here -- could be contiguous provided the total area  
17 did not exceed one square foot.

18 Well, so it looks like what the applicant  
19 is saying is that if this graph is right, there's  
20 already a problem, and I just did a little look at the  
21 sensitivity of thinning. I think no surprise that  
22 thinning the area - -the area that's thinner at a  
23 certain point is actually in proportion to the square  
24 of the thickness or the square of the thinness if you  
25 want to look at it that way.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So, in other words, although the corrosion  
2 goes linearally, the area will increase with the  
3 square, and so what you end up with is a graph where  
4 here I've taken -- obviously the cell is .736 inches  
5 thick, then there's no area that's less than .736  
6 inches, and here I've taken the known points as the  
7 one that the applicant said was quarter of a square  
8 foot, applied a cone shape, and then extrapolated it  
9 if it was a cone shape just for that one point, that  
10 .7.

11           What you see is that, you know, no  
12 surprise, that the area goes up quite quickly with the  
13 error and that the measurement error, which here I've  
14 put in .02, which is the applicant's measurement  
15 error, the measurement error makes it a parallel  
16 difference to the -- well, let's put it this way.  
17 There's more -- the error in the measurement magnifies  
18 in terms of the area.

19           And so I think what that means is that  
20 certainly for the Sandia study you need to be careful  
21 about the sensitivity to the area, as well as the  
22 sensitivity to the placement.

23           So now I'm going to more formally look at  
24 these -- oh, before I finish up on that, I just want  
25 to turn your attention to Slide 101 of the applicant's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 where they plot out all of their results. What it  
2 really shows you is that at May 13 the thin area is  
3 not directly under the downcomer at all. The thin  
4 area that the applicant has documented is somewhere in  
5 the middle of Bay -- oh, this is actually Bay 19. In  
6 Bay 19, the thin area they're done is actually similar  
7 to Bay 17 and Bay 19.

8 And again, you know, there's a thin area  
9 there. That's not in the model. There's only two  
10 thin areas in the model. So, you know, the claim that  
11 this model is bounding I think is not. It just isn't  
12 justified. I don't understand any justification why  
13 the Sandia model would be bounding.

14 So moving on to the 2006 external results,  
15 they're presented in a rather opaque way. I haven't  
16 got a slide, but they're on the Table 2 in page 612 of  
17 your package. Basically it presents measurements from  
18 '92 and measurements from 2006, and I'll just show  
19 some statistics on those, but the problem is we don't  
20 know what points they were taking out. So it's very  
21 hard for us to do good statistics on those because  
22 they obscure by the data presentation where the points  
23 were.

24 What we do know is that the thinnest point  
25 measured decrease from .618 to .602. The largest

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rupture we can see from that table was .039 inches.  
2 I think the conclusion is that the shell is probably  
3 thinner than it was in 1992. Well, there's a couple  
4 of things we can conclude, but I'll go through those,  
5 and I just want to note the .02 inches of corrosion  
6 doesn't sound like a lot, but even if you accept the  
7 applicant's contention, which we don't, but even if  
8 you did, the margin is .6 -- .064.

9 Point, zero, two is a lot. It's a third  
10 of that. So here are some more detailed statistical  
11 treatment of the results that we have, which is not  
12 that many, and what I want to point out here is that  
13 in Bay 1 the number of areas thinner than .736  
14 increases by one, but which is consistent with the  
15 idea there is thinning going on in Bay 1 because if  
16 the thinning occurred, then an extra point could have  
17 dropped below .736 in the intervening period.

18 Even though an extra point appears to come  
19 into the analysis, the mean still drops by five mils.

20 Now, moving on to Bay 13, strangely the  
21 applicant reported nine points that were less than  
22 .736 in 1992 but is now reporting only six points.  
23 So, again, we seem to have some magic metal going on  
24 under here or something is going on because either  
25 they can't find these points or something strange is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going on. I really don't know what it is.

2 DR. WALLIS: Let me try to explain. These  
3 green things indicate a number of measurements in that  
4 range.

5 MR. WEBSTER: That's right, a histogram of  
6 the measurements..

7 DR. WALLIS: And the scale is such that  
8 there are -- it seems you should change the scale.

9 MR. WEBSTER: Yeah, the scales don't match  
10 up, yes.

11 DR. WALLIS: The scales change.

12 MR. WEBSTER: My apologies for that.

13 DR. WALLIS: So I assume that on the left  
14 there's the smallest square is one reading.

15 MR. WEBSTER: So, right, I think that's  
16 one reading.

17 DR. WALLIS: And then one reading and  
18 then the next one over is a skinnier thing. It's a  
19 smaller -- yeah, okay, but the smallest thing we see  
20 is one reading. Okay.

21 MR. WEBSTER: Yeah, there. That's the --

22 DR. WALLIS: So it's one, one, two and  
23 two.

24 MR. WEBSTER: Right, right. And then the  
25 mean, the only results that I have or that we have as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a group are the ones the applicant reported, which are  
2 the ones that were less than .736. There are other  
3 measurements, but I haven't seen any data presented on  
4 those. So I can't comment on those, but this is what  
5 we have to analyze and so I know it's an imperfect  
6 job, and I apologize for that, but that's the best we  
7 can do, and we were rather hoping the applicant might  
8 do a better job, but it seems like they decided not  
9 to.

10 So what you say for Bay 13 is that there's  
11 around 20 mils of thinning. Now, whether that's  
12 statistically significant is a question because  
13 there's a lot of variation. These results, obviously,  
14 you'd have to match up the points to determine whether  
15 it's statistically significant.

16 But at least what it means is that you're  
17 shifting the center of the distribution around your  
18 uncertainty. Let's put it that way.

19 So there's an apparent thinning observed,  
20 and I think the applicant tried to deal with this by  
21 saying that the two measurement techniques are  
22 different. So they're not directly compared.

23 But you normally expect the applicant to  
24 have employed a measurement technique which didn't  
25 have a systematic error. I mean we already castigated

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the applicant for using the 1996 results which it did  
2 turn out did have a systematic error. So it would be  
3 very surprising if it turned out to be '92 results  
4 taken on the exterior of the dry well also contained  
5 a systematic error.

6 Normally you would expect a more up to  
7 date technique would have smaller random error, but  
8 you'd still be around the same actual physical, you  
9 know, measurement. It's only if there's a systematic  
10 error that it would make the two non-comparable.

11 And so the applicant appeared to say that  
12 on this slide -- or maybe I'm misinterpreting -- what  
13 he appeared to say was that there was such a  
14 systematic error due to the curvature of the drywell.

15 Now, I didn't quite understand the slide  
16 because the drywell is concave and there are convex  
17 bits in it, and the probes seem to be pretty small.  
18 So it's kind of hard to see how that's going to be  
19 able to give you two mils, but it's possible, but even  
20 if that's true, I think that's a serious concern. If  
21 what we had here is an applicant that relied on  
22 measurements that it knew had a systematic error, I  
23 think there's a problem there.

24 I think it more likely -- I mean, there's  
25 two other possibilities. None of them are very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 palatable. I mean, I think this is why the applicant  
2 decided not to discuss this issue. The other  
3 possibility is there's external corrosion occurring  
4 despite all of the preventive measures take. Now,  
5 because all of the coating came in as satisfactory,  
6 that would mean that the corrosion could occur when  
7 the coating is visually intact. So that would be an  
8 unpalatable finding.

9           The other possibility is that the internal  
10 corrosion, and you know, we have water inside the  
11 drywells identified as normal operating commission in  
12 2006. So that's certainly seems to be a possibility.

13           And I was thinking about this actually  
14 while we're presenting. You know, you have an  
15 interesting situation. It seems like the grids  
16 measure from the inside and not really showing  
17 significant change. But the points from the outside  
18 are showing some change, and I think what that tells  
19 you is that once of the potential explanations is  
20 corrosion from the inside. You wouldn't get the  
21 corrosion on the inside where the concrete curve isn't  
22 there, which is where the interior measurements are  
23 taken, but you might get it where you're below that  
24 curve.

25           And so the way to explain -- I think the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 most logical way to explain the difference is to say  
2 it's the most likely answer is that corrosion on the  
3 inside is occurring, but I mean, that's by no means a  
4 certain conclusion, but you have to pick one of these  
5 three unpalatable explanations.

6           So I think I previewed this before, why  
7 there's no margin left. The problem is even for the  
8 points that represent an area of over a quarter of a  
9 square foot, the applicants only applied the point  
10 acceptance criteria. The .536 doesn't really work as  
11 an explanation because you're getting below code in  
12 that particular situation.

13           So the .736 if the model is right, you  
14 know, you might be able to justify that, but the  
15 problem is that you've got areas that are up to four  
16 square foot that are thinner or were thinner than the  
17 .736 even in '92, and since then those areas have  
18 probably expanded either because there was a  
19 systematic measurement error in '92 or because there's  
20 corrosion somewhere.

21           Now, the margin failure has obviously  
22 increased a little bit by around .02 inches, and so  
23 you know, at best it's the worst quarter of a square  
24 foot is now around .6 inches thick, and obviously if  
25 you adjust the criterion to 844 mils, then what you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 find is that four of the 12 grids measured from the  
2 interior fail significantly and that margin is  
3 insignificant for two others.

4 And the big problem with Sandia are right  
5 in terms of the uniform thicknesses, but the applicant  
6 doesn't have any way to know when it takes the  
7 measurements what's acceptable. The acceptance  
8 criteria are all hooked around the GE model. So the  
9 GE modeling -- Sandia are right in the GE modeling  
10 used an overly optimistic factor. Then the applicant  
11 has no way. I mean, you saw all of the graphs that  
12 the applicant presented all had these lines for .736.  
13 You know, on the lines they show would all have  
14 negative margin.

15 So I think we know what the operator  
16 approach to the margin was. I mean, the interesting  
17 thing is when they took the external measurements in  
18 '92, they actually took account of those measurements  
19 and said that they assessed that the entire bay of Bay  
20 13 had a average thickness around .8.

21 It's interesting now that we see now  
22 assessment of the overall thickness even though the  
23 measurements on the inside came in thinner, and you  
24 know, the NRC really got this right in the past. They  
25 were saying that in order to consider the corroded

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 areas' discontinuity, the extent of the reduction in  
2 thickness due to corrosion shall be known, and that's  
3 really what you were saying. You don't need to just  
4 track the minimum thickness here. You also have to  
5 track the extent of the thinning, and then if you're  
6 going to justify safety or that it meets the code, you  
7 really need to do an even more realistic model. It  
8 takes the extents of the thinning, you know, which is  
9 basically what stress consultants told us back some  
10 time ago when we hired them, is that until you have  
11 measurements that tell you both the thicknesses and  
12 the extent, and actually they said, you know, this  
13 capacity reduction factor is a big sort of fudge  
14 factor in the analysis. So you're much better off  
15 measuring the shape of the vessel.

16           If you do that and then run a finite model  
17 with realistic numbers, then you know, maybe there's  
18 margin there, but we're not going to know, and even if  
19 you run an analysis and you do find margin, the next  
20 thing to do is then reduce the numbers on a  
21 generalized basis by some amount to try to come up  
22 with an allowance for corrosion to the next outage.

23           I mean, it's not good to show that as of  
24 today this drywell meets the code. You want to say  
25 even if we assume a reasonable worst case corrosion

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rate, and we assume that they're not going to look at  
2 it for another two years or four years or however long  
3 they're going to look at it for, and it's still going  
4 to meet margin during that period.

5 And actually Sandia, to be fair, did add  
6 in that kind of margin for the upper areas, but not  
7 for the sand bed.

8 So, you know, I guess I'm flogging a dead  
9 horse here, but corrosion made one, nine, 11, and 13  
10 is widespread, and there are many points that are  
11 capable. Full grids show, in Bays 11, 17 and 19, show  
12 an average thinner than 844. In Bay 13, the best  
13 estimate of the area with an average thickness,  
14 thinner than .736, is around four square foot. The  
15 area thinner than .736 is probably expanded since  
16 1992, and there's a high degree of uncertainty about  
17 the nature of the corroded surface. What I mean is  
18 the physical nature. How thick is it and what are the  
19 extents of the thin areas?

20 So even if the margin is .04, which is  
21 what you logically get from original plain thickness  
22 of .064 minus .02, the operator can't maintain that  
23 margin.

24 We don't have a worst case interior  
25 corrosion rate. The worst case exterior sand bed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 corrosion rate was .04 inches per year, and we know  
2 that the individual measurements have at least .02  
3 inches random error. Some additional location error  
4 and probe rotation error, all those kind of things,  
5 and then there's possible additional systematic error  
6 which hasn't been well controlled for. I have to say  
7 that before I got involved with this case, I would  
8 have liked to have imagined that people who ran  
9 nuclear power plants, you know, routinely control for  
10 systematic error in critical measurements. I guess  
11 I've been disabused of that notion, but I think it's  
12 something they should start doing.

13           So the sum total of that is if you have a  
14 corrosion rate of -- if you combined interior-exterior  
15 corrosion rate of .04 inches a year, then you could  
16 run through your margin in a year. So I don't quite  
17 understand how the applicant -- you know, I've never  
18 understood this. How do they come up with inspection?  
19 If the coating fails and the commissions are wet, then  
20 they can start to see corrosion happening quite  
21 quickly, and the problem is that as we pointed out  
22 before, the measures to analyze whether it's wet and  
23 whether the coating fails are not very good. The  
24 coating failure inspection is once every ten year. So  
25 there's ten years there where, you know, you could

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fail and you wouldn't know that.

2 The water commitments likewise are  
3 unsatisfactory. We're talking about looking at the  
4 drains. It turns out in August of last year, the  
5 applicant tried to implement the commitment it had to  
6 check the drains and still failed to properly note  
7 what the content of the bottles was. They had to  
8 check it again to find out that really there was  
9 nothing in those bottles.

10 So we haven't seen an applicant that is  
11 particularly adept at implementing these commitments,  
12 and as I say, we've highlighted in our letter another  
13 possible problem of another commitment in the torus  
14 region. So we think it's a highly -- well, it's  
15 dangerous to just rely on a single commitment like  
16 whether somebody goes down there and looks for water.  
17 They haven't done it in the past, and it would be much  
18 better to have logging instruments that actually check  
19 for water.

20 According to our expert such instruments  
21 exist. We've seen no contrary claims that they don't  
22 exist or that they couldn't work down there. So it's  
23 hard for us to understand why they wouldn't want to do  
24 that.

25 Likewise the source of the water, we know

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that. It's hard for us to understand why the  
2 applicant hasn't looked to carry off the source of the  
3 water. It seems to me an obvious idea.

4 Now, just to reinforce the point about  
5 accuracy, here's an E-mail that we found. You know,  
6 I have a hard time fully interpreting this language.  
7 I guess I'll just read it. It says the equipment used  
8 in the past to perform, quote, randomly selected  
9 locations did not function worth a shit or it didn't  
10 perform to expectation, but it says because the  
11 locations were not stamped or date match marked. It  
12 wouldn't be possible to provide accurate follow-up  
13 inspections, and it ends by saying if you wanted to  
14 perform baseline inspections now. This was on October  
15 10th, 2006, Mr. Ryan to Mr. Polaski.

16 Now, I fully understand which occasions  
17 they're talking about missing now, but what I do know  
18 is that it tends to indicate to me that the random  
19 error and even this systematic error may be somewhat  
20 higher which the application is missing a little.

21 Okay. Let's move on to the imbedded  
22 region. Now, what we know is is, as we said, the  
23 floor -- I think we went over this the last time. The  
24 floor had serious problems when they removed the sand.  
25 I guess we'll never really know whether the floor

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 actually was constructed that way or whether it became  
2 that way due to corrosion.

3           What we do know is that with this plant we  
4 keep seeing repeatedly problems where the plant wasn't  
5 constructed according to specification. There's this  
6 problem, and apparently actually the stainless steel  
7 liner of the pool, the cavity pool was likewise  
8 thinner than it was supposed to be which is maybe one  
9 of the reasons why it has such extensive cracking, and  
10 likewise apparently the construction of the spent fuel  
11 pool floor was supposed to be keyed in with L-shaped  
12 rebar for the walls and wasn't. Where they had looked  
13 at that it wasn't found that way.

14           So it is at least plausible or at least  
15 possible that, indeed, it was constructed improperly,  
16 but I don't think that's a particularly comforting  
17 explanation because it just gives rise to the question  
18 of what else was not constructed improperly. Well,  
19 what else was constructed improperly?

20           And it certainly means that you can't look  
21 at these drawings and just say, oh, well, this is what  
22 the drawings say. So it must be okay. In this case  
23 it's really a question of trust, not verify.

24           So as we know, that floor was repaired  
25 with epoxy in '92. Now, what we know is that we know

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 there's a document from AmerGen that says that since  
2 1996 inspections have found indications that epoxy is  
3 separating from the concrete, and the separate seams  
4 could potentially louse up water to get under the  
5 epoxy coating repair.

6 So I have a couple of questions about  
7 that. One is, well, you know, you'd think if it was  
8 important to stop water going down into the imbedded  
9 region that you might want to repair the floor when  
10 the inspections show that it's cracked.

11 Apparently that wasn't done. The next  
12 part of the document says that the separation could be  
13 caused by concrete swelling. Well, that's an  
14 interesting notation. I mean there's obviously  
15 something causing this cracking. If the concrete is  
16 swelling, I mean, you'd rather like to know about it.  
17 There must be something causing the concrete to swell.

18 Again, I don't know. I'm just quoting  
19 these documents, but I think it's something that if I  
20 was the applicant I might want to look into. We  
21 actually now know the bottom of the drywell is below  
22 the groundwater table which came up last time. Again,  
23 this is an AmerGen assessment.

24 And now in terms of what can you do to  
25 have a look at this region, which was a question that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 came up last time, apparently at Dresden they drilled  
2 holes in the concrete floor to take UT measurements,  
3 and in the SER the staff said that you could get a  
4 semi-quantitative assessment of this region using  
5 guided way technology and then kind of using the sort  
6 of logic which seems to pertain in these kind of  
7 documents, they say, well, since this wouldn't be a  
8 precisely quantitative estimate, it's hardly worth  
9 doing at all.

10 Now, I suggest to you that where a precise  
11 estimate is hard to make, it's at least a good idea to  
12 make a semi-quantitative estimate. If that semi-  
13 quantitative estimate comes up as a problem, then you  
14 can move on and try to figure out how to do a more  
15 quantitative estimate.

16 So the justification in the SER for not  
17 using guided way technology I don't think is logical.  
18 So I don't know if any of the NRC staff members want  
19 to address why they decided that was a bad idea.

20 So the imbedded region measurements, I  
21 said they were taken in Bay 5, and if you look at it,  
22 Bay 5 was actually the bay with the least corrosion.  
23 If you turn to Slide 54 of the AmerGen presentation  
24 you see that actually, I mean, kind of surprisingly,  
25 given the protestations of the consultant regarding

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the noncorrosive qualities of the water, what you find  
2 is that the corrosion in the san bed region in Bay 5  
3 is not that different than the corrosion in the  
4 imbedded region.

5           There seems to be some confusion about why  
6 was Bay 5 selected. I suspect Bay 5 was selected  
7 because it had the most water in it from the inside.  
8 The problem is it's not the bounding. We don't really  
9 know much about what water is in the other bay. So I  
10 think the idea of bounding on the inside is probably  
11 not right. It seems to be rouse than Bay 17, but  
12 that's as much as you can say, but from the outside,  
13 Bay 5 is clearly the best bay.

14           So if you're trying to look for imbedded  
15 region corrosion, Bay 5 is absolutely the wrong place  
16 to look, and looking at this table you see that. I  
17 suggest, you know, Bay 1, Bay 13, Bay 11. All of  
18 those have serious corrosion in the san bed. Those  
19 are the regions you would want to look at.

20           We do know and the one thing we are  
21 showing is that corrosion is occurring, and if you  
22 look at the grid, I mean, it's hard to say how much  
23 because the nominal is 1.154. You can see in the  
24 grid above people give Slide 54. They make it 1.185.  
25 so it's hard to say exactly how much it is, but it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 seems to be something, and I haven't really had time  
2 to consult with my expert and trying to figure out  
3 exactly how much and what significance that has, but  
4 certainly these are issues that have to be fixed, have  
5 to be resolved before this thing can move ahead.

6 I mean, it's kind of amazing to me that  
7 we're in this position, that we're still debating  
8 these fundamental things at this very late hour and  
9 even when the staff -- I don't know how. This will be  
10 a mystery to me -- I don't know how the staff has  
11 signed off on this on the basis of this one  
12 measurement because this one measurement is absolutely  
13 not bounding.

14 Probably the best -- if you were trying to  
15 find a measurement that might come out good, this  
16 would be the one for you.

17 Conclusion. I mean, the basic  
18 conclusions, there's a significant probability that  
19 there's no margin in the sand bed region. We really  
20 don't know what the margin is in the imbedded region.  
21 Even if the margin is .04, which is pretty much what  
22 you end up concluding is the best case, it's too small  
23 to maintain the uncertainty in the measurements in the  
24 corrosion rates.

25 And here we should err on the side of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 caution. Where does all of this uncertainty come  
2 from? All of this uncertainty has come from the  
3 applicant's inability to maintain a reasonable program  
4 both in time and space measuring the thickness of this  
5 vessel. You know, it was up to the applicant to make  
6 the case. They had to figure this stuff out and take  
7 enough measurements so that then uncertainties would  
8 be small enough so that they could convince you that  
9 they could have margin and they could maintain it.

10 So far I don't think they've done that.  
11 I worked for one of you, and I don't think you've done  
12 that. I'd like to ask or field questions now.

13 CHAIRMAN MAYNARD: Does anybody have any  
14 questions for Mr. Webster?

15 DR. WALLIS: I'm wondering who should  
16 respond to Mr. Webster. I mean, he has made a lot of  
17 assertions, a lot of statements about what the staff  
18 or AmerGen has done. I'm sure that we are the  
19 appropriate people to respond to all of those  
20 statements he has made.

21 CHAIRMAN MAYNARD: Okay. We're here to  
22 gather information, not to answer questions.

23 DR. WALLIS: That's right.

24 CHAIRMAN MAYNARD: Mr. Webster or Mr.  
25 Gunter's avenue to get questions answered would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 actually be through the NRC, through the staff, and  
2 again, that's not ours to answer questions. I think  
3 if they have specific questions, it's through the  
4 staff because the licensee also does not have to  
5 answer in this part of the regulatory process to them.

6 So their questions would be directed to  
7 the staff to answer. What is important is for us to  
8 get this information and for us to factor this in with  
9 all the other information that we have in our overall  
10 deliberations.

11 DR. WALLIS: Some of our deliberations  
12 could be based on the staff's replies to Mr. Webster.  
13 I mean, is the staff going to reply in some way to  
14 this or just leave it the way it is.

15 MS. LUND: I guess my question would be  
16 whether this is going to be submitted to us for  
17 answers. I mean, it's similar to what has happened in  
18 the past. We have a process for people to send, you  
19 know, comments and also letters and we respond to  
20 those all the time. So, I mean, I guess that would be  
21 my question, is whether it would be put into the  
22 process that we normally use to respond to questions.

23 MR. WEBSTER: Can I just make a couple of  
24 remarks?

25 One is that actually after the last ACRS

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 meeting I made a specific query to the staff about a  
2 particular issue and subsequently after the end of the  
3 meeting I made a similar query to another member of  
4 staff, and so far have no response from those queries.  
5 So my ability to get answers from the staff is  
6 somewhat limited.

7           Second of all, we have a transcript here.  
8 I'd be more than happy to send the staff a transcript,  
9 but I think you get a transcript already. So if you  
10 could regard the transcript as a submission of those  
11 questions, I'd be obliged.

12           DR. WALLIS: Maybe you should itemize your  
13 questions. You have a question about what's the  
14 appropriate area to use for the thinned region when  
15 making a --

16           MR. WEBSTER: Well, that is actually the  
17 question I had asked.

18           DR. WALLIS: -- defined element study, and  
19 this seems to be a very straightforward, technical  
20 question, and if you're maintaining that the area  
21 should be bigger than was used by somebody, then that  
22 would seem to be a technical question that could be  
23 answered. I don't think it's something that we can  
24 answer.

25           MR. WEBSTER: That is the very question

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that I asked actually, is (a) what is the staff's  
2 assessment of the current area that was thinner than  
3 .736. What is the basis of that assessment and what  
4 is the uncertainty of that assessment?

5 I'm still awaiting an answer to that  
6 question. I think that has been about three months  
7 I've been waiting for that answer.

8 MS. LUND: Yes, I think we'll take a look  
9 at the transcript and reply to that. We'll do what we  
10 do, send the answers similar to what we did I think it  
11 was for Palisades, send the response back.

12 DR. WALLIS: How long will that take?

13 MS. LUND: I guess I'd have to look at the  
14 number of questions and see, you know, how soon we can  
15 get responses from the technical staff.

16 DR. WALLIS: Quite an awful lot of  
17 questions.

18 MS. LUND: I guess that's my point, is  
19 that, you know, we need to look at the amount of  
20 questions from the transcript and also see how --

21 CHAIRMAN MAYNARD: And, you know, you'll  
22 have to take a look at the process and the right  
23 process. I think that by the time the transcript gets  
24 issued and we go through it, it may take longer than  
25 what time is available. I'll leave that up to you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 guys to address on how you submit or how you get the  
2 answers here.

3 As far as for the members, we do have  
4 access to the data. We have access to a lot of the  
5 information that he has shown bits and pieces of. I  
6 think part of our job is to take a look at that and  
7 take a look at the other data that we've got and see  
8 what conclusions that we may draw from that, too.

9 MR. SIEBER: One of the things we don't  
10 have is the slides from this section, or do we?

11 CHAIRMAN MAYNARD: We do have the slides,  
12 yes.

13 MR. SIEBER: Okay.

14 CHAIRMAN MAYNARD: We do have that.

15 DR. WALLIS: Mr. Chairman, we're supposed  
16 to analyze this. How much time do we have?

17 MR. WEBSTER: Well, there's also the  
18 letter that I sent as well, to add to your burden.  
19 I'm sorry about that.

20 MR. SIEBER: Two weeks.

21 CHAIRMAN MAYNARD: Yes, this is currently  
22 scheduled for the February full committee meeting.  
23 Also I believe that part of it is our obligation, too,  
24 that having taking input from Mr. Webster, we've heard  
25 from the licensee. We've heard from the staff. We've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 got a lot of information. If we need more information  
2 from the staff or somebody --

3 MR. SIEBER: Good luck.

4 CHAIRMAN MAYNARD: -- we should be able to  
5 question that.

6 DR. WALLIS: Well, we have other items to  
7 consider for the next meeting, too which require due  
8 consideration.

9 MS. LUND: And also we were just  
10 mentioning that the staff -- I was just asking the  
11 rest of the staff -- we don't have a copy of the  
12 letter that he's speaking to. I think he gave it to  
13 the ACRS members, but not to us.

14 MR. WEBSTER: I can certainly provide you  
15 with a copy. You know, I remind you last time there  
16 were serious questions outstanding and it was  
17 postponed from the full committee meeting. I think  
18 that's another cause for action from the members here.

19 CHAIRMAN MAYNARD: Okay. Are there any  
20 other questions for Mr. Webster or Mr. Gunter?

21 Okay. What I'd like to do right now is to  
22 exercise my privilege as Chairman. We're going to  
23 take a short, ten minute break, and then we'll come  
24 back and we'll have a round table discussion. I'll go  
25 around and ask the members for any thoughts.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           One of the things we need to be  
2 identifying is what specific information may be needed  
3 in the full committee presentation so that we can  
4 provide guidance to the staff and licensee on things  
5 that we want to specifically have in that.

6           We will not have as much time, and so we  
7 will need to focus on key areas.

8           So with that, let's take a ten minute  
9 break. Actually we'll come back at five o'clock and  
10 we'll do our round table discussion. That's closer to  
11 12 minutes.

12           (Whereupon, the foregoing matter went off  
13 the record at 4:49 p.m. and went back on  
14 the record at 5:04 p.m.)

15           CHAIRMAN MAYNARD: All right. I'd like to  
16 bring the meeting back into session.

17           I'd like to just start briefly by saying  
18 I appreciate everyone's participation. We've had a  
19 lot of discussion today, had input from the licensee,  
20 had it from the NRC staff, had it from members of the  
21 public, and that's something for us to all take into  
22 account, think about.

23           We'll have another meeting on this subject  
24 at our full committee meeting, and so we'll have some  
25 time to look over this and maybe -- I don't know --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 generate more questions of our own and we'll see where  
2 things go.

3           What I'd like to do now is to go around  
4 the table, get any thoughts that the members have and,  
5 again, one of the things is if there's any specific  
6 areas that they think we need to cover in the full  
7 committee meeting specifically, like the one that we  
8 talked about, we need to identify that so that the  
9 staff and the licensee can be prepared to address  
10 that.

11           So I'd like to start with Mario and just  
12 what comments you may have or discussion items.

13           DR. BONACA: My first comment is that we  
14 have a large amount of data. I certainly would want  
15 to review them before the full meeting just to digest  
16 some of the information

17           A couple of general comments I have. One,  
18 clearly we have been presented with an assertion that  
19 the corrosion has been stopped and then that the  
20 drywell, therefore, can operate until 2029. I have  
21 to reflect more about the inspections of the  
22 monitoring program that they're proposing, whether or  
23 not I think it's adequate.

24           At first glance I think that I would like  
25 to see certainly a more aggressive inspection program

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the short term, and I'm not sure about looking at  
2 it now and then in ten years doing inspections again.

3 So, I mean, the monitoring program is  
4 something I'll pay attention to, and I would like to  
5 see discussed definitely at the full committee  
6 meeting.

7 I have raised a number of times the issue  
8 of controlling sources of water. I mean, they may  
9 have done as much as they can to do that, but still  
10 during the refueling they have one gpm, water that  
11 comes down and will go down to the trough, and I'm  
12 sure of that.

13 But the question is have we done enough to  
14 control sources of water to assure that there is no  
15 further accumulation.

16 The other thing that, you know, is more  
17 like the issue of how the epoxy is doing, I mean, is  
18 there any corrosion taking place behind the epoxy? I  
19 don't know if the UT they're planning to do is going  
20 to tell us or is sufficient. I mean, maybe there  
21 should be some poking in some location to see if there  
22 is some weakness behind that.

23 But any, my attention is more focused on  
24 these programs that will give us some more comfort  
25 regarding the condition of the drywell and the ability

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to go for additional 20 years.

2 Those are my comments.

3 CHAIRMAN MAYNARD: All right. Bill.

4 MR. SHACK: Well, the surprise for me  
5 today was the notion that we have water in the  
6 imbedded region. That concerns me a little bit. I  
7 mean, I fully agree with the argument that it's a  
8 fairly benign environment and the corrosion rates are  
9 low, and in a containment that didn't have the already  
10 substantial corrosion that this one does, I would sort  
11 of agree that its probably not a problem.

12 But this is a containment where there  
13 isn't a whole lot of margin, and you know, the  
14 estimate was you had 41 mils lost and that was less  
15 than one mil per year. Well, I do the arithmetic and  
16 I get more like tow mils per year, and you do have  
17 data on these 106 points.

18 Many of them are down in the region where  
19 you are looking through the thing at the imbedded  
20 region, and I think there's some data there that one  
21 could look at to try to really see just what you  
22 think the corrosion rates are in that imbedded area  
23 and understand that a little better.

24 I'm fairly comfortable with the notion  
25 that if the epoxy coating is in good condition, that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the corrosion on the OD is arrested, and that the  
2 visual examination is a good thing there. I'm a  
3 little less convinced with the small margins that we  
4 have that the corrosion in the imbedded region is as  
5 negligible.

6 Again, the buckling analysis, again, I  
7 think that we have to settle on both the legalistic  
8 requirements of who's analysis that you can accept,  
9 but it seems to me that perhaps it is time to take a  
10 more realistic -- you know, you haven't got enough  
11 margin to do the uniform thinning model anymore.

12 The Sandia one does seem to indicate that  
13 you have enough left. It makes it more difficult to  
14 assess just how much margin you have because it's  
15 difficult, but again, I'd like to hear more discussion  
16 over the kind of credit that should be given. Since  
17 there is no internal pressure, you know, whether the  
18 circumferential tension really does give you credit  
19 that you can account for, whether it's already built  
20 into the IGAN value analysis that you get out of the  
21 finite element model. I'm not 100 percent convinced  
22 that I'm not double counting here. You know, some  
23 more discussion of that would be helpful to me.

24 DR. BONACA: Yes, I had another comment I  
25 forgot to mention which was one of the assumed thinner

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 areas of one square foot. It would have been  
2 interesting to know how large an area you could  
3 tolerate, but that's a question I believe Sam raised,  
4 and I'm behind that.

5 CHAIRMAN MAYNARD: Okay. Dr. Wallis.

6 DR. WALLIS: Well, I think we got a lot  
7 more information than we got last time. I think that  
8 a lot of people made considerable effort to present  
9 things professionally.

10 The question for me is this buckling  
11 analysis and how good does it have to be. We got  
12 close enough to it could be a condition where you  
13 wouldn't accept the results. Do we have to -- I have  
14 to look at these things again in some detail to see  
15 whether I'm satisfied or whether I want to maybe even  
16 ask for some more analysis.

17 I think the buckling analysis is the most  
18 important issue here, and I'm not really sure whether  
19 it's adequate or not yet.

20 CHAIRMAN MAYNARD: Sam.

21 MR. ARMIJO: Okay. I was impressed, and  
22 I'd like to thank AmerGen and everybody who put this  
23 package together. It was exactly what we asked for.  
24 As far as the information, it was well presented, easy  
25 to read and that was very good.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 I think the issue, first of all, from the  
2 2006 inspection, I was impressed with the condition of  
3 the epoxy. It has been on there for 16 years, and I  
4 really was surprised what good shape it was in.

5 I think the issue of the UT measurements  
6 and all of that controversy could be sorted out by  
7 having a set of data, a curve, an analysis that shows  
8 as a function of area, affected area, percent of the  
9 sand bed region or some parameter that's area that  
10 goes from zero to 100 percent and the 100 percent  
11 thinning represents the general thinning issue, and at  
12 some point there will be a thickness that's acceptable  
13 at five percent of the area or square foot, you know,  
14 some parameters.

15 Because if it's one square foot, it could  
16 be paper thin. If it's four square feet it can be  
17 .256 square feet, et cetera. So some parametric  
18 analysis, I think that needs to be done.

19 DR. WALLIS: You're asking for more and  
20 more and more --

21 MR. ARMIJO: Yeah, I don't know if that's  
22 legal.

23 DR. WALLIS: -- buckling analysis, which  
24 I'm sort of tempted to do, too, but that's a lot more  
25 work for somebody.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ARMIJO: Well, I don't know, but I  
2 think it needs to sort it out because we know it's a  
3 variable shell. There's a lot of variability, and so  
4 somewhere we're going to have to use the data. The  
5 licensee is going to have to use the data to describe  
6 that shell in a way that it can be analyzed and that  
7 we can accept, if we can.

8 I think the GE analysis, there's  
9 controversy about their capacity factor reduction. I  
10 think that should be reassessed by the licensee,  
11 whether it's still valid. They still believe that  
12 that's their submission. That's what they're going to  
13 stake their claim on.

14 My suspicion is that they haven't taken  
15 full credit for the conservatisms that they do have  
16 and that if there is a reanalysis or an update of that  
17 analysis, they should use the measured data, all the  
18 date, not just some arbitrary .736, but all the shell  
19 because that thing will not buckle if half of the  
20 shell is at .8 and the other half is at .95. I mean,  
21 you've got to use the entire thing.

22 And so I think there's some analysis that  
23 needs to be done. I'm not sure whether we need  
24 anymore data.

25 The last thing is I don't like to se

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 anymore water in or around that containment that isn't  
2 there on purpose, and I would never cover up that  
3 trench personally. I'd monitor that. I don't know  
4 where that water is coming from. I think you've got  
5 to find it out and make that problem, that issue  
6 disappear.

7           And I share with Mario the concern that I  
8 don't know why AmerGen wants to continue living with  
9 a potential of having a leakage occur from that cavity  
10 liner. I would think that there ought to be a  
11 rethinking about fixing that, finding some practical  
12 way to repair that so that leakage just stops.

13           To me that would be fix the source and  
14 then you don't have to worry about the containment.  
15 Those are the kinds of things that are bothering me.  
16 So I'd like those issue raised, really, the status of  
17 the GE thing, the issue of acceptable thickness versus  
18 affected area, some sort of a presentation like that.

19           CHAIRMAN MAYNARD: Okay. Some of this,  
20 the analysis that you would like to see would not be  
21 possible or practical to reanalyze before our meeting.  
22 I think the may thing we probably need to do and maybe  
23 they can -- I don't know -- but they need to address  
24 these issues at the next meeting.

25           MR. ARMIJO: Right, and maybe they can't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analyze it, but I just think that's what needs to be  
2 done.

3 CHAIRMAN MAYNARD: Okay. Said.

4 DR. ABDEL-KHALIK: I agree with all the  
5 comments made by my colleagues. I would like to  
6 reiterate that my primary concern pertains to the  
7 analysis of record submitted by the applicant and  
8 whether it conforms to ASME code requirements  
9 specifically as it relates to the modification of the  
10 capacity reduction factors and the buckling analysis  
11 of the refueling case.

12 I'd like to point out that GE pie section,  
13 36 degree analysis, Mode 1 buckling result corresponds  
14 to a Mode 10 buckling result for a 360 degree  
15 calculation, and therefore, one cannot expect that  
16 result to adequately model the entire behavior of the  
17 shell specifically if the lower modes are much more  
18 limiting than the higher modes.

19 Again, like my colleagues, I was sort of  
20 surprised about the discovery of water between the  
21 concrete floor inside the drywell and the inside  
22 surface of the drywell, and I agree with Sam that I  
23 think it would be a good idea not to cover that trench  
24 and just make sure we monitor that and find out where  
25 that water is from and how much of it is there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ARMIJO: I wanted to add one thing.  
2 I'm not so worried about the imbedded region and  
3 perhaps the licensee wants to think about a simple  
4 analysis of the potential for buckling when you have  
5 a highly constrained junk of metal between two big  
6 concrete blocks. My guess is --

7 MR. SHACK: No, no. But there's a portion  
8 of that where you've got the imbedded region and the  
9 free region. Once it's fully imbedded --

10 MR. ARMIJO: At that interface between the  
11 sand bed and the imbedded regions is probably the area  
12 of concern, but once you get substantial concrete on  
13 both sides, I don't know what the problem is. But you  
14 know, there shouldn't be water on the inside of it.

15 CHAIRMAN MAYNARD: Anything else Said?

16 DR. ABDEL-KHALIK: That's it. Thank you.

17 CHAIRMAN MAYNARD: Jack.

18 MR. SIEBER: I differ with my colleagues  
19 on what ought to be done with the little trench that  
20 runs around on the inside. I would like to keep the  
21 water away from the steel, and so I'd fill in the  
22 trench and put the curb back because it's  
23 inaccessible. You can't run in and out of there  
24 during operations, and so the only time you get to  
25 look at it is during refueling outages.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ARMIJO: If you dry it Jack and make  
2 sure the water doesn't get there some other way, I  
3 totally agree with you.

4 MR. SIEBER: Well, let me point out that  
5 that plant like a lot of plants was built so that the  
6 drips and drains go on the floor, and they did not put  
7 drain lines in and all kinds of things that direct  
8 them directly to the sump. It goes to the floor  
9 first. And as the floor slopes or catches up against  
10 the liner, I just don't think it's a good idea to have  
11 water up against that liner. So I would protect it.

12 As my second comment I made a comment  
13 during our last meeting about the seismic spectral  
14 response of the containment with and without the sand  
15 in the sand bed region, and how GE's analysis dealt  
16 with that.

17 And I've learned during this meeting that  
18 the constriction of the sand bed was not considered in  
19 either analysis, and so the physical removal of the  
20 sand bed makes no difference in the analysis. And so  
21 as far as I'm concerned, that issue is resolved.

22 We had a fair amount of discussion, and I  
23 think there is at least in my own mind some confusion  
24 about the differences between the Sandia model and the  
25 General Electric models. I think they use different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 techniques with different scales. They ended up with  
2 different results, and one of the things when you look  
3 at a pressure vessel with a complex shape like the  
4 drywell is and it has different thicknesses, you've  
5 got different acceptance criteria depending on where  
6 you are.

7 That needs to be clearly defined and  
8 justified and the basis provided for that based on one  
9 model and not say, "Well, if I use this model, it's  
10 this, and if I use that one it's that." To me that's  
11 disturbing.

12 I come away with an element of confusion,  
13 and I don't consider that resolved at all until we  
14 come out with a definitive set of criteria that says  
15 this is the analysis of record. These are the  
16 criteria that are used, and I would like to see a  
17 later technique than the General Electric technique  
18 because I think modeling the whole thing with a finer  
19 mesh in a more modern computer is a better technique.

20 And then after that occurs, then I think  
21 there has to be a reassemblage of the data in  
22 consideration with some of the things the ASME code  
23 says. The ASME code is not a simple code, and it  
24 allows one to take certain exceptions at places where  
25 the cross-sectional area of the member changes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 dimension, and so forth, and differences between  
2 elastic and plastic deformation, and that needs to be  
3 figured into the acceptance criteria so that even the  
4 simple person like I am can interpret it and come out  
5 with the same result every time and my brother can do  
6 the same thing and come out with the same answer.

7 DR. WALLIS: Could I add to that?

8 I'm not sure that the ASME code really  
9 covers this complicated a situation.

10 MR. SIEBER: I think it requires some  
11 interpretation. On the other hand, the ASME code  
12 refers to the governing authority. All of the codes  
13 do, which happens to be this agency.

14 So the interpretation of the code and the  
15 application of it to a specific example like this  
16 situation is the agency's responsibility to make.

17 On the other hand, they just can't  
18 flippantly do it. They have to write it down and  
19 provide the basis for what it is they're doing and why  
20 that's the way that it should be interpreted. I think  
21 that those kinds of loose ends need to be tied up in  
22 order for me to feel comfortable enough with all that  
23 has happened here.

24 Other than the issues with this  
25 containment, I don't see other issues in the plant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that would prevent the license renewal, but I think  
2 there's plenty to chew on here with the containment.  
3 And I think answers can be found to the questions that  
4 I have, and I think they are parallel to a lot of  
5 other people's concerns. I think they ought to be  
6 addressed. I think mine can be addressed sine it's a  
7 matter of explanation by the full committee meeting.

8 CHAIRMAN MAYNARD: Okay. Thank you, Jack.

9 I'd like to compliment all of the  
10 presenters. Again, I think it has been a long day, a  
11 lot of good information provided. I believe that the  
12 licensee was very responsive to our questions from the  
13 last meeting and issues and concerns that we had with  
14 their presentation provided use a lot of good  
15 information with good additional information always  
16 comes good additional questions on our part, but I  
17 think that's healthy for the overall process.

18 The NRC staff, their inspections, I was  
19 impressed that the inspectors actually went into some  
20 of these areas so that they could see for themselves.  
21 These are not easy areas to get into, and again, I  
22 think that shows that the staff was wanting to see for  
23 themselves what the condition of the epoxy and stuff  
24 was.

25 And also the public comments, again, I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 believe have raised a number of questions and gives me  
2 something to look at and taking some additional looks  
3 at the data and perhaps generate some additional  
4 questions for the staff or for the licensee.

5           Again, I think everyone did a good job.  
6 Personally, I'm not bothered by some of the  
7 differences between the GE and the Sandia analysis.  
8 I think it's good to approach some things from  
9 different ways. I think they both show that there's  
10 additional conservatisms that are still in both of the  
11 analyses. They're still very conservative analyses.

12           I do think we still have a question to  
13 resolve as everybody else. We need to resolve whether  
14 the GE analysis that took the capacity adjustments  
15 into account. Is that legal? Is that appropriate and  
16 find out, you know, from the licensee and from the  
17 staff as to whether that's acceptable because that  
18 does make a difference in what you use as what your  
19 base is for your margin and for measuring things.

20           So I think that that is something that  
21 definitely needs to be addressed and taken care of.

22           My last area and probably one of my  
23 primary ones, I am still concerned with continuing to  
24 find water and living with some leakage there, and I  
25 understand the discussions and the arguments on how it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can be managed and everything, but the reality is  
2 we're supposed to be keeping water out that we don't  
3 intend to get there, and I think there needs to be  
4 some further discussion, and I still have some  
5 questions and concerns as to whether enough is being  
6 done in that area with the water.

7 And as far as the trenches, I believe that  
8 the trenches should be left open until we are sure  
9 that we don't have any water. I think it's good to  
10 have them open. I think the licensee committed to  
11 make sure the water was gone before they filled it in,  
12 but I do think that eventually it is the right thing  
13 to do to fill those in, but I think initially they do  
14 need to be kept open for the monitoring and they're  
15 there to see that we're not getting any surprises and  
16 stuff there.

17 but I agree with Jack. I think in the  
18 long term -- maybe Jack would do it quicker than I  
19 would, but I think we both would like to see those  
20 covered at some point and prevent water from getting  
21 into there.

22 But anyway, those are my comments. I'd  
23 like to thank everyone for their participation today.  
24 I hope that the staff and the licensee have from our  
25 comments some ideas of some of the things we will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be --

2 DR. WALLIS: Can I raise a question now?

3 CHAIRMAN MAYNARD: yes.

4 DR. WALLIS: I guess this has to go to the  
5 full committee. Sometimes a subcommittee can say that  
6 there are big enough doubts that something needs to be  
7 worked out before we go to the full committee. We are  
8 on schedule. We have to go to the full committee at  
9 the next meeting. Is that the case?

10 DR. BONACA: My suggestion was that if we  
11 go to the full committee meeting, I think that all the  
12 other aspects of license renewal are pretty much in  
13 line with other applications. I think I would focus  
14 the whole meeting on the two analyses.

15 DR. WALLIS: I am just wondering can we  
16 resolve some of these buckling questions by the time  
17 of the full committee meeting. I'm not sure we can.

18 DR. BONACA: You may be right.

19 CHAIRMAN MAYNARD: I guess feedback from  
20 the table as to whether -- and I haven't been involved  
21 in some of these in the past. I don't know if it's  
22 best to delay it until we get all of those questions  
23 or is it best to take it to the full committee. If  
24 the questions are still unresolved, do we have another  
25 meeting there and do we write an -- I'm not exactly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sure what the process is at that point.

2 MR. SIEBER: Well, I don't think the  
3 subcommittee can do that on its own.

4 DR. WALLIS: We have in the past  
5 sometimes, but I think in this case --

6 MR. SIEBER: I think it should go to the  
7 PMP.

8 DR. WALLIS: There's enough meat here that  
9 we probably should go to the full committee.

10 CHAIRMAN MAYNARD: I believe it's  
11 important at this state. My opinion would be take it  
12 to the full committee and then based on what  
13 additional discussions there, based on the full  
14 committee input, determine what our next step would  
15 be.

16 MR. SIEBER: I think that's wise.

17 CHAIRMAN MAYNARD: Any other comments,  
18 questions?

19 (No response.)

20 CHAIRMAN MAYNARD: All right. The meeting  
21 is adjourned.

22 (Whereupon, at 5:31 p.m., the meeting in  
23 the above-entitled matter was concluded.)

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701