

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Thermal Hydraulic Phenomena
Subcommittee
Open Session

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, May 24, 2007

Work Order No.: NRC-1592

Pages 1-96

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

SUBCOMMITTEE ON THERMAL HYDRAULICS

+ + + + +

OPEN SESSION MEETING

+ + + + +

THURSDAY,

MAY 24, 2007

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The subcommittee met at the Nuclear
Regulatory Commission, Two White Flint North,
Room T-2B3, 11545 Rockville Pike, at 8:30 a.m., Sanjoy
Banerjee, Chairman, presiding.

COMMITTEE MEMBERS PRESENT:

SANJOY BANERJEE Chairman

GRAHAM B. WALLIS Member

MICHAEL CORRADINI Member

(via teleconference)

THOMAS S. KRESS Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 COMMITTEE MEMBERS PRESENT: (cont'd)

2 MARIO V. BONACA Member

3 SAID ABDEL-KHALIK Member

4 ACRS STAFF PRESENT:

5 RALPH CARUSO Designated Federal
6 Official

7 NRC STAFF PRESENT:

8 MICHELLE HONCHARIK

9 GREG CRANSTON

10 ZENA ABDULLAHI

11 TONY NAKANISHI

12

13 ALSO PRESENT:

14 PATRICIA CAMPBELL

15 P.T. TRAN

16 JOSE CASILLAS

17 FRAN BOLGER

18 RICK KINGSTON

19 JENS ANDERSEN

20 BRIAN MOORE

21 JOSE MARCHE-LUEBA

22 MARK COLEMAN

23 MIKE COLBY

24 WALTER MERTZ

25 TONY REESE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ALSO PRESENT: (cont'd)

2 DAVID DIAMOND

3 RANDY JACOBS

4 ALAN CHUNG

5 CHAD LYMAN

6 DILIP RAHIMI

7 Y.C. JIU

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I-N-D-E-X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

AGENDA ITEM

PAGE

Introduction by Chairman Banerjee 5

Opening Remarks 7

Overview 9

Topical Reports Content Summary

Topical Reports Review Summary

P-R-O-C-E-E-D-I-N-G-S

(8:30 a.m.)

CHAIRMAN BANERJEE: The meeting will now come to order.

This is a meeting of the Advisory Committee on Reactor Safeguards, Subcommittee on Thermal Hydraulic Phenomena.

I am Sanjoy Banerjee, Chairman of the Subcommittee. Subcommittee members in attendance are ACRS members Mario Bonaca, Tom Kress, Graham Wallis, Mike Corradini on screen there, and Said Abdel-Khalik. Also present is our consultant, David Diamond, from Brookhaven National Laboratory.

The purpose of the meeting today is to review several topical reports related to an expansion of the BWR operating domain known as extended -- Maximum Extended Load Line Limit Analysis Plus, MELLLA+. The subcommittee will hold discussions with representatives of the NRC staff, its contractors, General Electric, and other interested parties regarding these matters.

The subcommittee will gather information, analyze relevant issues and facts, and formulate proposed positions and actions as appropriate for deliberation by the full committee.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Ralph Caruso is the Designated Federal
2 Official for this meeting.

3 The rules for participation in today's
4 meeting have been announced as part of the notice of
5 this meeting previously published in the Federal
6 Register on April 3, 2007, and April 18, 2007.
7 Portions of the meeting will be closed for the
8 discussion of proprietary information.

9 A transcript of the meeting is being kept
10 and will be made available as stated in the Federal
11 Register notice.

12 It is requested that speakers first
13 identify themselves and speak with sufficient clarity
14 and volume so that they can be readily heard.

15 We have received no requests from any
16 member of the public for time to make an oral
17 presentation.

18 We look forward to an interesting meeting,
19 one which has been postponed several times. In any
20 case, we are holding it now.

21 We will now proceed with the meeting, and
22 I call upon Ms. Michelle Honcharik of the NRC staff to
23 begin. Michelle?

24 MS. HONCHARIK: Good morning. My name is
25 Michelle Honcharik. I am the NRR Project Manager for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 GE Interactions. I work for Stacey Rosenberg in the
2 Special Projects Branch of the Division of Policy and
3 Rulemaking.

4 As mentioned, we are here today to present
5 the NRR staff's findings and conclusions from the
6 review of two GE topical reports, NEDC-3306P, the GE
7 Boiling Water Reactor Maximum Extended Load Line Limit
8 Analysis Plus, referred to as MELLLA+ or M+ in some of
9 the slides later, and NEDC-33173, Applicability of GE
10 Methods to Expanded Operating Domains, also referred
11 to as Methods or Interim Methods or IMLTR.

12 A little bit of history here. Revision 1
13 of the MELLLA+ topical was submitted to the NRC in
14 August of 2002. Over the years, the NRC staff
15 performed a series of audits and issued requests for
16 additional information culminating in two items, the
17 first of which was GE's submission of Revision 2 to
18 the MELLLA+ topical report in November of 2005. This
19 is the revision that was provided to the ACRS for
20 review today.

21 Revision 2 addressed changes resulting
22 from the staff RAIs, such as changes in disposition,
23 evaluation, scope, and commitments for plant-specific
24 submittals. The staff safety evaluation for the
25 MELLLA+ topical report was issued on April 30, 2007.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The presentations today will focus primarily on the
2 MELLLA+ topical end review.

3 The second item was the issuance of
4 Revision 0 of NEDC-33173, the interim methods, in
5 February of 2006. This is referred to as interim
6 methods, because GE plans to submit supplemental
7 information and a revision later this year to
8 eliminate some of the limitations on the report's use.
9 These limitations will be discussed in more detail
10 tomorrow.

11 The staff safety evaluation on the interim
12 methods topical report was issued on March 14, 2007,
13 and the presentations tomorrow will focus on this
14 report and the staff's review.

15 I now turn over to Greg Cranston.

16 MR. CRANSTON: Good morning. My name is
17 Greg Cranston. I am the Branch Chief for the Reactor
18 Systems Branch of the Division of Safety Systems. My
19 staff has been involved in the review of these topics
20 reports, and we'll be making presentations today and
21 tomorrow.

22 As Michelle pointed out, we are covering
23 the EPU methods as well as the MELLLA+ methods. We
24 will also be discussing two other areas that relate to
25 topical reports in the area of BWR core stability,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which cover NEDC-33075, which is the boiling water
2 reactor detect and suppress solution confirmation
3 density topical, and NEDC-33147, which is the DSS-CD
4 TRACG applications in conjunction with that.

5 The presenters from the NRC include Zena
6 Abdullahi, who will be wearing her reactor systems hat
7 today. She is transitioning into -- she has
8 transitioned into ACRS, but she will be -- she was
9 heavily involved with the reviews and the preparations
10 of the presentation associated with these documents.

11 We also have assistance from our
12 consultants from Oak Ridge National Laboratory, and
13 that includes Jose Marche-Lueba, Jeff Skeehan, and
14 Grady Yoder.

15 And with that, I'd like to now turn it
16 over to Patricia Campbell with GE.

17 MS. CAMPBELL: Good morning. I'm Patricia
18 Campbell, Director of Regulatory Affairs for GE Energy
19 Nuclear. We have a number of technical and regulatory
20 staff here today to present information and respond to
21 your questions. We appreciate the opportunity to
22 discuss these important actions with you. This is a
23 culmination of extensive efforts and interactions on
24 the part of the NRC and GE.

25 We will now provide a non-proprietary

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 overview. P.T. Tran, Project Manager --

2 MEMBER WALLIS: Can I ask a question about
3 what we're doing here? I notice there's an open
4 session and then there's a closed session.

5 MS. CAMPBELL: That's true.

6 MEMBER WALLIS: I assume we can't ask
7 anything really specific technically until we get to
8 the closed session. Is that true?

9 MS. CAMPBELL: That's correct. And we
10 will provide an overview --

11 MEMBER WALLIS: Now, what are we going to
12 do before that?

13 MS. CAMPBELL: -- in the closed session as
14 well.

15 MEMBER WALLIS: You're just going to give
16 an overview until then?

17 MS. CAMPBELL: Yes, sir.

18 MEMBER WALLIS: We can't really ask any
19 probing questions until after the break, is that true?

20 MS. CAMPBELL: We could easily get into
21 some proprietary information, so --

22 MEMBER WALLIS: So I'd better be quiet.
23 Is that --

24 MS. CAMPBELL: It would be nice to be able
25 to wait until the proprietary session. Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Okay. We will now provide a non-
2 proprietary overview. P.T. Tran, Project Manager, New
3 Product Introduction, will present a brief summary of
4 the actions we will discuss in more detail with you
5 today.

6 MS. TRAN: Good morning. I am P.T. Tran,
7 and I'm the Project Manager for the MELLLA+ LTR and
8 the nuclear methods LTR. First, I would like to also
9 thank the ACRS members and the NRC staff for your
10 support of this meeting.

11 I would like to start off our presentation
12 with an overview and summaries of the MELLLA+ LTR and
13 the nuclear method. The objective of the MELLLA+
14 program is to restore the operational flexibility for
15 the GE BWR program plans by expanding the operating
16 boundary allowing the operation at 120 percent
17 original licensed thermal power, or OLTP. We also
18 call it EPU, with a core flow as low as 80 percent
19 uprated.

20 The MELLLA+ topical report essentially
21 documents the process and defines the scope of work
22 required for expansion of the operating domain for BWR
23 plant applications. The nuclear methods report
24 documents the applicability of the GE nuclear methods
25 for the expansion operating domain and provides the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensing basis for the NRC to issue the SE for the
2 MELLLA+ LTR, including the EPU.

3 It is also included in the process and
4 defines the scope. A plant application must comply
5 with the methodology for the application.

6 Now, let's take a look at the power flow
7 map and understand why there is a need for MELLLA+.
8 This is -- what we see here is the initial reactor
9 power flow map with a single point at rated power and
10 rated core flow. We call it the OLTP point. And we
11 introduced the ELLLA region for -- to allow plant
12 operating flexibility, then followed by the increased
13 core flow region. That also helped the plant
14 operation during -- at the end of second close down.

15 After that we introduced the MELLLA -- at
16 the MELLLA operating region is these characterized by
17 that blue region right there. And it is defined by
18 the point at 100 percent rated power and 75 percent
19 core flow.

20 Then, we start the power uprate program.
21 The first one is the stretch power uprate of five
22 percent OLTP. As you can see, for the power uprate
23 program, we maintain the MELLLA boundary and extend
24 along the line of the MELLLA boundary.

25 And with that, the power flow window

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 getting smaller as we go up in power. And when we
2 introduced the EPU power program up to 120 percent
3 power uprate, the MELLLA boundary for that EPU now
4 come to a single point, about 99 percent core flow and
5 120 percent power uprate.

6 And there is no more flexibility for plant
7 operating at 120 percent power uprate, and the
8 individual plants really desire to have the power flow
9 window back, so that they can regain the flexibility,
10 and we introduced the MELLLA+ program.

11 Now, the MELLLA+ program was defined in a
12 generic term that is 120 percent power uprate and 80
13 percent core flow as the minimum corner of the MELLLA+
14 window. The individual plants may choose a smaller
15 expansion.

16 MEMBER WALLIS: I think I can ask you in
17 the open session -- it looks as if you have expanded
18 the operating domain by a factor of two or something.
19 It looks even more than that in the picture. But it's
20 the same reactor, more or less. What has changed to
21 make it possible to expand the domain so much?

22 MR. KINGSTON: Do you mean in terms of --

23 MEMBER WALLIS: How would you reassure the
24 public that this is okay, to expand the domain of
25 operation so much, as is shown in your figure?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: From the green to all
2 those other colors.

3 MEMBER WALLIS: Yes, you've added a lot of
4 new territory here. What has happened to make it
5 possible to do that?

6 MR. CASILLAS: My name is Jose Casillas.
7 I work for General Electric. I'm Plant Performance
8 Consulting Engineer. And, essentially, what --

9 MEMBER CORRADINI: Could the gentleman
10 speak up a bit?

11 MEMBER WALLIS: Could you move your
12 microphone in? I am actually asking the staff. I am
13 not asking General Electric, but maybe I should.
14 Well, am I asking General Electric, or who am I
15 talking to? It's all GE. Okay. I guess it's GE,
16 okay. So I wasn't sure -- I'm sorry. You're all GE
17 people.

18 MS. TRAN: Yes.

19 MEMBER WALLIS: I didn't realize that.

20 MR. CASILLAS: Yes. As P.T. Tran showed,
21 there is essentially -- I think your question has to
22 do more with power rather than the flow window, and --

23 MEMBER WALLIS: Both. I mean, what has
24 happened to make this reactor able to operate over
25 such a bigger range now than it did when it started?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CASILLAS: Well, the -- let me address
2 first the power. The initial -- what we call the
3 stretch uprate, that involved essentially a built-in
4 margin that had been existing from the time that the
5 plants were designed. They were designed to
6 accommodate approximately a five percent power
7 increase. And so eventually that additional design
8 margin was applied for in terms of license.

9 For the extended power uprate going all
10 the way to 120, that involved --

11 MEMBER CORRADINI: Can I ask the
12 gentleman? So you mean the dark green to the light
13 green was inherent margin that was never documented?

14 MEMBER BONACA: Never used as --

15 MR. CASILLAS: The 100 to 105 was margin
16 that was standard in the design of all the BWRs that
17 had not been included in the license -- in the initial
18 license application.

19 MEMBER CORRADINI: Thank you.

20 MR. CASILLAS: Yes. Then, the 120 power
21 increase was a result of the realization of all of the
22 NSSS margins that existed in the BWR. And the
23 application or the extraction of that margin required
24 significant balance of plant modifications.

25 MEMBER WALLIS: Up to now, it is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 essentially the reactor wasn't changed much, but it
2 just had an inherent capacity to --

3 MR. CASILLAS: Yes. The reactor had the
4 capacity to produce the -- all the way to 120. The
5 balance of plant systems needed -- required
6 significant changes in terms of capacity.

7 MEMBER WALLIS: What do you mean by that?
8 I mean, talking -- you're addressing the public here.

9 MR. CASILLAS: The generator, the --

10 MEMBER WALLIS: The turbine, the non-
11 nuclear part.

12 MR. CASILLAS: Exactly. The non-nuclear
13 part, right.

14 MEMBER CORRADINI: May I follow up
15 Graham's question? Because I guess he is asking the
16 starting question I was trying to discern from the
17 executive summaries and all of the documents. So if
18 I could repeat it back to you to make sure I've got it
19 right is you're saying if there was a large enough
20 turbine and a large enough power systems components,
21 there is nothing inherently limiting in the reactor
22 design in terms of sizing of the components, nor
23 instability regions. It is just that now you know
24 enough that you can go into regions where you
25 conservatively ignore it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CASILLAS: I would say that is
2 correct, yes.

3 MEMBER BONACA: Still, but you are moving
4 into territory where you are ebbing into a margin of
5 the plant. So I'm trying to understand, you know, you
6 still have a buffer typically between the operating
7 domain and the set domain that you commit to the NRC.

8 Okay. Now, what you have done here, you
9 have moved into the territory, because you have pushed
10 up your setpoints, your high power, and high flow, and
11 so on and so forth. And so I'm trying to understand
12 the justification of trading in this margin, and this
13 has been accepted, of course, by the NRC, but --

14 MR. CASILLAS: Well, the increase in power
15 to 120 is old -- I mean, that has -- I think most
16 every boiling water reactor has extended their power
17 to the orange and the yellow regions. The only new
18 part that we are addressing that is new essentially is
19 the purple region, and that was the low flow region.
20 And that presents some unique challenges.

21 But the question of the increased steam
22 flows and velocities, the average power increase in
23 production, that has -- is all addressed in --

24 MEMBER WALLIS: So there has been no
25 technical innovation or something? Or why wasn't this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 done on the first day?

2 MR. CASILLAS: Do you mean from the
3 original --

4 MEMBER WALLIS: What is it that makes it
5 possible sort of 30 years later to expand the region
6 so much? What has happened? Something must have
7 happened. Either your knowledge is infinitely better,
8 or the technology is better, or something. But
9 something has given you the confidence to do this.

10 MR. BOLGER: This is Fran Bolger from GE.
11 One of the capabilities that has increased over the
12 years is the ability of the fuel, and we have improved
13 the capability and the critical power performance of
14 the fuel over the years.

15 MEMBER WALLIS: Yes. I thought there must
16 be some technical change, and that certainly is one.

17 MEMBER CORRADINI: May I ask that? So
18 that is a technical change that we have to discuss in
19 private, or can you elaborate on that? Because I am
20 -- I can imagine there is changes in geometry and
21 changes in materials that might change the local
22 critical heat flux or the overall critical power
23 ratio.

24 But I think this large enough of a change
25 I still attribute to what was discussed before, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is you had a very large margin. You've now had the
2 abilities to calculate something in more precise
3 nature, so you have consciously gone into that margin
4 or conservative region and are operating where you had
5 this zone -- a larger zone of uncertainty, and you are
6 more certain as to how the behavior -- the behavior of
7 the system.

8 Am I missing something, or do we have to
9 talk about this later in private?

10 MS. CAMPBELL: I think this is something
11 that we will get into later.

12 MEMBER WALLIS: Well, is what he says
13 correct? You are now more certain about the behavior
14 of the system?

15 MR. KINGSTON: Well, I think we could ask
16 Dr. Andersen to perhaps talk about the improvements --

17 MEMBER WALLIS: Because, I mean, when we
18 get to that -- when we get to the closed session,
19 we're going to examine whether or not your
20 correlations have improved over 30 years, and things
21 like that.

22 MS. CAMPBELL: Exactly.

23 MEMBER WALLIS: And he is going to tell us
24 that?

25 MS. CAMPBELL: We will be discussing it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 over the next two days.

2 MR. CASILLAS: I think you have alluded to
3 the two aspects. One is the --

4 MEMBER WALLIS: Are you going to say for
5 the record that you are now able to calculate better
6 than you could before? Is that one of the things
7 which has happened?

8 MR. CASILLAS: Well, let me say that there
9 is the two aspects that have been brought up. One is
10 the capability of the field, and there has been a lot
11 of advances in the field, and that certainly with the
12 fuel designs that we had at the time of -- that
13 reactors were designed we could not produce this
14 amount.

15 And the second part is the ability of the
16 systems and the safety margins to be maintained. That
17 is the more important part of that. I mean, I think
18 Dr. Andersen can -- will get into a lot of the methods
19 and how we are able to calculate and demonstrate that.

20 MEMBER WALLIS: Let's see. I think we
21 need to get this clear. It can be open. The safety
22 margins maybe were inherent, because I don't know that
23 there has been a great advance in ability to
24 calculate.

25 MEMBER BONACA: Well, I think your linear

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 heat rate has gone down significantly, and maybe -- I
2 mean, those are the issues that drive the fuel
3 performance, right? I mean, so for --

4 MR. CASILLAS: All of those details would
5 be discussed in the proprietary session, from the fuel
6 performance to the safety systems.

7 CHAIRMAN BANERJEE: So you are saying that
8 your ability to predict things with confidence has
9 increased? So it is simply sharpening your pencil
10 that allows you to do this?

11 MS. CAMPBELL: We will let Dr. Andersen
12 respond to that.

13 MR. CASILLAS: I don't know how to exactly
14 characterize the --

15 CHAIRMAN BANERJEE: Have the equations for
16 multi-phased code changed since this?

17 MR. ANDERSEN: Excuse me. This is Jens
18 Andersen from Global Nuclear Fuels. When we are using
19 the same methods to analyze the plants, then the
20 margins that are built into the methods are the same.
21 But what really has changed is, as was mentioned
22 earlier by Fran Bolger and Jose Casillas, is that we
23 have improved the fuel design.

24 When the plants were originally designed
25 back in the '70s, they were designed with 7x7 and 8x8

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fuel. We are now using 10x10 fuel, which has smaller
2 fuel rods, much larger surface area, and you have a
3 much larger critical power capability of the fuel
4 bundles.

5 So if you look at the margin to the
6 thermal limits, the critical power limits, they have
7 really not been reduced. It's just the fact that the
8 fuel is able to produce so much more power and have
9 such a higher critical power that we can take
10 advantage of the improved performance of the fuel.

11 MEMBER WALLIS: And you did not need to
12 add any safety systems? Didn't change the design by
13 adding any safety system. They were inherently able
14 to accommodate all these changes. Is that true?

15 MS. TRAN: That's correct.

16 MEMBER WALLIS: So you have increased the
17 power of the engine of the car, but the brakes are
18 still the same, to take a very simple analogy. My
19 impression is that that is true. The brakes were
20 always good enough for the increased power of the
21 engine, but now you've increased the power.

22 CHAIRMAN BANERJEE: They have ABS now.

23 (Laughter.)

24 MEMBER WALLIS: No. What they haven't got
25 -- I don't think they said they had anything new in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 safety. It's the same safety system --

2 CHAIRMAN BANERJEE: Suppression detect
3 and --

4 MEMBER WALLIS: Well, maybe there is
5 something better about the safety.

6 MS. CAMPBELL: I believe we'll cover that
7 in detail.

8 MEMBER WALLIS: Well, I think you owe the
9 public some explanation about why --

10 CHAIRMAN BANERJEE: We are asking broad
11 questions.

12 MEMBER WALLIS: I'm asking a very broad
13 question. You want to reassure -- I get these
14 questions all the time from friends and acquaintances,
15 you know, people from the public about how can you
16 keep increasing this domain of operation. You need to
17 explain it in a way that's understandable.

18 MR. CASILLAS: That is correct. There is
19 -- in terms of margins, in certain areas we have -- we
20 have taken advantage of the excess margin that were
21 built in the boiling water reactor. In some other
22 areas, we've taken advantage of improved methodologies
23 to understand the phenomena and be able to --

24 MEMBER WALLIS: I think you could say
25 you've got improved safety instrumentation. Isn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that true?

2 MR. CASILLAS: Correct. Yes.

3 MEMBER WALLIS: Thank you.

4 MEMBER KRESS: Can we go back to the
5 MELLLA curve, please?

6 MR. CARUSO: Theron, can you put up the
7 computer?

8 MEMBER KRESS: I want to ask you a
9 question about the -- well, on my chart it's purple --
10 the vertical line brings you up to it looks like
11 105 percent at a particular flow on the MELLLA+ line
12 region. At a fixed flow, that requires a change in
13 enthalpy. How is that accomplished? By increasing --
14 decreasing the inlet temperature, or increasing the
15 pressure? How do you get this change in enthalpy?

16 MR. CASILLAS: Let me first say that the
17 figure that you see in front of you is a cartoon, and
18 it is not -- it is not --

19 MEMBER WALLIS: Not to scale?

20 MR. CASILLAS: It's not very precise. In
21 fact, some regions are larger than they should be, and
22 some are smaller than they should be. But it's a
23 cartoon.

24 MEMBER WALLIS: It's not very far off.

25 MR. CASILLAS: It is, actually, for those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of us that have been looking at it.

2 MS. CAMPBELL: It's a simplification.

3 MR. CASILLAS: And so -- but, indeed, the
4 only difference that MELLLA+ will represent in terms
5 of operation will be the ability to operate with a
6 lower recirculation pump flow at the same power levels
7 that have already been approved. So MELLLA+ is
8 accomplished merely by reducing the core flow, and, of
9 course, that is --

10 MEMBER KRESS: No, no. That --

11 MEMBER CORRADINI: So can I --

12 MEMBER KRESS: My question was, clearly,
13 the recirculation has to do with the ability to
14 transfer the heat properly from the fuel. But you've
15 got a fixed core flow, and that doesn't count the
16 recirculation. That counts -- that is the net flow
17 that goes through. And in order to get that vertical
18 line, you have to increase the impact of that flow.

19 You've already got the high quality
20 outlet, so you can't produce more steam, I don't
21 think. I think you have to reduce the inlet
22 temperature or increase the pressure, and that's my
23 question. Well, how do you get that change in impact?

24 MR. CASILLAS: This is a boiling water
25 reactor, and, as such, it's entirely controlled by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recirculation flow -- pump flow. It does not --

2 MEMBER WALLIS: I think you have a higher
3 exit quality.

4 MEMBER KRESS: That may be. That's what
5 I'm asking. Do you have a higher exit quality, or do
6 you have a lower inlet temperature, or --

7 MR. BOLGER: This is Fran Bolger.

8 MEMBER WALLIS: You have a higher exit
9 quality, right?

10 MR. CASILLAS: If you can put the picture
11 up again --

12 MEMBER WALLIS: The same flow -- if you
13 had a lower flow and the same power, you could have a
14 higher quality, because --

15 MR. CASILLAS: Exactly. You do.

16 MEMBER KRESS: Well, I thought they
17 already had a high quality, but maybe that's it.

18 MEMBER WALLIS: They have a higher quality
19 than before.

20 CHAIRMAN BANERJEE: So the question
21 relates to the vertical part of that. At a constant
22 core flow, you are getting an increase in power.

23 MR. CASILLAS: Eighty percent.

24 CHAIRMAN BANERJEE: So you have to
25 increase the quality or reduce the temperature, one or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the other. There is no other way.

2 MR. BOLGER: This is Fran Bolger. If you
3 are sitting there on that -- approximately where that
4 arrow points to the MELLLA, and you wanted to move up
5 into that region, the MELLLA+ region, if you withdrew
6 control rods that would allow you to maneuver into
7 that region.

8 MEMBER WALLIS: But you would increase the
9 exit quality by doing so.

10 MR. CASILLAS: Yes.

11 MEMBER WALLIS: Yes.

12 MEMBER KRESS: Okay. Then, it is quality
13 you're changing.

14 MEMBER WALLIS: There is some line up
15 there where you have steam coming out. There is some
16 point, if you went a bit further over there, where you
17 have pure steam coming out.

18 MEMBER KRESS: Yes. How much quality do
19 you have left before you're at 100 percent?

20 MEMBER WALLIS: It would be interesting on
21 this figure -- maybe when we get into the closed
22 session, you could show us a boundary outside which
23 you cannot get, because, I mean, this adding on little
24 pieces like this presumably is getting to some
25 boundary beyond which you can't --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Well, you could keep
2 embracing the steam temperature.

3 MEMBER BONACA: You know, I had some
4 questions before about margin, and the -- you know,
5 the implication is that you can move in the region and
6 you are not leaving any margin. But in reality, you
7 know, think about the issue of NPSH credit. I mean,
8 you are going in the region -- there is a price to be
9 paid for that.

10 That's one of the issues that we go
11 through, and at some point I would like to understand
12 over the next two days what other things are there
13 where there is margin being eaten. You are asking for
14 approval, but it's tough to give you some of the
15 margin to operate at this high power level.

16 Again, you show NPSH credit is just one,
17 I believe, of the issues that is a result of going to
18 120 percent power, or 105.

19 MR. CASILLAS: All of that is --

20 MEMBER CORRADINI: May I just ask a
21 question relative to what I heard Mario and Tom and
22 Graham saying? And maybe summarize it this way, is
23 that if you're fixing the inlet temperature and you're
24 fixing the pressure, and you're essentially changing
25 the purple region to allow yourself to reduce flow and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 still maintain the same power, outside of the purple
2 region there is a region where you do not want to go.

3 And I think at least for illustrative
4 purposes that is what I hear them asking you to
5 identify, given some fixed conditions. Whether you
6 fix inlet temperature or inlet enthalpy and fix
7 pressure, where are your limits? Because I think you
8 are reducing margin.

9 I have no immediate feeling as to where I
10 don't want to cross beyond. And some of it is fuel
11 design, some of it is just simply better analysis
12 given a fuel design. And I can't -- I'm trying to
13 unravel how much to partition between those two. So
14 that is I think the genesis of a lot of our questions.

15 MR. CASILLAS: Let me say, some of the
16 comments seem to allude to normal operating
17 conditions. What does the reactor do when it's
18 operating under normal conditions? But some of the
19 other remarks appear to be under certain postulated
20 events, NPSH pressures and so on. And so this is two
21 entirely different aspects of that.

22 The aspect of normal operation as to how
23 do you do and what -- how do you get there, and what
24 happens when you get there, is actually not --

25 MEMBER WALLIS: Yes. It would be very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 useful on this figure to have some kind of a boundary
2 which says, "In normal operation, we couldn't go
3 outside this boundary." In the case of accidents,
4 certain accidents restrict us to being inside another
5 boundary. And then, we could get some idea of how
6 close these things are to those limits. That would
7 help.

8 MR. CASILLAS: And so both of those
9 aspects will be addressed and described in --

10 MEMBER WALLIS: Okay. So someone will
11 sketch -- we'll look for perhaps another sketch on
12 this figure, what those boundaries are.

13 MEMBER BONACA: But clearly, you know, you
14 cannot go out of this figure -- I mean, you cannot
15 have more power or less -- than this. I mean, this is
16 your bound. You are staying there. But there is an
17 implication for all of the other systems in the plant,
18 which are not being modified -- I mean, a number of
19 them are modified, just to accommodate this power
20 change, and a number of them are not.

21 Again, I'm referring, for example, to the
22 pump, to the RHR pumps. I mean, they are not, so,
23 therefore, there you are asking for credit. And
24 before there was a regulatory margin there, and now
25 the NRC grants you for some credit, and, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which at times is questionable.

2 What else is out there that is not --

3 MR. CASILLAS: And, certainly, the
4 increase to 120 power addressed a lot of the capacity
5 issues, and actually MELLLA+ just -- only covers the
6 flow, and that affects only a very limited number of
7 areas, and that's what will be discussed. But a lot
8 of the margin has been addressed, just by increasing
9 the power to the 120 rate.

10 MEMBER BONACA: Okay. So we will not hear
11 anything about it until the --

12 CHAIRMAN BANERJEE: But, obviously, the
13 flow matters, because imagine you are talking of
14 critical power issue. The flow has an effect on that.

15 MR. CASILLAS: Yes.

16 CHAIRMAN BANERJEE: So in any case, my
17 suggestion is that -- if you all agree, that we defer
18 this discussion until we go into closed session, and
19 let them continue to give us the overview right now.

20 I think, though, the point that Professor
21 Wallis made was that this overview should not be too
22 superficial, because we are trying to actually get a
23 picture, which is not going into the details of your
24 technology, but we are trying to get a picture which
25 would convince the public that this is admissible or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 permissible or whatever.

2 And I don't think you are doing a
3 particularly good job in explaining that. So we
4 should need -- you need to do something more
5 convincing about these margins, give a feel for what's
6 going on, without getting into the details. Are we
7 preserving the same margins, or are we not? Give us
8 that sort of feedback.

9 Are you just sharpening your pencil?
10 Because at the end of the day, you are subdividing the
11 fuel friction as going up or whatever. So there is
12 other sorts of things that are happening, so we need
13 to get some understanding of how you are coping with
14 that in broad terms. Is that going to be coming in
15 your future slides or not?

16 MR. CASILLAS: Yes. Yes, all of that is
17 to be addressed. But just to be responsive to the --
18 your earlier comment that we are not providing enough
19 information, certainly the MELLLA+ only involves
20 operating at the already approved power levels, but at
21 reduced core flows.

22 CHAIRMAN BANERJEE: Right.

23 MR. CASILLAS: And that is only very small
24 perturbation on that, and the major portion of that is
25 the effect of events that may occur when they are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 initiated within those boundaries.

2 MEMBER WALLIS: But you can't separate the
3 two. The core flow is there to cool the reactor, and
4 you can't say that it's unimportant. You've got to
5 have enough core flow to do the job. So there is some
6 place where you are limited, and that -- and you have
7 got to somehow give the impression that you are not
8 getting too close to that limit, and you know what you
9 are doing, and that the public is secure. And I guess
10 you are going to do that in the closed session. It
11 would be nice if you could put it into words in the
12 open session.

13 CHAIRMAN BANERJEE: Without details, you
14 don't have to give us details, but in rough terms --

15 MEMBER BONACA: You'll do that.

16 MR. CASILLAS: Yes.

17 CHAIRMAN BANERJEE: Well, why don't we
18 continue, and then what we do is when we finish --
19 there are a few slides to go through. Maybe some of
20 our questions will be answered there, and then we
21 can --

22 MEMBER BONACA: One last question. You
23 are going also to address mixed core, right? I mean,
24 cores we already have -- predominantly your 10x10
25 fuel, but, I mean, because we are going to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reviewing applications for plants that have mixed fuel
2 and --

3 MR. CASILLAS: Yes, 9x9, 8x8 fuels.

4 MEMBER BONACA: Okay.

5 MR. CASILLAS: Correct. Yes.

6 MEMBER BONACA: So --

7 MEMBER WALLIS: And you are making more
8 plutonium than you make in a present reactor.

9 MR. CASILLAS: Certainly that will -- that
10 is important, yes.

11 CHAIRMAN BANERJEE: The core is faster in
12 some sense.

13 MEMBER WALLIS: Well, I think those kinds
14 of technical -- changing this, these are the things
15 which are significantly changed, and this is why it's
16 okay to do it. You could say that in 20 minutes in a
17 public meeting, I think, in a convincing way. But
18 please go on.

19 CHAIRMAN BANERJEE: Well, why don't we
20 continue, then.

21 MS. TRAN: Okay. I just want to talk
22 about the different LTRs that we have to support the
23 MELLLA+ LTR program here. One is the MELLLA+ LTR
24 itself that defines the process and the scope of work
25 for MELLLA+. It is also addressed, identified the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 area impacted by MELLLA+ and provides the disposition.

2 As part of developing the MELLLA+ program,
3 we also developed the stability solution --
4 specifically addressed the concern of stability
5 because we are open at a higher drop line for MELLLA+,
6 and it's -- we call it the detect and suppression
7 solution confirmation density, or we call it DSS-CD
8 LTR.

9 In support of the DSS-CD LTR, we also
10 provide the NRC with the TRACG DSS-CD LTR. TRACG is
11 the --

12 MEMBER WALLIS: Now, while we are in this
13 open session, could you -- you know, there are some
14 interim methods and things here. Could you tell us,
15 how much of this technical work has been completed?
16 And how much is sort of promised to be completed?
17 Isn't there some work which is interim? You're asking
18 for an approval with a promise that you will do
19 further work, or is all the work completed you need to
20 do?

21 MS. TRAN: Yes. And I have that
22 information actually --

23 MEMBER WALLIS: Can you explain that in a
24 public meeting, how much of it remains to be finished?

25 MS. TRAN: Yes. I could provide the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 explanation. I have one slide talking about the
2 interim methods, and I could -- right now, what I am
3 trying to give you is the pictures of the LTR that is
4 supported in the MELLLA+ and what they are.

5 So the TRACG DSS-CD LTR provides the
6 methodology for the DSS-CD analysis. Those two
7 reports have been reviewed and approved by the staff.
8 However, because it is related to this MELLLA+, and
9 stability is one of the areas impacted by the high --
10 we are going to have a presentation to provide the
11 ACRS member with the information for DSS-CD and the
12 TRACG support in that document.

13 And as part of working on the MELLLA+
14 program, we also do review of the methodology that we
15 have in-house to make sure that our methodology can
16 support the MELLLA+ application. As part of the NRC
17 review of the methodology that we have done internally
18 by GE, the NRC has a number of questions, and we
19 identified some of the areas that we need to provide
20 some additional information.

21 We have worked with the NRC on what we
22 call an interim methods approach that would help to
23 facilitate the review and approval theme of the
24 MELLLA+ LTR, and into interim until we -- GE can
25 provide further data that will support the conclusion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we have initially based on the work that we have
2 done by GE.

3 We will have a complete discussion of
4 these methods LTR at -- by tomorrow on the closed
5 session.

6 Let's go to the MELLLA+ LTR itself. When
7 we look at the MELLLA+ program, we essentially look at
8 the -- address all of the scope of work that we have
9 reviewed as part of the EPU program. Every aspect of
10 the plans we essentially go and review all of that to
11 make sure that the safety of the system and the plan
12 evaluation will confirm that the effects of MELLLA+
13 operating still support the implementation of MELLLA+
14 for a plant.

15 It should be noted, as we discussed
16 before, that the MELLLA+ program expanded from the --
17 as an increment change to the EPU program, it is not
18 a -- go into an EPU and then go into a MELLLA+ at the
19 same time. What we recommend and supported our
20 customer would be to do an EPU, get that EPU license,
21 and then request for a license change of the MELLLA+
22 program.

23 So the MELLLA+ program doesn't really
24 change the maximum thermal power or the maximum core
25 flow rate. And, thus, the effects of MELLLA+ are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 limited to only the NSSS system, and primarily due to
2 the core and the reactor internals performance during
3 postulated events and the accident event.

4 I'll follow the EPU topic step and
5 address. We look at all of the aspects and --

6 MEMBER WALLIS: Now, can you in the open
7 session say, when you evaluate the reactor core and
8 fuel performance and the safety performance, that
9 these conditions that you haven't operated these
10 plants at before, is this only a theoretical
11 prediction, or have you done experiments to verify
12 that at these new conditions things will be okay?

13 Is it only a theoretical prediction, or
14 have you done experiments to show that, at the new
15 conditions, things will be okay? Or is the experiment
16 going to be performed in a reactor, operating reactor?

17 MS. CAMPBELL: That's some of our followup
18 actions for the final --

19 MR. CASILLAS: Yes. Yes.

20 MEMBER WALLIS: Yes or no? I mean --

21 MR. CASILLAS: No. There is the --
22 essentially, what we will be able to show is that in
23 -- when you operate in the MELLLA+ area, you are
24 really not introducing any new phenomena that has not
25 been addressed by test or predictions to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: So you're saying that the
2 tests have already been done previously in some other
3 context?

4 MR. CASILLAS: Yes.

5 CHAIRMAN BANERJEE: So, for example, with
6 critical heat flux, you have then tested full-scale
7 10x10 boundaries. Where did you do that? Will you
8 discuss those?

9 MR. CASILLAS: That was --

10 CHAIRMAN BANERJEE: At the lower flows?

11 MR. CASILLAS: Correct. Yes.

12 CHAIRMAN BANERJEE: You will be discussing
13 that.

14 MR. CASILLAS: Yes.

15 CHAIRMAN BANERJEE: Well, that's the
16 operating region.

17 MR. CASILLAS: Correct.

18 CHAIRMAN BANERJEE: This is not a
19 prediction of a code. This is a real experiment.

20 MR. CASILLAS: Correct.

21 CHAIRMAN BANERJEE: Okay.

22 MEMBER WALLIS: So you can reassure the
23 public that the conditions of operation have been
24 tested experimentally?

25 MR. CASILLAS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: Under normal operation
2 anyway.

3 MEMBER WALLIS: Normal operation, yes.

4 MEMBER ABDEL-KHALIK: Excuse me. Just a
5 follow up to Dr. Wallis' question. Where has the
6 stability been demonstrated experimentally for
7 operation in the MELLLA+ region?

8 MR. CASILLAS: That is going to be also
9 presented.

10 MEMBER ABDEL-KHALIK: Okay. In the closed
11 session?

12 MR. CASILLAS: Yes.

13 CHAIRMAN BANERJEE: So there have been
14 experiments in a facility. Oh, excuse me.

15 MEMBER ABDEL-KHALIK: You can say that --
16 in the open session, that stability of operation
17 within the MELLLA+ region has been experimentally
18 demonstrated without giving details.

19 MR. CASILLAS: Well, how we would qualify
20 that demonstration will be explained in the closed
21 session. And I don't think we can elaborate on how we
22 demonstrate the stability performance and the
23 acceptable of the -- of the systems that are part of
24 the MELLLA+ to mitigate some of these events, unless
25 we get into the technical details, which we'll be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doing in the closed session.

2 CHAIRMAN BANERJEE: So in answer -- direct
3 answer to Professor Abdel-Khalik's question, you
4 haven't directly done experiments to verify this. You
5 are using some combination of experiments and
6 analysis. That is what I read from your answer. It
7 is almost like Greenspan talk.

8 (Laughter.)

9 I don't understand most of what you say
10 about this.

11 MR. CASILLAS: Well, if you look at the
12 operating -- at the operating map that we are
13 expanding, the characteristics in that operating map
14 are not any different from the remainder of the
15 operating map. Now, there are some new conditions
16 that you may encounter as a result of some postulated
17 events, and that is the subject of the safety
18 analysis. But the conditions that you will be
19 operating are not -- are not any different than what
20 you have --

21 CHAIRMAN BANERJEE: But they are not
22 outside of your experimental --

23 MR. CASILLAS: Correct.

24 MEMBER WALLIS: But they are inside where
25 you are now in your plants. Otherwise, there wouldn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be a purple region. I mean, it shows that you are in
2 a different region of operation than you are now in
3 the plants.

4 MR. CASILLAS: Well, we have -- we have
5 specified limitations for operation in that region,
6 such that we will retain the -- we are within the
7 experience base that --

8 MEMBER WALLIS: But it's not a plant
9 experience base. It has to be an experimental
10 facility base or something? And the plants haven't
11 been operating in the purple region, have they? Or
12 have they accidentally operated in the purple region
13 and given you data?

14 MR. CASILLAS: No, we are talking about a
15 lot of different areas. There's normal operation, and
16 then there is stability margins.

17 MEMBER WALLIS: I guess it's all part of
18 the same question. I mean, how much of your going
19 into the purple region is supported by experiment, and
20 how much of it is supported by theory?

21 MR. CASILLAS: Yes. And I think the
22 question that was raised had to do specifically with
23 stability.

24 MEMBER WALLIS: Well, that was the second
25 -- he asked specifically that, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CASILLAS: And with respect to the
2 stability, the stability margins, and why it
3 represents -- it's part of our experience base, and
4 why it's acceptable will be all presented in --

5 MEMBER WALLIS: But we won't know the
6 experiment until it happens in a plant? We won't
7 know --

8 MR. CASILLAS: Oh, no, no, no. That's not
9 what I said.

10 MEMBER WALLIS: -- won't get data until it
11 happens in a plant?

12 MR. CASILLAS: No. No, that's not -- I
13 think all those questions will be addressed when --

14 CHAIRMAN BANERJEE: But, I mean, to give
15 a direct answer to that, have you had experiments that
16 have been done in that purple space or not? I mean,
17 that's really -- I mean, his question relates to
18 stability. Some other questions relate to some other
19 issues. But it's whether in that operating region
20 there is -- there are applicable experiments. That's
21 really what the -- or is it all analysis, which is
22 supported by experiments under different conditions?
23 Do you have experiments, or not? That's --

24 MR. KINGSTON: We can ask Dr. Andersen to
25 respond to that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ANDERSEN: This is Jens Andersen
2 again.

3 CHAIRMAN BANERJEE: We can't seem to get
4 the answer.

5 MR. ANDERSEN: When we develop, and as I
6 had alluded to before, it is primarily the performance
7 of the fuel that is allowing us to go to these power
8 uprates. When we develop a new fuel product, we do
9 extensive testing of the fuel, and we test it way
10 beyond the boundaries that are shown in the power flow
11 map.

12 So we have data that bounds the possible
13 range where the fuel can operate. And when we get to
14 the closed session, I'll be happy to show you some of
15 that.

16 CHAIRMAN BANERJEE: Okay. So you have
17 experiments.

18 MR. ANDERSEN: Yes.

19 CHAIRMAN BANERJEE: That's the direct
20 answer.

21 MR. ANDERSEN: Yes.

22 CHAIRMAN BANERJEE: All right.

23 MEMBER WALLIS: An answer of yes a few
24 minutes ago would have been good.

25 MR. ANDERSEN: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 CHAIRMAN BANERJEE: We will hold you to
3 that, Jens.

4 MR. ANDERSEN: Okay.

5 CHAIRMAN BANERJEE: Both stability and --

6 MR. ANDERSEN: I hope I can satisfy you.
7 All right.

8 MS. TRAN: So the scope of the MELLLA+
9 program that we defined consists of looking at the
10 applicable fuel performance area, including fuel
11 thermal limits instability, so it's some of the
12 example. We also looked at the core cooling and
13 connected system to confirm the acceptability of the
14 MELLLA+ to the system. And the engineering safety
15 features will address the impact of MELLLA+ on
16 containment, on ECCS system, and standby gas
17 treatments and other engineering safety features.

18 On the instruments, patient and controlled
19 setpoints, we look at the impact of MELLLA+ on the --

20 MEMBER WALLIS: I'm sorry. You've got a
21 long list here, but some of this you don't do, you
22 leave it up to the plant. The plant has to do a
23 plant-specific analysis of some of these things, and
24 we don't get to see that yet.

25 MS. TRAN: This MELLLA+ LTR program

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 defined the process and the scope of the work.

2 MEMBER WALLIS: But you talk about
3 connected systems, and a connected system core coolant
4 involves also, say, NPSH of the core spray pumps,
5 right? That's a connected system and a safety feature
6 and all that.

7 MS. TRAN: Yes.

8 MEMBER WALLIS: And this is something
9 which you are not going to talk about, I think,
10 because it is going to be left up to the plant to
11 show. Each plant has to show that that's okay.

12 MS. TRAN: Yes. A plant-specific --

13 MEMBER WALLIS: So there are some features
14 of this that are very plant-specific, which we are not
15 able to review at this time.

16 MS. TRAN: A plant-specific application
17 will perform all of the analysis. In the closed
18 session, we will -- I will provide additional
19 information.

20 MEMBER WALLIS: This is one of the
21 difficulties I think we are going to have is that we
22 are going to be asked to approve something, but part
23 of the package isn't there yet, but it has to be done
24 by each plant independently.

25 MS. TRAN: We do have a demonstration

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calculation that we perform, and it --

2 MEMBER WALLIS: Are you going to show us
3 those?

4 MS. TRAN: Yes, we will show it to you at
5 the closed session.

6 MEMBER WALLIS: Thank you.

7 CHAIRMAN BANERJEE: So you will at least
8 separate for us what is plant-specific and what is
9 not --

10 MS. TRAN: Yes. Yes. I will go into --

11 CHAIRMAN BANERJEE: -- so we can
12 understand that.

13 MS. TRAN: That's correct. This is to a
14 summary of the scope of work that we have identified
15 that the plants will have to be looked at during the
16 applications.

17 CHAIRMAN BANERJEE: For example, if you
18 need containment overpressure credit, this would be
19 specific to the plants, right?

20 MS. TRAN: That will be plant-specific.

21 MEMBER WALLIS: But if it turned out that
22 MELLLA required a very large containment overpressure
23 from any typical plant, I think we ought to know that.

24 MS. TRAN: Yes. A plant-specific -- most
25 of the -- all of the analyses that we identify as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 impacted by MELLLA+ will be evaluated and completed on
2 a plant-specific application. At this time, we do not
3 have any MELLLA+ plant-specific applications submitted
4 to the staff.

5 MEMBER WALLIS: Well, no. We have Vermont
6 Yankee here, and we had a long discussion about the
7 containment overpressure.

8 MR. BOLGER: This is Fran Bolger. The
9 NPSH situation is not exacerbated by MELLLA+.

10 MEMBER WALLIS: I think it is. I think I
11 read it in their -- well, we'll get to that in the
12 specific thing when -- this seemed to be exacerbated
13 in the report I read, that --

14 MR. CASILLAS: That is correct. I think
15 what we are trying to say is that all of the areas
16 that could be impacted in the reactor design areas
17 have been reviewed, and we have -- we have summarized
18 those areas which are actually impacted or affected
19 by MELLLA+.

20 MEMBER WALLIS: Well, let's take Vermont
21 Yankee. I understand Vermont Yankee -- I want to ask
22 you this question. Can I ask you -- I'm sorry. I
23 want to get back to my question, because you don't
24 seem to be focusing on it.

25 When Vermont Yankee was here, we spent a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 long time on containment overpressure. Now, they
2 conceivably can go into this MELLLA+ region if the NRC
3 approves it.

4 MR. CASILLAS: Yes.

5 MEMBER WALLIS: And they can come back
6 with another request for containment overpressure,
7 presumably. Now, we'd like to know before I think --
8 I'd like to know before I approve MELLLA+ what kind
9 of, you know, problems I'm going to have when
10 something like Vermont Yankee comes in and wants to
11 use it.

12 MR. CASILLAS: Yes. But you're assuming
13 that there will be additional overpressure --

14 MEMBER WALLIS: Well, I think I read
15 something like that in one of these things that we're
16 going to talk about in the closed session.

17 MR. CASILLAS: And that is --

18 MEMBER WALLIS: That will be clarified
19 then.

20 MS. TRAN: We will provide a discussion of
21 the containment in --

22 MEMBER WALLIS: Well, not only a
23 discussion. You will give us some numbers, will you?

24 MS. TRAN: Yes. We have some calculations
25 that --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CASILLAS: Yes.

2 MS. TRAN: -- we performed for some of our
3 -- the actual --

4 MEMBER WALLIS: See, it may well be that
5 you'll reassure us perfectly in the closed session.

6 MR. CASILLAS: Yes.

7 MS. TRAN: Yes.

8 CHAIRMAN BANERJEE: That's why we should
9 get through this and --

10 MEMBER WALLIS: I'm sorry. I'm --

11 CHAIRMAN BANERJEE: No. I think these are
12 good questions to flag. So --

13 MS. TRAN: So, essentially, this is a list
14 of all of the aspects of the plants that we have
15 reviewed for the generic program as well as
16 identifying the plant-specific scope of work that
17 needs to be completed on a plant-specific application.
18 And also, confirmation --

19 MEMBER WALLIS: But this thing, it doesn't
20 ensure that the limits are met for plant-specific
21 application, because some things require additional
22 plant-specific analysis.

23 CHAIRMAN BANERJEE: Yes. There is
24 confusion between what you are asking for approval for
25 and what is plant-specific, clearly.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: And we understand that the
2 fuel --

3 CHAIRMAN BANERJEE: There are generic
4 aspects.

5 MEMBER WALLIS: -- the fuel loading
6 analysis is all plant-specific. The fact that you can
7 actually implement this is left up to the plant --

8 MS. TRAN: Yes.

9 MEMBER WALLIS: -- because they have --
10 this fuel loading becomes a very critical matter.

11 MS. TRAN: That's correct. The LTR
12 provides the process and the road map for a plant-
13 specific application. What we view as --

14 MEMBER WALLIS: But this seems to leave an
15 awful lot up to the plant.

16 MS. TRAN: Well, we do have a
17 demonstration calculation to provide the disposition
18 of our assessment on the impact of MELLLA+ on each
19 aspect of the plan. We do have the actual calculation
20 that we will provide in the closed session.

21 MR. CASILLAS: Yes, but it's less than a
22 half a dozen areas that are specifically -- that need
23 to be specifically addressed on the plant-specific
24 application. All the other two dozen areas are
25 described in the generic process, such that you do not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- you do not have to rereview those when you do the
2 plant-specific -- only the areas which are critical to
3 the plant application.

4 And for those areas that are critical, we
5 will present you results of the studies that have been
6 done and the very clear formulas that will be
7 addressed in the plant-specific in the criteria that
8 it must meet.

9 CHAIRMAN BANERJEE: This is -- today you
10 are going to do that?

11 MS. TRAN: Yes, within today.

12 CHAIRMAN BANERJEE: And tomorrow --

13 MS. TRAN: This afternoon.

14 CHAIRMAN BANERJEE: -- what is the --

15 MS. TRAN: Tomorrow focus on the
16 discretionary method.

17 CHAIRMAN BANERJEE: Methods.

18 MS. TRAN: Yes.

19 CHAIRMAN BANERJEE: And today you'll show
20 us some calculations.

21 MS. TRAN: That's correct.

22 CHAIRMAN BANERJEE: So why don't we
23 continue, then.

24 MS. TRAN: Yes. And let's go to the next
25 slide where we said that the MELLLA+ LTR is --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actually defines the process for a plant-specific
2 application to ensure that the design, the regulatory
3 and licensing limits are met for plant-specific
4 application.

5 And it allows the more efficient NRC
6 review on plant-specific application, because it is
7 already defined what plant-specific analysis needs to
8 be completed for an application. This doesn't mean
9 that it's an LTR provided any plant can go and
10 implement MELLLA+. It only defined the scope of work
11 for each plant-specific application.

12 MEMBER WALLIS: Are you going to explain
13 to us how it enables us to be more efficient?

14 CHAIRMAN BANERJEE: I think that's --

15 MEMBER WALLIS: I think it's -- that's a
16 bold statement, that you're going to make the NRC more
17 efficient. Let's move on.

18 MR. CASILLAS: Again, it was -- what I
19 tried to summarize is that in the plant-specific we
20 will identify, as part of this LTR process, the
21 reduced -- that it's important for the plant-specific
22 application only, and that is where the efficiency is
23 about. But we will not go back and review all of the
24 potential areas that are not affected.

25 MEMBER WALLIS: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. TRAN: And let's talk about the
2 Methods LTR Rev 0. The Methods LTR Rev 0 provides a
3 licensing basis for applicability of GE methods for
4 what I would call the near-term licensing application.
5 It addresses NRC questions. And as I mentioned
6 earlier, when we performed the work for the generic
7 MELLLA+ LTR program, we reviewed our codes and
8 methods, assured that it could -- it's applicable for
9 MELLLA+ application.

10 And because the NRC raised some questions,
11 we worked with the NRC to ensure that we provide the
12 additional margins to the -- set the limits in an
13 interim until we can provide the NRC with the
14 additional measurement data, until such time this LTR
15 will provide the process and the scope of work and the
16 information each plant-specific application on MELLLA+
17 and EPU would need to provide to the staff for their
18 application.

19 MEMBER ABDEL-KHALIK: Could you please
20 elaborate? What does that mean? Including additional
21 margin at interim basis -- what does that mean?

22 MEMBER WALLIS: Are these the .02 and .03?
23 Is that the ones you need?

24 MS. TRAN: Yes. These are the .02 and
25 .01, added to the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CASILLAS: Fuel operating limits.

2 MS. TRAN: Yes, fuel operating limits.

3 MR. CASILLAS: That will be in excess of
4 those calculated with our current methods.

5 MEMBER ABDEL-KHALIK: I understand that.

6 MR. CASILLAS: Yes.

7 MEMBER ABDEL-KHALIK: But what does the
8 statement mean -- "including additional margins as
9 interim basis" mean?

10 MS. TRAN: We meant that we -- it is our
11 intent as part of the MELLLA+ program and the review
12 of the methods, we plan to submit to the staff the
13 additional information that the staff was having
14 questions. We intended to provide this data as soon
15 as possible, so that we could justify that the
16 original work that we've done, reviewed by the NRC,
17 that our codes and methods are applicable to MELLLA+
18 without the additional margin, so that we can
19 essentially remove the margin that is now being
20 imposed on our -- on the plant-specific application.

21 MS. CAMPBELL: This relates to the
22 limitations and conditions, and we are going to have
23 those as an interim application until such time that
24 we come back to the NRC with additional information.
25 And those are all identified, and we've interacted

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with the NRC on what additional information they will
2 need and all that --

3 MEMBER WALLIS: This is one of the things
4 we talked about earlier, that there are some things
5 that you have not yet completed. We have to perhaps
6 have the faith that you are going to do it right.

7 MS. CAMPBELL: There are some confirmatory
8 data. We'll be talking about that. Brian Moore is
9 going to address that.

10 MR. MOORE: This is Brian Moore from GE.
11 During the review on the methodology capability,
12 concerns were raised by the staff on the particular
13 areas which formed the validation bases. We then
14 entered into a procedure of basically expanding the
15 uncertainties to address those regions, resulting in
16 additional margin, to cover the concern, basically
17 taking a very conservative approach in our standard
18 licensing methodology framework to introduce basically
19 a buffer that would allow the NRC to go forward,
20 basically introducing padding to address the NRC
21 concerns specifically related to each area.

22 MEMBER ABDEL-KHALIK: The big picture --
23 you are not adding margin. This whole process takes
24 away margin.

25 MS. CAMPBELL: Well, we are limiting where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we go with these limits.

2 CHAIRMAN BANERJEE: I think it's just the
3 wording here.

4 MR. MOORE: If I may, one of the -- the
5 BWR is the limits -- the thermal limits are not based
6 on the core power and flow. They are based on the
7 bundle power that relates to critical power, the fuel
8 rod performance which relates to the linear heat
9 generation rate, and basically the stored energy,
10 which rolls to LOCA.

11 And so you can say you're going into a
12 power flow map that we have not seen before, but
13 ultimately the speed limits are based on those
14 fundamental categories. So when we introduce
15 additional margin, we are introducing it specifically
16 on the safety limit MCPR, and the operating limit
17 MCPR, which address, you know, basically just the
18 bundle critical power flow ratio.

19 MEMBER WALLIS: I think we'd like to know
20 how close you are to those limits. In other words,
21 what is the margin?

22 MR. CASILLAS: Okay.

23 MEMBER WALLIS: And I noticed in the --
24 that you are promising to treat uncertainties with a
25 95/95 or 95 percent confidence that you -- 95 percent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- you are in the 95th percentile. That's a very
2 stringent requirement. Are you really going to be
3 able to do that for us on --

4 MR. CASILLAS: We are not changing any of
5 that. It's the same as what we --

6 MEMBER WALLIS: You have to have a lot of
7 data to get to that sort of confidence in probability.

8 MR. MOORE: If I may, the specifics of
9 that are part of the interim methods LTR, and the
10 procedure by which we've done that we'd like to
11 maintain is closed information.

12 MEMBER WALLIS: Yes. But I think that you
13 could reassure the public that the method that you
14 promise to use is a very stringent one.

15 MR. MOORE: That is correct.

16 CHAIRMAN BANERJEE: Let's go on.

17 MS. TRAN: I think that's --

18 CHAIRMAN BANERJEE: That's it?

19 MS. TRAN: -- that's the end of the
20 presentation.

21 CHAIRMAN BANERJEE: Well, I -- also, you
22 covered the topical report content summary in this or
23 you --

24 MR. CASILLAS: Right.

25 CHAIRMAN BANERJEE: -- have something more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to say about that?

2 Okay. So, then, thanks very much, and I
3 will ask the NRC staff, then, to come. And we get
4 back into a discussion of this as a closed session,
5 then --

6 MS. CAMPBELL: Yes.

7 CHAIRMAN BANERJEE: -- after the break.

8 MS. ABDULLAHI: Maybe I can sit here,
9 so --

10 CHAIRMAN BANERJEE: We would rather look
11 at you than Corradini.

12 (Laughter.)

13 MR. CARUSO: We can't hear you, Mike.

14 MEMBER WALLIS: Could you please get Mike
15 Corradini on the phone properly? We can't hear him.
16 Don't make it deafening.

17 MEMBER CORRADINI: I was following most of
18 this, trying to be quiet since we're in open session,
19 but then somehow I went totally dark.

20 CHAIRMAN BANERJEE: Oh. You didn't hear
21 the last part of it, or what happened?

22 MEMBER CORRADINI: The last few minutes,
23 but that's all right. Ignore that. Just -- I'm
24 following.

25 CHAIRMAN BANERJEE: All right. So we'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be back into closed session after the break, so --

2 MR. CARUSO: We're still in open session.

3 CHAIRMAN BANERJEE: We're still in open
4 session. Okay. Please. I'm noticing we're running
5 half an hour behind. We're running a little bit
6 behind time, so --

7 MEMBER WALLIS: We've seen that before.

8 CHAIRMAN BANERJEE: Yes. It will just
9 mean that we go up to 7:00 this evening rather than
10 6:00.

11 MS. ABDULLAHI: Hi. I'm Zena Abdullahi.
12 I'm the lead reviewer for MELLLA+ and methods. This
13 review was done with a lot of ORNL staff and also BNL
14 staff. There have been also many NRC staff that are
15 not presenting today that have contributed to it, and
16 I just want to mention that some of the staff members
17 are Tony Nakanishi, Len Ward contributed some work to
18 it, Paul Clifford, and I just want to say that the
19 work -- the fact that we are presenting these things
20 doesn't mean that we are the only people who worked on
21 it.

22 CHAIRMAN BANERJEE: Are some of them here?

23 MS. ABDULLAHI: Tony Nakanishi is right --

24 CHAIRMAN BANERJEE: I don't see Len Ward.
25 Is he here?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. ABDULLAHI: No, he is not. He will be
2 here tomorrow for the methods.

3 CHAIRMAN BANERJEE: Okay.

4 MS. ABDULLAHI: And Paul Clifford, who
5 helped with the thermal mechanical. Plus, we had ORNL
6 and BNL.

7 I would like to start out in this opening
8 session that the NRC staff did find the steady
9 progression of BWR operating conditions, or we were
10 cognizant of that, and with the MELLLA+ we were
11 worried and spent a lot of energy and time trying to
12 assure ourselves that it is feasible and possible to
13 operate under these conditions.

14 What we also did is we tried to do
15 confirmatory analysis. Now, I'm not talking on the
16 slide yet, so I'm just giving you an overview of the
17 issues that I heard you discussing with GE. We try to
18 do confirmatory analyses, and now what we are
19 approving is Rev 2.

20 Now, we were not reviewing these topical
21 reports since 2002 steadily, but there has been a
22 progression of times where things had to be done and
23 it was put on hold until something is done, plus the
24 priorities of staff.

25 So I just want to emphasize that we have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reviewed, we looked at it, and there are a number of
2 limitations and a number of agreements in which we
3 have placed on this operating condition in order to
4 assure ourselves and the public, as a representative
5 of the public as well, that we would be able to -- the
6 plants will operate safely and meet the requirements
7 -- the regulatory requirements.

8 MEMBER WALLIS: If I were a member of the
9 public, and I noticed the number of limitations and
10 conditions, I would say, "Why do they do it this way?
11 Why don't they just wait until GE has finished the
12 job, and then approve it?" Why do you say it's sort
13 of okay with all these conditions? Why don't you make
14 GE make the conditions go away and then approve it?

15 MS. ABDULLAHI: I probably need some
16 explanation. I know where you're coming from, and I
17 do understand that. I would like to point out that,
18 for one, the limitations don't always mean that
19 something has to be -- limitations have a couple of
20 roles. One role of the limitation is to ensure that
21 an important change in calculation or the number of
22 calculations you do, it's sort of an emphasize for
23 future users of this topical report. So that's one
24 purpose of limitation.

25 The second purpose of a limitation is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where we are -- their information that we would like
2 -- like margins, what we call the adders or the
3 penalties some people call it, that you add, and those
4 you want to document it right there also for your
5 users as well as make it clear this is what needs to
6 be done. And it's sort of a legal way of making it
7 done.

8 The third aspect is -- and which is what
9 you're asking me is, well, why don't you wait until
10 you finish -- they finish all the work. Well, if you
11 really look at it, we also looked at this topical
12 report and the methods. And the methods is actually
13 applicable to EPUs, and plants with EPUs are operating
14 today with EPUs.

15 So when you review something, you
16 basically look at it, see the safety significance of
17 it, and then you come to a conclusion on what -- would
18 this additional change make it more acceptable? We
19 call it reasonable assurance. Well, give me the
20 reasonable assurance.

21 Now, it doesn't mean that the GE, if we --
22 we have to have a commitment, we won't let them --
23 they would have to meet those commitments as well.

24 Okay. I just -- because of that
25 discussion, I felt I had to say this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, this is the power flow map, and you
2 already saw it. Now, the difference between this one
3 -- where are you? You don't have that one? Okay.
4 Again, this is the two LTRs and the EPU and how they
5 interconnect together. The MELLLA+ topical report is
6 interconnected by the state -- supported by the
7 stability topical report, which is supported by the
8 DSS-CD topical report.

9 For instance, some of the improvements or
10 worries that people had about MELLLA+ is the reason
11 that DSS-CD is being used to support it. Okay? So
12 MELLLA+ -- for instance, you cannot use option 3 as of
13 now, as it stands. Okay? So these are some of the
14 improvements that have gone into it.

15 The interim method goes into -- it
16 supports the EPU and MELLLA+ plant-specific
17 applications.

18 MEMBER ABDEL-KHALIK: So let me just try
19 to understand this process. As a part of this review,
20 did you go back and look at the TRACG report, that
21 33147P?

22 MS. ABDULLAHI: This is a specific
23 application that came in and was reviewed and approved
24 by the staff. And I will let Jose explain it. It is
25 only for DSS-CD.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MARCHE-LUEBA: The answer is yes.
2 Yes, that report was reviewed and approved.

3 MEMBER ABDEL-KHALIK: Previously.

4 MR. MARCHE-LUEBA: During the DSS-CD
5 review, as part of the DSS-CD review, which has
6 already been completed and issued, the application --
7 for the DSS-CD application, we needed to approve some
8 calculations performed by TRACG to demonstrate that
9 the DSS-CD performs. And we found out TRACG had --
10 was not approved for that application, so we required
11 them to submit a qualification report for that
12 application.

13 CHAIRMAN BANERJEE: So it's a specific
14 application approval, correct?

15 MR. MARCHE-LUEBA: Correct.

16 CHAIRMAN BANERJEE: It's not a blanket
17 approval.

18 MR. MARCHE-LUEBA: It's not a blanket
19 approval, and you will see in the closed session a
20 slide that has all of the specific applications where
21 TRACG is allowed to be used, and there is more than
22 you probably know. These are --

23 CHAIRMAN BANERJEE: Well, you are saying
24 it's acceptable, but it's not approved.

25 MR. MARCHE-LUEBA: Approved. It's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 approved.

2 CHAIRMAN BANERJEE: Approved.

3 MR. MARCHE-LUEBA: Approved.

4 MS. ABDULLAHI: This one.

5 MR. MARCHE-LUEBA: There are at least five
6 different TRACG SERS for specific applications like
7 this one.

8 CHAIRMAN BANERJEE: Okay.

9 MEMBER WALLIS: Would you say what you
10 mean by the word "interim" in there or what you
11 understand by the word "interim" in that --

12 MS. ABDULLAHI: Yes, that's a good
13 question.

14 MEMBER WALLIS: -- right-hand side there?

15 MS. ABDULLAHI: Yes. The term -- we have
16 reviewed what was generally called at the time generic
17 topical -- generic methods, referred to as generic
18 methods, and at that time we reached the conclusion
19 that additional validation data would be useful and
20 good to -- we would need additional validation data.

21 So this interim method stems from the fact
22 that in order to -- in lieu of those additional
23 validation data, they will take a penalty, or they
24 will take additional uncertainty increases. And that
25 is the difference between interim and generic.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Have you spelled out --

2 MS. ABDULLAHI: Let me ask -- hold on. Am
3 I going into proprietary?

4 MEMBER WALLIS: Have you spelled out what
5 they need to do in order to move from interim to
6 final? Have you spelled out the requirement in some
7 way?

8 MS. ABDULLAHI: Well, this is one of the
9 things that the interim will -- the limitation do is
10 they tell you -- in the SE it explains what is missing
11 and what we expect to achieve. Now, have we sat down
12 and wrote to them exactly the details? We have not in
13 this case. But it's very apparent. It is known what
14 needs to be done. And they are in progress, and they
15 have given us a presentation of where they are.

16 MEMBER WALLIS: A draft of a thesis where
17 you say it looks okay but you've got to do all of
18 these various things before we'll sign it?

19 MS. ABDULLAHI: No. It's different. It's
20 basically data that they are in progress of doing it.
21 They made a commitment, an official letter commitment
22 that they will do those datas, and they are providing
23 those information.

24 Now, I do not know if I'm crossing the
25 line into proprietary and non-proprietary.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: Well, let's take a
2 broader question here, then. But look at it this way.
3 I guess you are -- you want an ACRS letter at the end
4 of the day, right?

5 MS. ABDULLAHI: Yes.

6 CHAIRMAN BANERJEE: Which will come in
7 front of the full committee in June and --

8 MS. ABDULLAHI: Right.

9 CHAIRMAN BANERJEE: -- we will report to
10 the subcommittee, of course, but the reason this is
11 happening is for Hope Creek, I presume, at this time,
12 right? So have things been resolved sufficiently that
13 the staff now feels that this method is -- I mean, I
14 want a broad view of this -- to be taken forward to
15 the full committee for approval and then to apply it
16 to Hope Creek? Or at least so that we can consider
17 Hope Creek under this methodology?

18 MS. ABDULLAHI: I think that I do believe
19 that, yes, there is a sufficient understanding in
20 which now we can go forward with the methods and apply
21 it to Hope Creek.

22 MEMBER WALLIS: There's an assumption that
23 this additional data which GE is going to acquire is
24 going to validate these interim methods. That seems
25 to be an assumption.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. ABDULLAHI: Well, it's really -- the
2 way I look at it it's slightly different. It's
3 saying, okay, we will put an additional margin on
4 these safety limits, regulatory limits. What matters
5 down the stream and make sure that you meet, you know,
6 GDC-10, okay? On the other hand, the vendor, or GE in
7 this case, will be getting additional data. They are
8 of an opinion that they are fine, that they are -- you
9 know, that they have good enough methods. So this is
10 part of the review process that you go through.

11 So if we give them back -- if they will --
12 they send us a commitment, they said they will do it.
13 Now, they have started it. They have put in a --
14 given us several presentations in which they have
15 shown us that data. And so it's not something that is
16 actually long-term, and I think you can look at it
17 from another side. It's some --

18 MEMBER WALLIS: It seems like he was
19 talking, but we can't hear him. Is that right?

20 MR. CRANSTON: This is Greg Cranston. I
21 want to just interrupt for a second in conjunction
22 with Hope Creek. Hope Creek is proceeding along for
23 EPU and the MELLLA+, but it is not contingent upon
24 approval of anything that is happening here today.

25 We are moving in a parallel path, and we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are approaching this on a plant-specific basis at the
2 same time using the methods that are described in
3 these topical. But if for some reason there are
4 still some open items or issues of concern, Hope Creek
5 will still proceed and we'll be reviewing it on a
6 plant-specific basis.

7 So, and we have alerted them to that fact,
8 so that they are not held up schedule-wise should
9 there be any issues that we need to further pursue.

10 CHAIRMAN BANERJEE: Right, because I think
11 you can't assume that there won't be some issues.

12 MR. CRANSTON: Yes. Correct.

13 CHAIRMAN BANERJEE: Right.

14 Can we continue on approval of everything?

15 MS. ABDULLAHI: No. No, we -- Vermont was
16 the case -- Vermont was a case of --

17 CHAIRMAN BANERJEE: Vermont was just an
18 EPU.

19 MS. ABDULLAHI: Right.

20 CHAIRMAN BANERJEE: It was not MELLLA+.

21 MS. ABDULLAHI: No, no. Vermont EPU had
22 a method. It was a plant-specific method. The
23 interim method is sort of a parallel of Vermont
24 Yankee. Now, I don't know what -- exactly where I was
25 in the question you asked, but if I can proceed --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: When is the Hope Creek
2 power uprate subcommittee meeting set for, then, right
3 now?

4 MR. CARUSO: August.

5 CHAIRMAN BANERJEE: August?

6 MR. CARUSO: August. It has moved to
7 August.

8 CHAIRMAN BANERJEE: Okay. Carry on.

9 MS. ABDULLAHI: I don't know if I answered
10 the last question, but what --

11 CHAIRMAN BANERJEE: I think it's
12 sufficient.

13 MS. ABDULLAHI: Yes, okay. Yes, there is
14 an incentive. When you put a margin uncertainty --
15 when you put a margin on certain parameters, nobody
16 wants to keep that extra margin, so there is incentive
17 to get the data and move forward.

18 If we go to slide I guess 3, what we
19 intended to do is define what MELLLA+ operation
20 entails, establish some of what we consider to be
21 significant impacts on fuel-dependent analyses, and
22 present some of our bases for safety finding. And
23 tomorrow what we want to do is support EPU and MELLLA+
24 application, discussing significant methodology topics
25 reviewed, and present bases for the staff safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 findings.

2 Of course, you saw this power flow map,
3 and --

4 MEMBER WALLIS: I haven't seen this. But
5 I haven't seen this red point before.

6 MR. MARCHE-LUEBA: Yes, that's right.

7 MEMBER WALLIS: What is that red point up
8 there?

9 MR. MARCHE-LUEBA: This is Jose Marche-
10 Lueba. Develop -- we've talked in previous meetings
11 about the rod lines. This is the 100 percent rod
12 line, which approximates what the reactor will do when
13 you change the flow. If you start on 100 percent
14 power, 100 percent flow, and you change the
15 circulation flow slowly so that you maintain the
16 equilibrium, you will follow this line approximately,
17 because every day -- on Tuesday you have a different
18 coefficient than on Wednesday. So there is a margin
19 around it.

20 The MELLLA+ line, it was called now, if
21 you extrapolate it to 100 percent flow it will heat
22 132 -- 138 percent power. So MELLLA+ operation is at
23 the 138 percent rod line.

24 CHAIRMAN BANERJEE: So, Jose, can we
25 expect with further subdivision that one day they will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 come to 138, and then they will go this way?

2 (Laughter.)

3 And then, drop off?

4 MR. MARCHE-LUEBA: That's for the industry
5 to say, but I think it would be very expensive to get
6 there.

7 MEMBER WALLIS: But not only that, Jose,
8 they have a higher flow. I mean, they showed us a
9 yellow region, which went to 110 percent flow or
10 something. Now we're going to be up to 150 percent
11 power or something. I mean, why did you show this?
12 They are not going to operate at the red point, are
13 they?

14 MR. MARCHE-LUEBA: Your concern was power
15 to flow ratio.

16 MEMBER WALLIS: Yes. But they're not
17 going to operate at the red point.

18 MR. MARCHE-LUEBA: No. But is the power
19 to flow consistent with operation of 138 percent
20 power. So that's -- so you have a mental picture in
21 your mind, this is a power to flow ratio consistent
22 with operation of 138 percent.

23 MS. ABDULLAHI: So when we discuss later
24 on some of the safety analyses, and we say certain
25 statements, this line will sort of give you an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understanding of why.

2 MR. MARCHE-LUEBA: My concern when we
3 worry about obvious instability is you're operating at
4 the core, and then you will --

5 MEMBER WALLIS: So if the operator is on
6 this rod line, and he somehow or other mistakenly
7 increases his flow rate, he will go up to that --
8 towards that red point.

9 MR. MARCHE-LUEBA: If you were to have a
10 pump uprate, whatever it's called -- upshift -- no, it
11 is not upshift -- increase of pump speed you will hit
12 the scram setpoint of --

13 MEMBER WALLIS: Scram would not let you
14 get up there.

15 MR. MARCHE-LUEBA: Yes. Your APRM scram
16 will hit you before that.

17 MEMBER WALLIS: Do you have any idea of
18 where the boundary is outside which you can't operate
19 this thing? We asked that in --

20 MR. MARCHE-LUEBA: No. And nobody does,
21 because you -- during -- I've been quiet for the last
22 hour, and I wanted to champion -- you got into the
23 line power to flow ratio, and what counts is what
24 power to flow ratio has the hot channel. Okay? Your
25 limit is set by the hottest channel, not by the core

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 average.

2 And the way these plans that are here --
3 I want to be able to operate these by spending a lot
4 of money, buying a lot of fuel during the reload, and
5 being able to redesign their core so that they flatten
6 the power distribution and they are able to keep the
7 hot channel where it was and bring more channels close
8 to --

9 MEMBER WALLIS: So that means that the --
10 yes, I'm sorry.

11 MEMBER KRESS: Yes. That brings to
12 question the idea of reduced margins. It appears like
13 the hot channel has the same margin, but we're
14 bringing a lot more of the fuel a lot closer to these
15 margins, so you actually do reduce margins.

16 MR. MARCHE-LUEBA: You do reduce the core
17 margin, correct.

18 MEMBER KRESS: Yes, the core margin.

19 MR. MARCHE-LUEBA: Correct.

20 MEMBER KRESS: We need to make that point,
21 because we've seen --

22 MEMBER CORRADINI: May I --

23 MEMBER KRESS: -- keeping the same margin.

24 MEMBER CORRADINI: May I ask a question
25 that follows on Tom's question? So when you said the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hot channel, we're talking the hot assembly.

2 MR. MARCHE-LUEBA: That is correct.

3 MEMBER CORRADINI: Okay. And so just to
4 give me a rule of thumb, we're talking, what, 300
5 assemblies?

6 MR. MARCHE-LUEBA: Up to 800 assemblies in
7 the core.

8 MEMBER CORRADINI: Okay. I'm sorry, 800,
9 excuse me. So just to follow Tom's point, if what
10 you're saying is the case, that now we're -- by
11 flattening the power, and having more channels
12 operating near the limit, then it's going to be a
13 combination of three things -- knowing how your fuel
14 behaves, knowing to monitor, and then, finally, a
15 reduction in the margin simply because they are all
16 operating closer to it.

17 So have you -- I guess I will repeat my
18 question to you that I asked earlier, which is the
19 partitioning between essentially more surface area,
20 fuel pins going from 7x7 to 10x10, which essentially
21 then changes one of your limits, to better monitoring
22 to essentially -- I'll use Sanjoy's words --
23 sharpening your pencil and doing a better analysis.
24 I'm trying to get a feeling for which of these is
25 dominant, or they're all equally causing you to have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this ability to move into that trapezoid MELLLA+.

2 MR. MARCHE-LUEBA: The number one item was
3 -- that you said before was the change from fuel from
4 7x7 to 10x10. That allows you to --

5 MEMBER CORRADINI: Right. It essentially
6 increases by a factor of two your surface area.

7 MR. MARCHE-LUEBA: Yes. The other item
8 which was not discussed previously is our ability to
9 analyze core, core reloads, with faster computers.

10 MEMBER CORRADINI: Right.

11 MR. MARCHE-LUEBA: In the 1970s, it had to
12 be done by hand, and it was a black art to be able to
13 know where to put the new assemblies. Now they are
14 able to iterate and optimize the assembly reloading,
15 so that they can get these flat power distributions
16 that they need for operation in that core.

17 And as I said before, that cost them a lot
18 of money, because you flatten this core by throwing
19 away fuel that you could have still used and putting
20 brand-new fuel in there. So it is a lot of money.
21 The utilities are spending money to get there.

22 CHAIRMAN BANERJEE: But all this means
23 that the fuel is faster, because the diameter is --

24 MR. MARCHE-LUEBA: That is correct.

25 CHAIRMAN BANERJEE: -- smaller. There is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to be more plute in the core because it's
2 flattened. So the delayed neutron fractions also
3 change, so the whole thing is becoming much less
4 stable core. It's a flatter core.

5 MR. MARCHE-LUEBA: The stability is really
6 bad for -- there's a big impact on the instability.
7 You will see that on --

8 MEMBER CORRADINI: Can you repeat that,
9 please?

10 MR. MARCHE-LUEBA: There is a big impact
11 on the thermal hydraulic instability, the stability of
12 the core. You will see that on the presentations we
13 will give in the closed session -- tremendous impact.

14 MS. ABDULLAHI: If I go back on the --
15 look at slide 5 --

16 MEMBER WALLIS: Can I go back to something
17 he said, though?

18 MS. ABDULLAHI: Sure.

19 MEMBER WALLIS: I mean, do you say now
20 it's not just one assembly which is the hottest
21 channel. They're sort of spreading it out, so there
22 are now lots of hottest channels.

23 MR. MARCHE-LUEBA: Yes.

24 MEMBER WALLIS: So if you were wrong in
25 some way, instead of having one channel have fuel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 damage, you might have many channels have fuel damage,
2 if you were somehow wrong in your prediction of the
3 limit.

4 MR. MARCHE-LUEBA: That is correct.

5 MEMBER WALLIS: So there is something
6 really lost here in margin that -- it's not sort of
7 margin to an accident, it's in a margin to an event
8 which might somehow be more extensive in the core.

9 MR. MARCHE-LUEBA: Somehow that is built
10 somehow into the safety limit, that that --

11 MEMBER WALLIS: But that's not the same
12 thing. I'm just having a safety limit for the hottest
13 channel. Doesn't say how many are allowed to get
14 close to it.

15 MS. ABDULLAHI: Actually, if I may expand
16 on this, there are different limits, right?

17 MEMBER WALLIS: Is there some core-wide
18 limit?

19 MS. ABDULLAHI: There are different
20 limits. Well, some of the limits are fixed, right?
21 And those limits are the linear heat generation rate.
22 Okay. For those particular limits, we require that,
23 you know, they maintain the certain regulatory
24 requirements that they have to meet, and that's where
25 the limit is coming from.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In those cases, the bundles will be
2 operating. We have to operate within the limit,
3 basically. The fixed power -- the fixed kilowatt flow
4 to exposure line, okay, now if they're going to tell
5 me that's -- it's proprietary, I don't know. I don't
6 think it is proprietary.

7 The second thing is the SLMCPR requires
8 that 99 -- according to NRC requirements, 99.9 percent
9 of the fuel rods avoid boiling transition.

10 MEMBER WALLIS: According to some
11 prediction.

12 MS. ABDULLAHI: According to some
13 prediction, some --

14 MEMBER WALLIS: 99.9 are just close to the
15 limit.

16 MS. ABDULLAHI: -- experiment.

17 MEMBER WALLIS: Then, if your prediction
18 is off, there is uncertainty in that prediction.

19 MS. ABDULLAHI: Exactly. And which is
20 what we focus in the methodology, really, was trying
21 to assure us, and, of course, we need to get the
22 similar assurance, you know, through this process,
23 that, in fact, that a slide underprediction or --
24 would not get us to a point where we may not --

25 MEMBER WALLIS: See, I think I read

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something. I don't want to get into anything
2 proprietary. I think I read something in your
3 evaluation about the uncertainty in this prediction.

4 MS. ABDULLAHI: Yes.

5 MEMBER WALLIS: And it's not just a
6 question of 99.9, but it is a flatter call -- you have
7 to figure that in in figuring out how much of the core
8 might -- did you -- I assume we are going to get into
9 that.

10 MS. ABDULLAHI: We are going to get into
11 that, and I guess for the public I want to add that
12 when they do the -- when you calculate the SLMCPR, it
13 would be -- since you only allow one out of the whole,
14 you will make sure that the limit you come up with
15 takes into account the number of --

16 MEMBER WALLIS: How do you allow one out
17 of a whole if 99 percent are all the same, and they
18 are close to the limit? How can you -- it's either 99
19 or nothing. It's not one.

20 MEMBER BONACA: The theory, I mean, it has
21 a statistical basis in fact.

22 MS. ABDULLAHI: Right.

23 MEMBER BONACA: And so, therefore --

24 MS. ABDULLAHI: 95 --

25 MEMBER BONACA: -- the more pins you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 closer to the limit the more you are likely to have a
2 certain amount of fuel damage, I mean, in transients.

3 MS. ABDULLAHI: Right.

4 MEMBER BONACA: So, but you considered
5 that.

6 CHAIRMAN BANERJEE: So I think the issue
7 that --

8 MS. ABDULLAHI: GE has -- wants to make a
9 statement here.

10 MR. COLEMAN: I'm Mark Coleman from GE.
11 The statistical limits are what are making the sense
12 at the moment. We have conditions such that we are
13 not going to let any more than .1 percent of the fuel
14 rods, the entire core, no matter how they spread out
15 among the bundles are going to go into volume
16 transition.

17 And then, if you have more bundles and
18 more rods near this limit, then statistically we have
19 to show that we are still going to have .1 percent,
20 which means that you would have a higher safety limit
21 then. So you'd have more margin built in by way of
22 the changing of the actual safety limit, which assures
23 that no matter what the condition is, the core
24 condition, that if you do have an accident -- not an
25 accident, but a transient occur, then you would not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have any more than .1 percent of the fuel rods
2 actually reaching that limit. So it is all taken into
3 account in the safety limit methodology.

4 MEMBER WALLIS: Now, in the closed
5 session, are you going to show us --

6 MEMBER BONACA: That is applied to the
7 individual cores.

8 MR. COLEMAN: Yes. Yes, and we will go
9 over that --

10 MEMBER BONACA: The global limit that --
11 you are assuming that.

12 MR. COLEMAN: Yes. So, really, there is
13 no degradation in the overall margin to that .1
14 percent.

15 MEMBER WALLIS: So in the closed session,
16 you are going to show us how you get this -- this
17 assurance and you're going to show us data on volume
18 transition at the conditions that you're going to
19 have?

20 MR. COLEMAN: Yes, we will.

21 MEMBER WALLIS: Because it's rather
22 remarkable to get such a good prediction of volume
23 transition.

24 MR. COLEMAN: We will show that, and we
25 will have the appropriate discussion of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainties.

2 MEMBER WALLIS: Okay. Thank you.

3 MEMBER ABDEL-KHALIK: Let me ask another
4 sort of big picture question. What sets the knee of
5 the curve?

6 MR. MARCHE-LUEBA: The 55 percent hot?

7 MEMBER ABDEL-KHALIK: Right.

8 MR. MARCHE-LUEBA: You may need to ask GE.
9 It's an arbitrary number, just by the fact that it is
10 now 52.1.

11 MEMBER ABDEL-KHALIK: Right.

12 MR. MARCHE-LUEBA: And I've heard it was
13 -- the stability region is somewhere out here, and it
14 was picked high enough so it wouldn't cross it. The
15 other thing -- well, you have to ask GE why they
16 picked an arbitrary number.

17 MR. CASILLAS: This is Jose Casillas.
18 That map represents the maximum boundary, but -- and
19 it's selected -- it's balanced between safety margins
20 and operational flexibilities. And so the studies
21 that were performed to define that was to obtain a
22 balance for that, and the specific application of the
23 plant will select just what they will be using for
24 that.

25 MEMBER WALLIS: Suppose you moved it down

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to 40 percent core flow? Could you, in a public
2 session, say what would happen? What would we -- what
3 would happen if you removed that rod line down, that
4 138 power rod line down to 40 percent power?

5 MR. CASILLAS: Any expansion, either on
6 the upper or lower boundary, will produce -- will
7 create greater challenges on different aspects of the
8 safety analysis or the operation.

9 MEMBER WALLIS: Well, this isn't stability
10 which is limiting you, really?

11 MS. ABDULLAHI: Yes. It's --

12 MEMBER WALLIS: Can you be specific about
13 what is --

14 CHAIRMAN BANERJEE: He said no, it's not
15 stability.

16 MEMBER WALLIS: It's not stability.

17 MR. CASILLAS: No. No, there is --

18 MS. ABDULLAHI: Go ahead.

19 MR. CASILLAS: There is other
20 considerations which will be discussed -- presented
21 for that.

22 MEMBER WALLIS: But can you tell the
23 public something about what you're avoiding by having
24 the knee there? You can't?

25 MR. CASILLAS: Clearly, there are several

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 areas of the safety analysis that are impacted by
2 having lower core flow. Stability is only one of
3 those, and they will all be discussed and presented.

4 MR. MARCHE-LUEBA: In the closed session,
5 you will see what happens to the critical power ratio
6 as you treat the pumps, and then you see that as you
7 reduce the flow you gain critical power ratio. So you
8 gain margin at the lower flows, because you have lower
9 power.

10 MS. ABDULLAHI: Let me try to slide in
11 here and explain one thing. I'm going to give you
12 your answer.

13 MEMBER ABDEL-KHALIK: Just to clarify
14 things, at the end of the day, we'll understand why
15 the knee is set where it's at.

16 MR. CASILLAS: At the end of the day,
17 we'll see whether all of the areas that are impacted
18 by where -- by setting that -- the knee where it's at,
19 why it produces a reasonable compromise for all of the
20 areas.

21 MEMBER WALLIS: So when my colleague at
22 the university asked me why I approved this and says,
23 "How did they justify this knee?" am I allowed to tell
24 this colleague anything?

25 MR. CASILLAS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: What am I allowed to say?
2 I mean, you are just saying it is all kinds of
3 considerations, but --

4 MR. CASILLAS: Yes.

5 MEMBER WALLIS: -- that's not a very
6 reassuring --

7 MR. CASILLAS: It's a balance between the
8 benefits of expanding the map and the penalties and
9 the consequences of expanding the map.

10 MEMBER WALLIS: Yes.

11 MR. CASILLAS: And the benefits will be
12 presented by the core performance, and the challenges
13 will be presented by the safety analysis. It's --

14 MS. ABDULLAHI: Y.C. Jiu, did you want to
15 say something as well? I saw you --

16 MR. JIU: Alan.

17 MS. ABDULLAHI: Alan, sorry. Alan, I just
18 saw him there. Okay.

19 I will just add that although the details
20 we cannot say right now, that there are specific
21 safety analyses that will be affected at that point.

22 MR. CASILLAS: Yes.

23 MS. ABDULLAHI: And I believe that if we
24 go through the list here, we could be able to tell you
25 which one of these we think may be affected. Now,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ultimately, we only know why they did the cut
2 according to what they told us. But as reviewers, all
3 we can tell you is what we think it would -- as to
4 have an effect on calculated there, and then tell you
5 where they have calculated and that point was
6 limiting.

7 MEMBER WALLIS: I am mulling over what I
8 just heard from GE, though. They said there was a
9 balance of safety challenges versus benefits. This is
10 something that we don't usually get into, but
11 presumably the benefits are to the utility, and the
12 safety challenges are to the public in some way,
13 right?

14 MS. ABDULLAHI: And the regulatory --

15 MEMBER WALLIS: So that GE is somehow
16 making this balance? You must be making this balance
17 in some way. Are you making this balance? Or who is
18 making this balance between safety and benefits?

19 MS. ABDULLAHI: Between the benefit and
20 the --

21 MEMBER WALLIS: Yes.

22 MS. ABDULLAHI: I do not consider the
23 benefit in terms of -- in terms of --

24 MEMBER WALLIS: You don't consider benefit
25 at all, do you, when you decide whether something is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 okay?

2 MS. ABDULLAHI: I look only at, can the
3 plant, with this particular change, meet the
4 regulatory and safety requirement? Can the analyses
5 used to perform this plant response in this condition
6 acceptable enough that the prediction can be used to
7 make a safety finding, a reasonable safety --

8 CHAIRMAN BANERJEE: Do you have the
9 capability to do any confirmatory analysis?

10 MS. ABDULLAHI: We did a couple of them.
11 We would need more, and maybe ACRS can help NRR get
12 there.

13 CHAIRMAN BANERJEE: We are trying to.

14 MS. ABDULLAHI: I know. Mike Colby of GE
15 wants to --

16 MR. COLBY: Yes, I just want to say in
17 terms of where that would be -- where that line would
18 be and how much of that region you want to get into,
19 we are not necessarily threatening any safety limits,
20 but what happens is is we will put so much constraints
21 on ourselves for operation if we would expand that
22 further that it would not be feasible for us to design
23 core designs, which would be economic for the
24 utilities to use.

25 And so when we're talking about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 compromise, we're talking about compromises in terms
2 of what the utilities are going to use in terms of
3 their operations during -- and the core loadings and
4 everything that entails the core operation. So we
5 make it feasible for them to be able to use. If we
6 expand it too much, then because of the limitations
7 that we have to put on ourselves in order to preserve
8 the same safety margins, as we have right now, would
9 be too much for the core designs to handle.

10 MS. ABDULLAHI: If I may --

11 MEMBER BONACA: Just if I can suggest,
12 this discussion will be much more effective after we
13 hear the proprietary session than before, because we
14 are all trying to figure things and, you know, in our
15 mind, and so my suggestion would be to postpone this
16 conversation until after we hear the proprietary
17 presentation.

18 MS. ABDULLAHI: Okay.

19 CHAIRMAN BANERJEE: So if you would please
20 exercise constraint.

21 MEMBER BONACA: No, just a suggestion that
22 it seems to me that we are speculating and thinking in
23 our mind about what could it be that this phrase --
24 because we are not --

25 CHAIRMAN BANERJEE: But I think it also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sets the tone for what we want answered in --

2 MEMBER WALLIS: At this moment, I am
3 trying to behave like a member of the public, rather
4 than --

5 MS. ABDULLAHI: I understand.

6 MEMBER BONACA: It's just simply that we
7 will keep --

8 CHAIRMAN BANERJEE: I think we want to
9 finish this. Is there anything else that --

10 MS. ABDULLAHI: I am finished and -- okay.

11 CHAIRMAN BANERJEE: How much is important,
12 and how much is not?

13 MS. ABDULLAHI: Okay. I think this slide
14 is actually important, which says, "What are the
15 impact of MELLLA+?" And this flowchart shows that
16 what we consider to be the significant impacts, and
17 this is only focusing on the fuel dependent analyses,
18 and one of them is the stability, ATWS, ATWS
19 instability, ECCS LOCA, and SLMCPR.

20 These are the few areas that we found or
21 we think that you should in an overview be able to
22 hear and understand more.

23 CHAIRMAN BANERJEE: Does ECCS LOCA also
24 include issues related to containment and --

25 MS. ABDULLAHI: No. This review today is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really limited to reactor core and fuel performance
2 and fuel-dependent analyses.

3 MEMBER WALLIS: Not suppression pool? Not
4 suppression pool temperature or --

5 MS. ABDULLAHI: We did some suppression
6 pool, but it's for the ATWS. There's another branch
7 that does the -- we have some net positive suction
8 head and suppression pool information, but that is
9 from ATWS perspective.

10 Now, in terms of ECCS LOCA containment
11 sites, there is a containment branch, and I --

12 MS. HONCHARIK: There aren't present here
13 today. I'm trying to get someone here to address any
14 questions that may come up later in the day during the
15 closed session.

16 CHAIRMAN BANERJEE: That has always been
17 one of our issues with these uprates.

18 MS. ABDULLAHI: And, again, as Dr. Wallis
19 pointed out, that was one of the areas that is plant-
20 specific, I believe.

21 To conclude, having looked at all of the
22 safety analysis, and looked at some analysis brought
23 that GE had provided, and done our own comprehensive
24 review, we have concluded that MELLLA+ is not for
25 every plant. MELLLA+, some plants will be able to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operate at it, some plants may not. Some plants may
2 need modifications that they have to implement. This
3 is not what I have in here. I decided to skip, since
4 we are ending fast. And you will hear the reasoning
5 behind that, so --

6 MEMBER WALLIS: It's a permission
7 sometimes?

8 MS. ABDULLAHI: Excuse me?

9 MEMBER WALLIS: Is it sort of vague?
10 Maybe you say because the conditions are really
11 specific. It's clear what you're allowing.

12 MS. ABDULLAHI: Yes. What we are allowing
13 is clear. The conditions that we specify says this,
14 this, this, this, this. So if a plant wants to be
15 able to meet all of these things, and make no plant
16 mod, you know, like no increase in their volume or no
17 -- they will hit a limit somewhere. And also,
18 depending -- yes.

19 MEMBER WALLIS: I'm sorry. You said
20 sometimes it will be okay, and sometimes it won't be,
21 and I --

22 MS. ABDULLAHI: Per plant.

23 MEMBER WALLIS: And you have really
24 specified what those times are.

25 MS. ABDULLAHI: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Okay. That's all.

2 MS. ABDULLAHI: No. What we're basically
3 saying is giving you an overview speculation that we
4 don't -- we are not improving MELLLA+, and we are not
5 asking you to approve MELLLA+, assuming every plant
6 will be able to implement and be fine. They would
7 have to demonstrate that, and we have our own little
8 areas that we think may be where the breaks will be.

9 MEMBER BONACA: So this -- even assuming
10 that they all will do modifications -- I'm trying to
11 understand the context of your statement.

12 MS. ABDULLAHI: I understand. I'm sure
13 it's vague. But what I'm saying, without plant
14 mods --

15 MEMBER BONACA: Yes, without plant mods.

16 MS. ABDULLAHI: -- without plant mods --

17 MEMBER BONACA: Yes, all right.

18 MS. ABDULLAHI: -- some analyses you made
19 need --

20 MEMBER BONACA: Yes.

21 MS. ABDULLAHI: -- to do some things. And
22 we've done a thorough review, and we find it
23 acceptable at this stage. And I think we'll stop
24 right here, because you don't have time for the rest.

25 MR. MARCHE-LUEBA: Could I make a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 statement?

2 MS. ABDULLAHI: Yes, go ahead.

3 CHAIRMAN BANERJEE: Go ahead.

4 MR. MARCHE-LUEBA: By agreeing earlier to
5 something you said, I may have given the wrong
6 impression. At the end of the day, plants are
7 operated against a hard limit. If the speed limit on
8 the interstate is 55 miles an hour, 65, it's called
9 the operating limit MCPR. And that's what the plants
10 operate that hot channel against.

11 For a plant that is today at EPU and wants
12 to move to MELLLA+, that operating limit is going to
13 be of the order of five percent higher tomorrow if
14 they want to do it in MELLLA+. So it would be on the
15 order of five percent more margin to the -- to the
16 actual volume transition calculated on the GEXL tests.
17 Okay?

18 So we've agreed that there are more
19 channels close to power, all this and that, but when
20 you add up all of the penalties we have closed on the
21 SER, plus all of the penalties that the methodology
22 imposes, or being able to calculate all the transients
23 at the worst condition, the upper limit, which in the
24 plant they say 1.4, it will go to 145.

25 So we do -- are imposing a five percent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 penalty in the operation. And they are able to do
2 that by spending money and buying more fuels and
3 getting a better power distribution from the core. So
4 not everything is bad.

5 CHAIRMAN BANERJEE: Thanks, Jose.

6 I think we'll thank you for your
7 presentation. We'll take a break now for -- until
8 about 10:30.

9 MEMBER CORRADINI: Sanjoy?

10 CHAIRMAN BANERJEE: Yes.

11 MEMBER CORRADINI: Could Theron give me a
12 call? Let me give him a number to call and -- to try
13 to settle the uncertainty of the -- just the signal
14 going in and out.

15 CHAIRMAN BANERJEE: All right. Theron,
16 you can get that. We'll take a break in the meantime
17 until 10:30.

18 (Whereupon, the proceedings in the
19 foregoing matter went off the record at
20 10:17 a.m. and went back on the record at
21 10:31 a.m. in Closed Session.)

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701