

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
498th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Friday, December 6, 2002

Work Order No.: NRC-676 Pages 320-536

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
+ + + + +
498TH MEETING
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

FRIDAY,

DECEMBER 6, 2002

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee resumed at the Nuclear Regulatory Commission, Two White Flint North, Room T2B3, 11545 Rockville Pike, at 8:30 a.m., Dr. George Apostolakis, Chairman, presiding.

COMMITTEE MEMBERS:

GEORGE E. APOSTOLAKIS, Chairman

MARIO V. BONACA, Vice Chairman

F. PETER FORD, Member

THOMAS S. KRESS, Member

GRAHAM M. LEITCH, Member

DANA A. POWERS, Member

VICTOR H. RANSOM, Member

STEPHEN L. ROSEN, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 COMMITTEE MEMBERS: (cont.)

2 WILLIAM J. SHACK, Member

3 JOHN D. SIEBER, Member

4 GRAHAM B. WALLIS, Member

5

6 ACRS STAFF PRESENT:

7 JOHN T. LARKINS, Executive Director

8 SHER BAHADUR, Associate Director

9 SAM DURAISWAMY, Technical Assistant

10 PAUL A. BOEHNERT, Staff Engineer

11 HOWARD J. LARSON, Special Assistant

12

13 ALSO PRESENT:

14 ROBERT J. BUDNITZ, Lawrence Livermore

15 FAROUK ELTAWILA, NRC

16 TOM KING, NRC

17 TAD MARSH, NRC

18 MOHAMMED SHUAIBI, NRC

19

20

21

22

23

24

25

I-N-D-E-X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

<u>AGENDA</u>	<u>PAGE</u>
Opening Remarks - Chairman Apostolakis	323
Status of the Development of the Review	
Standard for Power Uprates	
Remarks by Subcommittee Chairman	325
Briefing by and discussions with	326
representatives of the NRC Staff	
Proposed Options for Resolving Policy Issues	
for Future Non-Light Water Reactors	
Remarks by Subcommittee Chairman	380
Briefing by and discussions with	381
representatives of the NRC Staff	
Final Draft ANS External Events Methodology:	
Remarks by Dana Powers	458
NRC Briefing and Discussion	463

P-R-O-C-E-E-D-I-N-G-S

8:32 a.m.

1
2
3 CHAIRMAN APOSTOLAKIS: The meeting will
4 now come to order. This is the second day of the
5 498th meeting of the Advisory Committee on Reactor
6 Safeguards. During today's meeting, the Committee
7 will consider the following: Proposed ACRS plan for
8 reviewing safeguards and security activities, future
9 ACRS activities, report of the Planning and Procedures
10 Subcommittee, reconciliation of ACRS comments and
11 recommendations, proposed options for evolving policy
12 issues for future non-light water reactors --

13 MEMBER POWERS: Does that mean we're going
14 to turn them around?

15 CHAIRMAN APOSTOLAKIS: I don't understand
16 -- revolving policy is actually more accurate, is it
17 not? Draft final ANS external events methodology
18 standard, election of ACRS officers and proposed ACRS
19 reports.

20 This meeting is being conducted in
21 accordance with the provisions of the Federal Advisory
22 Committee Act. Mr. Sam Duraiswamy is the Designated
23 Federal Official for the initial portion of this
24 meeting. We have received no written comments or
25 requests for time to make oral statements from members

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the public regarding today's sessions. A
2 transcript of a portion of the meeting is being kept,
3 and it is requested that the speakers use one of the
4 microphones, identify themselves and speak with
5 sufficient clarity and volume so that they can be
6 readily heard. And I'm pleased to say this is the
7 last time I read this. Please wipe the tears away.

8 (Laughter.)

9 But there is one thing I want to say since
10 we are talking about it. First of all, I appreciate
11 the honor that the members made me by electing me
12 twice as Chairman, but I would like to point out to
13 say something that you already know. We have an
14 excellent staff here. I don't think that a part-timer
15 like me or anyone else could run a Committee like this
16 without the help of a superb staff that we have
17 working for Dr. Larkins, who's not paying attention
18 right now.

19 MEMBER POWERS: Because he knows all this
20 stuff.

21 CHAIRMAN APOSTOLAKIS: So I really think
22 we should recognize this in public, on the record,
23 because we tend to take it for granted sometimes that
24 the help we get is the natural thing to do, and it is
25 not. Everybody's really very dedicated and they're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doing an excellent job supporting the Committee.

2 (Applause.)

3 Okay. Now, we have to make a few changes
4 in the agenda because of the weather yesterday and so
5 on. So we'll start with me briefing you regarding the
6 security and safeguards reviews that we will do. Then
7 we'll go on to the election and reconciliation of
8 comments and let's try to finish these things by nine
9 o'clock, is that all right?

10 MR. BOEHNERT: At nine o'clock, you're
11 going to have the briefing on the review standard.

12 CHAIRMAN APOSTOLAKIS: Nine a.m., right?

13 MR. BOEHNERT: Yes, sir, 9 a.m.

14 CHAIRMAN APOSTOLAKIS: Okay. Let me start
15 with the security and safeguards.

16 (Whereupon, the foregoing matter went off
17 the record at 8:36 a.m. and went back on
18 the record at 9:09 a.m.)

19 CHAIRMAN APOSTOLAKIS: We're back in
20 session. The next item is left over from yesterday:
21 Status of the Development of the Review Standard for
22 Power Uprates. The cognizant member is Professor
23 Wallis.

24 MEMBER WALLIS: Let's move right along.
25 We have reviewed a handful of power uprates and we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 suggested to the Staff and they came up in a meeting
2 with a Commission, and there should actually be a
3 review plan or review standard for these power
4 uprates. The Staff has been working on it, and
5 Mohammed is going to tell us the results that he's
6 produced.

7 MR. MARSH: Good morning. I have a few
8 opening comments this morning too. My name is Tad
9 Marsh, and I'm the Deputy Director of the Division of
10 Licensing Project Management in the Office of NRR.
11 And good morning and congratulations to our new
12 Chairman and our new member-at-large. I enjoyed the
13 parliamentary procedures -- and the Vice Chairman, I
14 beg your pardon.

15 Before we get to discussions of the review
16 standard for the extended power uprates, I'd like to
17 remind the Committee of some of the reasons that led
18 to this initiative. First, we are experiencing, as
19 many organizations are, a loss of institutional
20 knowledge due to retirements and transfers of senior
21 staff, and we believe that the review standard will
22 provide a mechanism for retaining some of this loss of
23 knowledge. Essentially, it will become a legacy file.

24 Second, as a result of this attrition and
25 this loss of institutional knowledge, we are expecting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a large number of new Staff hires over the next few
2 years; in fact, we have some very large intern classes
3 that are coming in. We believe that the review
4 standards will provide the necessary guidance for use
5 by these new hires in carrying out the Agency's
6 mission.

7 Third, much of the current Staff review
8 criteria is organizationally out of date and review
9 standards will provide a mechanism for updating this
10 information. Fourth, we believe that the review
11 standards will provide sustainable legacy of review
12 criteria, methods and procedures for the Staff.
13 Fifth, we believe that the concept of review standard
14 will make our activities consistent with the vision of
15 having a centralized and fully operational work
16 planning center for the purpose of scheduling and
17 monitoring NRR work.

18 And it's in that context that the review
19 standard that you're going to hear a lot about will
20 add efficiency and effectiveness, we believe, to the
21 review. In the course of going through and
22 constructing this review standard, which Mohammed will
23 describe, you'll see that we've looked very carefully
24 at the underlying standard review plans, generic
25 letter, information notices and asked ourselves what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 needs to be reviewed for the purpose of extended power
2 uprates. We believe that this effort will add an
3 efficiency and effectiveness in our reviews.

4 Now, the initial focus of this activity
5 has been placed on extended power uprates and on early
6 site permits. Our work in these areas will be a pilot
7 for many of the Staff in determining the proper
8 approach to be applied in developing review standards
9 for other areas. So this then, the EPU review
10 standard and also the early site permits, is the first
11 effort, the first chance we've had to really put this
12 concept in place, and I hope you get a feeling for
13 what it is and how it will guide us.

14 I also hope you've had a chance to get a
15 presentation on centralized work planning and how that
16 organization is working, how they will use review
17 standards and what this concept will embody.

18 Let me now turn to power uprates and the
19 timing for this review standard. As you may already
20 know, we conduct semi-annual surveys of licensees to
21 obtain information related to expected power uprates.
22 The results of the last survey, which was conducted in
23 July of this year, indicate that applications of 20
24 extended power uprates should be expected over the
25 next five years. Discussions with vendors indicate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the number may even be larger. In light of this
2 information, we believe that the development of the
3 review standard is timely to help with the review of
4 these applications.

5 We last briefed the Committee on the
6 status of the review standard in July this year, and
7 during that briefing we provided our schedule for
8 issuing the draft review standard for public comment
9 by the end of this year. My staff has also briefed
10 Dr. Kress, Dr. Bonaca and Dr. Larkins and Mr. Boehnert
11 in October about the status of the review standard.
12 I'm pleased to say that we have made significant
13 progress since then and expect to meet our goal for
14 issuing the draft review standard by the end of this
15 month. Although the review standard is essentially
16 complete, however, it is going through official
17 concurrence process, and NRR Management has not yet
18 had a chance to review it. The leadership team, which
19 is made up of the division directors in NRR, is
20 scheduled to be briefed on this review standard this
21 Tuesday, December 10.

22 Based on the feedback we received in July
23 from you, we are proceeding with our plan to issue the
24 review standard, and we do plan on coming back to
25 brief you following the public comment period. We are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not seeking a letter from the Committee today but
2 would welcome, of course, any comments or suggestions
3 you may have that you'd like to share with us. As
4 you'll see from the presentation, we have incorporated
5 comments that we have received from you and welcome
6 any further comments you may have.

7 With that, I'd like to turn to Mohammed
8 who will lead us through the presentation.

9 MEMBER LEITCH: Just one question before
10 you get started.

11 MR. MARSH: Sure.

12 MEMBER LEITCH: The audience for the
13 review standard is primarily internal, that is for the
14 reviewers.

15 MR. MARSH: Yes.

16 MEMBER LEITCH: Is it the intention also
17 to share this document with the licensees?

18 MR. MARSH: Absolutely. Absolutely.
19 That's public comment period. We've also met with the
20 industry and got comments from them. But you're
21 right, this is primarily a Staff review guidance, but
22 it bears a lot, of course, on what licensees submit
23 and give to us because it will guide them in scope and
24 content. So they're anxious about this review
25 standard; it should help.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER LEITCH: Okay. Thanks.

2 MR. MARSH: Thank you. Mohammed?

3 MR. SHUAIBI: Thanks, Tad. Again, my name
4 is Mohammed Shuaibi. I'm the Lead Project Manager for
5 Power Uprates at NRR. I apologize about the slides
6 saying December 5. We were scheduled to come here
7 yesterday, and unfortunately we couldn't make it.

8 I had a presentation ready to go over some
9 of the background and other material leading up to
10 this effort; however, we discussed this quite a bit
11 last time, and what I propose to do today is to skip
12 through some of these slides to save some time and get
13 right to the review standard itself if that's okay
14 with the Committee. Okay.

15 Turning your attention to Slide Number 8,
16 we discussed this at great length during the July 11
17 meeting, and the reason I wanted to bring this back up
18 again is to inform you of two changes. Two changes to
19 this diagram. If you notice up at the upper right and
20 upper left corners, we've added two boxes, one for
21 inspection guidance and one for a review of past RAIs.
22 The inspection guidance is there to indicate that this
23 review standard will provide references in material
24 for -- to provide inspection guidance or for people to
25 inspection guidance that exists. The review of past

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 RAIs, we've conducted a review of past RAIs, and we
2 wanted to make sure that the review standard
3 adequately addresses the areas that we've been asking
4 questions on in the past. And that's about the extent
5 that I want to discuss this diagram; we discussed it
6 at great lengths last time. So unless there are any
7 other questions on this diagram, I'd like to get into
8 the review standard itself.

9 The review standard is going to be made up
10 of four sections. The first section is going to cover
11 procedural guidance for the Staff. The second section
12 is going to cover technical review guidance or
13 technical review criteria to be used during the
14 reviews. The third section will cover the
15 documentation of power uprate review. And the last
16 section will be the inspection guidance.

17 What I'd like to do is hand out some of
18 that material that's going to be in the review
19 standard. As Tad indicated, this is still being
20 reviewed by Management, but I'd like to share it with
21 you just to give you a feel for what it's going to
22 look like.

23 MEMBER LEITCH: A couple questions that we
24 wrestle with concerning the license renewal process.
25 One of those questions is the influence, if any, that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the current standing a licensee has in the reactor
2 oversight process. Is that at all a factor in power
3 uprates? In other words, part of the standard, does
4 it involve looking at the current ROP status of that
5 particular licensee? Does that have any influence on
6 the process?

7 MR. SHUAIBI: At this point, no, we don't
8 have anything in here that goes back to the ROP to do
9 that.

10 MEMBER LEITCH: The same question, I
11 guess, relates to material condition of the plant.
12 This inspection guidance, I guess, is primarily
13 paperwork guidance. Is there any intention of going
14 out and looking at the plant to see whether the -- in
15 other words, does the material condition have any
16 bearing on the power uprate?

17 MR. SHUAIBI: I guess I'm not sure I
18 understand the question.

19 MR. MARSH: I think what you're asking, if
20 I could rephrase it, is if there were material issues
21 --

22 MEMBER LEITCH: Exactly.

23 MR. MARSH: -- material condition issues
24 which would bear on the application information. In
25 other words, a licensee asserts that the flow induced

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 material degradation is such that it's covered by
2 existing programs or existing systems, and would we
3 ask ourselves if that is a statement that bears out by
4 the material condition in the plant, in other words.

5 MEMBER LEITCH: Say you found very poor
6 housekeeping practices, for example, and the plant was
7 just plain not in good material condition, would that
8 in any way influence the extended power uprate
9 decision?

10 MR. MARSH: I doubt that aspect, but if
11 there were corrective action program issues, such that
12 there are material condition or design issues, then
13 that would be part of the synthesis, I would think, of
14 the review. I mean perhaps that's in the inspection
15 area that we would feed that back into the review
16 process. Mohammed, am I off on that?

17 MR. SHUAIBI: No. Actually, what we've
18 done here, and I'll go through some of this a little
19 bit later, in the documentation area -- I'm not sure
20 how much this is going to answer your question, let me
21 know if I need to go back -- in the documentation
22 area, we do have places that direct the reviewers of
23 the power uprate to highlight areas that they feel are
24 important for the inspectors to consider when they
25 choose what they look at. So that if they have an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 area -- materials, degradation issue, flow-assisted
2 corrosion issue, system pump valve, whatever -- that
3 doesn't have a lot of margin and they want to point
4 that out to the resident so that they could consider
5 it as part of their inspections, we will have a place
6 in the safety evaluation that directs the inspectors
7 or that provides that guidance to the inspectors.

8 MEMBER ROSEN: I'm convinced that you'll
9 look at the margins properly, but I think the thrust
10 of Graham's question about the condition of the plant,
11 let me give you another thing to think about. He
12 asked about housekeeping. Let me ask about, let's
13 say, main steam line vibration and the guy wants an --
14 the plant wants an uprate.

15 It seems to me it bears quite a lot on
16 whether or not you'd be comfortable in uprate if you
17 went out and found that the main steam lines from the
18 stops inboard -- the turbine stop valves inboard to
19 the main steam isolation valves was vibrating rather
20 significantly compared to what you experience
21 elsewhere. And one could say that that's clearly --
22 the forcing function is flow, and we're going to
23 increase it.

24 Maybe you went out and stood by the
25 turbine on the turbine deck and felt the whole turbine

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 moving a little -- the whole deck moving a little bit.
2 And, clearly, that's kind of driven by the generator
3 being a little bit off magnetic center or something
4 like that. You would have concerns about making it
5 worse. It seems to me that the thrust of Graham's
6 question is one that really I think came up during
7 license renewal --

8 MEMBER LEITCH: Exactly.

9 MEMBER ROSEN: -- and by analogy power
10 uprate. In license renewal, we asked would you extend
11 this plant's license if you went out and found them in
12 the red ROP area and the plant heavily degraded
13 material-wise? I think you'd be derelict if you just
14 went straight ahead with license renewal under those
15 circumstances. And so I think the same thing applies
16 here, maybe in a little bit different way but I think
17 you really can't and shouldn't blind yourselves to
18 just this process, we're just looking at this process,
19 without thinking about the whole thing.

20 MR. MARSH: Synthesizing plant conditions
21 or things of that sort. I think that's a fair
22 comment.

23 VICE-CHAIRMAN BONACA: Well, I guess I
24 don't want to leave without this comment, if you go
25 back to your Page Number 4. It was an issue we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussed before; in fact, you listed material
2 degradation now as a consideration. But one of the
3 concerns we have then, just looking back at how you
4 came to that, was this is not a new plant, this is not
5 a new plant. So when some of the applications for
6 power uprate do not address the fact that they're not
7 new plants. I mean you have an evaluation of design
8 capability toward components, which you do, and it
9 seems to me that you have to account for aging of
10 those components in the sense that if their capability
11 is degraded, right, they would have an impact on your
12 determination of how much margin you have left in a
13 component.

14 MR. SHUAIBI: The impact of aging and the
15 impact of a power uprate on the plant that is being
16 considered. Material degradation here it's the impact
17 of the higher fluence on the vessel, the impact of the
18 increased flow rates on the flow-assisted corrosion,
19 that type of material degradation issue. That will be
20 considered as part of this power uprate.

21 VICE-CHAIRMAN BONACA: Lock-up blowdown --

22 MR. SHUAIBI: That's correct.

23 VICE-CHAIRMAN BONACA: -- forces and
24 components and --

25 MR. SHUAIBI: That's correct. That will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all be considered as part of the review of the power
2 uprate.

3 MR. MARSH: To the extent that issues have
4 been communicated to the industry via generic
5 communications, those are rolled into this review
6 standard. So it doesn't quite answer the question
7 because you're in a plant-specific aspect as opposed
8 to a generic aspect, but many of these issues come up
9 generically. Those are part of the review the Staff
10 would go into. But in terms of the plant condition as
11 it deviates or as it's unique and it differs from the
12 generic part, that's worth thinking about, so let us
13 do that.

14 MEMBER ROSEN: Well, yes. I think just
15 for your own sanity. I mean you can be assured that
16 certain members of this Committee will ask you how the
17 plant's doing when you come in for EPU.

18 MR. MARSH: And have asked us, sure.

19 MEMBER ROSEN: Well, you want to be able
20 to say something more than, "Well, we don't look at
21 that in this process."

22 MR. MARSH: Right.

23 VICE-CHAIRMAN BONACA: Specifically, on
24 some of the BWR uprates, I mean we ask questions about
25 you have a lot of blowdown and then now you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 evaluating the capability of a component versus the
2 stress imposed by the blowdown on the component. And
3 there was always an assumption that the component was
4 as new. I mean you only evaluate increasing the
5 blowdown forces on a component and you look at the
6 margin you have there. The question at the time is
7 the component still as capable as when it was designed
8 and implemented? Maybe 40 years after implementation
9 it's not as capable as it used to be, so you should
10 look at what margin you have. And that involves two
11 factors: One is the component itself and the
12 capability, the other one is the increasing blowdown
13 forces on the component. Just an example of what you
14 have to look at.

15 MEMBER SIEBER: I think you would hard
16 pressed to use an application for a change in the
17 license to cause a licensee to correct some
18 housekeeping condition. For example, the inspection
19 and enforcement process is supposed to take care of
20 that, and if you have bad housekeeping that's a fire
21 protection issue perhaps or an internal flooding
22 issue, blocked drains or a sump blockage issue if it's
23 inside containment and so forth, that's the place
24 where those things should be take care of.

25 MR. MARSH: To that extent, that's right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: And you cannot withhold
2 approval of an application for a change in the license
3 for an issue that's not relevant to the matters at
4 hand in that license amendment.

5 MR. MARSH: Nor should you exclude issues
6 that are relevant to the review at hand.

7 MEMBER SIEBER: For example, in the case
8 of the vibrating steam line during extended power
9 uprate, I think that if there is a real concern, you
10 know, an inspector probably would not have the tools
11 or equipment to measure the extent of the vibration,
12 but they can certainly issue an RAI that asks the
13 licensee to look at the extent of the vibration and as
14 to whether that's satisfactory and where they figure
15 it will go under EPU conditions. I mean that's
16 probably a fair question to ask.

17 MR. MARSH: But I think that would be the
18 intent if the Staff were aware of there being an issue
19 or if it's part of their review guidance in the first
20 place.

21 MEMBER SIEBER: That's right.

22 MR. MARSH: But the thrust of the question
23 is are there plant-specific conditions that are there
24 of which the Staff may be unaware at the outset of the
25 review that would then drive a question or would drive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 an extra effort to look at? And that's the part that
2 we'll think about. If there are many -- the guidance
3 that we've got has been thought through a lot to the
4 extent that it's synthesized generic communication,
5 synthesized reg guides or issues that have come up,
6 reactor vessel internal vibration issues, things of
7 that sort, which are generic, okay, and which we're
8 now aware of. But it doesn't probe corrective action
9 issues, it doesn't probe inspection findings, it
10 doesn't look for that link, as many amendments don't
11 do. You know, licensing space is -- the link between
12 licensing space and inspection enforcement space is
13 not a very tight link. They're basically separate
14 aspects.

15 MEMBER LEITCH: Perhaps a better --

16 MEMBER SIEBER: What I'm saying is that I
17 would have a hard time putting something in an ACRS
18 letter or voting for a letter if it held the licensee
19 hostage on some kind of an amendment for some issue
20 that didn't directly bear on that amendment. There's
21 go to be --

22 MR. MARSH: Right. Oh, right.

23 MEMBER LEITCH: An example of where that
24 linkage may exist, for example, is suppose a licensee
25 had a couple of yellow findings in emergency planning.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Would it then be appropriate to issue a license for
2 power uprate where you were increasing the inventory
3 of radioactive products?

4 MEMBER SIEBER: Yes.

5 MR. MARSH: Good question. I don't have
6 an answer.

7 MEMBER LEITCH: Just something to think
8 about.

9 MR. MARSH: And we will.

10 MEMBER LEITCH: That's an area where there
11 might be linkage, I guess, is all I'm saying.

12 MEMBER SIEBER: Well, and on the other
13 hand, the action matrix is supposed to take care of
14 the yellow findings, and you have to -- that's an
15 example of holding the licensee hostage, in my view.

16 MR. MARSH: Okay.

17 MEMBER ROSEN: Well, it seems to me that
18 you did not disagree, Jack -- I'm trying to get the
19 sense of your disagreement -- you did not disagree
20 with the example raised of a steam line that was
21 vibrating and judged to be okay at the current power
22 level, but that the question is raised --

23 MEMBER SIEBER: But there's no --
24 additional analysis maybe be required or a test
25 program to assure its adequacy under uprate conditions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: Clearly, your higher power
2 level you're going to have more forcing function for
3 the vibration. And they might say -- they could come
4 back and say --

5 MEMBER SIEBER: I think that's pertinent.

6 MEMBER ROSEN: Yes, and I think so. But
7 the answer could easily go the other way. They could
8 easily say at higher velocities, we'll come out of the
9 resonance we're in and it will be better.

10 MEMBER SIEBER: So that's the way it goes.

11 MR. MARSH: Let me add a little --

12 DR. RANSOM: Am I missing something? I
13 would think this whole process would start very early
14 on with an engineering inspection that specifically
15 looks for is this plant suitable for uprating?

16 MR. MARSH: No, that's not.

17 DR. RANSOM: Why wouldn't you do that?

18 MR. MARSH: No. We don't have that type
19 of program. This program is driven by the licensee's
20 amendment request with suitable documentation meeting
21 the Staff's regulations, and the burden is on the
22 licensee to give you the information that would allow
23 us to make a finding of meiculation, not being driven
24 by an inspection.

25 DR. RANSOM: I think a lot of these points

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that are being brought up would be brought out.

2 MR. MARSH: I understand, I understand
3 that, but just --

4 DR. RANSOM: And I would think that would
5 go on quite early in the process.

6 MR. MARSH: It's not. At this stage, it's
7 not part of the process. What we're asking is the
8 linking between the review of an amendment to
9 inspection findings or plant conditions as they exist
10 at the plant, not having been disclosed by a
11 systematic inspection, which is what you're
12 describing.

13 DR. RANSOM: Well, the problem I have with
14 that is you'd be -- the previous inspections would be
15 from the standpoint is it --

16 MR. MARSH: Material condition.

17 DR. RANSOM: -- does it call for continued
18 operation under its licensing basis?

19 MR. MARSH: Right.

20 DR. RANSOM: I would think that you'd want
21 a specific inspection which you began to look is this
22 really -- is it suitable for uprating?

23 MR. MARSH: Well, there's post-review,
24 post-approval inspection efforts, okay, but not pre,
25 okay?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. RANSOM: It seems like that's
2 backwards.

3 MR. MARSH: Well, you're asking the
4 licensee to assert on the docket that they meet the
5 regulations. It's up to them to make that assertion
6 and to prove it to you. So the burden's on them to do
7 that, and now the Agency is in the position of once we
8 review that, by questioning, by meeting the
9 regulations, then after the fact, we'll go and find
10 out whether that in fact is true, as opposed to
11 interrupting the review to find out whether the
12 assertions they've made are incorrect and the level of
13 knowledge the Staff may have.

14 DR. RANSOM: I'd be surprised that the
15 applicant wouldn't prefer to actually have you come in
16 at the initiation of the process and if you have any
17 real concerns, identify them so that they don't waste
18 their time.

19 MR. MARSH: It's done through questioning
20 as opposed to through inspection.

21 MEMBER SHACK: I mean he has to
22 demonstrate that his plant --

23 MR. MARSH: Absolutely.

24 MEMBER SHACK: -- can take the uprate.

25 MR. MARSH: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: That's the whole point of
2 his application.

3 MEMBER WALLIS: Well, I think we've made
4 the point now. I think the Staff knows what the point
5 is, and they will take it under consideration.

6 MR. MARSH: Yes. I think it's worth
7 thinking about, the connection between --

8 MEMBER SIEBER: it's a tutorial for us.

9 MEMBER WALLIS: But I'd like to move on,
10 because we've spent too long on this. I think we've
11 made the point.

12 MR. MARSH: Thank you. Okay. Mohammed.

13 MR. SHUAIBI: For our procedural guidance,
14 we decided to go with a graphical representation of
15 the process. We believe a flow chart is easier to
16 follow and more useful for the users. The flow chart
17 that was distributed shows the process for the power
18 uprate. It shows the -- the green path is the
19 technical review path. It shows the different steps
20 in the technical review path. You've got a path for
21 the environmental assessment, a path for the
22 proprietary review and a box there for the noticing of
23 the amendment in the Federal Register. You'll notice
24 that under each one of those boxes we include a
25 reference to an office instruction or a guidance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 document that gives the reviewer or the project
2 manager a reference to the guidance that they would
3 use in completing that step. So this goes back to the
4 idea of the review standard being a road map document.

5 MEMBER WALLIS: I think in terms of
6 procedures it's easy to make a road map. When we get
7 to the next slide, technical review, it's not quite so
8 clear because it depends a lot of the experience of
9 the reviewer to raise the right technical questions.

10 MR. SHUAIBI: Let me go to that slide
11 next. We're going back to Slide Number 4, it's not
12 allowing me to get this purple slide off the screen.
13 But I think going to the next slide in your handout,
14 the technical review guidance is provided in matrices,
15 not a flow chart, so let me distribute that now.

16 MEMBER WALLIS: Is there anyone who's an
17 expert on this computer who can release you from your
18 predicament?

19 MR. SHUAIBI: I can reboot it. It will
20 allow me to do that, not reboot the computer but take
21 this off and bring it back.

22 MEMBER WALLIS: Is this an approved
23 computer for this use?

24 (Laughter.)

25 MR. SHUAIBI: It's an NRC computer.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: What's wrong with
2 the computer? How come this is not fancy?

3 MEMBER WALLIS: It's Bill Gates trying to
4 help you is the problem. You've got to go right back
5 to the beginning and start again every time you get
6 out of order or something?

7 MR. SHUAIBI: I had to pick up the slide
8 itself.

9 MEMBER WALLIS: You want to go to 11. Oh,
10 your numbers are different from my numbers, that's
11 another problem.

12 MR. SHUAIBI: Well, I had to generate
13 slides for handouts that are different than the
14 presentation. The computer automatically takes
15 figures off the page, that's why the numbers are
16 different.

17 MEMBER WALLIS: It's helping you again.
18 Just go on, we need to move on.

19 MR. SHUAIBI: For technical review
20 guidance, we've developed matrices that cover the
21 areas that need to be reviewed for a power uprate. It
22 identifies the responsible NRR review branch, the
23 guidance to be used when performing the review, and
24 every matrix has an Attachment 1 with it that would
25 identify either guidance or areas where the Staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would do independent calculations. Independent
2 calculations is something that's come up here with the
3 ACRS.

4 We've also added a glass column to the
5 matrix. This was based on the feedback we got in the
6 last meeting with a couple of the members about having
7 an acceptance review, a formal acceptance review done
8 of the application. So we have that last column that
9 would -- and guidance to go with it that would tell
10 the reviewers, "Look at these areas and the matrix,
11 let us know if there's enough information to proceed
12 with this review."

13 MEMBER WALLIS: I think we're going to be
14 interested in what you've actually written for this
15 guidance for independent analysis when you get a final
16 version of this thing.

17 MR. SHUAIBI: Okay. Every group -- in
18 developing these matrices and the independent
19 calculations guidance, we went back to the groups and
20 asked them, of course, to put that together. Every
21 group decided the best approach for their portions of
22 the review. Some groups already know which areas they
23 want to do independent calculations for, other groups
24 have criteria that they will use in determining when
25 to do independent calculations. So the different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 matrices will have a different way of doing this. The
2 last page --

3 MEMBER LEITCH: I'm a little concerned
4 that we may get a little mixed up between a license
5 renewal application and extended power uprate running
6 through our review processes simultaneously. Could
7 that happen or do you have to do one and then the
8 other? I guess my concern is if there is an extended
9 power uprate -- let's think the other way. Say
10 there's a license renewal application coming along and
11 in that license renewal application, nil ductility
12 transition temperature is very close to the margin at
13 60 years but just barely within the margin, and we
14 approve that extended power uprate. Then there's a --
15 I mean we approve the license renewal, I should say.
16 And then the extended power uprate is coming through
17 the pipeline for that plant shortly afterwards. Would
18 you be aware of the license renewal and review it on
19 the basis of 60 years?

20 MR. SHUAIBI: I think the example that you
21 gave, I think we would be looking at it for power
22 uprates. If the plant was going to be going for 60
23 years, or I guess whatever the plant is licensed for,
24 we would be looking at that in terms of what the tech
25 specs have for PTU limits and what the PTS criteria

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are and whether they meet that or not. If the plant
2 decides to go higher than the power level that they're
3 licensed to, they would have to come back in and
4 justify those again. It would be a tech spec change
5 or it would be demonstrating again that they still
6 meet those.

7 For power uprates, we would do it based on
8 the license power level. In license renewal, if a
9 plant wants to come in and extend their license, we
10 would do the review there for license renewal or the
11 Staff would do the review for license renewal. I
12 think it would be captured, I don't think it would be
13 missed. Are we aware that we have both of these
14 applications at the same time? Of course we're aware
15 because we have project managers on the plants that
16 keep track of what licensing actions are in-house.

17 MEMBER LEITCH: Yes. It seems to me the
18 only potential would be if they were coming through at
19 the same time and you're reviewing on the basis of 40
20 years and yet we were taking action on the basis of 60
21 years, so there could be some confusion there.

22 MR. MARSH: These are very, very big
23 applications. Each one of them are major
24 applications, so they require major resources by the
25 Agency, and it would be closely coordinated. Brown's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Ferry is being faced with this very same issue.
2 They've got a license renewal and power uprate. They
3 both are occurring at about the same time. And so
4 we're aware and in communication with the
5 organizations and keeping apprised of that.

6 MEMBER SIEBER: It would seem to me,
7 though, that in the event of either a license renewal
8 or a power uprate that the PTS rule would not directly
9 bear on that, because the licensee is required to
10 report whether the PTS rule is adequately implemented
11 at their plant. And whether they upgrade or not or if
12 they extend the license or not, they're required to
13 take remedial action or shut down if they fall outside
14 the additional analysis that would occur beyond the
15 screening criteria.

16 So it would seem to me that it's possible,
17 even though you may ask for a lot of RAIs, it is
18 possible that you could renew a license or grant an
19 upgrade even if the current data on PTS would show
20 that you would exceed the screening criteria prior to
21 the end of the license term or whether you had an
22 upgrade or not. That would be my impression of how
23 this works, and to try to mingle all of these effects
24 together when each one is covered by a separate rule,
25 I think probably is not appropriate. Maybe you can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comment on that, because I think that will help us all
2 get straight on how you play the game, so to speak.

3 MR. SHUAIBI: Well, I think that's exactly
4 true because the PTU limits, the PTS criteria I think
5 those are time-dependent things.

6 MEMBER SIEBER: That's right.

7 MR. SHUAIBI: It's not that we'll have
8 licensed a plant at 20 percent more power and now the
9 plant could operate indefinitely and we won't go back
10 and look at PTS or PTU limits or transition nil
11 ductility temperatures. We would go back and look at
12 that, because they have in their tech spec PTU limits
13 that are only good for so long.

14 MEMBER SIEBER: That's right.

15 MR. SHUAIBI: That are good for what
16 they've demonstrated to be adequate. Those
17 temperatures, I believe, in the limiting material are
18 identified in the tech specs, so I don't see how a
19 plant could do that.

20 MEMBER SIEBER: Yes. The chart is in
21 there. The chart's in there.

22 MR. SHUAIBI: Right.

23 MEMBER LEITCH: I can just foresee a
24 situation occurring downstream where a plant has to
25 make a decision whether they run at a higher power

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 level or run for longer time.

2 MEMBER WALLIS: Well, that's up to them.

3 MR. MARSH: And they would have to justify
4 and meet the regulations and their tech specs that are
5 in place at the time. And whatever choice they make
6 they have to justify it, it has to be approved, then
7 the burden's on us to make sure that their submittals
8 and their tech specs are being met for whatever the
9 licensing bases is at the time. So there are -- these
10 are major overlapping and there are technically
11 overlapping issues involved in license renewal and in
12 power uprates and other technical issues as well. We
13 try to keep -- project managers try to keep aware of
14 these things by looking carefully at the tech specs
15 and by the submittals.

16 The extent that licensees meet commitments
17 is an issue as well. This came out as part of the
18 Lessons Learned Task Force in Davis-Besse, and it's
19 something that we're looking at as well. So they may
20 make commitments on the docket to support a license
21 renewal or a power uprate submittal which doesn't rise
22 to the level of being a tech spec. And then to the
23 extent that that commitment has been met is something
24 that we're looking at in terms of that effort.

25 VICE-CHAIRMAN BONACA: I have a question

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on -- these are technical areas of review.

2 MR. SHUAIBI: That's right.

3 VICE-CHAIRMAN BONACA: Do you require the
4 licensee to provide you with operating experience, a
5 description of what happened to that plant in the past
6 20 years? For example, I'm focusing on BWR and they
7 may have had a cracked shroud that now is repaired in
8 some way. There are some plants out there with those
9 kind of repairs. They're not equivalent to the exact
10 new component that was originally installed. Spargers
11 that have been cracked and bolted. I mean there are
12 many plants out there which have been repaired that
13 way. Are you asking for the information so that when
14 the person performs the mechanical evaluation he
15 understands --

16 MR. SHUAIBI: Well, the licensee is
17 required by rule to submit full and accurate
18 information describing the areas that are affected by
19 this uprate. That's a 50.9 issue.

20 VICE-CHAIRMAN BONACA: Well, this is not
21 only the uprate. I'm talking about the operating
22 experiences as far as component performance so that
23 there is an understanding on the part of the reviewer.
24 My concern here is that you have a technical person
25 going through the pressure-temperature limit. He's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 checking to see from these guidances here whether or
2 not it's met, and he just moves on. This plant,
3 again, is not a new plant, and there is a history of
4 that, and I've seen personally plants which have those
5 kinds of repairs that did not restore the original
6 capability in the components.

7 MR. SHUAIBI: I understand your question,
8 but I think when we go back to these uprates that --
9 these extended power uprates are 4,000-hour reviews in
10 NRR. And while there are a lot of technical people
11 involved, there are also project people involved,
12 project managers that are assigned to that plant.
13 Those project managers are usually on phone calls with
14 the region on a daily basis getting status of what the
15 plant has gone through overnight, what the plant is
16 going through, what sort of inspection activities the
17 plant has had, what the results of those inspection
18 activities are.

19 It's the responsibility of the project
20 manager to keep track of the status of the plant and
21 the shape of the plant and the material condition of
22 the plant and that sort of information. The project
23 manager gets all these inputs and he coordinates all
24 these -- he coordinates all these reviews and in the
25 end gets the inputs and generates the safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 evaluation that you see in the safety evaluation that
2 goes out. So it's not just a technical reviewer
3 sitting in a cube doing a review, there is also the
4 project manager that coordinates these things, that is
5 aware of all these things.

6 VICE-CHAIRMAN BONACA: But you know very
7 well that your guidance will be read by the licensees
8 and if you have a section that says request the
9 licensee to describe the physical conditions, the
10 operating history, et cetera, et cetera, they will be
11 paying attention and provide you that information if
12 you don't.

13 MR. MARSH: Sounds kind of like the first
14 question we were going to think more about, right,
15 which is the plant conditions, site-specific issues.

16 VICE-CHAIRMAN BONACA: They are two
17 different -- I mean one thing is housekeeping, one
18 thing is --

19 MR. MARSH: Yes. We were construing the
20 first question as only housekeeping. We were
21 construing the first issue as plant-specific issues
22 which may not be part of something generic which is
23 identified in the guidance. But Mohammed did say
24 something that's real important: It's up to the
25 licensee to meet the regulations. They must meet the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulations. To the extent of the information they
2 give you to prove that to you, the extent of the
3 review that you do to assure yourself that they do
4 meet the regulations is the review process, but they
5 must meet the regulatory criteria, they must. And if
6 they have an issue, a vibration issue, a repair issue,
7 a degradation issue, it's incumbent on them by
8 regulation to bring the plant into compliance with the
9 regulations. It's not up to the Agency to make them
10 do that unless something is broken, some process is
11 fallen down.

12 MEMBER WALLIS: Can we move on? I want to
13 see if you can manipulate this computer.

14 MEMBER ROSEN: I don't want to move on out
15 of technical review and get into documentation --

16 MEMBER WALLIS: Maybe technical is the
17 most interesting part of this.

18 MEMBER ROSEN: For me. And I haven't
19 touched on my issue yet, which is what we raised and
20 there were differing -- I understand differing
21 professional reviews on this, transient testing.
22 Where is that covered here?

23 MR. SHUAIBI: We have a section in the
24 review standard for testing. It covers steady-state
25 power ascension testing and large transient testing,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which was the issue that was raised. We're developing
2 a standard review plan specifically to cover testing.

3 MEMBER ROSEN: So that will be in this
4 technical review guidance section or a reference to
5 it.

6 MR. SHUAIBI: A standard review plan will
7 be issued for public comment at the same time as its
8 review standard. The matrix for the testing group
9 will have that standard review plan referenced as
10 their guidance for reviewing all licensee applications
11 related to testing.

12 MEMBER SIEBER: But that may not solve
13 your problem, Steve.

14 MEMBER ROSEN: Well, I only want it
15 addressed. I mean I may or may not agree with what
16 the matrix says, but at least it's been addressed.

17 MR. MARSH: That was part of the DPV
18 resolution was that a standard would be developed in
19 order to decide when there should or should not be
20 large transient or other types of power ascension
21 testing. So that was a charge that we were given, and
22 that is being done or has been done at this stage.
23 It's a specific tab in that three-ring binder that
24 Mohammed has there, which is the draft of the review
25 standard.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: And that's not something
2 we're looking at today.

3 MR. MARSH: No.

4 MEMBER ROSEN: So I'm only asking if it's
5 covered, and your answer is yes.

6 MR. MARSH: Yes, sir.

7 MR. SHUAIBI: Yes. The purpose of today's
8 meeting is basically a status update on where we are.

9 MEMBER WALLIS: And to learn where you're
10 going to get the most questions when you come back.

11 MR. SHUAIBI: Right.

12 CHAIRMAN APOSTOLAKIS: We will finish this
13 by ten o'clock, won't we?

14 MEMBER WALLIS: That is the objective, Mr.
15 Chairman.

16 MEMBER SIEBER: And that's entirely in
17 their hands.

18 MEMBER WALLIS: But if the members have
19 some really pressing questions that are important, I
20 think they should be permitted to ask them.

21 MEMBER FORD: Well, I have a pressing
22 question. This format for materials degradation is
23 very prescriptive and yet materials degradation is a
24 continuous state of flux of knowledge, especially for
25 the internals. Where in this document or this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guideline does it take into account that science is
2 moving forward? We are understanding and coming up
3 with new problems, potential problems. Would a
4 reviewer address the state of knowledge?

5 MR. SHUAIBI: I guess I'll address that by
6 two comments. First, we expect this to be a living
7 document. We do not expect that once we issue this
8 review standard that it's done. We will continue to
9 update it, we will continue to keep it up-to-date with
10 new information such as the experience we had with
11 Quad Cities and whatever experience we'll have and
12 whatever new information is gained through --

13 MEMBER FORD: So that somewhere in this
14 decision process it tells the reviewer, "Hey, is there
15 anymore information to come up, scientific or
16 operation information to come up in the last five
17 months?"

18 MR. SHUAIBI: I addressed what we're going
19 to do with this document. The other comment that I
20 had is we are not limiting the reviewers to what's in
21 here.

22 MEMBER FORD: Okay.

23 MR. SHUAIBI: As a way of controlling our
24 reviews we're saying that if there is an area that
25 needs to be addressed that is not covered in here,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we would go to Management and identify that and
2 make sure that we would pursue that through approval
3 by Management. But we are not limiting the reviewer
4 to what's in here. If there's an area that needs to
5 be covered, if there's a plant that has a unique
6 feature that is not in this review standard, we are
7 not limited to what's in here.

8 MEMBER ROSEN: For example, if the
9 guidance was so bold as to require large transient
10 testing and that transient testing was therefore done
11 in some unexpected -- the results were obtained, that
12 would be the kind of thing you'd put in the book,
13 right?

14 MR. SHUAIBI: That would be as part of it
15 being an update and a living document if we learn
16 something new as a result of whether it's transient
17 testing or whether it's an actual event.

18 MR. MARSH: We just have to ensure that
19 whatever new thing that we pursue is covered by the
20 regulations. That means that if it's not, then you
21 have to go through your approval process, your backfit
22 process if you're changing scope. If it's within
23 scope, absolutely, follow it. If it's outside scope,
24 then you have to -- you have Agency procedures for
25 that. If large transient tests were done and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something unacceptable occurred, the licensee has to
2 address that as part of their recovery program, as
3 part of their complying with the regulations program.
4 And it gives us the latitude to ask questions about
5 that to find out how they do meet the regulations
6 associated with that test.

7 MEMBER WALLIS: Can we move on now or do
8 we have another question on technical review guidance?
9 It appears that we can move on if you can make the
10 computer do so.

11 MR. SHUAIBI: I was going to very quickly
12 go over some of the material in here just to show you
13 how it's laid out. The matrix in front of you the
14 first column identifies the area of the review. The
15 second column, every matrix, again, because of the
16 groups that are involved and the way they do the
17 reviews and the material that's going to be reviewed,
18 that identifies what's applicable, and in different
19 matrices you may find different ways of identifying
20 this. Sometimes it's just applicable to all EPUS
21 because of the area that's being reviewed. Sometimes
22 it would be applicable if such a change -- if a change
23 that would make a difference here was made at the
24 plant for this power uprate, but that identifies when
25 that area of review would be done by the Staff.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The next two columns identify the groups
2 within NRR that do the reviews. The first is a
3 primary review branch; second are the other groups
4 that may be involved in doing this technical review.
5 The next three columns is where we provide the
6 guidance for the Staff in terms of where they go to
7 find the information they need to do the review. We
8 identify the SRP section. SRP sections may identify
9 -- may discuss more areas than we need for a power
10 uprate, so the focus of SRP usage column identifies
11 which areas in the SRP section they need to focus on
12 when they do the review.

13 The next column identifies other guidance
14 documents that are out there, generic communications
15 that we found as part of the work that we did for this
16 review standard that needs to supplement the
17 information in the SRP. The next two columns are the
18 sections in the boilerplate safety evaluations where
19 those areas would be covered. For consistency, we'd
20 like future safety evaluations to look the same and
21 have the same formatting with the same numbering. And
22 the last column I already discussed, that's the
23 acceptance review column.

24 MEMBER SHACK: I'm sort of surprised flow-
25 induced vibrations doesn't deserve a --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHUAIBI: Flow-induced vibrations is
2 covered by the Mechanical Group. We're looking at the
3 materials and chemical engineering area.

4 MEMBER SHACK: So that's under reactor
5 coolant pressure boundary materials?

6 MR. SHUAIBI: There's another matrix.
7 This is just one of the matrices.

8 MEMBER SHACK: Oh, this is just one of the
9 matrices.

10 MR. SHUAIBI: We actually have 11
11 matrices, and this is a small one compared to some of
12 the other ones that we have. There's a group that has
13 40 section or about 40 sections in the SC that they
14 would have to --

15 MR. MARSH: This is a really -- I hope you
16 get a chance to look at this document. This is a very
17 good product. This has each branch, what their areas
18 are, then there are matrices for acceptance criteria.
19 It's been a very well laid out structured document, so
20 I hope you come to that conclusion.

21 MEMBER SIEBER: And the three major
22 categories are BWRs, PWRs and everybody, right? As
23 far as I can see here.

24 MR. SHUAIBI: Well, you mean in
25 applicability?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes. You don't
2 distinctive within the PWR, I presume.

3 MR. SHUAIBI: Sometimes --

4 MEMBER SIEBER: Combustion, Westinghouse
5 and --

6 MR. SHUAIBI: No. Actually, to give you
7 an example of applicability, sometimes when it's -- in
8 this case, it's an easy one where it's applicable to
9 all plants. In some cases, and I'll give you just an
10 example, flooding, internal flooding, there are
11 specific criteria that says if these things are
12 affected, volumes and tanks, or other things that
13 affect the flooding analysis, that's when we will do
14 the review.

15 MEMBER SIEBER: Okay.

16 MR. SHUAIBI: Okay. The licensee is to
17 address that, is to say that there was no impact or
18 there was no increase in volume. But if they say that
19 and they demonstrate that, we're not going to do a
20 detailed review of the flooding analysis, because,
21 obviously, the old flooding analysis continues to be
22 bounding. So in some areas, we are more specific than
23 what you see here.

24 MEMBER SIEBER: Okay. And so the
25 "applicable to" section could be generic other than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PWR and BWR.

2 MR. MARSH: Right.

3 MR. SHUAIBI: Right.

4 MEMBER SIEBER: Okay. Thank you.

5 MR. SHUAIBI: Okay. If no other
6 questions, I'll move on to the next slide. The next
7 slide is a documentation of review. I'll have a
8 handout. I'll move through this quickly. Consistent
9 with our office instructions, we wanted to make sure
10 that we identified the regulatory basis for every area
11 that we cover, and as I discussed earlier, we wanted
12 future safety evaluations to have a standard format
13 and same content or similar content. You'll see in
14 the handout that's being passed out we have drafted a
15 generic regulatory evaluation section for every area
16 covered in the matrices that we have. You have the
17 section that goes along with the matrix that we handed
18 out. We have a regulatory evaluation section, we have
19 a conclusion section as well. The technical
20 evaluation section will of course be provided at the
21 time of the review.

22 Now, there will be guidance in the review
23 standard to say that if a plant is not a GDC plant or
24 if a plant is not an SRP plant, that you're to go back
25 and rewrite this using the same format and content

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we've used here to generate a regulatory
2 evaluation that's similar to what we have here. But
3 every area will be addressed the way that you see in
4 this handout. This will give you an idea. In the
5 past, we've combined certain things and that's led to
6 some confusion and some feedback on the safety
7 evaluations. I think this will be more specific in
8 terms of what areas were covered and how they were
9 covered.

10 MEMBER ROSEN: Now, Mohammed, just recall,
11 I'm sure Tad recalls, that the Committee views on
12 safety evaluation reports in terms of rather than just
13 stating the conclusion stating the conclusion and
14 saying why the Staff reached the conclusion, so that
15 --

16 MR. MARSH: Yes, you bet. Yes. That's
17 one big gain we hope we're going to get is to steer
18 the statements that we make towards the bases for
19 saying why we're saying things as opposed to just it's
20 okay, it's okay, it's okay.

21 MR. SHUAIBI: One of the reasons why we
22 did this this way is to address the comment that we've
23 been getting. This is what you've seen in the past.
24 The comment that we've received is this is what you've
25 seen documented in the past. Well, now we've got a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 blank section in here that needs to be covered, that
2 needs to be addressed, that needs to be provided, so
3 stating that it's acceptable like we have in that
4 bottom paragraph isn't sufficient anymore. We have to
5 provide some technical evaluation of what we looked
6 at, what the criteria were, why it was acceptable.
7 And then we come to the bottom paragraph that says,
8 well, therefore it meets the regulations.

9 MEMBER WALLIS: So in some cases this
10 middle section might be quite lengthy if it needed to
11 be.

12 MR. SHUAIBI: It could be. It depends on
13 --

14 MEMBER ROSEN: So it wouldn't be here if
15 it wasn't acceptable.

16 MR. SHUAIBI: In some cases, it may be
17 lengthy. In other cases where the area may not be
18 applicable to the plant, the whole section may be
19 deleted. The number would --

20 MEMBER WALLIS: It would be one sentence
21 or something.

22 MR. SHUAIBI: That's correct, "This is not
23 applicable because."

24 MEMBER WALLIS: All right.

25 MR. SHUAIBI: Period.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: Let me amend what I just
2 said. You wouldn't be at the ACRS unless you thought
3 it was acceptable, you believed it was acceptable.

4 MR. SHUAIBI: That's correct.

5 MEMBER ROSEN: So all you're asking us is
6 to agree with you that it's acceptable. And our
7 question is why do you think it's acceptable.

8 MR. SHUAIBI: Right.

9 MEMBER ROSEN: That's what the dialogue's
10 about.

11 MR. SHUAIBI: And we're hoping this format
12 will bring it out in a technical evaluation portion so
13 that when it comes to you you could look at that
14 technical evaluation portion and see what was done and
15 what the Staff thought about when they decided that
16 this thing was acceptable.

17 MEMBER WALLIS: That might focus our
18 questions better perhaps too. We might get through a
19 meeting quicker.

20 MR. SHUAIBI: We hope.

21 MR. MARSH: We want to.

22 MR. SHUAIBI: Let me go to the last
23 section in the review standard. The last section,
24 again, references an inspection procedure that was
25 already written for power uprates. It also refers

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 back to the safety evaluation. I handed out only a
2 section of the safety evaluation. There's a section
3 in there that talks about recommended areas for
4 inspection, and this section in the review standard
5 refers the reviewer and the inspector back to the
6 safety evaluation or it provides a link to the safety
7 evaluation that would have a discussion of what areas
8 were recommended as part of the review that we went
9 through.

10 In terms of schedule, I think Tad already
11 covered this. We are on track to issue the draft
12 review standard for interim use and public comment by
13 the end of the year, that's the end of this month.
14 The review standard currently has not reviewed by
15 Management. We hope to have that done very soon.

16 MEMBER WALLIS: When it goes out for
17 public comment it will come automatically to us, so if
18 we want to do our reading, we can do it.

19 MR. SHUAIBI: We will -- that's correct.
20 We will send you a copy and we also plan on coming
21 back and briefing you.

22 MEMBER WALLIS: Will this be a CD or a
23 pile of paper?

24 MR. SHUAIBI: We could do it either way.

25 MEMBER ROSEN: Yes, do a CD.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Do a CD.

2 MR. SHUAIBI: Okay.

3 MR. MARSH: We could do that. I think we
4 could do that, right? We can do that.

5 MR. SHUAIBI: Yes, we can do that. And
6 the last bullet on here -- of course, we'll come back
7 to ACRS after the public comment period for the
8 official review of the review standard. The last
9 bullet on here says that final issuance will be early
10 2004. Of course, there's a lot of uncertainty here.
11 If we don't get a lot of comments, it could be
12 earlier; if we get a lot of comments, we'll have to go
13 back and look at the schedule.

14 MR. MARSH: What we don't show in this
15 schedule, though, is the CRGR review. We will have to
16 go through the CRGR in this as well.

17 MR. SHUAIBI: That's correct. And the
18 last slide is I think you've seen most of these words
19 before and basically we are nearing completion on this
20 review standard and hope to have it done by the end of
21 the year.

22 MEMBER SIEBER: Does this review standard
23 or any other initiative right now proclaim what the
24 power uprate level will be submitted to ACRS for
25 review? You know, we had customarily had not reviewed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 --

2 MR. MARSH: Measurement uncertainty
3 uprates or stress power uprates, things of that sort.

4 MEMBER SIEBER: Yes, stretch up to five
5 percent.

6 MR. MARSH: Right.

7 MEMBER SIEBER: Understand there's a rumor
8 floating about that folks would like something
9 different than five percent.

10 MR. SHUAIBI: I think this goes back to --
11 I had discussed with Paul Boehnert possibly revising
12 the five percent or changing the five percent to go to
13 stretch and extended where we would come to the
14 Committee for extended power uprates. I've indicated
15 to Paul that I will need to discuss this. I got some
16 feedback, initial feedback that it may not be a good
17 idea. I'm not really sure. I think maybe we could
18 explain a little better what we meant by that. Our
19 definition of stretch power uprate I believe is the
20 intent -- I believe it meets the intent of why the
21 five percent was established. I think five percent
22 was based on the power uprate being within the
23 original design capacity of a plant, and our
24 definition of stretch is exactly that.

25 MEMBER SIEBER: On the other hand, if you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 go to like eight percent and you look at the last
2 plant that did that, which was ANO 2, the way they did
3 it was to change steam generators. Everybody I think
4 now that's looking at steam generator change-out in
5 PWRs is looking to increase heat transfer surface,
6 which automatically gives you as much as eight
7 percent. I would not be favorably impressed if those
8 kinds of uprates bypassed ACRS scrutiny. On the other
9 hand, if you don't change the plant at all except
10 perhaps put a leading-edge flow meter in there, then
11 I don't think that that's particularly pertinent to us
12 because we reviewed the leading-edge flow meter as an
13 entity and understand its improved accuracy and --

14 MEMBER WALLIS: I think what will happen
15 is this proposal will come to us --

16 MEMBER SIEBER: It's not clear to me that
17 it will if it gets hidden in a Staff --

18 MR. BOEHNERT: Well, in fact, if I may
19 comment. Based on our discussions, I had suggested to
20 Mohammed that the Staff come to the Committee and make
21 its case, present the case and let you guys decide
22 what you think. I think that's the way to handle
23 this. You may be -- like Jack said, some of them you
24 may think is okay, some you may not, but I think you
25 need to give it consideration. Commenting also on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 five percent issue, I think it was also, besides what
2 Mohammed said about being a stretch case, I think
3 there was also the Committee had some consideration
4 about risk impact and felt at the time that five
5 percent was about what they were willing to pass on
6 without a detailed review. Now, again, maybe you'll
7 think different later, but anyway --

8 MEMBER SIEBER: I'm not aware of any
9 stretch cases that went beyond five percent so far.

10 MR. SHUAIBI: We don't have any that have
11 gone beyond five percent at this point. When we do
12 surveys, Tad indicated we do surveys twice a year, we
13 get information on power uprates and until this point
14 we've been saying five percent and above. When we
15 internally keep track of which ones we expect to be
16 extended. We're basically marking anything that's
17 over five percent extended. But we have had
18 discussions with a licensee that's going to be
19 submitting a power uprate of about six and a half
20 percent in the near future, and their discussions they
21 say that they are not going to be making changes to
22 the plant, many changes to the plant. The types of
23 changes that fit under the stretch they're not the
24 types of changes that you would see when we came in
25 here with ANO or when we came in here with some of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 boilers where they were going 15, 20 percent.

2 MEMBER POWERS: It seems to me offhand
3 that that's really the criterion rather than an
4 absolute magnitude of the power uprate: Are we making
5 significant changes? I know it's a little more
6 difficult to characterize what a significant change
7 rather than a nice number, but I mean it's yourself
8 willing to trust your judgment.

9 MR. MARSH: It just seems like we should
10 maybe put some words around this.

11 MEMBER WALLIS: Yes. Then come back to
12 us.

13 MR. MARSH: Yes. The same way we try to
14 put words around when we would do a confirmatory
15 calculation or when we would do something. We need to
16 wrap some thoughts around this. If there's
17 significant plant changes or there's significant
18 change in risk or there's well beyond the licensing
19 bases which requires significant new calculation or
20 new technologies, new methodologies, something we can
21 --

22 MEMBER POWERS: I'd be careful about how
23 much new because new is a little bit in the eyes of
24 the beholder, what a change is. But it seems to me
25 that you guys are pretty good at judging whether

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something is like one of these one and a half to two
2 percent -- I mean it might happen to be eight percent
3 power change but it's like that in the magnitude of
4 plant change versus something where I'm really having
5 to worry about stuff.

6 MR. MARSH: You know, I just think we need
7 to write something down, because we're going to go
8 away and you're going to go away and there's going to
9 be new people coming, and we need to have some
10 thoughts so we can guide other people. We're going to
11 get wrapped in other jobs and maybe miss a mark.

12 MEMBER WALLIS: I think also we need to
13 see your thoughts written down so if we approve it, we
14 know what we approved.

15 MR. SHUAIBI: Right. And that's the
16 action I took back from my discussions with Paul. We
17 discussed this, and I explained to Paul that we will
18 do that. Right now we're focusing on getting this
19 review standard done, so it's a little bit on the back
20 burner. Once we're done with this review standard, we
21 may put together, of course go through Management
22 concurrence and approval, and then send it over to you
23 for your consideration, but that's the approach that
24 we're taking.

25 MEMBER SIEBER: That would satisfy my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concern.

2 MEMBER POWERS: It seems to me that minor
3 changes -- it's just kind of a waste of your time to
4 prepare to come here, it wastes our time to listen to
5 it, especially since you've kind of got those in
6 better shape because of you're doing so many. And I,
7 quite frankly, am willing to trust your judgment.

8 MR. MARSH: I appreciate that, of course.
9 We need to write some thoughts down, I think, because
10 there will be others who will need a plan beyond us,
11 and so I think it's worthwhile doing.

12 MEMBER WALLIS: No, I think I agree that
13 you would.

14 MR. MARSH: Yes. We'll be glad to.

15 MEMBER WALLIS: So we don't need to
16 discuss it anymore, perhaps. Are we ready to finish,
17 Mohammed? No more questions? I pass it back to you.

18 MR. MARSH: Can I say something?

19 MEMBER WALLIS: Sure.

20 MR. MARSH: I want to thank you for your
21 time, and I sincerely appreciate the comments and the
22 feedback and the discussions that we had, I really do.
23 That helps us in our thinking, that helps us in coming
24 up with the right kind of a product, and it's
25 worthwhile conversation that we have. I appreciate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. We're excited about this product. This is new,
2 and as such, it won't be -- you know, there will bumps
3 along the way as we implement this.

4 One thing we've asked ourselves and
5 continue to ask ourselves, is this going to be more or
6 less work in the end? Is this going to be a reduction
7 in Staff effort or increase in Staff effort? Is this
8 going to require more or less hours worth of work? We
9 don't know the answer to that at this point. Isn't
10 our goal, of course, to have a more efficient and
11 effective program, but anytime we write down our
12 guidance that we have been using and try to systemize
13 it, it will probably be a greater effort at the end.
14 So I wouldn't be surprised if schedules are impacted
15 and Staff hours are impacted while this thing gets
16 implemented and gets rolled out.

17 But we're very excited about the structure
18 of that document, and Staff has got a lot of effort to
19 put it together in a nice cogent way, color-coding
20 things, and it's well thought out. So we really
21 appreciate your comments and your thoughts. We'd be
22 glad to come back in this forum if you want or if you
23 want to discuss it individually, we'd be glad to do
24 that too. So thank you very much.

25 MEMBER WALLIS: Thank you too.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Okay. We'll recess
2 until 10:30.

3 (Whereupon, the foregoing matter went off
4 the record at 10:13 a.m. and went back on
5 the record at 10:30 a.m.)

6 CHAIRMAN APOSTOLAKIS: Back in session.
7 The next item is proposed options for resolving policy
8 issues for future non-light water reactors.

9 Dr. Kress.

10 MEMBER KRESS: Thank you. That was all
11 the introduction I was going to make. I think Farouk
12 wants to make a few words before we start, so I'll
13 turn it over to him.

14 MR. ELTAWILA: Okay. Thanks, Mr.
15 Chairman. I'm sorry that I'm not going to be here.
16 I have another meeting, and because of the snow and
17 things like that, we doubled the meetings today. But
18 what I would like to just bring one point to your
19 attention which is related to three of the items that
20 -- policy issues that Tom is going to address today.
21 The three policy issues that we're talking about is
22 the selection of the event selection, which is going
23 to be on PRA and the source term associated with these
24 accident scenarios and the option whether we use a
25 confinement or a containment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 What we would like to do as they are
2 presented right now in the draft paper that you have
3 in front of you, they are presented as separate
4 issues, but in reality we are planning to deal with
5 them as an integral -- as a single issue with three
6 subissues associated with them. You make the
7 selection of the scenarios and you look at the
8 associated source term, and this on that you determine
9 whether you need a confinement or containment to
10 mitigate the consequences of that accident. So we are
11 not going to be presenting them as a single issue, but
12 they are going to and integral issue, and I hope that
13 Tom will be discussing that in more details today, but
14 that's the direction that we are heading towards right
15 now. That's all the opening remarks I have, so I
16 apologize for leaving.

17 MR. KING: Okay. Thanks, Farouk. For the
18 record, my name's Tom King. I'm with NRC's Office of
19 Research and have been working for the past six months
20 or so on the subject we're going to talk about today.
21 This is really a follow-up to a briefing we had given
22 you at your October full Committee where we talked
23 about what the issues were and what some of the
24 options were for the resolution. We did not get into
25 recommendations. What's happened since then is we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have had a public workshop, we have had a lot more
2 internal discussions.

3 CHAIRMAN APOSTOLAKIS: I don't understand
4 the title, "Technical-Related Pulse Issues." What
5 does that mean?

6 MR. KING: Well, I put the word
7 "technical-related" in to distinguish from the other
8 paper that's gone to the Commission several months ago
9 on legal and financial policy issues.

10 CHAIRMAN APOSTOLAKIS: So it's just
11 technical policy issues.

12 MR. KING: Yes. The paper we talked about
13 last October was the SECY-02-0139 that had gone up in
14 July and laid out the seven issues for Commission
15 information. It was an information paper. Those
16 issues resulted from our pre-application work to date
17 on PBMR and GTMHR, but recognized that there's also
18 other non-light water reactor work going on elsewhere
19 in the world, particularly that associated with the
20 Generation IV Program.

21 The purpose of the paper that we're
22 working on today and we're going to talk about today
23 is to get the Commission to give some guidance, some
24 direction on these seven issues. Those issues we
25 think are key to the licenseability of future non-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 light water reactors and consistent with the
2 Commission's advance reactor policy statement. Even
3 though we don't have any applications in front of us,
4 the idea is to get early feedback to designers so that
5 they can prepare their applications and know what the
6 ground rules are, as well as have the Staff know what
7 the ground rules are.

8 MEMBER ROSEN: It's more than just their
9 application isn't it? It starts so they can prepare
10 their designs. I mean this impacts their design, not
11 just the application.

12 MR. KING: Yes, their designs. Their
13 designs, their research programs and all the things
14 that go along with it, that's right. That's right.

15 The scope of the issues is reactor design
16 and operation. We have not identified to date any
17 fuel cycle issues, and security is being handled
18 separately, recognizing that security issues may
19 impact some of these things.

20 As Farouk said, many of these issues are
21 linked, and we'll talk about that linkage --

22 MEMBER KRESS: Were these options
23 presented at the workshop you talked about?

24 MR. KING: Yes.

25 MEMBER KRESS: Okay. And you had lots of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 industry participation?

2 MR. KING: We had 19 non-NRC participants.
3 One of those was from Green Peace, the rest were from
4 industry or reporters. Industry National Labs was --

5 CHAIRMAN APOSTOLAKIS: When was this
6 workshop?

7 MR. KING: It was October 22, 23. And
8 what I'll do is as we hit the issues, I'll summarize
9 the feedback we got at the workshop on each of the
10 issues.

11 I also recognize that these issues
12 resulted from non-LWR pre-application work, but some
13 of these issues, depending on what the Commission
14 decides, could have a bearing on future light water
15 reactors as well, and I'll mention that where that's
16 a possibility as we hit the various issues.

17 Four of the issues had been looked at
18 previously by the Commission back ten years ago when
19 we were doing pre-application work on the light water
20 reactors. What this paper does is revisit those
21 issues because things have changed in the past ten
22 years. The major changes have to do with the emphasis
23 on risk-informed regulation, which was kicked off with
24 a PRA policy statement in '95 and also the
25 Commission's strategic plan, which lays out goals for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the Agency. So we think it's appropriate to revisit
2 those.

3 The schedule is we owe the paper to the
4 Commission at the end of this month. We provided you
5 with a draft of that paper, stamped it pre-decisional
6 because it is still under review, still going through
7 concurrence. And there are probably some changes that
8 are going to take place before the final paper goes
9 up. Farouk talked about one maybe trying to package
10 three of the issues together, and I'll talk about
11 another one, modify somewhat our recommendation on one
12 of the issues.

13 We're here today to talk about the
14 background and the issues, the key questions that we
15 looked at in reviewing the issues, the options, the
16 feedback at the workshop and the recommendations. We
17 are requesting a letter from the Committee at this
18 point after this meeting or as soon as you feel you're
19 able to write one. So that is a difference from the
20 October meeting, which was just an information status
21 briefing.

22 Okay. In looking at the issues, we sort
23 of laid out some ground rules or general guidelines
24 that we followed. We wanted to make sure that in
25 recommending a position on these issues that we were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consistent with the safety goal policy, which states
2 that the population around a site should be consistent
3 or the risk to the population around a site should be
4 consistent with the safety goal policy. We wanted to
5 take a risk-informed performance-based approach
6 wherever we could. We wanted to recommend resolution
7 of these issues on a technology-neutral basis
8 recognizing that they could have implications for LWRs
9 We considered the Commission's strategic plan which
10 has performance goals in it and the previous
11 Commission guidance. And we also considered
12 practicality. We don't want to recommend something
13 that's just too resource-intensive or too complicated
14 to implement.

15 Okay. Now what I'd like to do is go
16 through the issues one by one in the order they were
17 listed on the earlier slide, starting with what we
18 call expectations for enhanced safety.

19 MEMBER KRESS: Do they come out of a
20 policy statement or events to reactors?

21 MR. KING: They come out of really three
22 things that I've listed here, the first three sub-
23 bullets. The first one was the severe accident policy
24 statement, which said that for future plants we expect
25 a higher standard of severe accident safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performance than prior designs. Then a year later the
2 advance reactor policy statement came out, which said
3 we expect future designs to have enhanced safety
4 features, but it also went on and said we are -- as a
5 minimum, the level of safety of advanced designs
6 should be the same as current designs. So it said we
7 have an expectation but we're not making that a
8 requirement. The SRM Staff requirements memo that
9 implemented the safety goals also basically said that
10 same thing.

11 MEMBER KRESS: Maybe you'll cover it but
12 let me ask you about the last bullet, about the
13 expectation that it has the same degree of protection
14 for current iteration LWRs. If you look at existing
15 plants, there is a spectrum on distribution of risk
16 statuses if you count CDF and LERF, or status with
17 respect to prompt fatalities. When you make a
18 statement like we want the advanced plants to have the
19 same level of protection --

20 MR. KING: As a minimum.

21 MEMBER KRESS: -- as a minimum, does that
22 mean that it has to be as good as the worst one, the
23 mean, or the best?

24 MR. KING: No. I think the way that's
25 been interpreted is, and that actually gets to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 last bullet here, we had that same question when we
2 went through the ALWR design certifications. We had
3 to implement these policies when we did those. We've
4 derived a core damage frequency goal and a large early
5 release frequency goal from the safety goals that have
6 been applied to today's plants and were applied during
7 the ALWR design certifications. So my view on that
8 question is what we're shooting for is the goals that
9 we've derived from the safety goals that apply to
10 today's plants. We're not looking at the whole
11 spectrum and looking at the worst one.

12 MEMBER KRESS: Even though the ALWR
13 exceeds those.

14 MR. KING: Yes.

15 MEMBER KRESS: We're not shooting for the
16 ALWR as a --

17 MR. KING: Not as a requirement. Remember
18 what the reactor policy statements says, "Hey, we
19 expect safer designs." The ALWR has come in and said,
20 "We're giving you safer designs, and here's all the
21 things we've done to improve the designs and here's
22 what it's done to core damage frequency and so forth."
23 The Staff looked at that. Where there were some areas
24 that they felt maybe because of additional uncertainty
25 or concerns, they may have added a few extra things,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but they didn't turn around -- we didn't turn around
2 and change the entire body regulations to now raise
3 the bar to this new level of safety that the designers
4 were offering up. We accepted it with some additional
5 enhancements, and for those particular designs we
6 codified that in the design certification rulemakings.
7 But we haven't made generic changes across the board
8 in the regulations to raise the bar for everybody
9 else. So that's the process on the ALWRs.

10 MEMBER WALLIS: So on these safety goals
11 I think I understood in past discussions of safety
12 goals that these are not requirements, these are some
13 sort of thing which you aim at and hope to achieve.
14 But it would seem to me that was a very strange way to
15 set a goal, but that seemed to be the way they were
16 interpreted. There were requirements and then there
17 were goals, and you sort of strove to get somewhere
18 close to the goal, but all you had to do is really
19 satisfy some requirements which are considerably less.
20 So they don't really tell you what you're going to
21 require.

22 MR. KING: It's not as simple as that.
23 The safety goals have shown up in various places.
24 They've shown up in the regulatory analysis
25 guidelines, which are what were used to set new

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulations or to change regulations. They've shown
2 up in the ALWR design certifications as part of the
3 review criteria that the Staff used in looking at
4 those designs. Do they meet the safety goals? That
5 was one way to see --

6 MEMBER WALLIS: So it became a requirement
7 rather than one of these goals that you don't quite
8 reach but you hope to get close to?

9 MR. KING: The goals were used to help
10 establish a basis for new requirements, either through
11 the regulatory analysis guideline approach, which
12 affects the regulations and the reg guides, or through
13 the design certification process.

14 MEMBER KRESS: Tom, when I asked this same
15 question once to a different set of people from the
16 Staff, I got an answer that went like this, and I
17 wonder what your reaction to it is, that if it didn't
18 meet the safety goals, some plant that they were
19 either looking to make a change in the licensing basis
20 or new license or whatever, if it didn't meet the
21 safety goals, to quote -- now I'm quoting, "This would
22 put into question the presumption of adequate
23 protection." That was the answer I got from them.

24 MR. KING: No.

25 MEMBER KRESS: Is there any validity to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that?

2 MR. KING: That's not consistent with the
3 way we're using safety goals or I think the way the
4 Commission intended safety goals. The safety goals
5 are supposed to define where you stop regulating, how
6 safe is safe enough, not the minimum in terms of
7 regulations. So I guess I would take issue with that
8 statement.

9 MEMBER WALLIS: It's a very strange kind
10 of safety goal. I've said this before, but I mean for
11 the public to understand that strange idea that you
12 have a safety goal but you don't really meet it, it's
13 something where you stop regulating, it's the wrong
14 end of the scale. You've got to set the minimum
15 standard. I don't really care where you stop with
16 anything, it's the minimum standard I care about.

17 CHAIRMAN APOSTOLAKIS: You don't really
18 stop regulating, I don't think.

19 MR. KING: Well, we can always say, yes,
20 we make some judgments based upon uncertainties and so
21 forth, but some people might think it's really beyond
22 the safety goals. But the intent is to stop there.
23 You may disagree with some of the numbers or some of
24 the judgments that are --

25 CHAIRMAN APOSTOLAKIS: But we stop even

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for plants that are above the goals.

2 MEMBER WALLIS: Yes, but the guy who's
3 next to the plant doesn't care. He wants to know what
4 the minimum standard is.

5 MR. KING: If you're looking at existing
6 plants, you're looking at backfit, and the safety
7 goals give you, through the reg analysis guidelines,
8 give you some guidance on should you backfit or not.
9 There's some criteria. And, in effect, if you're not
10 making a substantial improvement in safety, you're not
11 going to pass the backfit test, and the safety goals
12 have been used to help define what that substantial
13 improvement in safety is. So you can say, well, some
14 existing plants may not meet the safety goals but may
15 not also pass the backfit test, so they're caught in
16 a position where, yes, they don't meet the safety
17 goals, but it's not cost beneficial or they're close
18 enough that it doesn't make sense to make them spend
19 money to do anything else.

20 For future plants, you know, we're not
21 talking backfit, we're talking forwardfit. It's
22 easier to design safety in in the beginning, so we're
23 not going through the backfit process on future
24 plants, but we are still using the goals through the
25 subsidiary objectives that have been developed to help

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 define a gauge as to how safe do these things have to
2 be?

3 MEMBER WALLIS: If they're the same safety
4 goals and the old plants' requirements are based on
5 them, how are you going to get any kind of enhanced
6 safety?

7 MEMBER SIEBER: Well, it seems to me that
8 where you go from a goal to a requirement is in the
9 certification process, and to get to the design that
10 is acceptable for the certification process, that's
11 where you apply the safety goals. Now, the safety
12 goals came after the designs of the current generation
13 of plants, and so some plants make it and some don't.
14 Most of them do make it, and so you're stuck with
15 that, and since they were all designed under a
16 deterministic system of regulations, they meet
17 adequate protection standards, even if they don't meet
18 the safety goals. So it seems to me where the
19 regulatory punch comes is in the certification
20 process. Is that a good way to look at it or not?

21 MR. KING: I think that's a good way to
22 look at it. And, again, it gets back to these policy
23 statements where the Commission has said, "The way
24 we're going to get enhanced safety is we're going to
25 put the burden on the industry to come forward and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 volunteer it."

2 MEMBER KRESS: As a practical matter, I
3 can't imagine somebody will come forth with something
4 that doesn't meet --

5 MR. KING: No design has come forward and
6 said --

7 MEMBER KRESS: Yes. And I don't think
8 they will.

9 MR. KING: No.

10 MEMBER KRESS: But just as a hypothetical
11 statement, what if one did come forth and had a CDF
12 greater than ten to the minus four or a LERF greater
13 than ten to the minus five? I think the regulatory
14 system would really question that very strongly.

15 MR. KING: I do too.

16 MEMBER KRESS: And I just don't think it
17 would get certified, even though there's no such
18 requirement in the regulations, but I just don't think
19 it would get through anyway.

20 MR. KING: I tend to agree with you, and
21 you'd pull out these policy statements and say, "What
22 are you guys doing? We told you 15 years ago that we
23 don't want to see that approach anymore and you're not
24 following it." So I agree with you, they'd have a
25 tough time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: I don't think it's a
2 problem because I can't imagine anybody coming forth
3 with one that won't well meet the safety guidance.

4 MR. KING: No. I mean you look at the
5 advanced designs, whether they're the HTGRs or the
6 Generation IV, all of them have as goals enhanced
7 safety and all of them are promoting enhanced safety,
8 not just because they want to make us happy but
9 because it makes their investors happy, investment
10 protection. High reliability means better economic
11 performance and so forth, so they do it for a number
12 of reasons, so I really don't think it's a -- from a
13 practical standpoint it's an issue.

14 CHAIRMAN APOSTOLAKIS: Before the reactor
15 safety study the estimates -- I mean if you go to
16 conferences and find the proceedings and look at the
17 numbers that people were coming up with for
18 unavailability of safety systems and so on, we're
19 talking about estimates that were about two orders of
20 magnitude lower than what is accepted now and has been
21 supported by data. So people were a little more
22 optimistic in the beginning. In fact, one of the
23 lessons from the reactor safety study is that people
24 were a little shocked when they were told that the
25 core damage frequency is about once every 10,000

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 years. They thought it was much, much lower than
2 that.

3 Are we going to have the same thing here?
4 I mean we start with ten to the minus seven as being
5 optimistic again, and then we build one of those and
6 with time we learn that it's not ten to the minus
7 seven but it's ten to the minus five? I mean we can
8 figure out now -- I mean I remember when we were
9 looking at the AP600 the numbers were very low, people
10 tried very hard. They couldn't find a failure mode
11 that would raise that number. They couldn't find
12 anything. But on the other hand, there were things
13 like digital I&C, there were all sorts of controls and
14 -- who knows? Are we going to have a repetition of
15 this historical fact and learn from experience?

16 MR. KING: I have no doubt we're going to
17 learn from experience and people are going to find out
18 the reliabilities they put forth in their PRA maybe
19 don't turn out to be as good. I think that's a
20 fundamental question on how you implement whatever
21 your safety goals or criteria are for future plants.

22 CHAIRMAN APOSTOLAKIS: Is that influencing
23 your thinking at all when you develop these?

24 MR. KING: Yes. Yes. It has gone through
25 our thinking.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: It has something to do with
2 defense-in-depth.

3 MEMBER ROSEN: I think you need to look at
4 history again to answer your question. Remember that
5 one important person in the history of nuclear power
6 said that paper reactors are always cheaper to build,
7 you can build them quicker, and safer than real
8 reactors.

9 MR. KING: So one of the questions is how
10 do you compensate for that? Do you require additional
11 testing, put more stringent goals on so that maybe
12 that compensates for some of these areas where you
13 really don't know as you much as you'd like?

14 VICE-CHAIRMAN BONACA: But you would
15 expect that the same situation would happen as normal
16 coolant reactors which is you learn from experience,
17 you're improving them and you're bringing them back to
18 where they really were expected to be on paper.

19 MR. KING: Yes.

20 VICE-CHAIRMAN BONACA: But that the
21 experience we've had.

22 MR. KING: But that's also part of the
23 risk-informed process. Remember, one of the five
24 elements is the feedback element, and when you're
25 using a PRA to help certainly guide your design and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guide your operation, as you learn from experience,
2 you can feed that back in and see what it means. So
3 I think there's a way to try and accommodate that. I
4 agree with you, initially, you're going to have some
5 surprises probably.

6 Let me say one other thing that applies to
7 all these issues. These are pretty fundamental
8 issues. We're not trying in this paper to figure out
9 how to implement all the details that go along with
10 each of these issues. What we're trying to do is get
11 the first step in front of the Commission to make a
12 decision do we go this way or do we go that way? And
13 depending on that decision, then we can go and start
14 developing details. And whether that has to do with
15 defining defense-in-depth or figuring out what the
16 right criteria are for event selection, you won't find
17 that in this paper. What you'll find is just trying
18 to get the direction from the Commission.

19 CHAIRMAN APOSTOLAKIS: We haven't even
20 discussed the options for the very first issue yet.
21 It's been 25 minutes.

22 MEMBER KRESS: He'll get to that.

23 MR. KING: Okay. I'll speed it up. First
24 issue has to do with enhanced safety, how do we handle
25 that? And, again, the things we looked at in going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through this issue we were we're going to have
2 additional plants, both possibly on a site as well as
3 nationwide, how do we factor that into looking at the
4 level of safety we need? What's the Commission's
5 performance goal to maintain safety? It probably
6 means don't raise the bar, generically, but we still
7 need to look at what do we want to do for future
8 plants?

9 That third bullet has to do with getting
10 back to the question of would it make sense to raise
11 the bar in some areas to account for larger
12 uncertainties? An example being maybe we ought to
13 stress prevention more because we know less about
14 severe accidents on some of these new technologies.
15 And then the implications for LWRs.

16 Okay. The options we looked at, and I
17 think these are -- we talked about these before -- are
18 basically three. Let's continue to do like we did on
19 the ALWR design certification process, we're expecting
20 applicants will come in with designs with enhanced
21 safety. We would codify that applicant-proposed
22 enhanced safety feature in the design certification or
23 if it's a COL through some license condition, and then
24 we may add some additional things on there if we feel
25 through engineering judgment the uncertainties were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 large enough to warrant that.

2 CHAIRMAN APOSTOLAKIS: Now, the goals, as
3 they have been stated, are in terms of rates, aren't
4 they? One-tenth of one percent of the accident rate,
5 right?

6 MR. KING: Yes, reactor year basis,
7 usually.

8 CHAIRMAN APOSTOLAKIS: And this refers now
9 to a particular site or to the nation? What I'm
10 getting at is if the NEI and DOE are thinking about
11 the future and it turns out to be true and we're going
12 to start building reactors again, crazy, would that
13 affect the enhanced safety part, the fact that now you
14 have many more reactors than you thought you would
15 have, because your criteria are in terms of per year
16 probabilities rather than absolute?

17 MR. KING: Yes. There's two aspects --

18 CHAIRMAN APOSTOLAKIS: I think you address
19 it somewhere else, don't you? But I think here it's
20 probably relevant here too.

21 MR. KING: Yes. It comes up in this issue
22 in the next slide or two. There's two issues:
23 There's a modular plant issue where you've got maybe
24 eight or ten smaller reactors that add up to one big
25 reactor in terms of electrical production. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 designers have all proposed that they will account for
2 the integrated risk for those eight or ten modules so
3 that the integrated risk is equivalent to one big
4 plant. So I think that's --

5 CHAIRMAN APOSTOLAKIS: But that's at the
6 site.

7 MR. KING: At the site.

8 CHAIRMAN APOSTOLAKIS: How about
9 nationwide?

10 MR. KING: Nationwide, I think at this
11 point there's nothing being proposed because of
12 additional plants nationwide. My view is all these
13 future designs, whether they're modular or big plants,
14 we expect them to be safer. And if you look at the
15 ALWRs, they're probably an order of magnitude safer,
16 if you're looking at CDF or LERF. So if you start to
17 add one or two additional ones on a site, it's a small
18 incremental risk for that site. If you start to add
19 them nationwide, yes, I mean if you have 1,000 plants
20 nationwide, you might want to start to rethink things.
21 But I think from a near-term practical standpoint, I
22 don't think it's an issue we need to worry about right
23 now.

24 MEMBER KRESS: The quantitative safety
25 goals are all on an individual risk basis, and it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wouldn't account for nationwide in the totals.

2 MR. KING: Right. And today they don't
3 account for multiple units on a site either.

4 MEMBER KRESS: That's right.

5 MR. KING: I mean we have some sites that
6 have three units on them when we did --

7 CHAIRMAN APOSTOLAKIS: The question is
8 whether that's appropriate.

9 MR. KING: Yes. Our view is, at this
10 point, if you have a three-unit site and you add Unit
11 4 and 5 but Unit 4 and 5 are of an order of magnitude
12 safer than the units that are there, it's not a
13 problem.

14 MEMBER KRESS: It doesn't add much to it.

15 MR. KING: No. It doesn't add much. Like
16 in Reg Guide 1.174, we said ten percent change
17 increments were okay.

18 MEMBER KRESS: In principle, the prompt
19 fatality safety goals say on a LERF there ought to be
20 a site criteria. But practically speaking, it's not
21 going to change much if you add one or two or more
22 plants. I guess if you started getting ten or more on
23 a site, which is not likely, you'd have a problem.
24 But practically speaking, it's not going to be a
25 problem.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KING: Our view in this paper is
2 that's not a near-term problem.

3 MEMBER KRESS: I think that's a valid
4 view.

5 MR. KING: The other options are raise the
6 bar generically in terms of level of safety. And the
7 third option is we may want to require some additional
8 testing or oversight in areas where we do have large
9 uncertainty to deal with those. So those are sort of
10 the three areas we looked at.

11 Advantages, disadvantages, certainly
12 requiring enhanced safety can compensate for less
13 experience and compensate for the integrated risk,
14 multiple units situation. Disadvantages, the big one
15 I see is it results in a set of dual regulations,
16 which, you know, is a practicality issue.

17 MEMBER KRESS: We shouldn't worry too much
18 about that sub-bullet issue, just the second one.

19 MR. KING: Right, right. So that leads to
20 what are we going to recommend, and what we're going
21 to recommend, and this is modified a little bit from
22 what's in the draft paper, but it still is let's use
23 a process similar to what we used on the ALWR
24 certifications, because we do expect all these designs
25 are going to come in with enhanced safety in their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 proposals. The modular designs should account for
2 integrated risk modules, they're all saying they're
3 going to do that. And let's not worry at this point
4 about the incremental risks from additional plants on
5 a site because it's going to be in the near term a
6 small factor. We think this is practical, it's
7 certainly is consistent with the ALWR approach, so
8 we're not getting into a dual regulation type
9 situation.

10 MEMBER KRESS: Now, the ALWR approach does
11 allow you to think about areas of high uncertainty --

12 MR. KING: Yes.

13 MEMBER KRESS: -- and you might want to do
14 something like that. So that's implied in that
15 statement.

16 MR. KING: Yes, yes. And from an
17 implementation standpoint, if the Commission agrees
18 with this direction, then through this framework
19 effort that's underway to develop a framework --

20 MEMBER KRESS: Option 3?

21 MR. KING: Well, this would be the follow-
22 on to Option 3, developing a framework for future
23 plants, would be the way to implement this process.
24 That's where you would develop risk metrics and
25 criteria for non-LWRs and talk about how you would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 look at each design and apply the framework to each
2 design. So those are sort of the implementation
3 issues that would need to be dealt with as a follow-on
4 activity.

5 Okay. Defense-in-depth, second issue. We
6 talked before about -- defense-in-depth is talked
7 about in a lot of places but it's not really defined.
8 Dr. Powers pointed out it was talked about in Appendix
9 R, and, yes, it is in terms of fire protection. We
10 found one other place in the regulations it's
11 mentioned too, and that's in the siting regulations.
12 Part 100.1 where it says -- it basically makes the
13 statement that siting away from densely populated
14 areas is an element of defense-in-depth. So those are
15 the two places we found in the regulations.

16 The Commission's white paper on risk-
17 informed performance-based regulation had a short
18 definition. To me it read more like a goal of
19 defense-in-depth, and I thought it was a pretty good
20 goal.

21 MEMBER KRESS: Yes. It was more like a
22 goal of defense-in-depth.

23 MR. KING: Right. So in looking at this
24 issue, you know, the key questions we thought were
25 would it make a sense to develop a description of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 defense-in-depth? What value would it have? And,
2 basically, the answer was we think it would have some
3 value. It would certainly help implement all these
4 places where we talk about the defense-in-depth
5 philosophy or preserving defense-in-depth would add
6 some consistency and transparency as to what we mean.
7 It would be something we could put in the regulatory
8 analysis guidelines because that's a document that's
9 sort of weak when it comes to defense-in-depth and I
10 think should be certainly a key factor in making
11 regulatory decisions. And a good definition of
12 defense-in-depth could form the foundation for this
13 new licensing framework depending on --

14 CHAIRMAN APOSTOLAKIS: I think what you're
15 going to end up with is more like on the next slide,
16 that you have a description of what defense-in-depth
17 means for programmatic issues and so on. Because it's
18 really a philosophy, and I don't know how you define
19 a philosophy. It's difficult to come up with a three-
20 line definition of a philosophy, but I think what you
21 do here with the key questions and give an example is
22 probably the best way to do it.

23 MR. KING: Yes. This paper hasn't settled
24 in on what defense-in-depth is, what that description
25 would be, but at least the way the version that you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have in front of you has a couple of examples in to
2 give the Commission an idea of if we go ahead and
3 develop such a description, here's sort of the scope
4 and depth of what we're talking about developing.
5 We're not talking about a three-line definition, we're
6 talking about laying something out that has a little
7 more meat in it.

8 CHAIRMAN APOSTOLAKIS: Yes. Stay away
9 from the conditions --

10 MR. KING: Yes, yes.

11 CHAIRMAN APOSTOLAKIS: It's better to do
12 something like this with examples and descriptions.

13 MR. KING: Yes. But if the Commission
14 says, "Yes, go do that," then we're going to have to
15 decide, okay, what is in that description, and we sort
16 of listed at a high level here some of the key
17 elements that we will need to consider for putting in
18 that description, and that can include programmatic
19 items, physical features, is it a process just to
20 treat uncertainties like NEI has proposed, exactly
21 what's in there? So the paper tries to give the
22 Commission an idea that, hey, we're going to wrestle
23 with these. If you say, "Go do that," that's the
24 stuff we're going to wrestle with.

25 And we also say maybe the reactor

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cornerstones would be a good structure to start with
2 because we already have the oversight process that's
3 laid out in that fashion, and it might be nice to
4 start laying out other things in that fashion. So we
5 would look for some feedback from the Commission
6 whether they like that idea or not.

7 Okay. The options we considered are let's
8 not do anything, let's just continue case by case.
9 Let's develop the description. It would have -- we're
10 not sure exactly what it will have yet, but it could
11 have some elements in it that are independent of the
12 PRA, just some givens and some things that everybody
13 has to do as well as maybe some probablistic type
14 criteria. And then the third option --

15 CHAIRMAN APOSTOLAKIS: Is there any reason
16 why the ROP cornerstones cannot be or could not be a
17 description?

18 MR. KING: In the argument against that?

19 CHAIRMAN APOSTOLAKIS: Yes.

20 MR. KING: The only argument I could see,
21 and it's just a hypothetical now, is if we actually
22 get into trying to describe defense-in-depth and we
23 find some better way to do it. At this point, I don't
24 -- I haven't thought any better way to do it.

25 MEMBER KRESS: Well, the cornerstones are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just a framework. They're too limited because they
2 don't get into the questions of things like how do you
3 allocate risk among sequences or how do you allocate
4 among the cornerstones, what do you about
5 uncertainties related to those? So it's a framework
6 --

7 MR. KING: Yes. The cornerstones are not
8 the definition, but they may provide the structure of
9 the seven top-level elements.

10 MEMBER KRESS: They provide structure --
11 they're just incomplete as a DID.

12 CHAIRMAN APOSTOLAKIS: I didn't mean that
13 they were complete, but it seems to me that having
14 those four -- I think there are four -- cornerstones,
15 we talk about accident initiation, protecting the
16 pressure boundary, safety systems, emergency planning,
17 are there any designs where these things don't apply?
18 I mean these are very high level.

19 MR. KING: Yes, but the cornerstones go on
20 and talk about --

21 CHAIRMAN APOSTOLAKIS: And the moment you
22 say that you have to worry about these four things,
23 you have placed a major defense-in-depth element in
24 your analysis.

25 MEMBER KRESS: I don't disagree with that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: In fact, this is
2 what's missing I think from 1.174, is it not? My
3 colleague here on the left has complained that some of
4 the decisions we're making based on delta CDF and
5 delta LERF do not really reflect the intent of the
6 regulations. If you went back to these four
7 cornerstones, perhaps you would manage to do a better
8 job, right? The regulation are not there just to
9 protect the core damage. Of course they are there for
10 core damage but other things as well.

11 MR. KING: Yes, yes. But recognize the
12 cornerstones also have three other elements too. They
13 have the radiation protection of the worker, of the
14 public, and of safeguards and security.

15 CHAIRMAN APOSTOLAKIS: Sure.

16 MR. KING: Which at least the intent in
17 developing this defense-in-depth description would be
18 bring those in as well because they're important.

19 MEMBER KRESS: Yes. And somewhere in
20 there you have to address the structureless view of
21 just what if we're wrong in following deterministic
22 analysis and converse analysis, what do we do then?

23 CHAIRMAN APOSTOLAKIS: Well, he will come
24 to that, he will come to that. Are you asking
25 yourself, "What if I am wrong," every five minutes?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: But when you go back to
2 the certification process --

3 CHAIRMAN APOSTOLAKIS: How often should he
4 ask that, Mr. Powers?

5 MEMBER POWERS: Well, I think the
6 appropriate times to look at that is after you've
7 developed the major elements of your structures. The
8 problem you get into with defense-in-depth in a risk-
9 informed regulatory structure is the same one we
10 identified in the development of what became Reg Guide
11 1.174, that uninhibited defense-in-depth
12 considerations can be applied at too low a level and
13 they trump any considerations of risk. And our
14 suggestion has always been that defense-in-depth
15 should be applied at the higher levels. And the
16 question of what if I'm wrong is a high-level question
17 over the overall structure, not about individual
18 pipes, individual meters, diagnostics and things like
19 that, because our general feeling is that these points
20 of quantitative analysis are legitimately applied to
21 those questions. Whereas the major omissions are
22 things that we just don't know about right now.

23 CHAIRMAN APOSTOLAKIS: So the cornerstone
24 level would be --

25 MEMBER POWERS: Well, I think that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 exactly the level to start thinking about these
2 things. I mean --

3 CHAIRMAN APOSTOLAKIS: Well, by accepting
4 the cornerstones in fact you have, as I said earlier,
5 put a level of defense-in-depth there, because you say
6 now you have --

7 MEMBER POWERS: See, the difference is
8 that -- maybe there is no difference here. It is a
9 different view of what the cornerstones are maybe
10 between structuralists and rationalists there, though
11 they're both very happy with cornerstones.

12 CHAIRMAN APOSTOLAKIS: I think they are.

13 MEMBER POWERS: But, yes, they -- and I've
14 never come up with a nice way to articulate this
15 difference between high-level and low-level
16 application of defense-in-depth, but it's very clear
17 to me, it was very clear to the whole Committee in
18 the discussion of what became Reg Guide 1.174 that the
19 trumping issue always became -- arose because you
20 applied defense-in-depth at too low a level. And so
21 now what isn't at too low a level I think that's
22 something you just have to mandate, because I haven't
23 found a way to just describe it succinctly to
24 somebody. But under PRA that which PRA does
25 well, under defense-in-depth that which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 defense-in-depth does well.

2 CHAIRMAN APOSTOLAKIS: Whatever that may
3 be.

4 MEMBER POWERS: Well, I think it does very
5 well in protecting us against things that we simply
6 don't anticipate. That's where it's served us well
7 over the last 50 years. And so you want to use it
8 that way and --

9 MEMBER KRESS: So you would necessarily
10 put a containment around the gas-cooled --

11 CHAIRMAN APOSTOLAKIS: They will address
12 this.

13 MEMBER POWERS: You know, when you come
14 down to the wrestling between containment and
15 confinement, I would surely look to have a barrier
16 there.

17 MEMBER KRESS: Let's ask the question of
18 no barrier at all.

19 MEMBER POWERS: Well, that's where I would
20 tend to come in and say I don't really care what your
21 calculations show, because there's this issue of what
22 if you're wrong, okay? Now, you ask me what kind of
23 barrier do I put in, containment or confinement --

24 MEMBER KRESS: That's a different issue.

25 MEMBER POWERS: -- you know, that's where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 your quantitative analyses come up, and I have written
2 a justification for confinements in DOE sites as
3 opposed to containments, so I can't say I throw out
4 containments -- or confinements automatically. They
5 have advantages over containments, they have
6 deficiencies over containments. But I would tend to
7 say, okay, make that a part of your quantitative
8 analysis, but the existence of a barrier there is part
9 of defense-in-depth.

10 MR. KING: I can envision other things
11 where you may just want to say, regardless of what
12 your PRA says, "I want two independent ways to shut
13 the reactor down. Don't give me a design that just
14 has one way." Have some fundamental things like that
15 as part of your defense-in-depth.

16 MEMBER KRESS: I think you could say that
17 about emergency cooling, "Give me at least two ways to
18 diverse emergency cooling."

19 MR. KING: Yes, yes.

20 MEMBER KRESS: Same thing with electric
21 power coming in, "Give me several sources." I think
22 those are defense-in-depth you can almost just mandate
23 without --

24 CHAIRMAN APOSTOLAKIS: But you can use a
25 rationalist approach to see whether those things make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sense.

2 MEMBER KRESS: You can see how good they
3 are, but I think you just mandate those.

4 MEMBER POWERS: I think what I would do,
5 Tom, is I would say the quantitative analysis is what
6 you do to say do we need to two sources of electrical
7 power or do I need three?

8 MEMBER KRESS: And how reliable do they
9 have to be?

10 MEMBER POWERS: Well, I mean that's what
11 they do is they go through the reliability and what
12 not. But going below two it doesn't matter what your
13 analyses are, because I know you haven't take into
14 account everything.

15 MR. KING: I think those are the kinds of
16 discussions where you get into a condition that says
17 go develop a description.

18 MEMBER KRESS: Now, your recommendation,
19 is that B or C?

20 MR. KING: The recommendation is
21 either/or. It's develop a description.

22 CHAIRMAN APOSTOLAKIS: Where is the
23 recommendation?

24 MR. KING: The bottom of Page 11. The
25 workshop -- everybody in the workshop was unanimously

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in favor of developing a description. What that
2 description would be there was some discussion about,
3 but that's an issue for the next phase of this
4 activity.

5 MEMBER KRESS: I'm sure people would like
6 to see defense-in-depth articulated to the point that
7 they have some expectations of what's going to be
8 imposed on them. A good description would probably do
9 that for them.

10 MR. KING: Yes. And back on the previous
11 issue, the workshop -- I forgot to mention the
12 workshop summary there. All the industry
13 representatives agreed with the recommendation to
14 follow the ALWR process. The only disagreement came
15 from the public interest group, Greenpeace, which
16 liked the middle option of raising the level of
17 safety, requiring a higher level of safety across the
18 board. So that was the workshop results on that.

19 Anyway, what we're recommending to the
20 Commission is let's go forward and develop a
21 description or a policy statement of defense-in-depth,
22 and we'll do that through the normal public process
23 like we develop policy statements.

24 VICE-CHAIRMAN BONACA: You said C, right?

25 MR. KING: B or C. We're not sure --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE-CHAIRMAN BONACA: You're not sure,
2 okay.

3 MR. KING: Both B and C talk about
4 developing a description or policy.

5 VICE-CHAIRMAN BONACA: One of them is
6 process.

7 MR. KING: Yes. But we're not
8 distinguishing at this point which way. We've tried
9 to give an example in the draft paper of both options
10 just to give the Commission a feel for what we mean by
11 this.

12 MEMBER WALLIS: Do you have a feel for how
13 long this description is going to be?

14 MR. KING: How many pages?

15 MEMBER WALLIS: Is it going to be one
16 sentence?

17 MR. KING: No.

18 MEMBER WALLIS: One paragraph?

19 MR. KING: No. I would -- I mean --

20 MEMBER WALLIS: Is it going to give
21 examples?

22 MR. KING: Well, the paper has two
23 outlines in it, one that goes with Option B and one
24 that goes with Option C. And the outline for the
25 Option B is about a page and a half, so I would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 envision a policy statement would be ten pages or so
2 for that. I mean maybe it's five pages, maybe it's
3 ten pages. It's not 100 pages, but it's --

4 MEMBER WALLIS: But you're looking at a
5 really thorough description.

6 MR. KING: Yes. That's what I'm looking
7 at. Okay. And I guess I'd like the Committee's views
8 on whether it's useful to put those examples or
9 outlines in there.

10 CHAIRMAN APOSTOLAKIS: I think we have
11 conflicts here. On the one hand, people want to have
12 flexibility, high-level goals be left alone, try to
13 meet them and so on. But then I have found that
14 consistently the industry wants the NRC to explain in
15 detail what the NRC wants. Even 1.174 was criticized
16 as not being restricted enough when at the same time
17 they were complaining that the Agency is very
18 prescriptive. I am afraid that by doing this,
19 especially if it's a policy statement, of course it
20 would depend a lot on how it's stated, but this is a
21 philosophy, this is an approach. I think it's going
22 to go against risk informing the regulations if you
23 describe it too much.

24 MR. KING: So your view is maybe a page.

25 CHAIRMAN APOSTOLAKIS: Yes. Give a few

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 examples where it will work well, what we mean by it
2 and so on. But that doesn't mean you have to do this
3 in the future plants. To go down to saying, "I need
4 two sources of electric power and this and that," I'm
5 a little uncomfortable with that. We're back to
6 prescribing everything.

7 MEMBER POWERS: Absolutely not, George.
8 I mean that's the whole point, that you don't
9 prescribe it at the levels of analysis.

10 CHAIRMAN APOSTOLAKIS: You said below two
11 is non-negotiable. Two or three, I can look at the
12 numbers --

13 MEMBER KRESS: But these are for very
14 limited functions that we all know are real safety
15 functions for nuclear power plants. You want to shut
16 down the power, you want to have emergency cooling,
17 you want to have electrical power coming in, and you
18 want to be able to get rid of the long-term decay
19 heat. Everybody agrees --

20 CHAIRMAN APOSTOLAKIS: I'm not sure I want
21 to go beyond that and say we need two --

22 MEMBER KRESS: Well, you may not have to
23 go further than that just for those.

24 CHAIRMAN APOSTOLAKIS: Anyway, I think
25 there is a downside to developing descriptions and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 policy statements.

2 MEMBER KRESS: Well, I think we've gone
3 through this debate and argument for years on how much
4 DID is necessary and how much is sufficient and when
5 can we arbitrarily impose it on plants, and I think
6 the more of a description and the more of a definition
7 we give, the better we're going to put that in a box
8 at least and let people know what it is, and then
9 could make an arbitrary --

10 CHAIRMAN APOSTOLAKIS: But, you know, Tom
11 said we have to be practical with these things. I
12 have yet to see anyone from the Agency or from the
13 industry who did not treat defense-in-depth with
14 respect. As a practical matter, it's really ingrained
15 in what we do, the way we think. So trying to define
16 it --

17 MEMBER KRESS: AP600 certainly didn't like
18 us putting spray in their containment.

19 CHAIRMAN APOSTOLAKIS: That's an
20 individual --

21 MEMBER KRESS: Well, but it's an example.
22 I mean you can find examples --

23 CHAIRMAN APOSTOLAKIS: But that's a matter
24 of judgment there. I mean it's not --

25 MEMBER SIEBER: On the other hand, if you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 make something very prescriptive, you're really tying
2 the hands of the designer.

3 CHAIRMAN APOSTOLAKIS: That's my problem.

4 MEMBER SIEBER: And it would seem to me to
5 avoid tying the hands of the designer you're better
6 off being more conceptual in nature and then doing the
7 analysis as the design evolves to determine what
8 elements of defense-in-depth really make a difference
9 and which ones do not.

10 VICE-CHAIRMAN BONACA: But I thought the
11 concept of implementing successive, what is it, layers
12 of protection, which is I think we all could agree
13 with that, that's a first step, and I think below that
14 you can put some other criteria on the type that is
15 general enough. It doesn't even tell you that you
16 have to use PRA or you don't have to use PRA.

17 CHAIRMAN APOSTOLAKIS: I think that we
18 call the pragmatic approach in that paper, which for
19 some reason people don't pay much attention to, does
20 a lot of what we're discussing. You apply defense-in-
21 depth when the PRA has problems. Let's not forget
22 that. You apply defense-in-depth --

23 MEMBER POWERS: That's a particular
24 philosophy you have, and that's not one that --

25 CHAIRMAN APOSTOLAKIS: I think it's very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consistent with what you said earlier. At the lower
2 levels if there is something that's missing, you apply
3 defense-in-depth. At the higher levels, you don't
4 look at the PRA, you say, no, I want these things, the
5 structure of these.

6 MEMBER SHACK: Yes. We're talking about
7 what things we want, George.

8 MEMBER WALLIS: George, if I could --

9 CHAIRMAN APOSTOLAKIS: I think we all
10 agree that the cornerstones are a very good starting
11 point.

12 MEMBER WALLIS: George, if I'm going to
13 apply this defense-in-depth, I need to know what it
14 is.

15 MEMBER KRESS: Absolutely.

16 MEMBER WALLIS: And if I'm going to
17 regulate how people apply it, I need to know and they
18 need to know what it is.

19 MEMBER KRESS: You need to know how to
20 quantify it and put limits on it.

21 MR. KING: We don't have to decide today
22 what this description contains, but the question for
23 today is should we try and develop a description?

24 MEMBER WALLIS: Yes, you should. If you
25 find you can't you may fall back to the one-paragraph

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 description.

2 MEMBER ROSEN: I come down on the side of
3 wanting to have a description, but I am alarmed by the
4 idea that it would be ten pages long at this level.

5 MEMBER KRESS: That's triple-spaced.

6 MEMBER ROSEN: It comes off almost like a
7 procedure, and that would be conflict to the
8 objectives that I would see.

9 MR. KING: The ten pages is Tom King's
10 view on what this thing would say and how long it
11 would take to say it. It may be one page, I don't
12 know where we're going to end up, but that's next
13 year's discussion.

14 MEMBER ROSEN: And Steve Rosen's view is
15 that if it takes ten pages to say it, you're at too
16 low a level and you're not abstracting enough.

17 CHAIRMAN APOSTOLAKIS: There are certain
18 things that --

19 MEMBER ROSEN: And you're tying the hands
20 too much.

21 CHAIRMAN APOSTOLAKIS: They are topical in
22 nature and they cannot be constrained by a single
23 definition.

24 MEMBER KRESS: I think we better get on to
25 the next issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE-CHAIRMAN BONACA: In what we know as
2 a deterministic world in the past 20 years, there is
3 a lot of examples of application of PRA to apply
4 defense-in-depth. I really disagree with this
5 divergence of the two things. I mean you can go back
6 15 years and see designs that were being implemented
7 and the questions that came about, auxiliary feedwater
8 trains, how many should you have? Well, PRA gave a
9 lot of insights and I am convinced the NRC always
10 looks at that that way too. So I'm saying that there
11 is some insights that come from experience that this
12 document could benefit from.

13 MEMBER KRESS: I still believe defense-in-
14 depth needs to be tied somehow to the uncertainties
15 that you get out of the PRA analysis. I'm not sure
16 what that tie is.

17 MR. KING: If you look at what -- IAEA and
18 INSAC have taken a stab at the finding, and they've
19 put two or three pages of description together, so
20 it's not all a paragraph.

21 MEMBER POWERS: Tom, I think that the tie
22 is at best conceptual in nature, because though
23 there's often words about we've completely
24 characterized the uncertainties in this PRA, it's not
25 done, it's not doable.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: And when I say it ought to
2 be tied to the uncertainties, I implied that that has
3 to be recognized, that character, that you can't
4 really quantify fully the uncertainties, you can only
5 do part of them. And that has to enter into your
6 concept some way.

7 MEMBER POWERS: I think that's where this
8 what if I'm wrong question comes about is that I'm
9 quite certain that any analysis done with PRA or
10 otherwise has left something out that I just don't
11 know, and so now you're asking what if I'm wrong. The
12 difficulty with it is it's too facile of a question to
13 ask and you ask it at too low a level. And so I think
14 you're running into something that's very akin to the
15 growing possibility, is that you can't set up a
16 completely unarbitrary political system here, that
17 you've got to establish a constitution that just
18 mandates and restricts certain things or --

19 MEMBER KRESS: That's why I say you use
20 the uncertainties in the PRA where you can.

21 CHAIRMAN APOSTOLAKIS: It's an
22 uncertainty, Tom, that we never deal with, and that
23 uncertainty is the one that I mentioned earlier. Look
24 back in 1970, all the papers, unavailability of
25 auxiliary feedwater system ten to the minus six. Ten

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to the minus six was the magic number. Now it's two
2 orders of magnitude greater than that. Why? We
3 missed common cause failures, we missed this, we
4 missed that. It's this kind of uncertainty that we
5 are not dealing with, the uncertainty of the new.
6 See, I can't find a way to raise the number that the
7 AP600 gives me, but I know it's a new design.

8 MEMBER WALLIS: But "what if I'm wrong"
9 doesn't help.

10 CHAIRMAN APOSTOLAKIS: But that's where
11 you say --

12 MEMBER WALLIS: But "what if I'm wrong"
13 doesn't help you at all. If I go out here and I push
14 the button to bring the elevator, I assume that
15 there's a high probability it will come, and worrying
16 about whether I'm wrong when I do that and all the
17 things I do every day based on the probability of
18 various things is silly. I only worry about big
19 things about where I'm wrong.

20 CHAIRMAN APOSTOLAKIS: It's also for new
21 designs. The elevator is not a new design.

22 MEMBER WALLIS: Then I don't have to worry
23 anymore. I don't keep asking. I don't keep asking
24 about when I'm wrong.

25 CHAIRMAN APOSTOLAKIS: No, but when you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 send a new spacecraft to the moon, then you should ask
2 that question.

3 MEMBER WALLIS: Well, that's because --

4 MEMBER WALLIS: You have some reason to be
5 unsure. But most of the time you know pretty well.

6 CHAIRMAN APOSTOLAKIS: I think if you look
7 back at history, I repeat, it supports the view that
8 if you have a new design, you really can't figure out
9 everything.

10 MEMBER WALLIS: That's true.

11 MEMBER ROSEN: I think you're absolutely
12 naive to think otherwise.

13 MEMBER SIEBER: Let me ask a fundamental
14 question before we try to develop the description for
15 you. Which of the three options will you concentrate
16 on in developing the description, A is probably out of
17 it, but B or C? One is process and the other one is
18 what I think of as the element.

19 MR. KING: Yes. I don't think --

20 MEMBER SIEBER: And that determines what
21 the description looks like, to me.

22 MR. KING: I don't think we know yet, and
23 this paper is not intending to lean one way or the
24 other. All the paper is intending to get from the
25 Commission is direction to go develop such a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 description, and then we'll consider B, we'll consider
2 C, we'll consider any other bright ideas that people
3 have.

4 MEMBER SIEBER: On the other hand, it
5 seems to me that we have discussed here a little bit
6 of both B and C. For example, when we say you have to
7 have two different power sources or you have to have
8 so many barriers between fission products and
9 somebody's nose, those are physical requirements.
10 Beyond that, though, you need some overarching set of
11 requirements that says when you put this whole thing
12 together here's the risk and here's the uncertainty
13 and here's all the things we've done to minimize the
14 uncertainty and fit this into the context of where we
15 want to be in risk base. And so I think there's a
16 little bit of that here.

17 MEMBER KRESS: We'd better move on to the
18 next issue.

19 MR. KING: All right.

20 MEMBER SIEBER: Yes, let's.

21 MR. KING: Five issues in 30 minutes, all
22 right.

23 MEMBER KRESS: That's easy enough.

24 CHAIRMAN APOSTOLAKIS: Well, what you need
25 to do is to go to your recommendations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Could be.

2 CHAIRMAN APOSTOLAKIS: Let's go to the
3 accommodations and say why you're recommending a
4 particular option. I don't see how else you can do
5 it.

6 MEMBER KRESS: But he asks such wonderful
7 questions on each one of those.

8 CHAIRMAN APOSTOLAKIS: He can raise them
9 as he discusses the accommodations.

10 MR. KING: All right. Third issue, use of
11 international codes and standards.

12 MEMBER KRESS: Let me ask you about that
13 before we get into it.

14 MR. KING: Okay.

15 MEMBER KRESS: When I think of codes and
16 standards I'm thinking of things like the ASME codes
17 and ISO 9000. Some people think of safety standards
18 and safety goals and risk acceptance criteria. What
19 are we talking about here?

20 MR. KING: We're talking about the design
21 codes --

22 MEMBER KRESS: Design codes.

23 MR. KING: -- maybe some programmatic
24 codes like ISO 9000 and possibly some safety
25 standards, particularly the IAEA safety standards,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because all of those are being used to some degree in
2 these advanced designs, and we're going to be faced
3 with having to deal with those at some point. And
4 this issue really deals with do we want to deal with
5 that in a reactive mode or do we want to deal with
6 that in a proactive mode. And the recommendation is
7 let's figure out a way to deal with that in a
8 proactive mode so we can, one, have some influence on
9 what these standards say if they're still being
10 written, and, two, be prepared to deal with them when
11 the application comes in, and, three, let's use them
12 to help our infrastructure and efficiency standpoint.
13 So that's really the recommendation.

14 MEMBER ROSEN: The issue is also some, all
15 or one. I mean are you talking about all
16 international standards?

17 MR. KING: No, no. And, again, it's the
18 ones -- certainly the ones that are going to be
19 proposed in an application we need to look at, but
20 also where our infrastructure doesn't have a standard
21 to deal with, particularly use the HTGRs as an
22 example, you know, graphite structures that were
23 manufactured, we don't have any standards in our reg
24 guides or anywhere else that deal with what's an
25 acceptable design code for graphite.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: How about INSAC IV on
2 safety codes, just as an aside.

3 MR. KING: I'll skip that one. So the
4 idea is not everything but where it improves our
5 efficiency and where we know we're going to have to
6 deal with it in the future. And to me, the
7 implementation issue is let's figure out a way to go
8 identify those and get some resource on reviewing or
9 participating in the development of those standards.
10 I think the issue -- certainly, one of the issues for
11 the Commission is what's this going to take in
12 resources, and that's a key thing, because you can't
13 start and stop this kind of thing. If you're going to
14 do it --

15 CHAIRMAN APOSTOLAKIS: But don't the
16 Germans have the DIN system, D-I-N, so they have a --
17 like we have the ASME here producing all sorts of
18 codes, they have the DIN.

19 MR. KING: The Germans have some
20 standards, and they have some HTGR standards.

21 CHAIRMAN APOSTOLAKIS: So what do we do
22 now? We want to check whether their standards apply
23 to us or we look only for standards for which there is
24 no American counterpart? I don't know.

25 MEMBER SIEBER: I think that what will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 happen is that some foreign reactor vendor will come
2 in and say, "I want to certify my design and it's
3 built to these standards, ISO 9000 or what have you,"
4 and now you're going to have the job of reconciling
5 the standards that it was designed to and built to to
6 our standards and perhaps adopt or convert, as the
7 case may be.

8 CHAIRMAN APOSTOLAKIS: Yes, but that's his
9 problem. Why should we do that?

10 MR. KING: I mean it's our problem.

11 MEMBER SIEBER: I'm not sure that it's his
12 problem.

13 MR. KING: Well, you mentioned a couple of
14 things. We have a Management Directive 6.5 that gives
15 the Staff direction to go use consensus standards
16 wherever it's practical to do that, and they --

17 CHAIRMAN APOSTOLAKIS: I thought that was
18 domestic consensus standards.

19 MR. KING: No. There's a sentence in
20 there that says they make no distinction between
21 domestic and international standards.

22 CHAIRMAN APOSTOLAKIS: Oh.

23 MEMBER ROSEN: That's in response to the
24 OMB Circular --

25 MR. KING: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: -- A-119?

2 MR. KING: Right.

3 CHAIRMAN APOSTOLAKIS: Correct. But
4 that's very different from what Jack was just saying.

5 MR. KING: So as a matter of Commission
6 policy, we're already expected to go take that
7 approach wherever we can. So this is a way of saying
8 to the Commission we need to do that for these future
9 non-LWRs, not just because of the Management Directive
10 but because we're going to get some applications that
11 have this stuff in it. And the pre-application
12 reviews are a good way to start to identify those, and
13 that's another advantage of doing these pre-
14 application reviews.

15 But in addition to that, we need to look
16 at where do we want to have something on the books,
17 because we don't have anything to deal with some of
18 these non-LWR high-temperature materials, graphite,
19 whatever it is, and how we actually go about
20 identifying those I think is something that's part of
21 the implementation. This paper doesn't say how we're
22 going to do that other than we're going to have to
23 look at the pre-application reviews and we're going to
24 have to figure out what's the best way to go do that.

25 MEMBER SIEBER: It would seem to me that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if you're going to certify a design that utilizes
2 foreign standards, that you're going to have to adopt
3 a rule similar to 50.55(a) where the Staff has
4 analyzed the standards and finds that it's adequate
5 for the purpose intended, and before you invoke it as
6 part of the certification process. That's the way I
7 would see it.

8 MR. KING: That's one way to do it.
9 Another way to do it is to codify through the
10 certification process. Another way to do it is put it
11 in the -- there's a reg guide that implements 50.55(a)
12 that has a whole bunch of standards in it. I think
13 the trend is to get the standards out of the
14 regulation and into the reg guide and we could put
15 some of these things into the reg guide. So there's
16 different way to do it.

17 MEMBER SIEBER: Yes, but they all amount
18 to the same thing. You have to do the work --

19 MR. KING: We have to do the work.

20 MEMBER SIEBER: -- to understand the
21 standard and see whether it's applicable and then
22 endorse it somehow.

23 MR. KING: Yes.

24 MEMBER SIEBER: Okay.

25 MR. KING: And maybe participate in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 development of the standard so it's, one, we
2 understand it better and, two, that it does what we
3 want it to do.

4 MEMBER SIEBER: That's right.

5 MR. KING: So all of that's wrapped up in
6 there.

7 MEMBER SIEBER: And that's a good idea.

8 MR. KING: Yes. So what we're
9 recommending is let's go do that. We have to work out
10 the details to figure out how to do it, but that's the
11 recommendation.

12 MEMBER SIEBER: Okay. Let's go do that.

13 MR. KING: All right. Fourth issue, now
14 we're into the issues that were looked at ten years
15 ago. I'll just go right to the recommendation. This
16 has to do with --

17 CHAIRMAN APOSTOLAKIS: Yes. That's very
18 good.

19 MR. KING: What, jumping right to the
20 recommendation?

21 CHAIRMAN APOSTOLAKIS: Yes. Page 18,
22 right? You say you want to go to the recommendation?

23 MR. KING: Yes.

24 MEMBER WALLIS: I think we should read the
25 disadvantages or probablistic approach first.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Look at the
2 recommendation. The rest is just --

3 MR. KING: I'll mention on the previous
4 issue the workshop participants were in favor of us
5 going ahead and taking the proactive approach, so
6 there wasn't any disagreement there.

7 MEMBER KRESS: Let me ask one context
8 question here. Is it the assumption here that for
9 these new plants there will be a set of design basis
10 accidents, and you're dealing with now how to select
11 those?

12 MR. KING: For the pre-application review
13 so far, they've all taken that approach, and this is
14 a method and approach to how you select those.

15 MEMBER ROSEN: Why do you call them design
16 basis events?

17 MEMBER KRESS: Because they'll define the
18 licensing basis then.

19 MEMBER SIEBER: Well, you design features
20 into the plant to prevent design basis events from
21 having a safety impact on the public. The problem is
22 that when you do a PRA, what you end up finding as the
23 risky parts of the plants are the severe accident
24 things, which go beyond design basis. And the reason
25 why that happens is because when you define the design

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 basis events, you design at an impact.

2 MEMBER KRESS: Yes. I don't think there's
3 anything wrong with that.

4 CHAIRMAN APOSTOLAKIS: And that's why you
5 have a safety goal.

6 MEMBER SIEBER: I don't either. On the
7 other hand, why not start with a clean piece of paper
8 and do a probablistic assessment to define what the
9 design basis events ought to be?

10 MEMBER KRESS: I think that's what he
11 says.

12 CHAIRMAN APOSTOLAKIS: That's what he
13 says.

14 MEMBER KRESS: Yes. I think that's
15 exactly what he's proposing.

16 VICE-CHAIRMAN BONACA: Let me ask you a
17 question, and I agree with this anyway, but I have a
18 question. First of all, clearly, here you're talking
19 about the event selection, they are not going to be
20 anymore sooner events bounding because that's not the
21 issue anymore. So I mean in the conditional accident
22 analysis, you define the concern with some possible
23 effect in the plant, activity insertion, for example.
24 You found the bounding event. You did make it even
25 more bounding by assuming ejection with very high

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ejection rate, very fast ejection rate, and that's how
2 you got to bounding the particular effect. You're not
3 talking about doing that, you're talking about
4 identifying an event and making it -- okay. So you're
5 going on a best estimate.

6 CHAIRMAN APOSTOLAKIS: Well, he's not
7 saying where he's going.

8 VICE-CHAIRMAN BONACA: Well, I'm trying to
9 understand it. And the other issue that I would like
10 to touch on is take the PTS rule, for example, or the
11 change we're doing right now. We eliminated as
12 important events to be considered for those changes
13 steam line breaks because we gave credit to the
14 operators for preventing steam line breaks from
15 causing the limiting overcooling. So therefore the
16 steam line breaks are out of the table for that
17 particular thing. How shall we treat the operator
18 action here in plants that are new, new designs? We
19 don't know really exactly how they'll respond.

20 MR. KING: Yes. What you're talking about
21 is uncertainty. Again, the PRA is going to make
22 assumptions on human performance and operator actions.
23 If you don't believe it, that's where the engineering
24 judgment and the deterministic overlay on what the PRA
25 tells you is going to come into play. So this paper

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doesn't lay out a detailed process as to how you do
2 that, but it says that's the concept behind this.

3 VICE-CHAIRMAN BONACA: I understand. I
4 guess I mean details, but they're very important
5 details and the devil is in the details.

6 MR. KING: I agree. I agree. Again, in
7 1993, what the Commission approved was a process that
8 said let's deterministically said pick the design
9 basis accidents and then let's take a PRA and see if
10 we missed anything. What we're proposing now is
11 something that flips that around and says let's start
12 with a PRA and then where we feel we've got
13 uncertainties in the PRA, incompleteness or whatever,
14 let's then use our engineering judgment and supplement
15 what the PRA says. So this goes beyond what the
16 Commission said in '93. The real question I think for
17 the Commission is does it go beyond the PRA policy
18 statement, because the PRA policy statement says use
19 PRA to complement the traditional deterministic
20 approach. What does complement mean? Does complement
21 mean --

22 CHAIRMAN APOSTOLAKIS: That has to change.

23 MEMBER ROSEN: And that's what he's
24 proposing.

25 MEMBER KRESS: He's proposing to change.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: I would propose
2 that you rephrase the first bullet. The first bullet
3 should be rephrased, I think. It's not --

4 MR. KING: Which one?

5 CHAIRMAN APOSTOLAKIS: "Larger
6 uncertainties make PRAs less useful." I mean the
7 whole idea of a PRA is to look at uncertainties, not
8 the way the industry is doing them now but that's a
9 way .

10 MEMBER KRESS: Well, I think what he means
11 there is the difficulty in characterizing the
12 uncertainties for the non-LWRs.

13 MR. KING: What I meant is --

14 CHAIRMAN APOSTOLAKIS: Yes. But that
15 difficulty exists regardless of whether you do a PRA
16 or not.

17 MEMBER KRESS: No, it's more difficult --
18 yes, but it's more difficult --

19 CHAIRMAN APOSTOLAKIS: It's difficult to
20 quantify.

21 MEMBER KRESS: Yes. That's what --

22 CHAIRMAN APOSTOLAKIS: That's what you
23 should say, that it's difficult to quantify.

24 MEMBER KRESS: But I think whether you use
25 the deterministic approach supplemented by PRA or PRA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 supplemented by the deterministic, you end up at the
2 same place.

3 MR. KING: Maybe.

4 MEMBER KRESS: Yes. And, you know, I
5 don't think it matters whether -- let's say you select
6 a set of design basis events just from judgment on
7 what can go wrong and judgment on the frequency of
8 them and say we'll look at this and then we'll impose
9 an arbitrary source term based on the type of reactor
10 it is, we'll impose a single failure criteria and the
11 other kind of stylized things we do, and the you have
12 a design based on that. Maybe you have to use the PRA
13 and see if you meet your uncertainties, your defense-
14 in-depth, your safety goals or whatever you have. If
15 you don't, you have to select -- do something more in
16 design basis space. So you would end up the same way
17 either way you go, but it just makes sense to me to
18 have the design basis accidents first because that's
19 what the designer designs to.

20 MR. KING: Well, I agree with that.

21 MEMBER ROSEN: Not true. My new vision is
22 the designer designs to the PRA. He does a PRA and
23 says this is unacceptable, and then he puts in more of
24 --

25 MEMBER KRESS: But you have to have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 design before you do a PRA.

2 MEMBER ROSEN: You can lay out the
3 conceptual design.

4 MEMBER KRESS: Well, in any case, I think
5 they're iterative.

6 CHAIRMAN APOSTOLAKIS: It is iterative.

7 MEMBER KRESS: And you can't say these are
8 the design basis accidents --

9 MEMBER ROSEN: I think it's iterative.

10 MEMBER KRESS: -- because you have to
11 iterate.

12 MEMBER ROSEN: I agree, I think it's
13 iterative, but I think this is a fundamental
14 improvement to the way we do business.

15 MEMBER KRESS: Oh, I do too.

16 MEMBER ROSEN: And it's a very high time
17 that we start to do and think this way and that I
18 don't think you'll end up in the same place. I think
19 you'll end up in a better place with this.

20 MEMBER KRESS: Well, you may end up in the
21 same place.

22 VICE-CHAIRMAN BONACA: You'll end up in
23 the same place because you'll iterate.

24 MEMBER ROSEN: You won't spend money
25 needlessly, that's Jack's point, is that there will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lots less false starts and going in the wrong
2 directions. But my point is more than that, you'll
3 end up not just half independent, you won't end up in
4 the same place. You'll end up in a place in the
5 design space that's better because you'll have
6 considered all the things and made rational choices
7 along the way about what's likely and what's not.

8 MEMBER SIEBER: Well, you spend the money
9 where you make the biggest impact on --

10 CHAIRMAN APOSTOLAKIS: We seem to agree
11 with what Tom is proposing so we might as well move
12 on.

13 MEMBER WALLIS: Not just it's the
14 regulators, it's the designer of the reactor has to do
15 this.

16 MR. KING: Yes.

17 MEMBER WALLIS: Has to do the PRA as part
18 of the design process. Of course. That's where it
19 has the biggest effect, it seems to me.

20 MEMBER KRESS: So since we're regulating
21 that a PRA has to be part of the process, which is
22 interesting, we ought to move on to the next --

23 MR. KING: All the industry
24 representatives at the workshop agreed with this
25 approach. The public interest groups said, no, they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't trust PRA. That was basically the bottom line.
2 And there are a number of implementation issues
3 associated with this. It brings PRA more into the
4 licensing basis, so you've got the PRA quality
5 documentation.

6 CHAIRMAN APOSTOLAKIS: Is there another
7 name? Aren't you the public interest group?

8 CHAIRMAN APOSTOLAKIS: You're a public
9 interest group.

10 CHAIRMAN APOSTOLAKIS: You're a public
11 interest. In fact, you have responsibility, actually.
12 You don't just talk. You are -- the NRC is the public
13 interest group here.

14 MR. KING: So if I work on this on my
15 retirement time, I'm a public interest person, right?

16 (Laughter.)

17 CHAIRMAN APOSTOLAKIS: Well, I just don't
18 know that we have to call those public interest
19 groups. Special interest groups. I'm sorry, that's
20 the way it is. You are the public interest group.

21 MEMBER POWERS: More risk-averse non-
22 owners.

23 (Laughter.)

24 MR. KING: All right. Source term.

25 MEMBER SIEBER: Do it right unless you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 too tired and then do it inter-boundary way.

2 MR. KING: Well, again, this is an issue
3 the Commission looked at ten years ago. What they
4 approved was let's use scenario-specific source terms
5 for licensing decisions, the two key ones being siting
6 and containment performance. Again, there was some
7 caveats that went with that in the sense that, hey, we
8 better make sure we have sufficient understanding of
9 fuel and plant performance and fission product
10 transport before we go ahead and do that, which puts
11 a burden on the licensee as well as the Staff to
12 understand how those things perform.

13 It also said the events selected for
14 source term evaluation should bound design-dependent
15 uncertainties, that's fine, and severe accidents.
16 Now, they didn't mean severe accidents in the sense of
17 core melt, they met severe accidents in the sense of
18 some low probability events that would bound these
19 uncertainties. Now, Commissioner Rogers in the SRM in
20 '93 did question this as is this really practical to
21 do, but the SRM itself approved this.

22 To me the fundamental question is -- and
23 we're recommending let's retain that guidance and the
24 details in terms of conservative analysis and level of
25 confidence and so forth will be an implementation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issue. To me the fundamental question on the source
2 term is for LWRs the source term is based upon an in-
3 vessel core melt, you know, a severe accident, severe
4 core damage type event. Should that be considered a
5 fundamental element of defense-in-depth that we always
6 want for siting decisions and containment decisions,
7 do we want to assume severe core damage? To me that's
8 the policy issue for the Commission to wrestle with.
9 They wrestled with it ten years ago, and we're
10 recommending that keep that position, but that's what
11 I see as the heart of the issue.

12 MEMBER KRESS: Now, when you talk about a
13 reactor-like prism, a big pool of molten salt, I mean
14 molten liquid metal, when you're talking about a
15 source term here and stuff has to get out of that
16 liquid metal before it goes into containment --

17 MR. KING: Do you give credit for the --

18 MEMBER KRESS: Yes, yes.

19 MR. KING: -- for the scrubbing or
20 whatever you want to call it?

21 MEMBER KRESS: Yes. Do you allow credit
22 for those kind of design features?

23 MR. KING: Yes. That's an implementation
24 issue, and this paper doesn't deal with that. But the
25 same with an HTGR, the graphite's going to retain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some, some is going to plate out on the vessel walls
2 and so forth. How much credit you give for that, I'm
3 not sure.

4 Now, the workshop did not have a consensus
5 on this issue. There were some industry folks who --
6 some industry folks suggested that maybe we ought to
7 develop the equivalent of NUREG 1465 for HTGRs, that
8 the Commission ought to just come out and say,
9 "Develop one bounding source term for HTGRs and that's
10 what we use." Others agreed with this recommendation.
11 So there wasn't a -- I can't say there was a consensus
12 in the workshop on this.

13 MEMBER POWERS: I'll bet you that if we
14 have several gas-cooled reactors, that in the course
15 of doing ordinary regulatory analysis that you will
16 find a 1465-like source term becomes necessary just to
17 carry out business. I mean it will be a regulator's
18 tool. I don't know that you need to bring it up here
19 in this, but I'll bet you that's the way it turns out,
20 that you just need something to tell you what happens
21 in an accident to kind of evaluate options and stuff
22 like that.

23 MR. KING: Yes. You may be right.

24 MEMBER POWERS: It will naturally evolve
25 that you just need something to conduct conversations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with people rather than relying on some computer code
2 calculation and uncertainty bars this big and things
3 like that.

4 MR. KING: Yes. I mean Fort St. Vrain
5 used an adaptation of the old TID source term on
6 timing and some retention, but it was basically severe
7 core damage.

8 MEMBER POWERS: I mean you just need to do
9 it just to be able to talk, because you trip over
10 uncertainty bars and things like that. You know, when
11 you come down to quantify it, you come back to your
12 specific calculations.

13 MEMBER KRESS: I still think you've got a
14 lot of difficulties, because you could end up with a
15 WASH-740 source term. You've got all these fission
16 products in there, you might as well use all of them.
17 I mean that's a bounding source term. So you've got
18 to decide where to stop.

19 MR. KING: Yes. Do you assume the
20 graphite --

21 MEMBER KRESS: And that ought to have
22 something to do with the design concept on top of the
23 reactor head.

24 MR. KING: That's the idea behind going
25 with this scenario specifically.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: And you'll have to look at,
2 I think, frequencies and probabilities also.

3 MR. KING: If you want to add realism and
4 give credit to the designer and give him some
5 incentive to reduce core damage likelihood, then this
6 is the approach that would do that.

7 MEMBER KRESS: But I agree with Dana, you
8 may end up with some sort of a source term, but it
9 will have to be reactor type specific.

10 MR. KING: Okay. Next issue, containment
11 versus confinement. I'll say up-front there was no
12 consensus at the workshop on this, absolutely none, so
13 I'll just leave it at that. This was an issue the
14 Commission, again, looked at ten years ago. They
15 basically came out and said, "Okay, we're not going to
16 require a pressure retaining containment building.
17 We're going to develop some performance criteria."

18 MEMBER WALLIS: What's wrong with
19 pressure? You're trying to retain fission products.

20 MR. KING: Well, that's the idea of
21 pressure retaining --

22 MEMBER WALLIS: Well, I know, but I mean
23 retaining pressure is -- there's nothing wrong with
24 pressure per se.

25 MR. KING: No, no. It -- leak-tight maybe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is a better way to say it, leak-tight.

2 MEMBER WALLIS: Right. That's better.

3 MR. KING: Okay. What the Commission said
4 ten years ago was, "Here are some performance criteria
5 that you can use. One, whatever building you have,
6 you have to be able to show you can meet your release
7 limits." But, two, it said, "Okay, you need to
8 postulate a core damage event and then for 24 hours
9 following the onset of that core damage event the
10 building has to maintain that leak rate that's assumed
11 in the analysis. In other words, the building can't
12 have a hole develop in it. And then after 24 hours,
13 you can take measures to reduce the pressure inside
14 but don't have any uncontained release of
15 radioactivity. Basically, you have a vent system, you
16 can have a filter system to help reduce stress on the
17 building, but the building can't fall apart."

18 What we're proposing, and, again, the
19 fundamental question for the Commission is should a
20 leak-tight building be a fundamental aspect of
21 defense-in-depth or not? What we're proposing is to
22 supplement that guidance. We're proposing let's
23 retain some set of performance criteria that will
24 guide you as to whether you need pressure-retaining
25 building or whether you can get away with a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 confinement-type concept. But let's not automatically
2 assume we have to go to a core damage event. Let's
3 use the results of the event selection and source term
4 process to decide what the challenges are. And as
5 Farouk said, these things are linked, so this is the
6 linkage.

7 But then add another criterion that says,
8 okay, if you're coming in with a confinement building,
9 you ought to take a look at whether if you did add a
10 leak-tight building, a containment-type building,
11 would it really make a substantial improvement in
12 safety? And if so, then maybe we ought to consider --

13 MEMBER WALLIS: The definition of that
14 substantial may be the same as in the regulatory
15 analysis definition?

16 MR. KING: Yes. And Reg Guide 1.174, the
17 ten percent change. If it's greater than a ten
18 percent change for whatever metric you're using, LERF
19 or --

20 MEMBER WALLIS: This concerns me a bit,
21 because when I looked at the SAMDAs for AP600 I came
22 to the conclusion that the containment building was
23 worth about \$1,400 in terms of the ten to the minus
24 seventh and things they were predicting. Then the
25 conclusion would be it's not worth building, and yet

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we did. They do have a containment building for
2 AP600, so this doesn't seem quite consistent with that
3 logic.

4 MEMBER ROSEN: Well, maybe the numbers are
5 incorrect.

6 MEMBER WALLIS: Because you didn't believe
7 their numbers or something where the defense-in-depth
8 and all that stuff comes in.

9 MEMBER KRESS: Are safeguard issues likely
10 to override this?

11 MR. KING: I don't know. This is not a
12 security issue. To me whether you have a leak-tight
13 building or a confinement building, either one can be
14 strong to prevent or protect against external events,
15 so from a security -- I mean I don't know where the
16 security issues are going to end up, and they could
17 have some impact on this, but this, to me, I think you
18 can deal with the security issues separate from making
19 the leak-tight versus non-leak-tight decision.

20 MEMBER POWERS: Tom, when I look at
21 disadvantages of pressure retaining buildings and
22 think about this issue, the uncontrolled pressurized
23 release of radioactivity emerges as a disadvantage of
24 the containment design. You can bust it and build up
25 all that pressure, you get a heck of a release.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Whereas a confinement you're much less driving force
2 for. A lot of people -- not an original thought on my
3 part -- a lot of people have looked at that, and we
4 see the Europeans, especially in Sweden, moving to
5 these hybrid kinds of designs where they achieve some
6 period of retention, and then they deliberately open
7 up the containment and do a vented filter design and
8 what not. Is that something that the Commission needs
9 to be aware of as an alternative between classic
10 pressure vessel-type containments and say Savannah
11 River-type containments?

12 MR. KING: It seems to me those concepts
13 -- if those concepts met the criteria that were being
14 proposed, then any of those would be acceptable. So
15 to me it's not an issue -- a question of do we want
16 the Commission to pick one concept over another at
17 this point, although maybe it's worth mentioning. I
18 don't disagree with that, but I'm --

19 MEMBER POWERS: It's really the only
20 question I'm asking is if in your background you need
21 to comment on these hybrid-type designs?

22 MR. KING: No. I think in the background
23 that's probably a good idea.

24 MEMBER POWERS: Yes.

25 MR. KING: Okay. Let me say something

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 else about security. I think from external threats,
2 the question of leak-tight versus non-leak-tight is to
3 me not a security issue. Now, when you -- I don't
4 know what's going to help security in terms of
5 internal threats and then it might have some bearing
6 on what kind of core damage you need to assume, and
7 that should drive you to the leak-tight versus non-
8 leak-tight decision. So I think there is some link in
9 security when you're talking internal threats. That's
10 my own personal opinion. All right. I have five
11 minutes.

12 The last one is emergency preparedness.
13 What the designers have proposed is in the extreme to
14 shrink the EPZ down to the site boundary. This was
15 looked at in the past as well. The Commission at the
16 time said, "We're not ready to do that. Let's keep an
17 open mind, but we're just not ready at this point."
18 Basically, we talked about this at the workshop and
19 basically what it boiled down to was a discussion of
20 in the near term this seems to be a moot issue for two
21 reasons.

22 One, for HTGRs, which are probably the
23 most likely near-term non-LWRs, the regulations
24 already allow a provision for case-by-case
25 determination of the EPZ. For the early site permits

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that are being talked about, they're all being
2 associated with existing sites which have the EPZ
3 consistent with today's regulations and all the other
4 things that go along with emergency planning, so it's
5 sort of a moot issue for those.

6 So the thought was we don't really need to
7 deal with this issue now. Perhaps what we ought to do
8 is let the designs progress, and then if at some point
9 in the future it becomes an issue, deal with it then.
10 Maybe we'll have more experience, more testing under
11 our belt, whatever. So that's the recommendation
12 we're making to the Commission.

13 MEMBER ROSEN: You're aware of the Gen IV
14 objectives.

15 MR. KING: The Gen IV objectives are, yes,
16 basically no off-site impact.

17 MEMBER ROSEN: Yes. The whole idea was
18 that you wouldn't need this, and that set a very
19 stringent bar for the Gen IV plant.

20 MR. KING: But, again, Gen IV is 20 years
21 down the road.

22 MEMBER ROSEN: Yes, I know. But something
23 would have to be done different with this if the Gen
24 IV plants were to be a reality.

25 MR. KING: Again, we're not trying to say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 no forever, we're just trying to say we don't have to
2 deal with this right now for these near-term designs.
3 So let's wait a little bit and see how things develop.

4 Anyway, that's the presentation. Let me
5 just say a couple words in summary. What this paper
6 is trying to do is get direction from the Commission
7 at high level on these issues. There's a number of
8 implementation aspects that have to be dealt with, but
9 we would propose to deal with those after the
10 Commission points one way or the other how to go on
11 these issues. So we recognize there's a lot of
12 follow-on work. We'll be back to the Committee a
13 number of times on a number of issues, and some of
14 these are linked together in sort of a package deal
15 the way we've put the paper together. So with that,
16 I'll --

17 MEMBER ROSEN: I'd like to come back to
18 the Gen IV point for another reason. You need to make
19 sure that whatever you do at this particular point
20 that you don't deincentivize Gen IV from attempting to
21 read this thing. You need to make it very clear that
22 this could be -- this could be addressed again in the
23 future. Because if this is it and somebody reads it
24 as forever, then all kinds of different things might
25 happen in the Gen IV --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: But Gen IV won't
2 pay much attention to regulatory matters.

3 MEMBER ROSEN: They will.

4 MR. KING: I think it's a good point.

5 CHAIRMAN APOSTOLAKIS: Maybe this will be
6 a good incentive for them.

7 MEMBER KRESS: I don't think it's only a
8 good point, I think you devise your regulations to do
9 what you want to and let the plants worry about how to
10 meet them.

11 MR. KING: Well, except on this one we're
12 not saying, no, at this point, we're saying let's put
13 that off, let's defer this one to a later --

14 MEMBER KRESS: Of course EPZ, that could
15 be considered just an element of defense in depth and
16 say we are goinmg to require it.

17 CHAIRMAN APOSTOLAKIS: Okay thank you.
18 Tom are you happy with that?

19 MEMBER KRESS: Yes, very happy with that.

20 CHAIRMAN APOSTOLAKIS: Okay we will come
21 back at 1:30.

22 (Whereupon, the proceedings in the above-
23 entitled matter went off the record at 12:02 p.m. and
24 went back on the record at 1:32 p.m.)

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

2 (1:32 p.m.)

3 CHAIRMAN APOSTOLAKIS: The meeting will
4 come back in session.

5 The next item is the draft final American
6 Nuclear Society standard on external events
7 methodology. The cognizant member is Dr. Powers.

8 Dana.

9 MEMBER POWERS: We're going to discuss yet
10 another of the standards that are getting proliferated
11 lately on how to write a PRA.

12 MR. BUDNITZ: No, that's not what our
13 standard is.

14 CHAIRMAN APOSTOLAKIS: Wait, wait, wait.

15 MR. BUDNITZ: On the record, if he thinks
16 that's what this standard is, he's off base, and if
17 everything else is predicated on it, then that's all
18 off base.

19 CHAIRMAN APOSTOLAKIS: This is going to be
20 exciting.

21 MR. BUDNITZ: It's very, very important
22 that people understand that distinction.

23 CHAIRMAN APOSTOLAKIS: Your turn will
24 come.

25 MEMBER POWERS: To correct myself, a set

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of requirements for PRAs, and those of you that have
2 been on this committee for long enough know that I
3 have struggled and struggled over these what I call
4 soft standards because they're really quit radically
5 different than the standards that you get used to in
6 the metallurgical professions where they kind of say,
7 "Do it this way."

8 There are two ways in the world to do it,
9 the code way and non-code way. And so if you want to
10 comply with the code, you do it this way.

11 These are different because PRA people
12 need lots of flexibility, I guess.

13 This particular standard is going to deal
14 with how you do an external event PRA.

15 MR. BUDNITZ: No, it doesn't deal with how
16 you do an eternal --

17 MEMBER POWERS: The other thing about PRA
18 people is they can split hairs better than the best of
19 us.

20 MR. BUDNITZ: Just speak in plain English.

21 MEMBER POWERS: The external events PRA is
22 a subject of troublesome definitions throughout its
23 history. In the past, fire has been included in the
24 external events PRA, but here it's not.

25 On the other hand, fire is not included in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the internal events PRA. The fire is left abandoned
2 someplace, neither in internal nor external, nor is it
3 really provided for in an FDA 805.

4 This --

5 MEMBER SIEBER: May IEEE should do it.

6 MR. BUDNITZ: Well, there's another
7 committee writing fire standards right now.

8 MEMBER POWERS: This particular set of
9 requirements for an external events PRA really focuses
10 primarily on things like seismic events, external, not
11 internal, but external flooding events, high winds
12 like tornadoes and hurricanes and things like that.

13 It has been written to closely parallel
14 the structure that was created by the ASME committee
15 for the internal events PRA in the sense that there is
16 a bunch of capability categories for the PRA, and that
17 has proved to be one of the more challenging aspects
18 of the standard to understand.

19 In addition, it includes material on
20 what's called the seismic margins method for analyzing
21 the plant, and the standard goes to great lengths to
22 try to say, well, that's the kissing cousin of a PRA.
23 Whereas myself, I view them as almost antithetical to
24 each other.

25 The presentation we're going to have today

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is a little different. We've previously gone over the
2 major structure of this set of requirements for a PRA,
3 and so what Mr. Budnitz has proposed to do is to give
4 us a bit of an introductory to the subject and then
5 throw himself open to ask questions.

6 He did say questions and not heavy
7 objects.

8 MR. BUDNITZ: I'll catch them if you throw
9 them.

10 MEMBER POWERS: And there are lots of
11 things in here that are worthy of trying to understand
12 better. For instance -- see, Bob, I get the
13 introductory. So I get to talk a while -- is that
14 when you think about -- most of the standard deals, as
15 it should, with seismic events. That's by far and
16 away the one that's ubiquitous for nuclear power
17 plants. Most of it deals with the seismic events.

18 And when you think about seismic events,
19 what do they do? Well, seismic events knock things
20 down, break things, and cause fires.

21 The standard deals a whole lot with
22 knocking things down and breaking things and really
23 deals very, very little with fire, and in fact, does
24 not invoke an appeal to something that would deal with
25 fire for you the way it does with internal events.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In fact, the standard is predicated on the
2 availability of an internal event, but it is not
3 predicated on the availability of a fire PRA. That's
4 an issue that I think I would like to understand more
5 about.

6 The difficulty with soft standards like
7 this is that you look around and you say, "Now, how do
8 I know that this set of requirements is both necessary
9 and sufficient?"

10 You know, if I follow this, that I will
11 get an adequate PRA, and they don't provide evidence
12 of this. It's quite different, again, than the
13 standards we have like in structural mechanics and
14 whatnot.

15 And I had reasons to raise this question
16 earlier with Bob, and he gave me the good advice. He
17 said, "Well, you're taking the judgment of experts,
18 and if you trust those experts, then that's how you
19 judge the necessary sufficiency of these," and I
20 though that was probably the right answer here.

21 What I find interesting is that you look
22 at this panel, the working group that put it together,
23 and you say, "Gee, how many of these people have
24 actually prepared a seismic PRA so that I have some
25 confidence that this set of requirements can be done

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and that it will be adequate when the product goes
2 out?"

3 And I don't know the answer to that.

4 So with that introduction and background
5 on what we're going to hear about, I guess I'll turn
6 the floor over to Bob. He will give his introduction,
7 and then I guess he will throw himself open to
8 questions, and he says he will catch bricks if thrown
9 at him.

10 MR. BUDNITZ: Yeah. Okay. Thanks, Dana.

11 And you can ask both of those questions
12 again because I'm not going to try to answer them here
13 directly.

14 I've just got to tell you a little
15 history. The ASME standard began in early '98. About
16 a year later, in the spring of '99, the ANS -- the
17 ASME standard is internal events PRA methods -- the
18 ANS took it upon itself with ASME's concurrence and
19 understanding that ANS would develop a standard for
20 external events PRA methodology that would we always
21 use the word "be hand and glove with the other." They
22 could be used together. That was the objective.

23 You want to have them both on the table in
24 front of you if you're an analyst or a reviewer, and
25 they should be able to be used together just as if it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was another chapter.

2 And with that objective in mind, the ANS
3 appointed a working group -- you see them in front of
4 you -- in the sort of September time frame of '99.
5 I've been the chair right along, and the straight
6 truth is the standard is written by Ravi Ravindra,
7 Nilesh Chokshi and me. We wrote it.

8 The other three didn't write a thing, but
9 they were crucial reviewers in the first draft. Let
10 me be sure you understand what I mean. We decided
11 rather early that it was easier for a smaller group
12 and we were willing and able; easier for a smaller
13 group to write something than a bigger group.

14 In fact, ASME's curse -- and I was on that
15 committee -- was there were 18 people, 14 of whom were
16 trying to write something. It's very, very hard, and
17 it wasn't necessary. In fact, it's actually
18 counterproductive.

19 So the three of us wrote it: Ravindra,
20 Chokshi, and me. And Stevenson, Henries, and Yee
21 were, as I said, first round reviewers before it went
22 anywhere else, in fact, before you know -- as soon as
23 something was on paper, sent to everybody; they were
24 there. And that was a crucial piece.

25 Now, to answer your question about PRA,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all six of us have actually performed seismic PRAs, a
2 lot of them. We're practitioners.

3 The number of practitioners in this field
4 is only a couple dozen, and you probably know a lot of
5 them, both on the systems side and on the hazard side,
6 and we worked along from the fall of '99 until the end
7 of the year 2000, about a year and a quarter, and I
8 actually clicked off -- that's what you do nowadays
9 with your computer. You click and it's done -- sent
10 off the draft, first draft, for public comment on
11 December 25th, 2000, a date to remember for those of
12 you who are Christians, and it went out for public
13 comment the week after the New Year.

14 And you got it for public comment, too.
15 Public comment period ran from early January to early
16 April, and you got it. And I was here in February, I
17 think February 2 or 3, 2001, right here discussing it
18 with you, and you commented, too.

19 And by April 2001, we had a whole lot of
20 comments on that draft, which took a long time to try
21 to sort out.

22 We have an oversight committee, the ANS,
23 like ASME, has an oversight committee that oversees
24 the working group, and that committee met in perhaps
25 September. I think that's right, September 2001.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Six months had passed since the close of
2 the public comment period, and in a couple of days,
3 sorted through what their guidance was to be on a
4 couple of very crucial issues, and I'll explain them
5 in a minute.

6 And then we went off in perhaps October of
7 2001 and wrote it again. Because everybody here is a
8 volunteer, these things don't get done in a day, but
9 by April we had another draft, April of this year,
10 2001. It was about six months later.

11 And we sent that out both to the parent
12 committee and for public comment, and the balloting
13 ended in August, I guess, and we got favorable ballots
14 from all but three or four parties. I'll explain that
15 in a minute, what we got back.

16 And even though the balloting was
17 positive, we got a whole lot of comments, but mostly
18 little stuff, a lot of little stuff, which had to be
19 incorporated, and I have now, with Ravi and Niles, I
20 have now pulled that together, and just three weeks
21 ago perhaps I sent off what we think is the final
22 version to you.

23 But what you have is also the final
24 version that has gone back to the committee. The
25 committee balloting, by the way, was positive, even

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 though I guess there were four negatives, and I'll
2 tell you about that in a minute. I'll tell you what
3 the issues were.

4 We also got a lot of public comments. You
5 know, people send in comments. So we incorporated
6 them, a whole lot of little stuff, nothing really
7 crucial except some things we couldn't accommodate,
8 which I'll explain, and that's been complete, and now
9 it has gone back to the committee.

10 The idea is, you know, even somebody who
11 voted yes, maybe I screwed it up as the chairman or,
12 you know, we screwed it up. So they get a chance at
13 -- you don't get a chance at bringing in a new
14 comment, but you get a chance to see whether or not
15 the resolution of somebody else's comment was okay,
16 and that's in the process now.

17 It's a one month thing that started about
18 November 15th, and the week after next it is going to
19 be done, God willing. Three and a half years. Okay?

20 So that's the schedule. Now, the process.
21 It's been a volunteer effort all the way through with
22 one crucial caveat. The Nuclear Regulatory Commission
23 gave the ANS a grant some time in the fall of '99,
24 which paid for administrative costs of the ANS staff
25 and for travel for the group so that we could travel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to have meetings.

2 By the way, the grant also covered lower
3 power shutdown standard, which is going on in
4 parallel. We'll talk about that, but that grant is
5 there, and you didn't have to pay for my travel today
6 because I'm now in Washington. You know, I rode the
7 Metro, I won't charge you for it.

8 Now, just one more thing about me, and
9 then I'll talk substance. For the whole duration of
10 this standard I was, as I have for more than two
11 decades, the president of a one man consulting company
12 in Berkeley called Future Resources Associates,
13 Incorporated, and that's what was in the standard.
14 It's me.

15 In all the work that was done with that
16 hat on, I became a Livermore employee several weeks
17 ago, and with Livermore's understanding I'm continuing
18 this in a voluntary effort until we get it done, but
19 none of this has to do with Livermore, although I'm a
20 Livermore employee. That's a disclaimer. It's very
21 important you should know.

22 Furthermore, I was hired at Livermore to
23 go on detail to the Department of Energy Yucca
24 Mountain Project, which is where I'm working in
25 Forrestal now, and nothing I'm saying here has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anything to do with DOE or the Yucca Mountain Project
2 either.

3 This work was all done before, and I'm
4 just continuing it to its completion as a volunteer.
5 I just had to say that for the record because you
6 understand why it's important to say that.

7 Now, those procedural things aside, here's
8 what's left. If the balloting from the committee
9 comes back December 15th and everybody does what they
10 do, we hope to turn around the no votes, but one
11 doesn't know.

12 Then the ANS will issue the thing in final
13 form, but there's one more round. Because ANS is one
14 of the standards development organizations under ANSI,
15 the American National Standards Institute, it has to
16 go to ANSI, and they publish it on their thing for
17 another 30 days, and you know, then it's done.

18 And you might get a comment, although when
19 the ASME standard went out, we didn't get any comments
20 in that round. Everybody had done it before.

21 So, you know, it will be another couple of
22 months and then it will be done. All right? So
23 that's the procedural stuff. Now, let me talk some
24 substance.

25 When we had the first round draft, and I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 said we published it December 25th, 2000, and the
2 commentary went through April, those of you who aren't
3 familiar should know and those of you that aren't,
4 that will remember will remember that we only had one
5 element of requirements, not three like ASME. One set
6 of requirements for everything. You know, there's
7 just one thing to do. No gradations, a graded
8 approach towards the requirements.

9 And the committee came back and said they
10 wanted to have three capability categories just like
11 ASME. So we did that.

12 That turned out to be a completely non-
13 trivial exercise. It was just very -- I mean for us
14 experts, it was very, very difficult.

15 And what was difficult was because we had
16 a very hard time trying to sort out what might go in
17 Column 3 that was separate -- that's the highest
18 capability category -- that was separate from Column
19 2, which is today's sort of state of the art or
20 standard practice.

21 And we also had a terrible time because we
22 had lots of back-and-forth with people that thought
23 that the signs of margin approach should be in Column
24 1. But we argued back with them that signs of margin
25 is not a PRA, doesn't go in Column 1. Column 1 is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PRA of a certain kind, and we fought that off.

2 I mean that. I have to say the word
3 "fought" outright, and so you see those three
4 categories there, and if you want to talk about what
5 they mean, I'll explain exactly what they mean.

6 But for some capability requirement to be
7 in Category 3, it has to have been done by somebody
8 some time somewhere, published, and has been accepted
9 as okay. Okay?

10 CHAIRMAN APOSTOLAKIS: Category 3?

11 MR. BUDNITZ: Yeah. In other words, if we
12 have a requirement in Category 3 that's separate from
13 Category -- you know, some of them go all the way
14 across.

15 CHAIRMAN APOSTOLAKIS: But I thought
16 Category 3 was --

17 MR. BUDNITZ: That's very important.

18 CHAIRMAN APOSTOLAKIS: -- Category 3 was
19 pushing the state of the art.

20 MR. BUDNITZ: No, it's not pushing the
21 state of the art in our interpretation, and I want to
22 make sure you understand. Category 3 for us means
23 that somebody did it somewhere and published it, and
24 we've said it made sense. It wasn't just sort of off
25 the wall or somebody said, "Well, ask Joe."

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Let's think about
2 it now.

3 MR. BUDNITZ: It's very important.

4 CHAIRMAN APOSTOLAKIS: You know, you go to
5 the old days when Zion Indian Point PRAs were done,
6 when a small group of people pioneered and did their
7 seismic analysis.

8 MR. BUDNITZ: Yeah.

9 CHAIRMAN APOSTOLAKIS: So that would be no
10 category because nobody had ever done it before.

11 MR. BUDNITZ: Well, we're writing this in
12 the year 2000, George, when we have --

13 CHAIRMAN APOSTOLAKIS: Yeah, but somebody
14 once --

15 MR. BUDNITZ: -- we have 75 PRAs on the
16 shelf, 25 of them overseas..

17 CHAIRMAN APOSTOLAKIS: So if I want to
18 advance the state of the art, I still end up in
19 Category 2?

20 MR. BUDNITZ: If somebody somewhere had
21 done a piece of work in a particular area that we
22 thought was -- you know, had advanced the state of the
23 art as of the year 2000 and we thought that was -- so
24 somebody else could do it, right? So if somebody else
25 didn't have to again, that's what we wrote in Category

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 3. I just want to make sure you understand that
2 that's what we wrote. I'm just --

3 CHAIRMAN APOSTOLAKIS: But I thought the
4 ASME though -- the ASME Category 3 was different.

5 MR. BUDNITZ: No.

6 CHAIRMAN APOSTOLAKIS: The ASME Category
7 3 was the state of the art of --

8 MR. BUDNITZ: No, no, no.

9 CHAIRMAN APOSTOLAKIS: No?

10 MEMBER ROSEN: Good enough to be risk
11 based.

12 MR. BUDNITZ: Yeah, it was a PRA.

13 MEMBER POWERS: When I looked at --

14 MR. BUDNITZ: Just wanted to be sure you
15 understood that. so --

16 MEMBER POWERS: When I looked at the
17 standard, I looked at the requirements in each of the
18 categories. I became hopelessly confused about all of
19 this until I went back and read your introductory
20 paragraph in which you described what the categories
21 are.

22 MR. BUDNITZ: Right.

23 MEMBER POWERS: And I found that suddenly
24 -- I mean, it was very helpful to read, and if you're
25 doing any rewriting, I really recommend highlighting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that even more than you do.

2 MR. BUDNITZ: Well, you're supposed to
3 read it from the beginning. I guess you read the
4 newspaper from the back.

5 MEMBER POWERS: I --

6 MR. BUDNITZ: Go ahead, Dana.

7 MEMBER POWERS: I read it, but I think
8 that I didn't pay so much attention.

9 MR. BUDNITZ: Thank you, thank you. We
10 struggle with that.

11 MEMBER POWERS: It's worth reiterating, I
12 think, that the categories represent different states
13 of resolution of the result. That is, if I want
14 resolution only to the level of trains, then I do a
15 Category 1. If I want it to the resolution of
16 components, I do Category 2. And if I want a finer
17 resolution, then I do Category 3.

18 CHAIRMAN APOSTOLAKIS: Failure modes, in
19 other words.

20 MEMBER POWERS: Yeah, yeah. And suddenly,
21 before when you would go through and you'd look at
22 these categories and you'd say all of the things that
23 they are requiring here are the same for all of the
24 categories. What does this mean? I mean, there's no
25 difference here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Then when I reminded myself it's a matter
2 of resolution; yeah, the requirement is the same, but
3 the way you apply the requirement is at a different
4 level of resolution, then it all makes perfect sense.
5 It's just fine after that.

6 MR. BUDNITZ: Well, I guess, just to be
7 sure you understand, and it's on Table 1.1, something
8 is in a higher category if it has either more scope or
9 level of detail or more plant specificity versus
10 generic or more realism versus conservatism. Any one
11 of those picks it up. More of them pick it more.

12 CHAIRMAN APOSTOLAKIS: As long as somebody
13 else has done it first.

14 MEMBER POWERS: And none of that -- yeah.
15 None of that helped me --

16 MR. BUDNITZ: No requirement in here is
17 something that no one has ever done.

18 MEMBER POWERS: None of that --

19 MR. BUDNITZ: That's very important.

20 MEMBER POWERS: None of that plant
21 specificity of whatnot helped me a bit. It was the
22 level of resolution that really made it much more
23 palatable to read what you had written.

24 MR. BUDNITZ: Thank you.

25 CHAIRMAN APOSTOLAKIS: Does that apply to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the ASME standard as well?

2 MEMBER POWERS: Well, I don't know that.

3 MR. BUDNITZ: You're more expert on that.

4 CHAIRMAN APOSTOLAKIS: I'm not sure. I
5 don't remember that.

6 MR. BUDNITZ: George, I think so.

7 MEMBER POWERS: But it didn't matter. I
8 liked it.

9 CHAIRMAN APOSTOLAKIS: No, I like this,
10 too, but I don't remember ASME saying the same thing.

11 MR. BUDNITZ: All right. I think so. So
12 let's go on.

13 We had a terrible time trying to sort out
14 how to write the three categories, and so you'll see
15 that most of the requirements --

16 MEMBER POWERS: You --

17 MR. BUDNITZ: -- most of the requirements
18 -- because we had to sort out what this meant to us,
19 and we're supposed to be the experts, practitioners.

20 Most of the requirements go all the way
21 across, which really means the same words apply, but
22 if you have more specificity, you can claim you're in
23 another category, see, or if you have more -- more --

24 MEMBER POWERS: More resolution.

25 MR. BUDNITZ: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: Well, you know, I mean,
2 see, that bothered me a lot because sometimes you're
3 doing it for us and sometimes it's just two
4 categories, things like that. But when you interpret
5 it in terms of resolution --

6 MR. BUDNITZ: That's a fair comment.

7 MEMBER POWERS: -- then suddenly you say
8 it doesn't matter if it goes all the way across. This
9 is just illustrating for you that there are different
10 levels of resolution in the PRA, and the requirements
11 probably are the same for all three of them. The high
12 level requirements are all the same. It's just a
13 matter of resolution.

14 MR. BUDNITZ: Right. So let me go on. I
15 have two more things to say, and then I'm going to
16 turn it to you. One has to do with uncertainty.

17 This standard from the start imbeds
18 uncertainty issues, uncertainty requirements about
19 developing and expressing and writing down and
20 analyzing uncertainties in a way that is intrinsic to
21 everything that we've done.

22 If you read it and you don't see it,
23 you're blind. It's in there everywhere. We were
24 careful about that. It meant a lot to us.

25 MEMBER POWERS: Even in the lowest

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 category.

2 MR. BUDNITZ: It meant a lot to us.

3 Now, I'm contrasting that with the ASME
4 standard on which I was a member. I was one of the
5 18, in which that's absent, and by the way, it's
6 glaringly absent, and I can tell you that in some
7 discussions inside the committee, there was a
8 minority, of which I was one, that wanted that, and we
9 got outvoted.

10 I'm not going to throw any mud at the ASME
11 standard. This thing has uncertainty all the way
12 through. You can't do a seismic PRA, in my view, of
13 any kind unless you're attentive to that because the
14 insights and result and what you do with it depends so
15 much on understanding roughly or -- do you want to do
16 more, better? -- what those uncertainties are and
17 where they arise.

18 CHAIRMAN APOSTOLAKIS: Is this uncertainty
19 modeled?

20 MR. BUDNITZ: Some of it's modeled
21 uncertainty and some of it has to do with data.
22 Certainly in the hazard side, it's data driven in the
23 sense that we don't have a lot of earthquakes and so,
24 therefore, there's a lot of uncertainty in the hazard
25 even in California. Never mind in the East -- which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is driven by we don't have a lot of earthquake data,
2 but there's also quite a bit of model uncertainty,
3 too, and we go into that.

4 And I just want to point that out because
5 if you're not attentive to what you should be, and I
6 hope you are.

7 Okay. Now, that comment having been said,
8 we then had to struggle with this three capability
9 category issue in that way, and it took us a long
10 time.

11 Nilesh and Ravi and I spent a long time
12 dealing with that, and I think we came out okay, and
13 I'm pleased with it. We sent it out to the committee,
14 and we didn't get almost anything back on that from
15 anybody, public comments or our oversight committee or
16 anything. So that either tells you they missed it or
17 they liked it.

18 Now, the one other issue I want to be sure
19 to talk about and then I'm open for you is now I'm
20 going to stop right here and talk about earthquake
21 caused fires.

22 Earthquake caused fires are not here.
23 That's what Dana said. They're not here. Earthquake
24 caused fire when you do a PRA for an earthquake caused
25 fire, if you really want to work out the core damage

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 frequency, it's mostly a fires PRA question.

2 There's another committee under ANS
3 developing a fire PRA right now. Dennis Hennecke is
4 its chair, and Nathan Siu is the NRC member. There's
5 five or six other people. They're doing that now.
6 It's a year and a half away.

7 And when that's done, then you can come
8 back to us and you can ask the question about whether
9 an earthquake would cause a short in something that
10 would cause an initiating event for a piece of
11 equipment, and then it goes into the PRA.

12 So that's why it's absent, and I think
13 it's rational that it's absent. We just need that
14 standard because all of the earthquake becomes -- is
15 an initiating event for what then becomes the fire
16 PRA. So just answer that, why that's missing. Okay.

17 MEMBER POWERS: Well, but can I ask you a
18 question about it?

19 MR. BUDNITZ: Sure.

20 MEMBER POWERS: You don't have a structure
21 for it right now.

22 MR. BUDNITZ: Correct. We're going to
23 have to develop that after.

24 MEMBER POWERS: And, on the other hand,
25 you're perfectly willing to cite unpublished standards

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on seismic things.

2 MR. BUDNITZ: I don't understand that last
3 thing there.

4 MEMBER POWERS: You've got two -- you call
5 out two draft standards.

6 MR. BUDNITZ: Yeah, but we don't rely on
7 them. We only just mention them. There's nowhere in
8 the standard are they in any of the requirements.

9 MEMBER POWERS: Why can't you mention this
10 fire standard that's coming forth?

11 MR. BUDNITZ: Because the ANS 227 and ANS
12 229 have actually been published for public comment,
13 and therefore are widely available in the community.

14 The other thing, there's not a single word
15 that has been put on paper yet. They've only had two
16 meetings. So there's nothing --

17 MEMBER POWERS: And you can't call NFPA
18 805?

19 MR. BUDNITZ: I suppose. What we did is
20 like observe like the lower power shutdown standard
21 that's under development, but ANS 227 and ANS 229,
22 which by the way if you don't know what they are,
23 they're standards in development for seismic hazard,
24 but they've not been published.

25 And so we've taken them out of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 requirements because by rule you can't have a
2 requirement.

3 MEMBER POWERS: Requirement, right.

4 MR. BUDNITZ: But we mention them in the
5 text as being there if you want to know, and so there
6 --

7 MEMBER POWERS: NFPA 805 is a public
8 standard.

9 MR. BUDNITZ: Yes, but it's certainly not
10 a PRA standard of any kind.

11 I yield to the prior experts in the room,
12 although I think I'm one, too. We decided to refer to
13 805 would be erroneous, misleading, and we didn't do
14 it on purpose.

15 If you want to write in your letter that
16 we should, we will probably reject your writing.
17 Okay? I'll just be as direct as I can be.

18 You're not going to get me as the chairman
19 of this committee to refer to that because it's not a
20 PRA standard, and the PRA appendix in the back is
21 useless.

22 CHAIRMAN APOSTOLAKIS: Other than that,
23 what --

24 MR. BUDNITZ: For these, for these
25 purposes. Right? Just leave that unless you want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 --

2 MEMBER POWERS: Well, you can come in and
3 say the same thing. As a seismic -- as an external
4 hazard, the thing is useless because if there's one
5 thing that earthquakes do, it's they knock things down
6 and they start a fire. You deal with half of it. You
7 don't deal with the other half. You're useless.

8 MR. BUDNITZ: No, it would be misleading.

9 In any event, if you want to go after me
10 on that, fine. I was coming back from Argents
11 (phonetic) because I wanted to just talk about -- this
12 is the main issue that held us up for two years.

13 Let me back up. In 1984 and '85, NRC,
14 DOE, and EPRI jointly sponsored an expert panel, and
15 I was the chair, to develop a method that became known
16 as the seismic margin method, and it's intention -- if
17 you don't know what it is, I can't get into the
18 details here -- but its intention was to develop a
19 method whereby an analyst could go to a nuclear power
20 plant and develop what we call the HCLPF capacity, the
21 high confidence low probability of failure capacity,
22 for components and ultimately through certain
23 algorithms success paths, and ultimately the plant.

24 In order to ascertain what the HCLPF
25 capacity was or a bound on it that then might be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 compared with some figure of merit somebody might
2 dream up --

3 MEMBER ROSEN: You might want to say that
4 more slowly for our recorder, the HCLPF.

5 MR. BUDNITZ: H-C-L-P-F, HCLPF, the word
6 HCLPF. We pronounced it "hiccliff." It stands for
7 high confidence of low probability of failure, and
8 it's a capacity of a component or ultimately you can
9 combine them, of a system or of maybe the whole plan.

10 And I chaired that thing, and that method
11 was intended to enable somebody who had a nuclear
12 power plant to be able to say that they had a lot of
13 margin if they did above the design basis.

14 For a typical plant a design basis might
15 be 215.5(g), and if their HCLPF capacity was .3, they
16 could say that if it were so. That was its intent.

17 In 1989, five years later, the NRC
18 endorsed the seismic margins method for use in the
19 IPEEE, a grievously erroneous decision, in my view,
20 that I counseled them against, and I was in the
21 position to counsel them.

22 And half of the plants went and did them
23 instead of a PRA for the IPEEE. Okay. Half of the
24 plants have a seismic margin review. The other half
25 have a seismic PRA, and they all, by the way, now have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 an internal events PRA, as you know, although you
2 didn't have to do a PRA for the IPEEE remember, but
3 they all have them.

4 Now, when we started this standard in '99,
5 the plants that had a seismic margin review said --
6 and it's perfectly acceptable and correct to say --
7 "Golly, we'd like to be able to say that if we've got
8 a good seismic margin review," good meaning they met
9 the -- right? -- "we ought to be able to say that, and
10 we can say that."

11 So we wrote requirements for the seismic
12 margin method, and if you got a plant with a seismic
13 margin review and you check off the boxes, you can
14 say we met the standard. Okay? And that's fine, and
15 that's what those requirements are. Nothing more,
16 nothing less.

17 On the other hand, if you have a PRA,
18 there's more. I can go into more if you want.

19 Now, here's the problem. The problem is
20 that a seismic margin review is taken absolutely
21 straight off the page without any enhancements,
22 provides for the analyst for his plant capacities for
23 what we hope are the important pieces of equipment or
24 structures, but not even fully, you know, fragilities;
25 just HCLPF capacities, which is the high confidence,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 low probability capacities, and then you can combine
2 them to work out the capacities of what is known as a
3 success path.

4 Actually the requirements are that you
5 have to develop two success paths, and the success
6 path, you know, you might -- the success path meaning
7 you have to do this, you have to do this, you have to
8 do this, and you have to do this, and then you can
9 shut down your sink (phonetic).

10 And so it works out the HCLPF capacity --
11 it's called A, B, C, and D. You have to work out the
12 HCLPF capacity of A, B, C, and D, and the HCLPF
13 capacity of the success path is the weakest of those
14 because it's the smallest earthquake that would
15 compromise one of them, and that's how the method
16 works, and it not more or less -- and then if you have
17 two success paths, one of them has a HCLPF capacity of
18 .4 and the other has a HCLPF capacity of .5, but the
19 HCLPF capacity of the plant is .5 because you could
20 use the second one, and therefore, you can shut down
21 even for a larger earthquake.

22 And that's all it is. It doesn't have any
23 probabilities in it. It has nothing to do with the
24 hazard. In fact, the whole idea in 1984 was getting
25 away from the problems with the hazard to work out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 capacities.

2 And so if you've got one of those, it's a
3 marvelous tool if what you want to do is go to your
4 plant and say, "Golly, I've got a pump or a valve or
5 a shear wall, and I want to make sure it has a certain
6 capacity."

7 It tells you that. Okay? But it can't be
8 used in probabilistic space. But we had members of
9 our oversight committee, including a couple that voted
10 no this time -- and I'll tell you about that in a
11 minute -- who insisted that an SMA was really a lower
12 PRA, and they got outvoted by the parent committee.
13 All right?

14 But that still was here, and we even got
15 comments about it, you know, in the last round. SMA
16 is not a PRA in any way, but we have requirements for
17 it. So if you've got one, you can use it.

18 It's wonderful for risk informed
19 applications of a certain kind. Let me give you an
20 example.

21 Suppose somebody has got a valve, and they
22 want to petition the NRC. They want to change the
23 allotted outage time from 24 hours to 96 hours, and
24 somebody in the back of the room says, "What about
25 seismic?"

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You can go to your seismic margin analysis
2 and you can look it up and see that that's a five G
3 value suppose in this. And the seismic margin method
4 tells you that. You can put that on the table, and
5 you walk away from that valve. Seismic.

6 Well, okay. So that's wonderful. Very
7 limited applications, but for those applications, it
8 really does the job, and that was what the intent was.

9 MEMBER ROSEN: The five G valve --

10 MR. BUDNITZ: Yeah, yeah.

11 MEMBER ROSEN: -- means it could stand
12 five Gs and still function.

13 MR. BUDNITZ: Right. A five G valve
14 meaning that at five Gs it still functions fine.

15 So you say, gee, for seismic it's no
16 problem, and so there's an application, right? Trying
17 to do something else, and somebody asks a seismic
18 question, and this is a very strong value. Seismic
19 margin didn't have to tell you that, right? But if
20 it's a .15 G value, you can't use it for anything
21 because you don't know how it combines with the other
22 systems, the components, and stuff like that to make
23 risk because it's not there. It can't be there. It's
24 just not there.

25 So I spent a year, from mid-'01 to mid-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 '02, struggling with several committee members on the
2 parent committee with what to do about the fact that
3 they weren't going to agree to this standard unless we
4 said something more about seismic margins.

5 And so the outcome of that is Appendix D,
6 which I know you have. Appendix D is a discussion
7 which I wrote with Gene Hughes from ERIN Engineering,
8 which describes what a seismic margin analysis can do
9 and what it can't do as is.

10 It also describes what you could do if you
11 enhanced a seismic margin analysis you have, you know,
12 in certain ways so that you get more out of it. There
13 are five or six -- I can't remember how many -- but
14 there are five or six different kinds of enhancements.

15 In the end you can actually make a PRA out
16 of it because a lot of the work has already been done
17 for you, you know, the capacity work, and if you have
18 an internal events PRA you've got the event tree,
19 fault trees, you know, get started.

20 And after back and forth and forth and
21 back and back and forth, and so on for half a year, a
22 year, we finally have an appendix that describes that
23 in a way that's satisfactory to just about everybody,
24 and now we're out with it.

25 Now, that was a terrible struggle, and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reason it was a struggle was that many proponents of
2 seismic margins -- and I have to then say maybe plant
3 owners who were duped into it, and I'm just trying to
4 be as direct as I can be. D-u-p-e-d, reporter. Were
5 duped into it -- thought they had a PRA when somebody
6 sold them a seismic margin, and they don't, and
7 they're mad, and they want to use, and it they can't.
8 And they shouldn't be able to because it's wrong. You
9 can't.

10 We had to beat that down, and we have.
11 It's very important you should understand. It went on
12 for a year. The seismic margin review was not a PRA
13 of any kind. It's not even a lesser PRA because it
14 doesn't have probabilities, the first word in PRA.

15 In any event, that appendix is there.
16 People are happy with it, and finally we're done.

17 Now, let's talk about the negative votes.
18 I can't remember how many the committee is. Twenty-
19 five or six. Steve is on it.

20 MEMBER ROSEN: You're talking about the
21 RIS, R-I-S --

22 MR. BUDNITZ: Yeah, yeah, the ANS
23 committee.

24 MEMBER ROSEN: American Nuclear Society's
25 Risk Informed Standards Committee, RISC. Yea, I am on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it, but I did not vote --

2 MR. BUDNITZ: That's correct.

3 MEMBER ROSEN: -- because of my role in --

4 MR. BUDNITZ: I understand you abstained
5 from that.

6 But there's 25 or six members. I can't
7 remember. I could look it up, and four people voted
8 no in the round, you know, in August, and I'll explain
9 what they were.

10 Jim Klaproth from G.E. voted no on the
11 following basis. He said that he thought that the
12 standard shouldn't have any peer review requirement
13 because peer reviewers are a very small community,
14 most of whom are on this committee, writing it to make
15 work for ourselves.

16 I thought that was a low blow, and I'll
17 just say that in public so it will be on the
18 transcript.

19 And, well, that's wrong. We have peer
20 review for a reason. It's part of the philosophy.
21 Okay.

22 Allan Camp voted no because he didn't like
23 the -- Allan Camp is from San Diego -- he voted no
24 because he didn't like the peer review requirements,
25 and after we changed some of them, he's voted yes now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Gene Hughes voted no because in the end he
2 didn't like the seismic margins write-up, but I hope
3 I can turn him around in the next week or two because
4 we've talked, and maybe he'll change his mind. I sure
5 hope so.

6 MEMBER ROSEN: That's astonishing. I
7 thought he wrote it with you.

8 MR. BUDNITZ: He wrote it with me, and so
9 it did astonish me, but I'm just telling you what it
10 is.

11 Bill Bohlke from Exelon voted no with
12 about 20 different little comments, all of which we
13 have responded to and sent it back, and I hope he'll
14 vote yes this time, but I'm just going to have to wait
15 and see.

16 And then finally, Nuclear Regulatory
17 Commission voted no -- that's very important -- on the
18 basis that --

19 CHAIRMAN APOSTOLAKIS: Even with Nilesh
20 and you writing it.

21 MR. BUDNITZ: -- on the basis that we
22 should have the SMA in there at all because it's not
23 risk informed and can't be used in risk informed, and
24 I tried to rebut that in revision of Appendix D, and
25 I think I've got them on board, but we're going to see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the next week or two whether they're on board and
2 they vote yes.

3 But in any event it doesn't matter. We're
4 going ahead without them. We've got the votes, and
5 we're going ahead without them. They know that, see,
6 because in fact, it doesn't make sense to us what they
7 said.

8 I told that to Mark Cunningham and Mark
9 Rubin directly on the phone, who were the two people
10 on the committee, you know, voting, and so we'll see
11 how that comes out.

12 But their basis was that they didn't think
13 SMA should be in there at all. Three or four years
14 after it has been in there, and I hope, you know, --
15 we were on this for a long time, and it was
16 frustrating for -- remember we're volunteers.

17 So I'll just leave you at that. I guess
18 I have just one more comment, and then you can ask
19 anything you want, of course, thank God. I'm glad
20 you're here.

21 In fact, what Dana said is completely
22 true, that there is no evidence -- I wrote down on my
23 pad what he said -- that the standard and the
24 requirements therein are both necessary and
25 sufficient.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There isn't, and the reason for that is
2 it's not deductive. It's inductive. Okay? The ASME
3 standard is an inductive standard. I don't know how
4 intellectually to produce such evidence that what we
5 have is sufficient; there isn't something missing; and
6 that what we have is necessary. There are the right
7 things there that there shouldn't be.

8 You know, I can't intellectually find a
9 way to conclude that from this. It's inductive. So
10 in that sense Dana's initial comment is correct, but
11 it's in the nature of something like this, a
12 methodology standard, and its validity comes from the
13 review of practitioners. And over these years we
14 don't know any PRA practitioners in the world, by the
15 way, really who haven't commented on them.

16 We sent it to everybody, you know, not a
17 big community, and they've seen it, and people are on
18 board about it. So I can't defend to you that it's
19 either necessary or sufficient in terms of the
20 requirements and their what makes them hang together.
21 I just have to explain to you that it is by its
22 character not deductive, but inductive, and take it
23 from there.

24 That's sort of a -- it's more than a
25 philosophical point because unlike, you know, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 design of a vessel to hold certain pressure, there's
2 nothing that's rigorous that you can start from first
3 principles with, laws of physics, and the like, and
4 then properties and materials. Put something together.
5 It's just not like that.

6 MEMBER POWERS: You could do it.

7 MR. BUDNITZ: I don't know how.

8 MEMBER POWERS: If you said I have this
9 set of things that I hope that I want a PRA to do for
10 me. Then you could take your standard.

11 If Moses came down from the mountain and
12 said, "Here's what the PRAs are supposed to do for
13 you," and then you could set up your standard to say,
14 "Yeah, verily, a PRA meets this set of requirements,
15 would do these things."

16 MR. BUDNITZ: Well, no. Let me describe
17 where I think we're on different Riemann sheets, R-i-
18 e-m-a-n-n.

19 There is not a detailed treatment in our
20 standard of requirements for analyzing slumping
21 adjacent to the site after an earth quake. It was the
22 judgment of everybody that looked at the standard and
23 looked at practice and looked at sites that that's not
24 an issue of importance in nuclear power plants.

25 But that's inductive, not deductive.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: At the sites we have.

2 MR. BUDNITZ: At the sites we have. Now,
3 there is an "other," right? There is a catch-all. Do
4 you know what I mean? You've got to have that.

5 If somebody came up with a site where that
6 was important, our standard wouldn't cover them.
7 Okay. You know?

8 I mean, so in that sense and at that level
9 you couldn't cover everything without making it not
10 just too much work and too much plow-through, but
11 unusable. So we had to make judgments about what's
12 important at the plants and with the PRAs and with the
13 systems and the structures and the operators and the
14 control rooms and stuff. They're out there for our
15 plants.

16 And that's what I mean by saying that it
17 is intrinsically inductive because there's -- by the
18 way, for seismic alone there are 600 issues like that.
19 Let me just get down to microstructure. Slumping
20 alone, 44 different kinds of slumping. I don't know
21 for all I know.

22 So that's a problem, and I don't know what
23 to do about it.

24 MEMBER ROSEN: Now, let's not be too
25 negative. Let me say a piece here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BUDNITZ: I'm not worried about being
2 negative.

3 MEMBER ROSEN: Some time ago there was
4 this feeling abound in the industry that PRA is no
5 good because we have no standards against which to do
6 them. Everybody does them differently, however they
7 want, and they're not reviewed by the Nuclear
8 Regulatory Commission. So who can use PRA?

9 Well, the problem with that is we've got
10 missions, policy statements; risk informed regulation
11 is a fact, and it's fundamentally on PRA, based on
12 PRA.

13 So the industry -- I say that broadly
14 because the staff was involved -- set out to build
15 some standards, and a peer review process melded up
16 with it, which actually predated their standards
17 effort, but the BWR owners groups' peer certification
18 process melded up with the standards, and now we have
19 an ASME standard for internal events. We've got an
20 ANS standard of external events. We've got a fire PRA
21 standard, et cetera. We've got a low per hour and
22 shutdown standard coming. We have standards.

23 Moreover, we have peer reviews which are
24 reported to be very effective. As a matter of fact,
25 I vouch for that, having been at a plant which had a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 peer review, first class plant in terms of its PRA,
2 South Texas, which had a peer review and found out
3 that it had a ton of things to improve.

4 This is not a bad thing. This is a good
5 thing because they're out improving it. The best one
6 in the industry is being dramatically improved.

7 Is that bad? No, of course not. That's
8 good.

9 So that's where we find ourselves. You
10 want to be apologetic about external event standards?
11 Not you, but others. I am not apologetic. I think
12 it's a good shot. We need standards across the board,
13 and we're building them, and then we'll have
14 experience with it through the peer certification
15 process and through the use of a standards, and we'll
16 improve them.

17 This is all good.

18 CHAIRMAN APOSTOLAKIS: Well, I think a key
19 question related to this is how is a standard
20 constraining me. Can someone come here to the NRC and
21 say, "Oh, you have no right saying this because we
22 complied with the standard," or is a standard a means
23 of making sure that people meet certain minimum
24 requirements, that they know what to expect and they
25 do it? They will not come and say, "Well, gee, I met

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the standard. Leave me alone."

2 MR. BUDNITZ: It's neither of those.

3 CHAIRMAN APOSTOLAKIS: What is it?

4 MR. BUDNITZ: First of all, it's a
5 voluntary standard. If you don't comply with the
6 standard, if you don't even pick it off the page and
7 never look at it, you can come to the NRC with
8 anything you want, and they will review your
9 submission and do what they want with it.

10 CHAIRMAN APOSTOLAKIS: Fine.

11 MR. BUDNITZ: So it's a voluntary
12 standard. So in that sense it doesn't constrain
13 anything.

14 Secondly, if you say, "I met the
15 standard," that doesn't constrain the NRC from saying,
16 "But even though you met Requirement 37" -- I'm just
17 pretending -- "we don't think that's enough to support
18 this application that you have. You've got to go do
19 more."

20 CHAIRMAN APOSTOLAKIS: So what is the --

21 MR. BUDNITZ: So in neither sense is it --

22 CHAIRMAN APOSTOLAKIS: So what is the
23 value of this standard?

24 MR. BUDNITZ: Well, the value of the
25 standard is that if you say you meet the standard, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 NRC may find itself able to review only very small
2 pieces of the standard for giving an applicant --

3 CHAIRMAN APOSTOLAKIS: So it's --

4 MR. BUDNITZ: -- for giving an application
5 and let the others go by because you met it.

6 CHAIRMAN APOSTOLAKIS: So it's the first
7 interpretation I gave you, that you come in here and
8 you have met the standard. That tells me that there
9 is a minimum level of quality already there, that I
10 shouldn't worry about you missing something important
11 because the standard says that it should be there.

12 Internal events, if you --

13 MR. BUDNITZ: Fair comment.

14 CHAIRMAN APOSTOLAKIS: Well, I'm not going
15 to worry about you missing common cause failures, for
16 heaven's sakes. I know that you have it there, but
17 you see, in that sense, it's a very good thing.

18 MEMBER ROSEN: Here's another good think
19 about a standard, and I think it's essential. I'm a
20 chemical engineer at heart, and chemical --

21 CHAIRMAN APOSTOLAKIS: You were 40 years
22 ago.

23 MEMBER ROSEN: Well, okay. A degree in
24 chemical engineering from a reputable, used to be
25 reputable university.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Once a chemical engineer,
2 always a chemical engineer.

3 MEMBER ROSEN: Chemical engineers have
4 standards. Chemists have standards. Physicists have
5 --

6 CHAIRMAN APOSTOLAKIS: There are
7 standards.

8 MEMBER ROSEN: -- Physicists have -- there
9 are physics standards. There are standards for all of
10 the disciplines. The ASME, the American Society of
11 Mechanical Engineers --

12 CHAIRMAN APOSTOLAKIS: Right.

13 MEMBER ROSEN: -- have standards for
14 mechanical engineering.

15 Why is that PRA, the only technical
16 discipline on this planet that doesn't have standards?
17 It's nonsense.

18 And so I know, you'll have an answer to
19 that question which I won't admire, but --

20 CHAIRMAN APOSTOLAKIS: He's a chemist.
21 That's worse.

22 MEMBER ROSEN: My point is that PRA is a
23 discipline just like any other engineering discipline.
24 It ought to have standards, and we're working on them.

25 CHAIRMAN APOSTOLAKIS: It's not like any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 other engineering --

2 MEMBER KRESS: No, it's not.

3 CHAIRMAN APOSTOLAKIS: I think Dana was
4 right in the beginning. I mean, this is different.
5 This sets a framework perhaps where the elements are
6 there and so, but it doesn't tell you do it this way
7 and do it that way.

8 MR. BUDNITZ: George, I think I have a
9 better answer. Look. I can tell you standing here on
10 my two feet that as of a couple of years ago or three
11 when we started this effort, no more than have of the
12 seismic PRAs out there amongst half of the plants that
13 did them could have come close to meeting this
14 standard. About half of them were good, and the other
15 half weren't all that good at all.

16 Now, since we got this work going, they
17 have on their own -- standards aren't out yet -- most
18 of them have gone out and upgraded because they want
19 to meet it, and that's terrific.

20 All right. Now, the standard then becomes
21 a pull up, and that by itself is a tremendous
22 positive.

23 Now, I can say something about margins,
24 too. The seismic margin method had specific rules you
25 had to meet that EPRI published. You know, there's 47

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of them or something like that.

2 Our standard just parroted them back.
3 Most of the margin reviews did better because it was
4 specific. I'm like, you know, there were things you
5 had to do, and they did them.

6 But some of them, although they thought
7 they didn't do all that well, they're upgrading, too.
8 So a principal benefit of a standard like this in the
9 ASME standard is -- and Steve said it, too -- is it
10 provides a bar that you can aspire to if you desire
11 to.

12 Now, you may find you only come up a
13 certain way and you're happy. And then an application
14 comes along where what you've got isn't enough.
15 You've got to do more.

16 The standard can tell you how to do more.
17 Maybe you've got a category capability, too in, let's
18 say, HRA, but for the problem you've got in front of
19 you, you've got to do better.

20 This tells you what a Category 3 is, and
21 so it enables you to know what 11 things, let's say,
22 need to be improved to provide the greater capability
23 that you need for your thing, for whatever your
24 problem is.

25 So it's structured and it has been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reasoned through by a committee of experts. The HRA
2 people wrote the HRA section in the ASME standard.
3 The fragilities people wrote the fragilities section
4 of our standard. The hazards people wrote the hazards
5 section. So you know it has a certain -- I think
6 that's a tremendous value quite separate from its use
7 in regulation.

8 You just are producing something that
9 people can use for self-improvement.

10 MEMBER POWERS: Let me ask a couple of
11 questions. There's what seems to me to be a certain
12 schizophrenia in the standard when you're discussing
13 the seismic input to the PRA. It's a characterization
14 of the site.

15 You used the words put in here "state of
16 the art" or "state of knowledge information" on
17 faults, ground motions, things like that.

18 And of course, I say, ah, that means to me
19 that what I'm going to do is I want to build my plant
20 on the least characterized site I possibly can because
21 then I have less information to put in.

22 You don't have anything absolute that says
23 --

24 MR. BUDNITZ: That's fair.

25 MEMBER POWERS: -- thou must know this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 much about your site. You just say, "Here. Put in
2 what's the best information that's known."

3 Then you come along and you're discussing
4 -- you're into your discussion of uncertainties, and
5 you say, "Look. In addressing uncertainties in human
6 action you must address errors of omission, which
7 seems reasonable. It's just that I don't know how to
8 do it.

9 MR. BUDNITZ: Okay.

10 MEMBER POWERS: Okay? So here on the one
11 hand, you're saying, "What have you got that's good
12 enough?" and in another place you're saying you've got
13 to go not only where the rule is, but you'd better go
14 do something that I don't know how to do.

15 MEMBER ROSEN: You've got to if you want
16 to meet that paragraph of the standard.

17 MEMBER POWERS: Well, it turns out it
18 applies to the lowest category. Okay. Both of them
19 apply to the lowest category and consequently they
20 apply to all of the highest ones, too.

21 MR. BUDNITZ: Well, I understand your
22 dilemma, and I think you're right. Let me describe
23 what was in our mind. If you have a site on which
24 you're -- let's just pretend you have an operating
25 nuclear power plant on a site that's never been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 characterized as opposed to a site that's never been
2 characterized and you're just about to design one.

3 By the way, you can use this for a plant
4 under design, too, as you know.

5 Then you would know rather little about
6 the seismic hazard and, therefore, rather little about
7 the seismic PRA. But the analysts could do the best
8 job he could with the data, and that's all we are.

9 It's not the analysts' fault that somebody
10 didn't dig holes, trenches and measure geophysics. So
11 the analyst would have a quality PRA, but when he went
12 to use it, the uncertainties would be so large he
13 couldn't use it for anything.

14 So in that sense you're right, but of
15 course, we had in mind there's no such thing as a
16 nuclear power plant who hasn't had a characterized
17 site following Appendix A, Part 100. We know that.

18 And so we have that in our mind and, I
19 think, correctly so, which goes into gory detail, as
20 I'm sure you -- if you don't know, I can tell you.

21 MEMBER POWERS: Yeah, I know.

22 MR. BUDNITZ: But what you have to do in
23 order to characterize your site. So we had that in
24 the back of our mind, but if you hadn't done that, you
25 could do your PRA. It would be a great PRA. It would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be like this, huge.

2 Nothing wrong with a great PRA with huge
3 uncertainties. The analysts did a wonderful job.

4 MEMBER POWERS: Well, I think you need to
5 put a footnote on that input. It's a --

6 MR. BUDNITZ: That's an interesting point.

7 MEMBER POWERS: You know, this is
8 predicated on our understanding that there are no
9 sites out there that have not had some minimal level
10 of characterization. Okay? And that if you should
11 happen to apply this to a site that's not had some
12 minimal level of characterization, you risk having
13 huge uncertainties.

14 MR. BUDNITZ: Well, yeah, yeah, but let me
15 explain why that footnote would then have to be
16 everywhere. Let's suppose I have a PRA, internal
17 events PRA. It could be a seismic PRA, but whose core
18 damage frequency depends on the reliability on demand
19 of a valve that's open that has to close to be safe.
20 It's open. You've got to close it to get a safe
21 shutdown.

22 And you want to ask the question: what's
23 the probability I can close that valve on demand, you
24 know, when I ask them to?

25 And we all know that the numbers for those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things are understood, ten to the minus three, you
2 know, whatever it happened to be.

3 But let's suppose somebody had a valve for
4 which he had no data, no data at all. Quite different
5 from any other valve. He actually couldn't do the
6 PRA, couldn't do it, absolutely couldn't do it.

7 I wouldn't throw mine at the analyst, nor
8 do I think I need a footnote in the section. I'll
9 leave you with that.

10 There is no such thing as a valve for
11 which there's no data, and there's no such thing as a
12 site for which there's no characterization, and
13 there's no such thing as a human action for which we
14 have no knowledge whatsoever.

15 There's always some knowledge, and we just
16 approach it that way. So, therefore, while I
17 understand why you would want to footnote, I insist
18 that you have to put a footnote in every single
19 requirement throughout this and the ASME standard, and
20 that then becomes a self-fulfilling prophesy towards
21 confusion.

22 Any comment?

23 CHAIRMAN APOSTOLAKIS: Now, judging from
24 the discussion --

25 MR. BUDNITZ: Go ahead. I'm sorry.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Oh, I'm sorry.
2 You're through?

3 MR. BUDNITZ: No, I was done with that
4 unless you have --

5 MEMBER POWERS: I want to chase this a
6 little more. You tell me on the right hand that,
7 first of all, you say don't blame the analyst because
8 the site hasn't been characterized. I'm not using the
9 standard to evaluate analysts.

10 I'm using --

11 MR. BUDNITZ: Well, you're using it to
12 evaluate the analysis.

13 MEMBER POWERS: I'm using this to evaluate
14 site, the facilities, installations. And so you've
15 come in and you've gotten a wonderful PRA with lousy
16 input, and it's come in with the imprimatur that it
17 complies with the standard, and I say I've got limited
18 amounts of time to spend on review. Surely they've
19 done a wonderful job on the inputs because that
20 constitutes a huge amount of this standard, and it
21 calls out two other standards which sooner or later
22 will get published. That must be good. I'm going to
23 go look at that.

24 In fact, that's an Achilles heel. This is
25 coming in with an imprimatur that it may not deserve.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BUDNITZ: You're completely correct.

2 MEMBER POWERS: The next thing I --

3 MR. BUDNITZ: You're completely correct.

4 MEMBER POWERS: -- I take you to -- that
5 I have trouble with is coming back to this errors of
6 commission. You say anything in here has been done by
7 somebody, and I'm sure there is somebody out there
8 that has addressed errors of commission.

9 But it hasn't achieved the level of
10 acceptance that it seems to me to deserve to go into
11 the standard.

12 MR. BUDNITZ: Well, in the HRA section,
13 human reliability analysis section, we, in fact, refer
14 by reference directly to the ASME standard, which has
15 a whole chapter on that, and don't deal with it at all
16 except that way.

17 And by the way, that's not only common
18 sense. It was a matter of policy.

19 So if you want to deal with that, you have
20 to go to the ASME standard. The ASME standard, the
21 committee, three or four of them struggled with that
22 for a year or two, did the best they could, and
23 actually have some requirements in there for errors of
24 omission and commission separately, and they own up to
25 the difficulties therein, thereby owning up to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 observation that there will be larger uncertainties
2 and less robust applications you can use.

3 But that is what it is.

4 MEMBER POWERS: Well, I would ask if
5 you're doing any rewriting to go and look at the words
6 you have there. Make sure you're communicating well
7 with the --

8 MR. BUDNITZ: Thank you.

9 I'd actually -- that's a good suggestion,
10 and it's not too late. If you have any specific place
11 -- you're talking about in the errors of commission
12 part?

13 MEMBER POWERS: Yeah, yeah.

14 MR. BUDNITZ: I can't remember where it
15 is, but I'll find it.

16 MEMBER POWERS: Let's see. If you look on
17 page 76, Note SA-B2.

18 MR. BUDNITZ: I'll just make a note of
19 that.

20 MEMBER POWERS: And just look to make sure
21 you've communicated well with everyone.

22 MR. BUDNITZ: Thank you. That's useful.

23 MEMBER POWERS: I've taken up a lot of
24 time here. I know there's --

25 MR. BUDNITZ: No, that's a fair -- that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a fair comment.

2 MEMBER POWERS: Other members wish to
3 interrogate Mr. Budnitz?

4 CHAIRMAN APOSTOLAKIS: Just to close the
5 earlier discussion about the value of the standard,
6 the way I understand what Bob and Steve said, there is
7 no down side to having the standard, is there?

8 MR. BUDNITZ: Yes.

9 CHAIRMAN APOSTOLAKIS: Like what?

10 MR. BUDNITZ: Of course there is.

11 CHAIRMAN APOSTOLAKIS: What?

12 MR. BUDNITZ: the down side would be if
13 someone claimed that their analysis met the standard,
14 but it actually didn't because they neither did a
15 through review with a standard, nor did the peer
16 review do it right.

17 CHAIRMAN APOSTOLAKIS: But I have the
18 right to review it myself.

19 MEMBER ROSEN: That's not a down side,
20 Bob.

21 CHAIRMAN APOSTOLAKIS: That's not a down
22 side.

23 MEMBER ROSEN: Because that would have to
24 assume that the peer review failed open.

25 CHAIRMAN APOSTOLAKIS: That's right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: Because what we ask here --

2 MR. BUDNITZ: Fair enough.

3 MEMBER ROSEN: -- what I intend to ask and
4 what I've always been intending to ask when someone
5 comes in with a risk informed application that they
6 want to prove and the staff has said, "Yeah, okay.
7 You can go talk to ACRS about it," is to say to them,
8 "Has your PRA been peer reviewed?"

9 "Oh, yes."

10 "Then tell me what the facts and
11 observations have been and what the important ones are
12 and what you've done about them.

13 So there's basically a line of questioning
14 that gets them to understand that we want
15 improvements. We want this --

16 MR. BUDNITZ: But even if --

17 MEMBER ROSEN: We want the peer review and
18 the standards taken seriously --

19 MR. BUDNITZ: That's a fair comment.

20 MEMBER ROSEN: -- and we want them
21 improved.

22 MR. BUDNITZ: That's a fair comment,
23 but --

24 CHAIRMAN APOSTOLAKIS: As long as you tell
25 me that I am not constrained by the decision making

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process by the fact that somebody claims that they met
2 the standard, I don't see any down side.

3 MR. BUDNITZ: But, Steve, I'm going to --

4 CHAIRMAN APOSTOLAKIS: Only good things
5 can come out of it.

6 MR. BUDNITZ: I'm going to give you a down
7 side from my experience. The IPEEE, the individual
8 plant evaluation for external events and NUREG 1553
9 had in it a requirement that the IPEEEs be peer
10 reviewed All right?

11 Now, I was a peer reviewer for several of
12 them. Okay? That is, the utility would hire me to do
13 a peer review. And I can tell you that several of
14 those peer reviews were very thorough and useful. I
15 participated, and there was back and forth and, you
16 know, things to do and people listened.

17 And I can also tell you that several of
18 them were in which I would write a peer review and
19 nobody paid any attention, and I went back to them,
20 and they said, "We're submitting it anyway," and
21 that's a problem.

22 And I don't know what to do about that.
23 That's a problem.

24 MEMBER ROSEN: That may have happened. I
25 grant that, and I --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BUDNITZ: It happened to me.

2 MEMBER ROSEN: Yeah. I'm saying that can
3 happen. I think the world is changing, and we are
4 moving forward.

5 MR. BUDNITZ: Thank God.

6 MEMBER ROSEN: And we happen to have a
7 consultant, not you; the ACRS has a consultant working
8 on issues of PRA, and he has spoken quite favorably
9 about the PRA review process.

10 CHAIRMAN APOSTOLAKIS: Oh, I think
11 everybody is for it.

12 MR. BUDNITZ: Oh, it's wonderful now,
13 yeah.

14 MEMBER ROSEN: And so the fact that in the
15 past there have been problems with it --

16 MEMBER POWERS: Recognize --

17 MEMBER ROSEN: -- but I don't think it's
18 dispositive.

19 MEMBER POWERS: -- there's at least one
20 dubious member of the committee.

21 MEMBER ROSEN: You may be dubious on peer
22 review, and I have said to you on the record in public
23 that what you ought to do about your dubiousity level
24 is to go out with a peer review team and take another
25 HCR staff with you, another one because we already

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sent one, Mike Markley.

2 And you will find out, I think --

3 MR. BUDNITZ: Sent there for a week.

4 MEMBER ROSEN: Yeah. I think you will
5 find out that it is not the -- and it won't be the
6 Hawthorn effect doing it. It will be the fact that
7 the process is robust. It's going to strain even a
8 good site's PRA team and PRA. It will be robust and
9 it will be critical, and I think it will be responded
10 to.

11 MR. BUDNITZ: Yeah.

12 MEMBER ROSEN: Over time, not immediately.
13 It just goes on a corrective action. It goes in the
14 corrective action system, and it gets corrected.

15 MR. BUDNITZ: I don't think the interview
16 approach in this standard is a problem at all. I just
17 want to say that. I really think what we wrote was --
18 the requirements for it -- it followed correctly, and
19 by the way, what ASME did, too --

20 MEMBER ROSEN: Right.

21 MR. BUDNITZ: -- should produce a very
22 high quality peer review each time.

23 I mean, I think you don't know, you know,
24 but the requirements I think are very good.

25 CHAIRMAN APOSTOLAKIS: What's going on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with the IPEEEs now. A lot of them were done using
2 applied methodology for targets (phonetic) and the SMA
3 for seismic. Is there any move to do PRAs or we don't
4 know?

5 MR. BUDNITZ: I do know.

6 CHAIRMAN APOSTOLAKIS: What is going on?

7 MR. BUDNITZ: I don't know anything about
8 five. About half of the price at SMAs, seismic margin
9 assessments. Perhaps five or ten of them -- I'm not
10 quite sure what the count is because some of them, you
11 know, the same one applied to two plants -- are
12 operating through a PRA now.

13 MEMBER ROSEN: Isn't that a sweet thing?

14 MR. BUDNITZ: Huh?

15 MEMBER ROSEN: And isn't that a sweet
16 thing.

17 MR. BUDNITZ: That's good.

18 MEMBER ROSEN: That's part of the
19 consequences of what we're doing here.

20 MR. BUDNITZ: It is what it is.

21 MEMBER ROSEN: People see that what they
22 had before isn't serving them in the current
23 environment, and people are improving it. This is a
24 good thing, George, not a bad thing.

25 MR. BUDNITZ: Yeah, I think that's -- no,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I can't speak about five, but, by the way, you have to
2 be careful. Most of the plants use the screening part
3 of five, and then even if they did then the full PRA
4 on what they capped in, but some of the plants then
5 just use the screening part of five and then they use
6 the five for the analysis, and then they made a lot of
7 approximations, and I just can't speak to that.

8 MEMBER ROSEN: I don't think, to answer
9 your question directly -- it's just a thought; it's
10 just my own insight, my own opinion -- I don't think
11 there's a down side to this. I think there's a lot of
12 --

13 CHAIRMAN APOSTOLAKIS: That was my
14 conclusion from what you guys were saying.

15 MEMBER ROSEN: There's a lot of up sides
16 to having standards. They're not perfect now, and
17 smart people can point to things that are wrong with
18 them, and should, and the standards committees will
19 take that under advisement and over time they'll be
20 improved.

21 Has the IAEA done anything like this?

22 CHAIRMAN APOSTOLAKIS: I think they had
23 one for internal events, but not --

24 MR. BUDNITZ: Yeah, but it's not like
25 this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 By the way, I have a comment to make which
2 I think if you don't know about it, it will illuminate
3 you. The ASME committee on which I sit, you know, the
4 ASME committee that worked on the PRA standard, is
5 right now in the process of developing modifications
6 to some of the requirements based on feedback they've
7 gotten from both the NRC and the industry which would
8 result, once the process is done in perhaps a year, in
9 a revision to the standard that will improve it in
10 areas where either in the first round or in its use
11 various requirements have caused confusion or perhaps
12 they're not complete enough or perhaps there's a
13 suggestion how to improve it.

14 And that thing -- I don't know if it's a
15 year away or not, but it's roughly -- is an example of
16 how in its first round -- it will happen to us, too --
17 people will use it and through using it prove the
18 standard, just what you want.

19 And we've made that commitment. Okay?

20 CHAIRMAN APOSTOLAKIS: Okay.

21 MEMBER POWERS: Steve, let me come back
22 and comment a little bit about peer review. I think
23 it's really not a comment on the quality of peer
24 review that's done with the PRA. It's a comment on
25 Peer review that is a method of assuring technical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 quality.

2 And what I find, maybe a little
3 background. My current employer, I was asked what
4 methods were for assessing the quality of technical
5 work, and so I went off and looked at a whole bunch of
6 methods to do that. One of them was peer review.

7 And I looked at the literature of this,
8 and you find that people who have studied peer review
9 come back with things like peer review is excellent;
10 it can be used for just about anything. The problem
11 is it's irreproducible and quixotic.

12 MR. BUDNITZ: And?

13 MEMBER POWERS: Quixotic.

14 MEMBER KRESS: Oh, no.

15 MEMBER POWERS: And inherently the
16 difficulty is if I take the people on the right side
17 of the table and ask them to peer review a product and
18 I take the people on the left side and ask them to
19 review the same thing, I don't get the same result.
20 Okay?

21 MEMBER WALLIS: You need to take 59 peer
22 review groups.

23 (Laughter.)

24 MEMBER ROSEN: Yes, and we will.

25 MEMBER SHACK: And take the 95-95 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: We will after 108 years or
2 something like that, 118 years.

3 MEMBER SHACK: Well, keep that in mind the
4 next time you remember we've got to send these codes
5 out for peer review.

6 MEMBER KRESS: Dana, if you were asking
7 the peer reviewers a simple question like is this PRA,
8 let's say, acceptable for this purpose, yes or no --

9 MEMBER ROSEN: That's not a simple
10 question. You've got to ask a very targeted question.

11 MEMBER KRESS: That's a pretty simple
12 question.

13 MEMBER ROSEN: You have to ask a simpler
14 one than that.

15 MEMBER POWERS: Most of the studies --

16 MEMBER KRESS: You're unlikely to get the
17 same answer from --

18 MEMBER POWERS: Most of the academic
19 studies on peer review look at, choose as their object
20 of study situations that are very, very simple. Is
21 this proposed piece of work meriting funding?

22 Okay. That's a pretty straightforward
23 question.

24 MR. BUDNITZ: Or publication.

25 MEMBER POWERS: Or publication, but most

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of them it turns out where they've gone off and
2 they've studied it, you know, they've given multiple
3 committees never 59, Graham, but three have been done.

4 And what they find, by the way -- I mean,
5 some of this stuff is just fascinating -- is I take
6 those three guys and they're my peer review team, and
7 I send everything to them consistently, I get a
8 consistent result, internally consistent result, that
9 is, if they funded Project A and did not fund Project
10 B, when I put in A prime, they'll fund it, and when I
11 put in B prime, they will not fund it.

12 MEMBER WALLIS: I think we're talking
13 about reviewing proposals. This is a very different
14 business from reviewing something that is essentially
15 state of the art. You'd expect there would be much
16 more uniformity in the quality expected from an
17 engineering job than there would be in whether or not
18 you should fund some strange idea which might appeal
19 to somebody and not appeal to somebody else.

20 It seems to me it's a different world,
21 isn't it?

22 MEMBER POWERS: You could be correct. You
23 could be correct. I can only quote to you, you know,
24 what I know, I mean, what I've read about, this
25 problem of quixoticness. But similarly, if I send A

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and B over to this group of people, they'll fund B
2 instead of A.

3 MR. BUDNITZ: Oh, but -- but-- but it's
4 very important to recognize that peer review is
5 limited by the state of the art of the community. I
6 know a story about that, as probably most people in
7 the room know.

8 There was a classic engineering mistake
9 made in a bridge in the State of Washington in the
10 '30s, I think it was, the Tacoma Narrows Bridge. That
11 bridge was designed by a firm that was competent and
12 thought to be at the time and peer reviewed by others.

13 But the state of the art somehow missed
14 that failure mode which then bit them in the first
15 year and it collapsed.

16 Now, there's no way that we can achieve
17 perfection here, but what we're doing is we're trying
18 to have assurance.

19 MEMBER POWERS: No, all I'm trying to do
20 is achieve consistency.

21 MR. BUDNITZ: Well, I don't know what you
22 mean by consistency. The fact is that when something
23 is on the borderline --

24 MEMBER POWERS: Reproducibility.

25 MR. BUDNITZ: When something is on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 borderline, some people will make different judgments,
2 but something that is obviously okay will be found, I
3 think, by most people to be obviously --

4 MEMBER POWERS: You're going to go off and
5 join and have gone off and have joined an organization
6 that I think suffers this problem. They will say,
7 "Okay, you people that have nuclear waste material.
8 You've got this place you're going to put this nuclear
9 waste. Do a performance assessment."

10 They do so and submit it to DOE. DOE has
11 some people review it. They say, "Well, this
12 performance assessment is fine, except you have to
13 correct the following things."

14 It's sent back to the people. They
15 correct those things. They submit it to DOE. DOE
16 assembles another peer review panel. They review it,
17 and they come up with another set. You're caught in
18 an "infinite do" loop.

19 And that's an example of the inherent
20 irreproducibility of peer review.

21 MR. BUDNITZ: All right, but that's only
22 if it's true. If they first time they found 66 things
23 wrong and the second time they found three, then
24 they're converging. If the first time they found 66
25 things wrong and the second time they found 166 things

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wrong, then they are diverging.

2 And you haven't mentioned which you think
3 it is. It's my notion that the converging case is not
4 only the most common, but almost always the case.

5 I mean, sure, there are other kinds of
6 example. The Tacoma Narrows Bridge actually came
7 down, despite having met the code and peer review.

8 MEMBER POWERS: As long as you're over in
9 your organization, why don't you go look? Because I
10 think you will find that --

11 MR. BUDNITZ: My organization, meaning?

12 MEMBER POWERS: Department of Energy.

13 -- that you will find that the peer review
14 groups feel an obligation to find a roughly constant
15 number of faults with something.

16 CHAIRMAN APOSTOLAKIS: Well, you know,
17 it's the nature of PRA.

18 MEMBER WALLIS: Who else would you use?
19 Who else would you use to review?

20 MEMBER ROSEN: In my experience now, you
21 have six guys come onto the site. They stay there for
22 a couple of weeks, and they're all PRA people from
23 other utilities and maybe a consultant or two, but you
24 go down their curriculum vitae. Each one of them
25 you'd say, "I'd hire that guy as a PRA guy. I'd hire

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that guy as a PRA guy."

2 These are good people, and then they come
3 and give you a list of things to do, and you say, "Oh,
4 my God, that's a long list. I want to see if this
5 stuff is really bad in our PRA."

6 And you look at your PRA and you say,
7 "Yeah, that's not so good, and here's the standard,
8 and here's the peer review thing."

9 We need to fix that, George. So you send
10 some guy over -- excuse me, George -- but you send
11 him off to fix it, and then let's say two years hence
12 if I was still there they'd send another team of six
13 different guys back in, and they are quixotic, too,
14 and they give me another list of facts and
15 observations just as long as the prior one, and it
16 doesn't include any of the other ones because the ones
17 I found before have all been fixed, but they're also
18 a whole new set, and they're also good things.

19 Am I ahead or am I behind? It wasn't
20 reproducible. That's for sure, but I'm ahead, I think
21 if I just found some more problems, and one of the
22 things I know as a manager is I cannot fix problems I
23 don't know about, and any problem I know about I think
24 I can fix.

25 So when I'm told about a problem, I have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a whole new opportunity. So it's a good thing, not a
2 bad thing, but it not be reproducible.

3 MR. BUDNITZ: But, Steve, I actually
4 believe something different. Knowing the composition
5 of those things is like going around with these PRA
6 certifications to the plants. I find it unlikely or
7 almost inconceivable that a second group would find an
8 equally large number of things of comparable
9 importance because the depth and detail to which those
10 things are done is really very, very astounding to me.

11 I've been -- you know, I find it very --

12 MEMBER ROSEN: And to me. I verify or
13 validate.

14 MR. BUDNITZ: So I would -- while it's
15 possible, I don't think that scenario would play out.
16 It could.

17 MEMBER ROSEN: I agree with you, but I'm
18 just saying if it did play out, as I think Dana was
19 suggesting with the word "irreproducible," that would
20 be a good thing, not a bad thing. To me it's just a
21 whole other list of things that you can fix.

22 MR. BUDNITZ: But if there was 66 and
23 there was another 66, it would tell you that the first
24 team isn't doing their job, I mean, as opposed to 66
25 and there are seven more, you know, or something.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: Well, maybe, but I think,
2 you know, if there were 66 and the theme documented
3 that I found them and documented that many, they're at
4 exhaustion at that point.

5 MEMBER WALLIS: Well, you'd be concerned
6 if the second group reversed the recommendation.

7 MEMBER POWERS: Yeah, that too. The
8 irreproducibility is I send it to two teams at the
9 same time, and they come up with a difference, and
10 that could be the exhaustion feature.

11 Let me turn to another subject here.

12 MR. BUDNITZ: Sure. Talk about hazard.

13 MEMBER POWERS: It's a curiosity. Again,
14 I will emphasize that on my third reading of this, and
15 recognizing this level of resolution discriminator
16 among the categories which had much more impact on me
17 than anything else you said in this document, but I
18 may be alone in that, that I come down and I look at
19 some of the languages under these categories, and I
20 don't understand the distinctions and differences
21 you're drawing here.

22 Let's turn to page 63, HA-E1, and under
23 Category 1 --

24 MR. BUDNITZ: HA?

25 MEMBER POWERS: HA-E1. It's on page 63.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BUDNITZ: Thank you.

2 MEMBER ROSEN: It takes me a minute to
3 thumb through here.

4 MEMBER POWERS: Okay. If we --

5 MR. BUDNITZ: My pagination is different
6 than yours. HA-E1. Go ahead.

7 MEMBER POWERS: E1. It says under
8 capability Category 1 -- this is an example. This
9 happened several times in here -- "demonstrate the
10 PSHA accounts for the effects of site topography,
11 surficial geologic deposits, and site geotechnical
12 properties."

13 Under Categories 2 and 3 instead of saying
14 "demonstrate accounts for," it says "account in the
15 PSHA for the effects of," and it's the same list of
16 things.

17 What is the distinction which you're
18 trying to do between account and demonstrate the
19 account?

20 MR. BUDNITZ: Damned if I know.

21 MEMBER POWERS: This happened several
22 times in this document.

23 MR. BUDNITZ: It may even happen several
24 times. That's one that must have got buy us. I don't
25 -- I've got to think about that. I don't see the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 difference.

2 MEMBER POWERS: It looked to me --

3 MR. BUDNITZ: "Demonstrate that the PSHA
4 accounts for something."

5 MEMBER POWERS: And account for something.
6 In fact, Category 1 seems more stringent from the
7 Category 2.

8 MR. BUDNITZ: They look to be the same.
9 I plead guilty to that one. That one probably got by
10 us. Let me make a note and fix that one.

11 MEMBER WALLIS: This is a peer review
12 you're going through now.

13 MR. BUDNITZ: I don't mind it. We're
14 going to take improvements for the next ten minutes.

15 MEMBER POWERS: Similarly if you look at
16 HA-B3.

17 MR. BUDNITZ: B?

18 MEMBER POWERS: It says "as a part of the
19 database used include a catalogue of the historically
20 reported."

21 Two and three as part of the data
22 collection "compile a catalogue."

23 I struggle with understanding. I mean
24 they've clearly written down both.

25 MR. BUDNITZ: Oh, that's really --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: The words "include" and
2 "compile" mean something different than -- there's a
3 set of definitions up front, right?

4 MR. BUDNITZ: Well, actually "include" and
5 "compile," in the one case, you don't have to do any
6 work on your own. You just have to compile something
7 that was there already. Here you've got to do new
8 work.

9 MEMBER POWERS: If I could compile
10 something, to include it. I mean I --

11 MR. BUDNITZ: No, that's a clear
12 distinction.

13 MEMBER POWERS: Explain it to me again,
14 please.

15 MEMBER ROSEN: I'm wrong; I'm wrong. There is no
16 definition of "include" and "compile."

17 MR. BUDNITZ: These ones up front, no.

18 Well, capability Category 1 allows you to
19 use an existing database. Read it "as part of the
20 database used, include a catalogue."

21 Capability Category 2 and 3 require you to
22 collect new data. It's part of data collection, not
23 as part of a database used. It's really quite --

24 MEMBER POWERS: But I have to go out and
25 collect the database that I use.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BUDNITZ: No, no.

2 MEMBER POWERS: That I included.

3 MR. BUDNITZ: No, you don't have to
4 collect new data in Category 1. You just use it.

5 MEMBER POWERS: Well, I just have to sit
6 there and think it up? I mean, I have to do something
7 to it.

8 MEMBER ROSEN: Well, it may be in your
9 FSAR. You don't have to do any new work. It's just
10 a matter of opening the book to the page.

11 MEMBER POWERS: Or maybe you want to look
12 and be sure that people understand the distinction

13 MEMBER ROSEN: Catalogue that historically
14 reported geologically identified earthquakes is
15 something that's going to be in your FSAR.

16 MEMBER POWERS: Compile a catalogue that
17 historically reported geologically identified -- man,
18 it's the same thing.

19 MEMBER ROSEN: I take your point.

20 MEMBER POWERS: It is exactly the same.

21 MEMBER ROSEN: I'm sure Bob does.

22 MR. BUDNITZ: Well, I see a distinction,
23 but it's not a big distinction.

24 MEMBER ROSEN: You can take that into
25 account as you move further towards completion of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 standard.

2 MEMBER POWERS: Do people have anymore
3 questions?

4 MR. BUDNITZ: There may be things like
5 that, and I'm not going to claim this thing is
6 perfect.

7 By the way, just to tell you, all right??
8 And this is not mea culpa at all. Of course, there
9 are going to be some stuff like that, and every one
10 that you call to our attention I will write down, and
11 we will account for it, not just these two or three
12 here, but anybody else, because it could easily be
13 that this will be confusing or the distinction isn't
14 important or whatever.

15 MEMBER POWERS: In general, I mean, again,
16 after I had read your words on the level of resolution
17 and understood them and taken them to heart, I said,
18 "Gee, I really don't need all of these separate
19 categories here. I understand what he's doing, man.
20 He's reminding me I can create PRAs of different
21 levels of resolution, and that's okay with him."

22 And the fact that your requirements were
23 the same under all three categories, that's fine.
24 That's wonderful, in fact. It's just on different
25 levels of resolution, and I became very happy with it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BUDNITZ: But I just want to insist.
2 I said this before. There are three reasons why
3 something can get to a higher capability: either a
4 different levels of resolution or realism versus
5 conservatism or plant specificity versus generic.

6 And any one of those makes it a higher
7 category, and it's not only resolution. Okay? And
8 I'm sure you understand. In seismic, for example, if
9 you have generic knowledge that certain compact valves
10 are five G valves, you can use that generic knowledge
11 without needing plant specific, you know. All right?

12 So there's a distinction about plant
13 specificity and about realism versus conservatism
14 which are distinct from resolution. Okay?

15 MEMBER POWERS: Okay. I hear you on that,
16 and it really hasn't come home to me as much as the
17 resolution issue, but I think you're right on that.
18 Also, having that, it's a two dimensional field that
19 you have, three dimensional field that you have for
20 deciding whether something is Category 1, Category 2,
21 Category 3, and I think you're probably right on that.

22 The one that just came home to me made it
23 all clear, made me quit quibbling with your words
24 under each category was the level of resolution, and
25 I became very happy at that point.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Do members have any other questions they
2 want to pose to Bob?

3 (No response.)

4 MEMBER POWERS: Bob, let me say that this
5 was a chore given to me by the Chairman I welcomed a
6 little bit like a trip to the dentist, but in the end
7 I saw that you had done a heroic job.

8 MR. BUDNITZ: Thank you.

9 MEMBER POWERS: And thoroughly enjoyed
10 reading the material. It is one of those documents I
11 will keep on my desk.

12 CHAIRMAN APOSTOLAKIS: But not your night
13 stand.

14 MEMBER POWERS: Not my night stand. I
15 give it back to you, Mr. Chairman.

16 CHAIRMAN APOSTOLAKIS: Thank you very
17 much.

18 MR. BUDNITZ: Can I just say that I'll be
19 thrilled when I can get it off of my desk.

20 (Laughter.)

21 MR. BUDNITZ: And I'm sure you understand.

22 CHAIRMAN APOSTOLAKIS: Any other comments
23 from anybody?

24 I guess not. Thank you, Bob, for coming.

25 MR. BUDNITZ: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: This has been a
2 delightful exchange. I feel much better now that I
3 know that I'm not constrained by this.

4 Okay. We'll recess until ten minutes past
5 three, and are we ready to do the PNT?

6 PARTICIPANT: Yes.

7 CHAIRMAN APOSTOLAKIS: Okay. We don't
8 need transcription anymore because it's all internal.

9 (Whereupon, at 2:54 p.m., the Advisory
10 Committee meeting was adjourned.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701