

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
494th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Friday, July 12, 2002

Work Order No.: NRC-459

Pages 405-491

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

494TH MEETING

+ + + + +

FRIDAY, JULY 12, 2002

+ + + + +

ROCKVILLE, MARYLAND

The Committee met at the Nuclear
Regulatory Commission, Two White Flint North, Room
T2B3, 11545 Rockville Pike, at 8:30 a.m., Dr. George
E. Apostolakis, Chairman, presiding.

COMMITTEE MEMBERS PRESENT:

GEORGE E. APOSTOLAKIS Chairman

MARIO V. BONACA Vice Chairman

THOMAS S. KRESS Member-at-Large

F. PETER FORD Member

GRAHAM M. LEITCH Member

DANA A. POWERS Member

VICTOR H. RANSOM Member

STEPHEN L. ROSEN Member

WILLIAM J. SHACK Member

JOHN D. SIEBER Member

GRAHAM B. WALLIS Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ALSO PRESENT:
2 NILESH CHOKSKI, RES
3 MARK KIRK, RES
4 SHAH MALIK, RES
5 MIKE MAYFIELD, RES
6 THERESA VALENTINE, NRR
7 RICHARD BASS, Oak Ridge National Laboratory
8 TERRY DICKSON, Oak Ridge National Laboratory
9 CLAUD PUGH, Oak Ridge National Laboratory
10 PAUL WILLIAMS, Oak Ridge National Laboratory

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

Opening Remarks by the ACRS Chairman 408

Application of the Probabilistic Fracture
 Mechanics Methodologies to Reactor
 Vessel Integrity Assessment 409

Mark Kirk 410

Claud Pugh 416

Richard Bass 461

Summary: Mark Kirk 484

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(8:30 a.m._

CHAIRMAN APOSTOLAKIS: The meeting will come to order. This is the 494th meeting of the Atomic Reactor Safeguards. During today's meeting, the Committee will consider the following: Application of the Probabilistic Fracture Mechanics Methodologies to Reactor Vessel Integrity Assessment; Proposed ACRS Reports; Future ACRS Activities; Reconciliation of ACRS Comments and Recommendations; Format and Content of the 2003 ACRS Report on the NRC Safety Research Program; and Proposed Papers for the Quadripartite Meeting.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. Sam Duraiswamy is the Designated Federal Official for the initial portion of the meeting.

We have received no written comments or requests for time to make oral statements from members of the public regarding today's session. A transcript of portions of the meeting is being kept and it is requested that the speakers use one of the microphones, identify themselves and speak with sufficient clarity and volume so that they can be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 readily heard.

2 As requested by Westinghouse, video
3 teleconferencing arrangements have been made for
4 Westinghouse to observe the meeting session of the
5 application of the probabilistic fracture mechanics
6 methodologies to reactor vessel integrity assessment.
7 There is no one from Westinghouse -- oh, there is one.
8 Okay. I'm sorry.

9 Do any of the Members wish to say
10 anything?

11 (No response.)

12 Okay, so we can proceed with the
13 application of probabilistic fracture mechanics and
14 Dr. Ford will chair this part of the session.

15 MEMBER FORD: Thank you, Mr. Chairman.
16 Probabilistic fracture mechanics, as you know, is
17 central to some of the current problems that we are
18 tackling primarily right now at PTS. Several others
19 have asked for further information on this and
20 calibration and validation of the current models and
21 this is what we're going to hear about. This new
22 letter is asked for. This is purely informational.

23 Mike, would you like to make a comment?

24 MR. MAYFIELD: Just very briefly. We've
25 had the opportunity to brief the Committee a number of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 times on the higher tier aspects of the PTS
2 reevaluation and we haven't had your questions and
3 I've enjoyed interacting with Dr. Powers a number of
4 times on the robustness of our vessel program and we
5 appreciate the opportunity to come down and share with
6 you some of the details and some of the historical
7 basis for why we're pretty confident in the fracture
8 calculations.

9 Mark Kirk is going to lead off the
10 presentation and we'll go from there.

11 MR. KIRK: I'd like to invite my
12 colleagues, Richard Bass and Claud Pugh and Shah Malik
13 to come up because by the time I get to the fifth
14 slide, I'm going to run out of steam. So need their
15 help up here.

16 Well, Mike has given you the intros, so we
17 know what we're talking about.

18 MEMBER POWERS: But see, when a vessel
19 runs out of steam, it depressurizes and becomes safe.
20 Is that the case here?

21 MR. KIRK: We'll discuss that in
22 nauseating detail later.

23 (Slide change.)

24 As you know by the groans when you saw my
25 lovely face up here this morning, we briefed many,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 many times over the past several years on
2 probabilistic fracture mechanics techniques that are
3 being used to assess the technical basis for updating
4 the PTS rule.

5 Last time, you all requested that we
6 provide additional background concerning both the
7 appropriateness of using LEFM in such assessments and
8 show you that LEFM is valid and applies to nuclear RPV
9 assessment, in particular.

10 (Slide change.)

11 MR. KIRK: This just shows you an overall
12 schematic of the PTS reevaluation process. You've
13 seen this before. Start off -- oops. Shouldn't touch
14 the screen. Never touch the screen.

15 We start off in the gray box on the left
16 of your screen with our initial work. We first go
17 back and forth between PRA and thermal hydraulics
18 quite a bit trying to do the binning and see what
19 sequences are significant. Finally we get -- or after
20 that initial iteration we get out some transients, so
21 we then pass on --

22 CHAIRMAN APOSTOLAKIS: We can't see almost
23 half of the screen. Can you gentlemen move a little
24 bit to the right and left. You don't have to move
25 away, just move a little bit. I appreciate that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Thank you.

2 Thank you very much. I appreciate it.

3 MR. KIRK: All this schematic is
4 attempting to show is that in the gray box, we do some
5 initial iterations between PRA, HT and PFM to assess
6 the combination of sequences and thermal hydraulic
7 runs that we then take to characterize a particular
8 plant. Once those are established, we go through a
9 final run where we again go PRA to TH to PFM and
10 finally come out with yearly frequency of through wall
11 cracking.

12 MEMBER KRESS: Mark, do you have a group
13 of expert panels to develop distributions for the
14 things in the gray box for the inputs for the code?

15 MR. KIRK: The inputs for these, I mean,
16 they come from a number of sources. In some cases,
17 it's expert judgment. In some cases it's data. In
18 some cases, it's well established models from the
19 literature. And I think it's fair to say we've got a
20 bit of both or a bit of all three in all three boxes.

21 (Slide change.)

22 MR. KIRK: Of course, this is just to
23 orient us in terms of why we're here talking about
24 PFM. Of course, the focus today is on PFM
25 specifically and when we look at PFM we previously

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talked to you again in a great degree of detail about
2 the uncertainty framework and now the diagram in the
3 upper right hand side of the screen breaks out PFM
4 into some of its component parts which again could be
5 broken out yet further.

6 (Slide change.)

7 MR. KIRK: We've talked about the
8 uncertainties in detail before, so I'm not going to go
9 through that again because the focus of today's
10 discussion is the deterministic calculations that lie
11 at the heart of the FAVOR looping structure. I've
12 shown you here again, a fairly high level schematic of
13 what's going on in FAVOR. At the outer loop, we
14 simulate vessels somewhere on the order of tens of
15 thousands of vessels. Inside that is flaws and
16 transients and time, the point in showing this being
17 when you get to the very bottom of these Monte Carlo
18 loops that in total, help us to simulate all the
19 uncertainties. Down buried at the bottom there is a
20 deterministic calculation and what we hope to show you
21 by the end of the day is that that deterministic
22 calculation is indeed an appropriate tool to use to
23 assess RPV failure.

24 So with that --

25 CHAIRMAN APOSTOLAKIS: CPI is what?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KIRK: Conditional Probability of
2 Initiation and Conditional Probability of Failure.

3 CHAIRMAN APOSTOLAKIS: Conditional
4 Probability of Initiation, given what?

5 MR. KIRK: Conditioned that the transient
6 has occurred.

7 CHAIRMAN APOSTOLAKIS: Okay.

8 MR. KIRK: There's yet again, to show it
9 more generally, I suppose there would be yet again
10 another outer loop or a post-processing box where what
11 comes out of the FAVOR code itself are the conditional
12 probabilities. Those are then combined later with the
13 initiating event frequencies to get the yearly vessel
14 failure frequencies.

15 MEMBER KRESS: And the failure frequency
16 is defined as a through wall crack?

17 MR. KIRK: Right now it's defined as a
18 through wall crack. That's right. But we calculate,
19 the point being which gets back to our discussions of
20 Wednesday, FAVOR calculates both initiation and
21 failure. So we have the ability, of course, to look
22 at both. But yes, right now, failure is defined as
23 complete through wall crack.

24 CHAIRMAN APOSTOLAKIS: What does it mean
25 is appropriate to predicting RPV failure?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KIRK: It does it right. That
2 fracture mechanics predicts --

3 CHAIRMAN APOSTOLAKIS: You don't have any
4 uncertainties there?

5 MR. KIRK: No. That's not to say that
6 there aren't uncertainties, but within the range of
7 uncertainties that are characteristic of the material
8 of the data of however you want to look at it, we can
9 predict the failure, let's say, of a reactor pressure
10 vessel with a buried crack, just as well as we can
11 predict the failure of a much more well-defined
12 structure like a test specimen in a laboratory.

13 MEMBER POWERS: And because of that
14 superior capability, we adequately researched the
15 heavy section steel?

16 MR. KIRK: Wait for the last slide.

17 (Laughter.)

18 So we'll now go on to the presentations
19 that will be made by our colleagues at Oak Ridge.
20 Claud Pugh will do the first set of slides and then
21 Richard Bass will do the second set of slides and then
22 we'll wrap up. And I'll move out of the way.

23 MR. PUGH: I'm one who likes to stand on
24 my feet.

25 CHAIRMAN APOSTOLAKIS: Can you please

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lower the mike a bit? The other one. Thank you very
2 much.

3 MEMBER POWERS: Highly sensitive today.

4 CHAIRMAN APOSTOLAKIS: Enjoy this.

5 (Laughter.)

6 MEMBER KRESS: Dr. Pugh, how come you
7 don't have an accent?

8 MR. PUGH: Well, it's funny, everyone else
9 does in the room except you and me.

10 (Laughter.)

11 It's good to see you again, Tom.

12 For the record, my name is Claud Pugh. I
13 recently retired last year from the Oak Ridge National
14 Laboratory after some 33 plus years there. In my
15 tenure there, included a number of years where I
16 served as manager of the Heavy Section Steel
17 Technology Program which is, of course, the primary
18 pressure vessel technology program for the NRC and for
19 the AEC prior to the NRC's creation and then in the
20 last dozen years or so I served in a larger management
21 capacity for NRC programs at Oak Ridge. So that's by
22 way of kind of giving you an introduction of who I am
23 and where I'm coming from.

24 I'd like to first made an observation that
25 I think is very obvious and clear to all of us, that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as we look at any technology, but in particular, today
2 at the deterministic fracture mechanics technology
3 applicable to the pressurized thermal shock issue,
4 this is not a circumstance where the technology has
5 been looked at in isolation, in particular, and only
6 in particular to the PTS circumstances, but rather, it
7 is a technology that is built upon all that has gone
8 before it and then looked at in terms of either
9 adapting, confirming or adding to as appropriate to
10 the PTS scenario.

11 So what Richard Bass and I want to do in
12 the forthcoming slides is to talk you through the big
13 picture of what has gone before and what is today in
14 terms of the deterministic aspect of the fracture
15 mechanics technology that is applicable RPBs under PTS
16 divisions.

17 MEMBER WALLIS: In this context, is this
18 a standard technology that's throughout all
19 industries, or did you have to develop special things
20 for this purpose?

21 MR. PUGH: Basically, the answer is the
22 latter. There are very definitely specific aspects
23 that are peculiar and specific to reactor pressure
24 vessels. In fact, about four comments from now you'll
25 see one of those come forward.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: But probabilistic
2 fracture mechanics is used widely, isn't it?

3 MR. PUGH: As Mark said earlier,
4 probabilistic fracture mechanics entails the
5 performance of a multitude, a large multitude of
6 deterministic fracture mechanics analyses. So what
7 we're focusing on this morning, as I understand it, is
8 the question of the applicability and the validation
9 of the applicability of linear elastic fracture
10 mechanics to the deterministic aspect of the PFM
11 analyses for PTS conditions.

12 MR. KIRK: Let me jump in.

13 MR. PUGH: Yes.

14 MR. KIRK: The probabilistic fracture
15 mechanics is widely used in a number of industries and
16 the underlying linear elastic fracture mechanics was
17 not developed specifically for nuclear applications.
18 But there are unique aspects for nuclear pressure
19 vessels, that over time we've had to address. But the
20 root technology is not unique to this application and
21 the probabilistic techniques are widely used in a
22 number of industries.

23 (Slide change.)

24 MR. PUGH: Yes. Well put. So this is
25 just saying that we're going to look at -- trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 give you a picture of the systematic and evolutionary
2 nature of the development over the last two plus
3 decades or three decades, really.

4 As the nuclear power enterprise developed
5 in the 1960s, it was widely recognized by a lot of
6 people that indeed the circumstances -- well, first of
7 all, that the fracture mechanics technology was rather
8 young in itself and most of the work in developing it
9 and validating it were for situations such as
10 aerospace applications and particularly like rocket
11 motor casings which were high strength steel with low
12 ductility and very thin sections. Here, we had a
13 circumstance developing of very thick sections of
14 relatively low strength in terms of yield strength
15 material, but very ductile materials. So the
16 questions were how applicability is that fracture
17 mechanics technology that was already being developed
18 to the circumstances that had not yet been validated
19 as to being applicable --

20 MEMBER WALLIS: When you said linear
21 elastic, aren't you beyond this linear elastic range?
22 You have to show you're not or something.

23 MR. PUGH: Kind of hold the thought as we
24 work through some of this and hopefully the picture
25 will come as to the interface and the transition

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 between regions.

2 MEMBER WALLIS: Okay, thank you.

3 MR. PUGH: So let's say this was widely
4 recognized, but perhaps to give the motivation and
5 impetus to actually creating a program to investigate
6 it, there was a certain body called the ACRS which you
7 may be familiar with, wrote a letter on November 25,
8 1965 to the then AEC and they cast the question more
9 or less in this sense sort of the suggestion, the
10 recommendation saying industry in the U.S. AEC should
11 give detailed attention to RPV integrity assessment
12 methods to support the then existing position that RPV
13 failure is incredible.

14 MEMBER KRESS: Was that letter signed by
15 Bill Manley?

16 MR. PUGH: I don't think, so Tom.
17 Actually, I was thinking last night who did sign it
18 and -- no, this is pre-Tom. 1965. Whoever was the
19 Chairman then. I don't think it was Bill Manley.

20 MEMBER KRESS: He was Chairman in the
21 1980s.

22 MR. PUGH: This was in 1965 during the AEC
23 time. And they suggested including assessment of
24 stress analysis, development of inspection methods,
25 improving means for evaluating factors that could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 affect propagating flaws during the RPV service life.

2 So this gave the AEC then the basis for
3 rallying all stakeholders, all interests together to
4 the table to develop a plan where the AEC being the
5 entity that had the funding to underwrite a plan once
6 it was agreed upon and deemed a viable plan.

7 So indeed, they sent forward with
8 stakeholders, from vendors, from universities, from
9 just essentially every person involved, every entity
10 involved, ASME and tremendous voluntary efforts came
11 to the table under the auspices of the Pressure Vessel
12 Research Committee. From this came, after a long
13 intense year of planning, a detailed plan,
14 multi-year plan for pursuing the fundamental
15 questions of the applicability of fracture mechanic to
16 thick wall reactor pressure vessels.

17 And the AEC then looked to Oak Ridge to do
18 the centralized management of this effort. I say it
19 that way because Oak Ridge certainly played an
20 important technical role, but also there was a lot of
21 subcontract participants, Battelle, BMW, Westinghouse
22 and in those was a very strong participant and
23 contributor.

24 But the very first step in executing the
25 plan was the development of a state-of-the-art

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 technology report and the report is cited here,
2 NSIC-21, technologies for steel pressure vessels in
3 water cooled nuclear reactors and you see it was quite
4 a tome and truly it was a state-of-the-art document
5 that served a good purpose for many years going
6 forward. That plan included looking at the
7 fundamental fracture properties of reactor pressure
8 vessel steels. It looked at an incremental step-wise
9 fashion of once that you something about the
10 characteristics of the fracture, what are the models,
11 what are the properties to gain to quantify the
12 models, what are the analysis methods to use, how do
13 you validate them and they had three stages of
14 structural or pressure vessel experiments, basically,
15 laboratory science, intermediate vessels and full
16 scale. That was the plan.

17 First priority, I said, was establishing
18 basic fracture techniques. Large scale testing was
19 testing to it. And the models and properties were
20 integral to the overall plan.

21 MEMBER KRESS: Are you going to explain
22 what the thing is in the picture?

23 MR. PUGH: That is a pressure vessel from
24 a 1100 megawatt plant, 1100 megawatt unit built at
25 Combustion Engineering. We bought and shipped this to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Oak Ridge as part of the work that we did there and
2 one of the conditions on buying it, actually DOE
3 bought it. One of the conditions of buying it, we
4 were not supposed to be given the identity to it. but
5 when you look at the outlet nozzles and having flats
6 for supports you have a pretty strong indication of
7 who may have made it.

8 MEMBER KRESS: That's the vessel used by
9 PNL to determine the flaw size and distribution?

10 MR. PUGH: PNL did a detailed mapping of
11 the flaw distribution inside this vessel.

12 MEMBER KRESS: One of our questions is if
13 you've got one vessel and you look at the flaw size
14 and distribution, how representative is that of the
15 fleet of vessels that are out there?

16 MR. PUGH: There have been inspections of
17 segments of other vessels. Of course, I'm sure as you
18 know, Salem vessel being one, all of which creates a
19 database. There is non-nuclear vessel data. All
20 nuclear vessels were inspected prior to going into
21 service, so there is some data from pre-service
22 inspections, all of which gives a database which we,
23 I'm sure, would always like to think we'd like to have
24 a larger one. But it's the best it's ever been.

25 MEMBER RANSOM: How small is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probability of failure to be accepted as incredible?

2 (Laughter.)

3 MR. PUGH: Ah. May I pass on that
4 question?

5 Quantitatively? Of course, 10^{-6} has been
6 used in recent studies, so I guess if I were to give
7 an answer I would relate it to that.

8 MEMBER RANSOM: Less than 10^{-6} --

9 MR. PUGH: Would be considered in the
10 range of incredible, yes. You remember, I'm speaking
11 here historically, in the context of 1960s when PRA
12 and dose type analyses were not quantitatively being
13 looked at. It was more qualitative.

14 Could you demonstrate a degree of
15 difference between the actual circumstance and failure
16 of the operation and failure that would give you a
17 feeling that the margin is well sufficient as to not
18 to lead to failure?

19 By the way, Tom, that picture was on there
20 just for --

21 MEMBER KRESS: Just to make it look good.

22 MR. PUGH: Just to dress it up a bit.
23 That's what a real vessel looks like and that's a
24 fellow we work with.

25 In the beginning, then executing the plan,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 emphasis was placed on understanding the fracture
2 characteristics of the material and properties that
3 went with that. The AEC, ORNL procured over 500,000
4 tons of reference test material, typically 12-inch
5 thick plates of A508 and A533 steel primarily.

6 A large number of exploratory and property
7 experiments were done in those early days to (a) to
8 start out with the question does this kind of material
9 like the high strength, low ductility material show a
10 transition from brittle to the transition to the
11 ductile regime.

12 Those are some of the first experiments
13 done, not just on small laboratory specimens, but on
14 tensile specimens up to 12 inches thick being
15 prototypical of pressure vessels. And so that
16 question turned out to be yes. They went forward,
17 deciding well, what kind of specimen do you measure
18 properties with? A whole host of specimens were
19 looked at and in the end it was settled on the compact
20 tension specimen which then led to the acceptance of
21 the trial ASTM standard E-399 for fracture testing, so
22 this program and its exploratory work and its round
23 robin led to that being settled upon as the fracture
24 mechanic specimen of use.

25 (Slide change.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PUGH: Looking at the properties,
2 there were a number of variables though that could
3 influence them, in particular, of course, we all know
4 temperature, the toughness versus temperature are kind
5 of dependent. But also rate has a very pronounced
6 influence. After a lot of studies and dynamic
7 effects, it was concluded that the crack arrest
8 toughness represented a very reasonable lower bound to
9 the dynamic fracture toughness data.

10 MEMBER WALLIS: You said load rate had a
11 big influence?

12 MR. PUGH: Yes. The higher the rate, the
13 lower the --

14 MEMBER WALLIS: Within what sort of range
15 of speeds, which what sort of time frame are you
16 talking about for an influence?

17 MR. PUGH: As I just said, kind of the
18 limiting case that was considered to be the arrest
19 toughness.

20 MEMBER WALLIS: But you're talking about
21 fractions of a second, presumably. You're not talking
22 about long periods -- you're talking about short
23 blows?

24 MR. PUGH: Something like split Hopkins
25 bar has been used, for example, giving strain rates of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 10^{-5} . I mean 10^5 per second. Very fast rates.

2 MEMBER WALLIS: Very fast rates.

3 MR. PUGH: Yes. But what one looks for is
4 asymptotic behavior of the rate dependence which seems
5 to be there approaching that of the crack arrest
6 values.

7 So tremendous progress was made during
8 those years in generating data. Westinghouse played
9 a very important role in that testing specimens up to
10 12 T. I should have emphasized that within this, it
11 was adopted that plain strained fracture mechanics was
12 to be the reference as in the vessels, if you had a
13 flaw, it was going to have a lot of constraint. So
14 they looked for a specimen that would exhibit plain
15 strained conditions on the crack front.

16 As temperature goes up to maintain the
17 plain strained conditions, you have to have larger and
18 larger specimens, so many of these data, many are
19 called out here but to get up into this region here of
20 like 200 MP_A meters toughness required 12 inch thick,
21 that meant like 24 inch square specimen. Huge
22 specimens. And Westinghouse, for example, tested a
23 lot of those for us.

24 All that data was -- is the basis for the
25 K_{IR} curve that is still in the ASME code today.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You'll find those data reported in Welling Research
2 Council Bulletin 175. You may have heard the
3 terminology, \$1 million curve? Now a \$1 million curve
4 today may not be that much, but in 1965 that was a big
5 effort.

6 MEMBER KRESS: Is that the curve that you
7 have on the thing or did it go through the mean?

8 MR. PUGH: This was intended to be a lower
9 bound.

10 MEMBER KRESS: It was a lower bound.

11 MR. PUGH: Yes.

12 MEMBER KRESS: Okay.

13 MR. PUGH: The ASME curve, it is lower
14 bound, not only of the fracture toughness, but of the
15 arrest toughness, initiation and arrest toughness.

16 MEMBER FORD: Claud, you mentioned earlier
17 on this condition of probability for crack initiation
18 as being one criterion. Surely, the K value for crack
19 initiation from a pre-existing flaw will be plain
20 stressed conditions or could be. Therefore, your
21 methodology would be very conservative? Is my
22 rationale right?

23 MR. PUGH: It's an excellent question and
24 I'm about two slides hence. I'm going to show you an
25 example of the answer to that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Your conclusion is correct, generally, but
2 on that one variable, namely the constraint variable,
3 but I'm going to have a very good example popping up
4 here in about two slides that will show that.

5 MEMBER KRESS: This may be a question to
6 Mark, but you're no longer using this lower bound?
7 You've actually gone to the best estimate?

8 MR. KIRK: MR. KIRK: That's correct. I
9 mean the data, well, the curve that's shown here is
10 the lower bound K_{1R} curve. There's also a lower bound
11 initiation curve. Those are the ASME design curves
12 that are used. They're still used by the NRC and the
13 nuclear licensees in calculating heat up and cool down
14 limits. And in fact, those lower bound curves are the
15 curves that were used in the early 1980s to establish
16 a current PTS rule. That was a long background. The
17 answer to your question is yes. Now we take that
18 whole distribution of data and use it.

19 MEMBER KRESS: Yes, you get a substantial
20 distribution.

21 MR. KIRK: So we use it -- what we do is
22 we sample from that distribution and we draw values
23 out so we capture the uncertainty that you see
24 depicted on that plot, yeah.

25 MR. PUGH: Thank you for asking that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question, Tom, because I am commingling the evolution
2 of the total technology on fracture prevention with
3 what we know about fracture mechanics, so we do try to
4 make the distinction as we go along with the two.

5 MEMBER WALLIS: These variations are
6 because the steels are different or because the flaws
7 are different?

8 MR. KIRK: The variations are just simply
9 inherent to the material. I could show you what on
10 the previous slide that's the result of about 12
11 different materials that makes the plates in welds and
12 forgings. I could take one material and if you'll
13 forgive the phrase, test the hell out of it, and I see
14 exactly the same variation.

15 MEMBER WALLIS: This is because the --

16 MR. KIRK: Because the material is
17 inhomogeneous at a micro scale.

18 MEMBER WALLIS: It had a different history
19 or had --

20 MR. KIRK: No, no, no. It's just the
21 local inhomogeneity of the material along the crack
22 front. You could test -- if I took a plate of
23 material the size of this conference table and cut it
24 up into big, small specimens, you pick --

25 MEMBER WALLIS: You'd get different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 answers for these specimens?

2 MR. KIRK: Tested all under precisely
3 controlled conditions and you would see that
4 variability. And so that's -- that's a classic
5 aleatory variability and we capture that appropriately
6 in FAVOR.

7 MEMBER POWERS: Mark, if I doubled the
8 number of tests on a single material or multiple
9 materials, either way, would I see large numbers of
10 points below the solid curve that you've drawn in
11 there?

12 MR. KIRK: No.

13 MEMBER POWERS: Why can you say that so
14 confidently?

15 MR. KIRK: Because since that curve has
16 about 175 points --

17 MEMBER POWERS: About 350.

18 MR. KIRK: And the years since, I go up to
19 my desk, since I'm a data geek, I collect these
20 things. We have a database now well in excess of
21 4,000 points and no point has ever -- except on the
22 lower shelf where it wasn't ever meant to be a bound,
23 but in the transition region, I'm sorry, I'm pointing
24 at the screen again. In the transition region, where
25 Claud is pointing, which is where the action is for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 RPV failure, no curve has ever transgressed the line
2 and that's --

3 MEMBER POWERS: I see a point that
4 transgresses the line right there.

5 MR. KIRK: No. Go up a ways. There you
6 go. As we discussed on -- as Mike discussed on
7 Wednesday, when we were talking about the risk goal,
8 one of the
9 -- if we had a completely risk-based rule, you might
10 be able to reach the conclusion that you could operate
11 the reactor vessel safely on the lower shelf.

12 MEMBER WALLIS: What's the lower shelf
13 mean?

14 MR. KIRK: That's the lowest fracture
15 toughness you can get.

16 MEMBER WALLIS: That's what you mean by
17 lower shelf?

18 MR. KIRK: That's what I mean by lower
19 shelf, yes.

20 MR. MAYFIELD: This is Mike Mayfield.
21 When you plot Charpy energy versus temperature, there
22 is a transition from a lower plateau region to an
23 upper plateau region in energy and that lower region
24 is typically characterized as the lower shelf. It
25 comes below the nil ductility transition temperature

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for the material. So when we talk about lower shelf,
2 upper shelf and transition, we typically are referring
3 to regions on the Charpy energy versus temperature
4 curve.

5 MR. KIRK: In any event, there are other
6 -- the point I was trying to get to is there are
7 certainly good engineering reasons why even if your
8 risk numbers told you you could, you wouldn't allow a
9 structure with as high a failure consequence as our
10 nuclear RPV to operate down in this region.

11 But in answer to Dr. Powers' question, the
12 substantial testing that's occurred in the ensuing
13 years has generated a database well in excess of, I
14 think, 4,000 to 5,000 data points. None of them has
15 ever crossed an RT_{NDT} indexed K_{1C} or K_{1R} curve which is
16 simply a testament to the conservatism that is built
17 in to the current ASME rules.

18 MEMBER POWERS: Well, the one point that
19 does should be banned and burned and otherwise
20 castigated.

21 MR. KIRK: When I say none has ever
22 crossed, remember I put the caveat on in the
23 transition region.

24 MEMBER POWERS: Well, it looks like it's
25 pretty close to the transition region.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: He's up there with a
2 triangle rippling data.

3 MR. KIRK: That's on the curve. That sets
4 the curve.

5 MR. PUGH: And recall, this is the \$1
6 million curve which is not necessarily the K_{1R} curve,
7 that is in the code.

8 MEMBER POWERS: You tell me that there is
9 a point that is exactly on the curve, that's what's
10 said and I will never ever, no matter what I do find
11 a point that falls below that curve. You are a man of
12 faith.

13 (Laughter.)

14 CHAIRMAN APOSTOLAKIS: He said he hasn't
15 seen -- right, Mark?

16 MR. KIRK: Yes.

17 CHAIRMAN APOSTOLAKIS: Are you also saying
18 you will never see it?

19 MR. KIRK: I would not expect to see it.

20 MEMBER WALLIS: It would be incredible.

21 MR. KIRK: It would be incredible -- okay,
22 the --

23 CHAIRMAN APOSTOLAKIS: It's really, really
24 unlikely.

25 MR. KIRK: It's really, really unlikely.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I mean nonparametrically if you've got a database of
2 5,000 database, no, what are the odds? But equally,
3 we understand making strictly a data argument because
4 it was a database question, but we understand why the
5 curve is there. We understand why we can collapse
6 multiple curves together, using an indexed temperature
7 approach and we also understand the conservatism
8 that's inherent to the RT_{NDT} index temperature which is
9 if you go to establish RT_{NDT} based on nil ductility
10 temperature tests and Charpy tests, the only way you
11 can run the procedure forces you to overestimate the
12 parameter. And that was done intentionally in the
13 early days to make sure we were working with a
14 bounding curve.

15 MEMBER WALLIS: What does NDT mean?

16 MR. KIRK: The nil ductility transition is
17 defined in ASTM E 208 as the temperature in which you
18 go from a break to a no break condition in a nil
19 ductility test which is a 5/8ths thick by about 6
20 inches long, 2 inches wide specimen with a brittle
21 weld bead put on top.

22 MEMBER WALLIS: Well, of course, that's a
23 fairly complicated thing.

24 MR. KIRK: Oh yes, it is. But it's an
25 order of merit --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: I thought it meant normal
2 daytime temperature or something like that.

3 MR. KIRK: No.

4 MEMBER ROSEN: You see, the logical
5 inconsistency with your remarks in response to Dr.
6 Powers is that the day before you had that test which
7 gave you that point right on the line, you would have
8 said that there's no chance of having any test like
9 the one you were about to get the next day.

10 CHAIRMAN APOSTOLAKIS: He said that point
11 defined the curve, that's different.

12 MEMBER ROSEN: He's also said that nothing
13 can be to the right of that. And I'm just pointing
14 out, that's what you would have said on the day before
15 --

16 MR. KIRK: That's true. So perhaps I'll
17 revise my comments for the record that subsequent
18 testing of thousands and thousands of specimens has
19 revealed nothing below that curve.

20 MEMBER KRESS: And if it did, why would
21 you care?

22 CHAIRMAN APOSTOLAKIS: And frankly, I've
23 heard enough about this curve.

24 (Laughter.)

25 MEMBER POWERS: Well, George, I'm sorry,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I just have to know.

2 CHAIRMAN APOSTOLAKIS: You want more?

3 MEMBER POWERS: When I didn't have that
4 point I would have used the little black square to fix
5 the curve.

6 MR. MAYFIELD: Mark, let me. There's a
7 bit of perspective to not lose here. The curve and
8 the K_{1R} curve that's discussed in the fourth bullet on
9 that slide is the lower bound -- was intended to be
10 the lower bound curve to crack initiation, dynamic
11 crack initiation and crack arrest toughness. It was
12 intended as the lower bound to all of those
13 conditions.

14 The data that we are using comes, in the
15 analysis, comes from two aspects. One is essentially
16 static -- it's very slow loading, crack initiation.
17 That's the K_{1C} curve that Mark has talked about before
18 and those data, because these materials are loading
19 rate sensitive, those data tend to be well above that
20 curve.

21 The lower data points that you're seeing,
22 tend to come from either dynamic initiation or crack
23 arrest tests which -- that's a very rapidly moving
24 crack. Those tend to be the lower -- tend to be the
25 lowest of the data. So there's a mixture of data that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 went into defining the K_{1R} curve.

2 When you go back and segregate the data
3 between the two types you're really interested in,
4 initiation and arrest, there are separate curves for
5 those data types and the uncertainty associated with
6 those gets rolled in. I think we need to be a little
7 careful in drawing too many conclusions about whether
8 the curve does or doesn't bound all the data because
9 we're really interested in the application in
10 segregating the data.

11 MR. KIRK: One perhaps final point is I
12 think it's good to get back to Dr. Kress' comment
13 earlier that now we're using a probability
14 distribution through all this data which gets us away
15 from, as is obvious here, the very difficult question
16 of establishing an absolute lower bound. We take into
17 account the inherent variability that's there and
18 that's included in the calculation.

19 MEMBER KRESS: I think Dana's question
20 bears on that because you have to set a distribution
21 to sample from and how you set that distribution
22 depends on what form you assume it takes. Do you
23 sample vertically? Do you fix the temperature and
24 sample vertically?

25 MR. KIRK: Yes, we do and the form that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the distribution takes can be established by data. It
2 can also be established by physics and it's indeed a
3 happy circumstance that the physical expectation, the
4 distributional form that you expect physically is well
5 substantiated by the data.

6 MEMBER KRESS: Is it log normal?

7 MR. KIRK: It's Weibull.

8 MEMBER KRESS: Weibull.

9 MR. KIRK: Yes.

10 MEMBER POWERS: So that's why we can't
11 have points below the curve.

12 MR. KIRK: That's right.

13 MEMBER POWERS: I took from Mike's comment
14 that the way to get points below the curve was to
15 increase the rate of loading.

16 MR. MAYFIELD: Dana, this curve was drawn
17 by a guy with a French curve and he didn't know how to
18 use it. This is not a statistical figure. Okay? And
19 he tried to pin his curve to the lowest data point he
20 had at that point.

21 When you look at the curve that's in the
22 ASME code, this K_{1R} curve, you'll actually find a cusp
23 in it and so that the gentleman that didn't know how
24 to use this French curve to create a smooth curve,
25 that has propagated its way up until the last four or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 five years when the ASME finally made a change. So I
2 don't want you to leave this discussion with the
3 impression that there's great high science or
4 mathematics behind that particular representation.
5 The work that Mark and company have done subsequently,
6 to move away from this sort of historic plot is, in
7 fact, much better science and I think we're drawing
8 far too much significance to this particular plot.

9 CHAIRMAN APOSTOLAKIS: So it's Weibull
10 vertically?

11 MR. KIRK: Yes, that's correct.

12 CHAIRMAN APOSTOLAKIS: And what is the
13 probability? Do you remember roughly of the point
14 falling below the curve?

15 MR. KIRK: I'm sorry, I don't understand.
16 I know this sounds stupid, but I don't understand the
17 question.

18 CHAIRMAN APOSTOLAKIS: Isn't there a
19 probability that if I pick a temperature, there will
20 be a point below the curve now, as soon as you have a
21 distribution?

22 MR. KIRK: Yes, but the Weibull, it's a
23 three parameter Weibull. It has an absolute cutoff,
24 yes.

25 CHAIRMAN APOSTOLAKIS: And the absolute

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cutoff coincides with this curve?

2 MR. KIRK: No. As Mike said, we have a
3 Weibull distribution that's been statistically fit to
4 not only these data, but also the data that have been
5 developed since then. That curve has an absolute
6 lower bound since it's a three parameter Weibull.
7 It's agreement or disagreement with this particular
8 curve, which as Mike said was hand-drawn, would be a
9 complete circumstance.

10 This is a historical design curve.

11 MEMBER FORD: If I could suggest that
12 we've used up half our time.

13 CHAIRMAN APOSTOLAKIS: That's what I
14 think.

15 MEMBER WALLIS: But still, this NDT, is it
16 ductile to the right or the left of this point, zero
17 point? There's a nil ductility transition?

18 MR. KIRK: It's more ductile to the right.

19 MEMBER WALLIS: I would expect it to be
20 more ductile to the -- the region of interest, there
21 is ductility.

22 MR. KIRK: Yes.

23 MR. PUGH: Perhaps I can shed some
24 additional light on that type of question as we look
25 at the next two or three slides.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Remembering the earlier technology was
2 directed at fracture prevention, not fracture
3 prediction in the applied sense of the ASME code, so
4 that's one of the reasons of this type approach to it
5 earlier.

6 We are going to look at real quickly,
7 hopefully three, large scale sets of experiments for
8 purposes of validating the applicability of the
9 fracture mechanics technology which is based on
10 uniaxial specimens. So obviously, the application is
11 multiaxial conditions of pressure loading being
12 multiaxial at the very outset, plus any other factors
13 that come to bear.

14 MEMBER WALLIS: This is nonirradiated
15 steel?

16 MR. PUGH: All of these experiments run --
17 RPB steel, but nonirradiated, yes sir. Very typical
18 of steel though.

19 I'll speak very briefly about intermediate
20 vessel tests. If you would, Mark, please?

21 These were experiments conducted on one
22 meter diameter by 6-inch thick walled specimens with
23 axial flaws, the very deep ITB7. One happened to be
24 portrayed here in this schematic. Most of them had
25 like a quarter to a half thickness in the flaw. Ten

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 such vessels were procured. Like I say, they're 8508
2 Class 2 steel, RPB steel. You recall I said that
3 early plan included a full scale testing phase. It
4 was concluded in the early to mid-1970s. That was
5 just too cost prohibitive to pursue, so the added
6 importance was taken on by this set of ITB experiments
7 to demonstrate the transferability of the fracture
8 mechanics developed in the laboratory and even in
9 these large plain strain fracture uniaxial specimens
10 would transfer to a constraint situation prototypical
11 of the vessel.

12 MEMBER KRESS: This flaw you show on here
13 is on the outside of the vessel.

14 MR. PUGH: That is correct.

15 MEMBER KRESS: Can you explain the
16 rationale behind that?

17 MR. PUGH: The constraint and loading
18 conditions are essentially the same as if it were on
19 the inside. You have the pressure loading, which is
20 still the 2 to 1 pressure loading. You have in the
21 case later, we'll look at it, thermal stresses, the
22 case of the crack front is loaded in the same way as
23 if it were internal and it was much easier to work, of
24 course, experimentally with the external flaw.

25 MR. BASS: This is Richard Bass from Oak

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Ridge National Laboratory. I just want to reiterate
2 a great deal of analytical effort went into evaluating
3 these vessels with the flaws on the exterior surface,
4 via-a-vis the IPV laws on the intersurface to assure
5 that we had stress fields, fracture toughness fields
6 and gradients in these vessels that were also
7 correspondent to RPVs.

8 MEMBER KRESS: This didn't have to be a
9 cylinder, did it?

10 MR. BASS: Pardon me?

11 MEMBER KRESS: The only reason you made it
12 a real cylinder is so you could pressurize the inside
13 of it?

14 MR. BASS: Yes.

15 MEMBER KRESS: It could have been a flat
16 plate for all you cared, if you could provide the
17 loading.

18 MR. BASS: I don't know that we would have
19 wanted to use a flat plate in this case.

20 MR. PUGH: Certainly in subsequent
21 experiments where we looked at thermal shock,
22 definitely would not have wanted a flat plate because
23 of certain inertia and bending effects that develop in
24 the arc of the cylinder.

25 MEMBER SHACK: It probably would be hard

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to stress state the flat plate too.

2 MR. PUGH: You're probably thinking about
3 a set of experiments that was done in Japan once upon
4 a time, thermal shock.

5 MEMBER SHACK: You did do some sort of
6 trick with the heat treatment to embrittle this
7 material.

8 MR. PUGH: Not on these. These are
9 prototypical. This is a detail. There are two sets.
10 One of them was normalizing temper and the other was
11 tempered to impact the fracture properties slightly.

12 MEMBER SHACK: This is a relatively
13 bicuspus material. This is like the --

14 MR. PUGH: Yes, this is like the real
15 stuff.

16 MEMBER SHACK: The real stuff.

17 MR. PUGH: Absolutely. Now there was one
18 experiment run on a lower per shelf weld that was
19 absolutely tailored to study the fracture properties
20 of the lower shelf weld in one of these vessels. That
21 was ITV-8(a), but no, the basic principle was to use
22 the real pressure vessel conditions to validate the
23 fracture behavior and the ability to predict that
24 fracture behavior.

25 (Slide change.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PUGH: So if we look at the next
2 slide, we'll see that here is a schematic of this
3 Charpy curve, Dr. Wallis, that Mike was describing
4 earlier, the lower shelf, transition region, upper
5 shelf.

6 Operating conditions of reactor pressure
7 vessel is up here on the upper shelf. Should you have
8 the thermal shock circumstance, you have the injection
9 of the coolant, then you're progressing back down in
10 this region. So this is the region of real interest
11 to the fracture behavior to the PTS issue is in the
12 lower to mid transition range. So we're going to
13 focus right here on this slide on these, what looks to
14 be three experiments, I mean four experiments.
15 Actually, this 8(a) had two initiation and arrests, so
16 there will be five points plotted over here of failure
17 pressure versus predicted failure pressure. Here's
18 the one-one line. You see these four line up very
19 nicely.

20 Peter, I don't remember if it was you a
21 while ago or Dr. Rosen, asked the question about what
22 if you did not have this constraint to yield the plain
23 strained conditions. This test here is ITV-9. This
24 is a nozzle experiment. There was a flaw in the inner
25 corner of the nozzle and this -- I don't know if you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can see it or not, but this is what a vessel with a
2 nozzle looked like.

3 With a flaw in that inner corner of the
4 nozzle, you absolutely do not have the constraint
5 conditions. You lose much or most of your constraint,
6 so in answer to the question do you elevate or
7 decrease the fracture, apparent fracture toughness in
8 that circumstance? You increase it. This is why this
9 point is well above here in terms of the actual
10 failure pressure, well above what LEFM would have
11 predicted.

12 MEMBER POWERS: Let me ask a question.

13 MR. PUGH: Yes sir.

14 MEMBER POWERS: Converting of units, I'm
15 never very confident about these things with pressure,
16 but 100 mega Pascals corresponds to, I think, 14,000
17 psi. Is that correct?

18 MR. PUGH: 6.895 over whatever is the
19 conversion.

20 MEMBER POWERS: So roughly 14,000 psi.

21 MR. PUGH: Yes.

22 MEMBER POWERS: Which of our pressure
23 vessels in the United States, reactors, 14,000 psi?

24 MR. PUGH: Tthe design pressure for this
25 vessel is 9 point something mega Pascals or is it ksi?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BASS: 9.75 ksi.

2 MR. PUGH: 9.75 ksi. It is the design
3 pressure for the ITV that's equivalent to a full RPV
4 under 2250 psi.

5 MEMBER POWERS: So there's some scaling
6 that's been done here to decide that what you think
7 the critical flaw, stress field that the critical flaw
8 will be to mimic what it is in the much bigger
9 pressure vessel?

10 MR. PUGH: Yes sir.

11 MEMBER POWERS: It's an element of faith
12 involved in going from here to the actual pressure
13 vessel.

14 MR. PUGH: But with detailed stress
15 analysis, I think one can feel that it is well
16 simulated.

17 MEMBER SHACK: Which is why they scaled
18 this test from a Charpy compact test specimen to this
19 vessel.

20 MR. PUGH: Yes.

21 MEMBER SHACK: You verified the scaling to
22 that extent.

23 MR. PUGH: Yes. You recall the original
24 plan had in it full scale testing that would have
25 validated perhaps the nth increment of scaling, but it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was just too expensive to take on.

2 MR. MAYFIELD: Dana, I think the other
3 point that's worth making is there's been a lot of
4 work done in showing that this fracture toughness
5 parameter and that the stress near the crack tip is
6 what controls. You just need to do something that
7 looks like a cylinder to get the stress state to be
8 similar?

9 MEMBER POWERS: I don't have any trouble
10 of scaling this up. I think you've left out an
11 element in the presentation of discussing that
12 scaling.

13 MR. MAYFIELD: Fair enough.

14 MEMBER POWERS: It's not so important for
15 the presentation, but in making the case for the PTS
16 when you use this information to say this elastic
17 fracture mechanics is a valued technology for doing
18 your PTS analysis and verified, you're going to have
19 to put that step in.

20 MR. PUGH: The next slide will have
21 something relevant to that step coming up.

22 MR. BASS: Richard Bass at RNL. I have
23 the analysis that you're talking about on my desk at
24 Oak Ridge and I'll be glad to provide that.

25 MR. PUGH: It's more important that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 provide it in their ETS.

2 MR. MAYFIELD: If the Committee is
3 interested, we can certainly provide the information,
4 but I think the point is well taken to make sure, as
5 we document what we're doing, that we lay that basis.

6 MEMBER POWERS: This is a crucial part.
7 And it's important not to leave out what is a crucial
8 step and in thermal hydraulics land, they spend an
9 enormous amount of time discussing that scaling and I
10 think you'd be remiss to gloss it over. I mean it's
11 very familiar to you, but it's not very familiar to
12 some of your critics.

13 MR. MAYFIELD: And there's a very good
14 story to that.

15 MEMBER POWERS: I bet there is.

16 MEMBER FORD: Claud, you mentioned that
17 those five data points come from the -- towards the
18 lower shelf area.

19 MR. PUGH: This is the four which is the
20 --

21 MEMBER FORD: The five, rather.

22 MR. PUGH: Right here. And they are down.

23 MEMBER FORD: If you had done the tests on
24 the specimens on the upper shelf region, you would
25 presumably start to deviate from that one to one line

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 towards the upper part of it.

2 Do you and -- does that, in fact, happen?

3 MR. PUGH: Yes. The short answer is yes.

4 MEMBER FORD: And so therefore the use of
5 the fracture mechanics is not necessarily fickle to
6 low fluence stations. Now I recognize --

7 MR. PUGH: No, that's the wrong
8 conclusion, I think.

9 MEMBER FORD: Less irradiated pressure
10 vessels. Am I going the wrong way?

11 MR. MAYFIELD: No, you're going the
12 correct way. And in fact, we've had some situations.
13 Claud mentioned this low upper shelf energy weld that
14 we tested. That was one of the motivations for us
15 developing the elastic plastic fracture effort and
16 applying, in fact, Jim Rice's J analysis and
17 subsequently the development of the JR curve, so
18 there's a lot of that work that goes into doing an
19 analysis for a fully ductile condition.

20 MEMBER FORD: The reason I asked the
21 question --

22 MR. PUGH: I understand better your
23 question now, where you're coming from.

24 MEMBER FORD: You show a good correlation
25 for lower shelf, i.e., embrittled conditions. When

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you go to fully ductile conditions, i.e., beginning of
2 life, then this must fail to a certain extent, unless
3 you use --

4 MR. PUGH: In the sense of being accurate
5 in your prediction of failure, you will be ever more
6 increasingly conservative.

7 MEMBER FORD: Correct.

8 MEMBER RANSOM: I understand the vessels
9 are fabricated using axial welds from rolled plate?

10 MR. PUGH: Most of them are.

11 MEMBER RANSOM: How do you know that the
12 data you're using is characteristic of what's in the
13 weld region?

14 MR. PUGH: Well, because this is a weld,
15 that's a weld and some of the other experiments are
16 involved with welds.

17 MEMBER RANSOM: The previous curve you
18 gave though is for homogeneous material.

19 MR. PUGH: Data have been collected on
20 weld material as well.

21 MR. MAYFIELD: In ferretic material, the
22 welds, the forgings, the plates, they all show the
23 same characteristics in transition, same
24 characteristic temperature.

25 The things that change will be the index

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 temperature, where that curve is on the temperature
2 axis. But all the other characteristics of the curve
3 remain the same.

4 MR. PUGH: But I'm glad you asked the
5 question, Dr. Ransom, because some of these are
6 absolutely weld material, even in these ITVs.

7 I realize our time is getting away from
8 us.

9 CHAIRMAN APOSTOLAKIS: Yes, we really have
10 to finish at 10.

11 MR. PUGH: If one looks, then at an
12 application of the ASME approach for these ITVs and
13 looks at a ratio of the load factor, that is, say the
14 failure pressure versus design pressure, ASME design
15 pressure, these are roughly the -- they're not
16 roughly, these are the ratios. There are roughly
17 three for all cases, except this one and this is at
18 nozzle -- excuse me, this is that very deep flaw was
19 80 some percent way through the wall to begin with.

20 If you apply to a full-scale reactor
21 vessel, then the same technology, these are designed
22 failure
23 -- these are fracture failure curves for a full
24 reactor pressure vessel under like 2250 psi. Based on
25 the stress design limits, here's the operating

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 condition. Here's the design level. Here is the
2 fracture mechanics for the quarter T analysis allowed
3 by the ASME code. Quarter T would be like 2 point
4 something depth. Compare it to this curve and you'll
5 see like a factor of three safety factor that exists
6 in applying the ASME code versus failure curves. So
7 you're talking about that lower bound curve, etcetera.
8 That's not the end of the story in terms of being
9 conservative when applying ASME code.

10 MEMBER WALLIS: What's the parameter on
11 these curves, is it inches?

12 MR. PUGH: Those are flaw depth.

13 MEMBER WALLIS: Flaw depth, okay.

14 MR. PUGH: So even with flaws much deeper
15 than ASME code quarter T, still we see tremendous
16 margin before one gets to a predictive failure
17 condition.

18 After this set of experiments is done, the
19 question -- not done, but during their performance, a
20 question came up about thermal shock with the most
21 severe condition thought to be a large break LOCA
22 where one would have a loss of pressure, but a very
23 extreme thermal shock. So the set of experiments
24 using a vessel something like this where -- not
25 something -- this is a vessel, 6 inches thick, 1 meter

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 diameter, dunked in liquid nitrogen from a temperature
2 of about 280 degree C to give the thermal shock.

3 This type of experiment gave the through
4 the wall variation as one would anticipate in reactor
5 pressure vessel for stresses. This is through the
6 wall versus the --

7 MEMBER WALLIS: Did you get film balling
8 at the liquid nitrogen?

9 MR. PUGH: Interesting you should ask
10 that. A tremendous effort went into developing a
11 coating that would --

12 MEMBER WALLIS: Would nucleate.

13 MR. PUGH: Would nucleate, yes. It was a
14 rubber cement process that Dick Sheverton actually got
15 the genesis idea from some people in France and worked
16 on it, a very high priority topic to perform these
17 experiments, yes sir.

18 As a flaw exists in a particular place in
19 the wall during the thermal shock, though as the
20 thermal shock passes, the stresses and stress
21 intensity on that flaw will peak and start down and it
22 may not reach the critical value of K_{1c} until later,
23 namely when it's cooled, and this can give rise to
24 something called warm pre-stressing, which will
25 inhibit the initiation of the flaw in certain sense,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 especially for deep cracks in thermal shock
2 conditions.

3 So these experiments were to examine
4 behavior under thermal shock, one prestressing,
5 whether or not arrest would occur in a rising K field
6 or above the ASME limit.

7 As a qualitative example which was
8 actually done quantitatively, TSE-5, it was predicted
9 that three crack initiation arrest events would occur
10 in this one thermal shock. It was predicted that
11 since the initial flaw was a tenth of the way through,
12 that it would go to halfway through if (1)
13 prestressing occurred on the third event. If it did
14 not, it would go to .7. You can see from the cross
15 section going from the inner radius to the outer
16 radius of this cross section, indeed, three jumps
17 occurred and propagated to .8.

18 MEMBER FORD: Would you mind just going
19 back to the previous graph. This is a question that
20 came up when we -- I forgot which one it was, one of
21 the reviews. What is the data to support that fluence
22 distribution or is it calculated?

23 It seems to me to be very important in
24 terms of whether the crack arrests or not.

25 MR. PUGH: Certainly, the toughness

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through the wall depends upon the fluence through the
2 wall and I'd rather defer the question to Mike.

3 MR. MAYFIELD: It's a calculated fluence.
4 There have been some experimental activities looking
5 to benchmark the calculations. There's something of
6 a raging debate that probably that Dr. Bonaca is in a
7 better position to describe than I am. There's some
8 raging debate among the purists about whether the
9 attenuation function that we have incorporated in this
10 which is a power law attention, as to whether that
11 really is technically sound or not. The experimental
12 data that we -- what limited experimental data there
13 are, looking at through wall attenuation suggests that
14 it's reasonable. It may not be precisely correct, but
15 it's within the uncertainty of the experimental data.
16 It seems to work fairly well.

17 MEMBER FORD: I think we asked the
18 question, but I can't remember the answer as to what
19 the effect of that uncertainty of that fluence
20 distribution would be on your resulting calculations.
21 Is it a huge swinger?

22 MR. KIRK: Since most of the flaws that
23 play a significant role in PTS are very close to the
24 inner surface, because that's where the thermal shock
25 is the greatest. The differences between -- as Mike

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 said, there's a debate as to how fast the exponential
2 fall off is, but since most of the flaws that get you
3 occur within say 10 percent of the thickness between
4 the inner wall and 10 percent of the way in, the
5 differences between those two attenuation functions is
6 really pretty small.

7 MR. MAYFIELD: I think the other thing I
8 would say is that the uncertainty in the calculated
9 fluence at the vessel, the inner surface, far
10 dominates the uncertainty of the through wall, the
11 uncertainty associated with through wall attenuation.

12 MEMBER FORD: And there's more data to
13 back up that early -- presumably more fluence data --

14 MR. MAYFIELD: Data to support the
15 discrete ordinants of code approaches than calculating
16 the inner surface.

17 MR. KIRK: Where you may wish to re-raise
18 this question, where it, in fact, is very significant,
19 is when we get to talking about heat up and cool down
20 limits because they're controlled by notional flaws
21 that are a quarter T thick, both on the inner diameter
22 and outer diameter. So you've got to attenuate to all
23 the way to three quarter T in a heat up or cool down
24 calculation and there, the differences between the
25 functions that are advocated by one group of experts

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 versus another is indeed very significant, but for
2 PTS, since the flaws that are important are on the
3 inside and like Mike said, the greater uncertainty is
4 on the inner wall fluence, it's not that huge a
5 factor.

6 MEMBER SHACK: But wouldn't it have a more
7 significant effect on your conditional probability of
8 failure. I can understand your argument for the
9 conditional probability --

10 MR. KIRK: That's correct. Yes. Yes,
11 that's correct.

12 (Slide change.)

13 MR. PUGH: Just one last slide, I believe,
14 that I'd like to show you briefly and that is if you
15 look at the -- in this presentation at least on this
16 slide, four of the TSE experiments, if you look at the
17 calculated initiation values and the calculated crack
18 arrest values, some of this -- the experiments were
19 multiple initiation and arrest; initiation and arrest.
20 You can see that the data fall in a good trend with
21 that from small specimen data. These are
22 approximately upper and lower bound for small specimen
23 data and you see the initiation values follow the
24 trend very well and so do the arrest values.

25 All the work, of course, that these two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sets of experiments represent, it was like 15 years of
2 work. We really can't do it much justice here in 30
3 minutes or less, but hopefully I've given you a little
4 snapshot to show you that the validity and the
5 applicability for operating conditions in the case of
6 ITVs and an accident condition in case of a large
7 break LOCA, the results of these experiments suggest
8 LEFM is applicable to fracture prevention and in
9 toughness prediction.

10 MEMBER WALLIS: It suggests to me that
11 something is different about the French work from the
12 other work. When you say follow the trend, that's a
13 very gross statement. If you actually look at the
14 data from one lab, the trend is not obvious. The
15 gross way, you're within your bounds.

16 MR. MAYFIELD: You're talking about the
17 French data?

18 MEMBER WALLIS: All the others, any other
19 data. I don't want to prolong this, but you said
20 follow the trend. To get a trend, you really need to
21 look at one lapsed data or something other than saying
22 it's within some statistical --

23 MR. BASS: This is Richard Bass from ORNL.
24 I'll make a comment on the French data. That's been
25 a topic of discussion for at least 20 years and it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our feeling that there's doubt about the actual
2 temperatures that were made, the data that was
3 gathered in those experiments.

4 MEMBER WALLIS: So we should throw it out?

5 MR. BASS: The French, that's their data
6 and that's what they provide. It's not our place to
7 throw it out. We can --

8 MEMBER WALLIS: You put uncertainty bounds
9 on the temperature?

10 MR. BASS: Yes.

11 MR. MAYFIELD: Richard, as Dr. Apostolakis
12 said, we just need to make sure we hit 10 o'clock.

13 CHAIRMAN APOSTOLAKIS: No, 10:15.

14 MR. MAYFIELD: 10:15.

15 (Slide change.)

16 MR. BASS: In keeping within the rules, my
17 name is Richard Bass, Oak Ridge National Laboratory.
18 And I am the current manager of the Heavy Section
19 Steel Technology Program and I want to spend the
20 remaining time of our presentation focusing on the
21 third set of large scale experiments that were carried
22 out in the 1980s at ORNL. These are the so-called
23 pressurized thermal shock experiments. And again,
24 these experiments were performed to confirm and
25 develop a fracture analysis methodology.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The particular feature that we introduced
2 in these experiments is subjecting these flawed
3 vessels to a coordinated thermal shock and internal
4 pressure loading. You see in the plot on the right
5 hand side here, the loading factors of not only the
6 temperature that we investigated in the original
7 thermal shock experiments, but now we introduce a
8 coordinated pressure transient that apply to the inner
9 surface of these vessels.

10 The objective here is to again to
11 coordinate these loading factors so as to produce a
12 desired evolution of crack driving forces on the flaws
13 of interest that we've installed in the vessel. In
14 this particular case, we see an example of a transient
15 where we have increasing K, crack driving force on the
16 shallow flaw which then reaches the maximum, the flaw,
17 the tirade of change of K crack driving force on a
18 shallow flaw which then reaches the maximum. The flaw
19 -- the tirade of change of K then becomes negative.
20 We say that this flaw then is subjected to simple warm
21 prestressing and warm prestressing was a particular
22 effect that we wanted to investigate in both the first
23 and second pressurized thermal shock experiments.

24 Also, we wanted to look at the -- get a
25 better understanding of the nature of cleavage crack

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 arrests at temperatures near or above onset what we
2 discussed previously here as the Charpy, the onset of
3 the ductile upper shelf.

4 The PTSE-2 experiment addressed low upper
5 shelf energy steel. We're not going to have time to
6 talk about that this morning. We're going to focus on
7 these first two elements that were studied in the
8 PTSE-1 experiment.

9 In both of these experiments, we had long
10 surface cracks that were inserted into the ITV
11 vessels, pictures which you've already seen. Shallow
12 flaws subjected to this coordinated loading conditions
13 to achieve specific objectives and we'll look at what
14 those objectives were shortly and of course, one of
15 the elements that we're very interested in here this
16 morning is the features of LEFM that were used to
17 design these experiments and also to analyze them.
18 And specifically, we did a good deal of small specimen
19 fracture toughness testing that we used to construct
20 our fracture test as models. That's the essence of
21 the LEFM approach. And then we used the -- applied
22 our methodology to design the loading conditions which
23 are properties and so forth to achieve these
24 objectives and our particular tools in doing that, in
25 this -- these two experiments performed in the 1980s,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the so-called OCA code and OCA was a precursor to the
2 FAVOR code. FAVOR and OCA still used basically the
3 same methodology for doing deterministic structural
4 and fracture mechanics calculations.

5 So we'll look briefly at some results from
6 OCA in analysis of these experiments and also touch on
7 application of the current FAVOR code to, in essence,
8 demonstrate that we still get the same answers. Next
9 slide.

10 (Slide change.)

11 MR. BASS: Okay, this is the vessel.
12 We've seen pictures of this before. Again, we've got
13 a wall thickness of about 6 inches, 148 millimeters
14 and the vessel is long enough to give us this
15 constraint condition that -- plain strain/constraint
16 condition that we're looking for in our test specimen
17 that we can then transfer or use to evaluate our
18 methodology that we can then transfer to the RPV.

19 Again, you see here, we have a flaw in the
20 outer surface. In the PTSE-1 experiment, the first
21 experiment that we're going to focus on, the flaw was
22 12.2 millimeters in depth here on the outer surface,
23 one meter in length.

24 The photograph on the right hand side, you
25 see this test vessel is being lowered in what we call

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a shroud or an outer test vessel. That outer vessel
2 serves two purposes. First of all, to heat the
3 specimen up to the test temperature of approximately
4 290 degree Celsius operating temperature for an RPV;
5 and then since this was then connected into a large
6 thermal hydraulics test loop, the outer vessel served
7 as a shroud and we had about a one-half inch gap
8 between the outer shroud and the inner surface here
9 that would then allow us to thermally shock the outer
10 surface of the vessel and the flaw with a fluid
11 temperature that varied anywhere from say 15 degrees
12 Celsius down to minus 29 Celsius.

13 We started out in the first transient of
14 this experiment using water because we thought we
15 could get away with avoiding the hassles that go along
16 with using a refrigerant, but the second and third
17 transience necessitated we use a mixture of methanol
18 and water so that we could lower the coolant
19 temperature and achieve a more severe thermal shock.

20 That's the essence of the experimental set
21 up that we used in this program.

22 MEMBER ROSEN: How do you make the flaw
23 and how do you know that it's representative of the
24 real flaws in service?

25 MR. BASS: Well, a lot of work over the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 years has gone into that and this was a well-developed
2 methodology. We used an embrittling weld technique
3 that was then hydrogen charged, a little bath around
4 this thing and put a potential across it of sulfuric
5 acid that spontaneously generates a very sharp flaw.
6 Of course, there was a lot of research that went into
7 this, trials and so forth. By the time we got around
8 the mid-1980s of doing these experiments, this was a
9 very well-developed methodology.

10 I think we're ready to go to the next
11 slide.

12 (Slide change.)

13 MR. BASS: Okay, this --

14 MR. MAYFIELD: Richard, could I say one
15 thing?

16 MR. BASS: Sure.

17 MR. MAYFIELD: The second part of your
18 question was about how are these representative of
19 what flaws are in vessels in service. By and large,
20 we don't think these flaws are in vessels. This was
21 a test condition designed to give us -- to support
22 this particular analysis. We don't really think there
23 are 10 percent wall, deep cracks that run for
24 extensive lengths along the vessel surface.

25 MEMBER ROSEN: Yes, I know that, but I was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just asking really about the morphology of the crack.

2 MR. BASS: I took your question to mean
3 about the sharpness of the crack and of course, in
4 this technique you get a very sharp crack. That
5 certainly would be -- a representative say a sharp
6 defect in a weld or between clad weld interface, that
7 kind of thing.

8 This is a diagram here that illustrates
9 the applied K factor, the crack driving force as well
10 as the crack initiation toughness and the crack arrest
11 toughness for this material. This is really a
12 schematic. This is not something from an actual test.
13 The purpose of this particular slide is to describe
14 the planned transient in this experiment and then
15 compare that with what actually happened.

16 The original plan called for doing this
17 experiment in a single transient, but failing the
18 objective of achieving all of these in a single
19 transient, then we would do a backup second and third
20 transient, but we want to give this a first shot of
21 let's see if we can do it all in one effort. That
22 actually did not work out. We actually ended up doing
23 an experiment in three transients. But we'll get to
24 that shortly.

25 The objective in this PTSE-1 experiment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was to load the crack, this shallow crack with the
2 thermal shock up to Point A here where the crack
3 becomes critical. We would then experience, observe
4 a cleavage initiation of the flaw. It would then
5 arrest at the crack arrest toughness curve at a deeper
6 point in the wall. We would continue loading this
7 flaw. It would then go into a mode of warm
8 prestressing here, prestressing where the K_{Ic} is
9 negative. And the crack will not initiate when K_{Ic}
10 is negative in cleavage.

11 The crack becomes critical here and it
12 crosses again the K_{Ic} curve at this deeper point. It
13 becomes critical at this point, but it does not
14 initiate because of warm prestressing. We apply
15 pressure loading here to alleviate the one
16 prestressing, reload and at some point, F here, we
17 want to achieve a cleavage reinitiation and then drive
18 the crack very deeply into the -- say up to 40 percent
19 of the way through the wall of the vessel, 30 percent
20 or so to -- and get a cleavage arrest at a temperature
21 that corresponds to the Charpy upper shelf of this
22 material.

23 Those were the objectives in the transient
24 and if we go to the next slide we'll see what actually
25 happened.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Slide change.)

2 MR. BASS: This particular diagram on the
3 left plots again the applied K_I loading of the flaw.
4 The K_{IC} fracture toughness and the K_{IA} toughness for
5 this material as a function of crack tip temperature.
6 We do this -- this is a very popular curve or type of
7 curve to use in depicting these analyses because we
8 can draw the K_{IC} and the K_{IA} curves, fixed, on the plot
9 for the crack tip. And then look at the evolution of
10 the transient loading applied to the flaw and compare
11 it with these fracture toughness curves. Remember,
12 these are our -- we haven't talked about this before,
13 but these are our predictions from small specimen
14 testing. We went out and did a lot of testing of 1T
15 specimens. We did size corrections of the 1T
16 specimens and we developed a lower bound fracture
17 toughness curve to that data. That's the K_{IC} curve
18 you see here.

19 We did similar testing of small specimens
20 for K_{IA} crack arrest and we developed a median curve
21 that you see here to that crack arrest data which was
22 also size adjusted. These are very small specimens.
23 We wanted to adjust them to a plain strain constraint
24 condition we used in methodology developed by George
25 Erwin long ago to do that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And then let's talk about what happened in
2 the actual test in these three transients. The first
3 transient we see here is A. This is the original flaw
4 of 12 millimeter depth. OAW is .08. The time is
5 moving to the left here. The crack tip is cooling
6 from the thermal shock and we see that the crack first
7 becomes critical at this point where the applied curve
8 crosses the K_{1c} curve, fracture toughness curve.

9 At this particular point, due to several
10 factors, the flaw is just going into warm
11 prestressing. You can see the K dot becomes slightly
12 negative as it hits this point and consequently as we
13 move in here with the one prestressed flaw, we do not
14 get an initiation to recover from that warm prestress
15 effect. You require more loading of the flaw which we
16 did not have in this pressure transient. Consequently
17 we have here a highly critical crack which did not
18 initiate. The ratio of the applied K to the K_{1c} here
19 is on the order of 2. So this is really an
20 unambiguous testimony to the effects of warm
21 prestressing.

22 The applied load achieves the -- it
23 exceeds the fracture test by a factor of 2.

24 Well, recognizing that we had a warm
25 prestress crack and we didn't have quite enough

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 loading power at this particular point in our planned
2 pressure transient to get an initiation, we went back.
3 We cranked up the -- basically doubled the pressure
4 level in the cylinder and we lowered the coolant
5 temperature to introduce a more severe thermal shock.
6 That's the B transient here and you can see it does
7 not initiate at the K_{1c} curve. We get a little bit
8 supercritical with the crack. We then did get a
9 cleavage initiation. It jumped to an OAW.165, about
10 24 millimeters in depth. The thermal shock,
11 pressurized thermal shock continues. We're continuing
12 to increase the load. The flaw became critical again
13 at this particular point, just crossing the line, the
14 K_{1c} curve here we then go into warm prestressing phase
15 again without an initiation.

16 LEFM would have predicted an initiation,
17 of course, at this point, but just across the line
18 there was no initiation.

19 Again, this was a very strong
20 demonstration of the effects of warm prestressing in
21 this PTS event. You see here we have then an applied
22 K value which well exceeds the K_{1c} fracture toughness,
23 but K dot is negative, you're going to get an
24 initiation of the crack.

25 The last experiment we simply cranked up,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ratcheted up the pressure up to a little more, dropped
2 the coolant temperature a little bit more and we got
3 an initiation here pretty much on the line, the
4 intersection with the K_{1C} curve and the arrest point
5 here at a crack F about 41 millimeters, very close to
6 the small specimen K_{1A} curve. And finally the system
7 runs out of gas at this point here.

8 So we achieved all of the objectives here.
9 We wanted to investigate the warm prestressing. We
10 had two very strong examples of that here in the A and
11 B transients. We were able to drive the crack here
12 into temperature regime that was on the Charpy upper
13 shelf of material and get a very high crack arrest
14 value.

15 MEMBER FORD: When you say it ran out of
16 steam, you mean you couldn't apply any more pressure
17 to the system to push up --

18 MR. BASS: That's correct. Yes, the
19 pressure -- our accumulator just didn't have anything
20 left to -- and we would not have wanted to do that
21 anyway. We had planned to -- I didn't mean to imply
22 that we were trying to get to the line again. We
23 wanted to preserve the fracture surfaces which meant
24 that we did not want to burst the vessel. We were
25 very happy with the arrest where it was.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: So it's pretty good in
2 view of the uncertainties you have in K_{1A} and K_{1C} .

3 MR. BASS: That's the story here and this
4 is really -- this is the punch line here. And this
5 whole story about pressurized thermal shock and
6 applications of LEFM and the methodology, you're
7 looking at it right here. And just in a few words
8 we've got the K_{1C} curve that was generated from small
9 specimen data.

10 MEMBER WALLIS: That's the best estimate,
11 K_{1C} is that what that is?

12 MR. BASS: No, that's the lower bound.

13 MEMBER WALLIS: Oh, lower bound.

14 MR. BASS: It's the lower bound to the
15 size of just this data from small specimens for this
16 particular material and the K_{1A} curve that you see
17 here, this is again --

18 MEMBER WALLIS: That's why it can cross
19 and not do it because you've got --

20 MR. BASS: It's a lower band. We've got
21 a long flaw. You've got a lot of opportunities for
22 sampling of defects along that flaw, so you would
23 expect to get -- you hope to get very close to the
24 line and in effect, we see that we did achieve that
25 objective of getting initiations very close to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 smallest specimen predicted curve, and likewise, with
2 the K_{1A} curve. This is unretouched curves and data.
3 This is the median toughness curve for the K_{1A} small
4 specimen data. Again, it's adjusted for size effects.

5 Also, down here you'll see this is the
6 ASME section 11 K_{1C} and K_{1A} curves and you can see that
7 these are very conservative in predictions. As a
8 matter of fact, we did a code analysis on this
9 experiment and the code analysis said that we would
10 fail the vessel in three crack jumps, 40 seconds into
11 the transient. Obviously, that did not occur.

12 MEMBER POWERS: The code curves, the
13 conservative ones are the product of reflection by a
14 large number of people thinking about a large number
15 of things. Why did they make them so much more
16 conservative than your curves that have been --

17 MR. BASS: Oh, we're -- remember, we were
18 trying to conduct a particular experiment here.

19 MEMBER POWERS: I understand what you're
20 doing --

21 MR. BASS: We're not --

22 MEMBER POWERS: I'm not asking about what
23 you're doing. I'm asking about what the code people
24 are thinking.

25 MR. BASS: I wasn't there. I can't tell

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you.

2 MR. MAYFIELD: I'm sorry, I didn't hear
3 the question clearly.

4 MEMBER POWERS: What I'm asking is, Mike,
5 you've got some data curves where your particular
6 experiment, your curves are -- the code curves are
7 substantially more conservative and I'm wondering what
8 was the thinking of the ASME Committee that moved
9 those curves in this conservative direction.

10 MR. MAYFIELD: Okay, the approach that the
11 code has taken is to develop generic fracture
12 toughness curves and then to try and index those to a
13 particular material based on the nil ductility
14 temperature and some adjustment from there.

15 So their intention was to develop a
16 conservative generic curve so that when you picked
17 what was believed to be the limiting material in the
18 vessel and index the curves to account for the
19 embrittlement of that limiting material, you still
20 have a conservative representation.

21 They were not trying to do best estimates.
22 That's where this lower bound concept came from.
23 There's a lot of concern and I think a number of us on
24 the staff share the concern about the level of
25 conservatism in those ASME curves and the approach

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 taken. But the underlying piece of it was to develop
2 generic curves so that you didn't have to have exactly
3 the right material from each pressure vessel and you
4 could still account for a lot of the variation in
5 material.

6 MEMBER POWERS: So what you're saying is
7 the shift that's manifest in this figure is
8 capricious. It's not in response to any particular
9 phenomenological thing that they're worried about.

10 MR. MAYFIELD: That's correct.

11 MR. BASS: The plot on the right hand side
12 shows the plot of the --

13 MEMBER ROSEN: I didn't understand what
14 you said about what the ASME code would have
15 predicted. You said a code predicted it would have
16 failed --

17 MR. BASS: If you do a code analysis, what
18 it would -- what the code analysis showed was that the
19 crack would propagate in three jumps and would
20 penetrate the wall and fail the vessel. I'm sorry.

21 MEMBER ROSEN: Okay.

22 MR. BASS: The plot on the right hand side
23 is the crack arrest plot of the arrest toughness data
24 versus -- now this is normalized temperature relative
25 to RT_{NDT} . And again, we've got the two values here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from our PTSE-1 experiment and some other data
2 generated from various sources: Japanese data, the
3 thermal shock experiments that Claud has discussed
4 recently, and again, we've got the French TSE data
5 that's in an area of its own down here. And finally,
6 a wide plate -- the first wide plate experiment that
7 we did here at NVS back in the 1980s.

8 A couple of things about this plot. First
9 of all, this K_{1A} curve is from the PTSE-1 small
10 specimen data here. And you see, as we look at it, we
11 think that's a pretty good representation of these
12 large scale experiments when you reference them to the
13 RT_{NDT} .

14 One other thing I did not point out here
15 is that one of the landmark pieces of data that came
16 out of PTSE-1 was that we calculated or measured, I
17 should say, a very high crack arrest value here,
18 roughly 300 MPA root meters which is well above this
19 implied upper bound in the ASME Section 11 curve of
20 220 MPA root meters. We demonstrated that in a thick
21 section, highly constrained thick section that we
22 could generate a very high arrest toughness value here
23 without any sign of intervention of stable or unstable
24 tearing to muddy the picture here.

25 And also, you will see down here that this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is well above the onset of the Charpy upper shelf here
2 by about -- for the PTSE-1 material by about 30
3 degrees Calvin.

4 Next slide.

5 (Slide change.)

6 MR. BASS: This particular slide gives an
7 example of a recent analysis that we carried out at
8 ORNL where we went back and used the current FAVOR
9 version of FAVOR code to analyze the first two
10 transients, A and B. We're only showing the transient
11 B here and we find again that we get basically the
12 same solutions that we generated back in the 1980s
13 with OCA and we would expect to do that. We're using
14 basically the same methodologies. And if your input
15 is the same, the output should be the same and sure
16 enough it was.

17 On the left hand side here, we see K_1 , K_{1C} ,
18 K_{1A} . Again, you've seen the curves versus the crack
19 tip temperature. This is what we call the classic
20 LEFM model, classic LEFM prediction. When you hit K_1
21 equal to K_{1C} , you forecast the crack propagation,
22 arrest the K_{1A} curve. This prediction is something
23 like 19.2 millimeters. Actually, in the experiment,
24 the flaw initiated a little bit later in the transient
25 and it jumped a little bit deeper, as a consequence to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about 24 millimeters. Again, we would have predicted
2 initiation here. It did not reinitiate at this
3 particular point, so we did not see that in this
4 second transient.

5 These are the actual calculations over
6 here.

7 MEMBER WALLIS: Did FAVOR predict
8 reinitiating or not? You don't show that.

9 MR. BASS: Well, yes, FAVOR would -- FAVOR
10 is -- FAVOR is classic LEFM, so it would -- we would
11 predict a reinitiation at this point.

12 MEMBER WALLIS: You don't show it.

13 MR. BASS: Well, we didn't get it in the
14 experiment. This is the analysis of the actual
15 experimental data over here with FAVOR. This is what
16 would have been predicted.

17 You see that we did not get the second
18 jump.

19 MEMBER WALLIS: Is that because of your
20 uncertainty in the temperature turnaround or --

21 MR. BASS: Well, it has to do with the
22 nature of cleavage fracture. Cleavage at a given
23 temperature is a distribution and we think a Weibull
24 distribution in our models now. And, of course, where
25 -- you can't anticipate that you're going to initiate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at the earliest possible -- the lowest possible value
2 in a methodology here where you're looking at a
3 distribution of possible toughnesses.

4 MEMBER WALLIS: There's also the K dot
5 that you've got to take into account.

6 MR. BASS: K dot here, yes, after this
7 point. The current version of FAVOR and I don't know
8 if I should even mention this, does not currently
9 incorporate warm prestressing, but Mark, do you want
10 to say anything about that?

11 MR. KIRK: The next version probably will.

12 MEMBER WALLIS: I would think it should.
13 It seems to be a significant defect.

14 MR. KIRK: Yes.

15 MR. BASS: Let's move on to the last of
16 the technical slides here.

17 (Slide change.)

18 MEMBER WALLIS: It's wonderful to see some
19 data for once. It's a technical discussion one could
20 follow more or less.

21 MR. BASS: This is our view of the world
22 summarized here insofar as the applicability of LEFM,
23 FAVOR, OCA and so forth to the assessment of RPV
24 integrity under pressurized thermal shock. We saw in
25 these tests that we did achieve cleavage fracture in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 these large scale tests and an important element here
2 is that they were consistent with the small specimen
3 data.

4 Another really important element that came
5 out of these tests was the warm prestressing evidence.
6 Clearly, warm prestressing is a reality. It's there
7 and very effective in certain types of transients.

8 And in our punchline here the observed
9 cleavage-crack behavior in these thick-section
10 experiments has been well described by the LEFM
11 methodology and that methodology is embodied in the
12 current version of the FAVOR code and it is
13 historically consistent with all of the other
14 calculations that we made in these large scale
15 experiments.

16 MEMBER KRESS: If you were to put warm
17 prestressing into FAVOR, you would just simply say if
18 you ran into the negative thing you just stop the
19 crack there?

20 MR. KIRK: You wouldn't, as Richard said,
21 you wouldn't allow the crack to reinitiate like -- if
22 I can point -- you wouldn't allow the crack to
23 reinitiate on the downward slope whereas now -- well
24 --

25 MEMBER KRESS: So you have a problem here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 though with -- even if you had warm prestressing in
2 FAVOR, you would have hit K_{1c} and would have thought
3 you would have initiated there.

4 MR. KIRK: In the current weld you need to
5 be -- it's a little bit more complicated than that
6 because in the current version of FAVOR, because we're
7 treating the uncertainty in both K_{1c} and K_{1A} as
8 aleatory --

9 MEMBER KRESS: So it depends on which
10 sample you --

11 MR. KIRK: It never really initiates.
12 You've got a probability of initiation. You've got a
13 probability of failure, but suffice it to say right
14 now -- where is the pointer? I have got to point and
15 talk into this thing. Right now, in FAVOR, we count
16 the probability of -- we allow a crack to initiate in
17 this area. So we're essentially counting up that
18 probability whereas we shouldn't be. The reason, warm
19 prestressing has been around for a long, long time.
20 In fact, it was around, well recognized and well
21 researched when SECY-82-0465 was published and the
22 original basis for this rule was established.

23 It wasn't included in the calculations
24 then, not because anybody on the staff didn't believe
25 the physics of the situation, but because at that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 stage we were using what were called idealized thermal
2 hydraulic transients. So instead of having all of the
3 bumps and squiggles of a real thermal hydraulic
4 transient, they were idealized as exponential fallouts
5 so the concern was that you might believe, based on
6 the idealized transient that warm prestressing had
7 occurred when, in fact, in the real transient it
8 wouldn't have.

9 We've revisited this recently and in fact,
10 warm prestressing is next on our list of things to add
11 in and what we anticipate it will do is stop a lot of
12 cracks from going all the way through the wall.

13 MEMBER KRESS: Yes, it's conservative to
14 not --

15 MR. KIRK: Yes, indeed. It's conservative
16 to not put it in.

17 MR. MAYFIELD: Let me add one other
18 consideration. As Mark noted, these were idealized
19 transients. And the concern was that the operator
20 might intervene, particularly when you've got primary
21 fluid escaping somehow through a break or whatever.
22 The operator might intervene, isolate the break and
23 then a lot of the system would tend to repressurize
24 which negates the warm prestressing effect.

25 The one thing that we've done that I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is a significant improvement now is to bring in
2 operator actions explicitly. So now you can go back
3 and within the vagaries of that analysis. You can now
4 go back and include whether you will or won't
5 repressurize the system. Before, with the idealized
6 transients, without really having something you could
7 track, it just didn't seem to be a good idea to
8 include warm prestress.

9 MR. KIRK: Are there any more questions
10 regarding the technical part of the presentation?

11 (Slide change.)

12 MR. KIRK: Okay, then to summarize and of
13 course, the Committee is, as always, free to draw its
14 own conclusions. We believe that the NRC research
15 programs have established both the calculational
16 methodologies and the empirical data needed to enable
17 our assessments of RPV fracture resistance for both
18 routine loading conditions and most importantly, in
19 this context, accident conditions using LEFM.

20 We have shown that LEFM predictions of
21 both crack initiation and crack arrest and of course
22 the combination of them would leave to vessel failure
23 or not agree well with the results of prototypic large
24 scale RPV experiments and consequently suggest that
25 LEFM is indeed an appropriate methodology for use in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assessments of RPV fracture resistance.

2 (Slide change.)

3 MR. KIRK: The logical conclusion from
4 that is to turn off the funding spigot. However, in
5 our day to day operations the staff is routinely
6 motivated to take this yet a bit further. We've got
7 -- there are both regulatory and commercial
8 motivations to not stop here.

9 On the regulatory side, the licensees are
10 now fairly routinely making exemption requests to our
11 current LEFM based methodologies and they're even
12 queuing up to make exemption requests to a modified
13 PTS rule that we haven't even got in place yet. We
14 have no systematic way to deal with those. The
15 easiest example which I think several members of the
16 Committee are familiar with is the licensees have
17 routinely come in with request to use the master curve
18 which is an EPFM based methodology. Right now, we're
19 dealing with that on a case by case basis and right
20 now we don't really have any systematic way in place
21 to assess the appropriateness of those applications --

22 MEMBER ROSEN: What's their underlying
23 motivation?

24 MR. KIRK: Their underlying motivation is
25 down in the bottom, is that in a deregulated -- or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rather, in a regulated energy environment, they were
2 paid on a dollar per kilowatt hour basis. They were
3 paid based on capacity. So they had a plan sitting
4 there. They were paid based on whether they could
5 generate.

6 Now they're in competition with everybody
7 else, so they're motivated to do things with their
8 reactors that they never would before. For example,
9 one of the things that we said on Wednesday, 10 CFR
10 50.61 says that if you're in danger of crossing the
11 line for the PTS rule, you're obligated to install
12 flux reduction which reduces the number of neutrons
13 going through the steel, reduces the embrittlement
14 rate.

15 Lots and lots of plants have flux
16 reduction. Of course, you pay a penalty for that in
17 production. The Beaver Valley nuclear plant which is,
18 I believe, per current regulations, .5 degree
19 Fahrenheit from the current screening limit, has flux
20 reduction in place, but believes, based on the use of
21 new technologies, namely the master curve, that they
22 can justify removal of that flux production, increase
23 their productivity, increase their profitability and
24 still stay below the regulatory screening limits.
25 Removing flux reduction is simply something that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nobody would ever have thought of or even considering
2 putting up NRR in a regulated environment. Also,
3 other motivators are that some plants that aren't as
4 close to the line as .5 degrees Fahrenheit, have to
5 make significant economic decisions like whether to
6 replace the steam generators. In order to make that
7 economically feasible, they have to show to their
8 business people that those, the cost of those
9 generators can be amortized over 20 to 30 years. If
10 you've got a plant that's sitting within 5 degrees
11 Fahrenheit of the current screening limit which some
12 are, and they need to buy a new steam generator, and
13 they've only got 10 years left in their current
14 license, the business people will say unless you can
15 show us that we're not at risk at bumping up against
16 this thing that we understand is called the PTS Rule,
17 we're going to shut you down. So they have
18 significant economic motivation to use available
19 technology which right now we've done and this gets
20 over to our activities. The gentlemen who have been
21 so helpful in making this presentation have been
22 contractors for us for years, developing elastic
23 plastic fracture mechanics methodologies.

24 We right now have on the shelf, I'd say
25 probably 85 to 90 percent of the research that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 needed to have a systematic elastic plastic fracture
2 mechanics evaluation methodology. What we're engaged
3 in right now in the current HSST project is what we've
4 called FAVOR^{EP} development which simply means an
5 elastic plastic version of FAVOR which would enable
6 what when in place will enable the staff to do
7 systematic and rigorous reviews of licensees' requests
8 that right now --

9 MEMBER POWERS: Can I ask the question?
10 If the economic incentive all lies on the part of the
11 industry, why don't they pay for this next 10 percent
12 that has to be done? You said you had 80 to 90
13 percent. Why don't they pay for the 10 to 20 percent?

14 MR. KIRK: Taking it from the industry's
15 perspective which --

16 MR. MAYFIELD: Let's not speak for the
17 industry.

18 MR. KIRK: Okay.

19 MR. MAYFIELD: Okay?

20 MR. KIRK: Okay.

21 MR. MAYFIELD: The reason the staff does
22 these things is to provide the staff an independent
23 capability to perform these kinds of analyses. And
24 mixing the industry perspective in with this, to take
25 money from their pocket or to take their code gets to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be problematic because we still need an independent
2 capability. This is an area where the staff does have
3 significant expertise through staff capabilities and
4 contractor capabilities.

5 We routinely go through this and ask
6 ourselves the same question, when is enough enough?
7 We believe that this next piece is justified and
8 supportable and to support staff capabilities.

9 MEMBER POWERS: Believe it or not, so do
10 I.

11 MR. MAYFIELD: But that's the why. We
12 think that's something the staff needs to do.

13 One other point I'd like to make as we
14 close, Dana, is that we've talked a number of times
15 and you and I have had some enjoyable banter about
16 whether we should or shouldn't continue this program.
17 The fact is the budget for pressure vessel related
18 activities has declined significantly over the years.
19 We can agree or agree to disagree on whether it's gone
20 low enough, but the fact that when we were doing the
21 kinds of large scale experiments that have been
22 discussed this morning, we were up what \$7 or \$8
23 million for the combined pressure vessel testing and
24 embrittlement activities. That has declined
25 significantly. We can certainly provide the Committee

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or come back and talk to you about what that's looked
2 like over the last few years, if you're interested.
3 But I wouldn't want to leave the impression that the
4 funding level today is anywhere near where it was in
5 the 1980s when we were doing this kind of work, 1970s
6 and 1980s.

7 MEMBER FORD: Are there any other last
8 minute questions? Mark and --

9 MEMBER SIEBER: Yes, I'm curious about one
10 thing you said when you were discussing the economics
11 of flux reduction. Flux reduction is a low leakage
12 loading pattern which basically has a peak to average
13 that's pretty substantial. The hot fuel is in the
14 middle of the core and thrice burned fuel is on the
15 outside edge. And that gives you less fluence to the
16 vessel walls.

17 When you say there's an economic incentive
18 to abandon that kind of loading pattern, I presume
19 that what you're saying is if you want to do a power
20 uprate, you would try to flatten the flux which would
21 place fresh assemblies more on the outside. That has
22 a fuel cost penalty. It does have a rating advantage.

23 Is that basically what you were saying?

24 MR. KIRK: Yes, that's it and to be fair,
25 in discussions I've had with various licensees,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different operations seem to take a different view of
2 whether flux reduction is an economic penalty or not.
3 Certainly, some plans do, but to be fair, we should
4 also say that other plans don't.

5 MEMBER SIEBER: Well, at the current
6 license power at Beaver Valley, it can run 100 percent
7 power with a flux reduction core. And a flux
8 reduction core is cheaper from the standpoint of
9 dollars spent than one that has flux flattening.

10 I used to be the fuel guy there.

11 MEMBER FORD: Before handing it back to
12 you, George, I'd like to thank very much everybody for
13 coming and we have been informed and I really
14 appreciate it. Thank you.

15 CHAIRMAN APOSTOLAKIS: Thank you, Peter.
16 We'll recess until 10:35.

17 (Off the record.)

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701