

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
495th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Friday, September 13, 2002

Work Order No.: NRC-525

Pages 155-299

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

495th MEETING

+ + + + +

FRIDAY,

SEPTEMBER 13, 2002

+ + + + +

The Subcommittee met at 8:30 a.m. in Room T2B3,
Two White Flint North, Rockville, Maryland, George E.
Apostolakis, Chairman, presiding.

ACRS MEMBERS PRESENT:

GEORGE APOSTOLAKIS	Chairman
MARIO V. BONACA	Vice-Chairman
F. PETER FORD	Member
THOMAS S. KRESS	Member-at-Large
GRAHAM LEITCH	Member
DANA A. POWERS	Member
VICTOR H. RANSOM	Member
STEPHEN L. ROSEN	Member
WILLIAM J. SHACK	Member
JOHN D. SIEBER	Member
GRAHAM B. WALLIS	Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 NRC STAFF PRESENT:

2 SAM DURAISWAMY Designated Federal Official

3 MARK CUNNINGHAM NRR

4 ERASMIA LOIS NRR

5 HUSSEIN NOURBAKSH ACRS Senior Fellow

6 NATHAN SIU NRR

7 MAGGALEANA WESTON Staff Engineer

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C-O-N-T-E-N-T-S

Opening Remarks 158

Chairman Apostolakis

NEI 00-04 159

Mr. Reed

DRAFT REGULATORY GUIDE DG-1121 227

Mr. Harrison

DRAFT REGULATORY GUIDE DG-1120 263

Member Wallis

P-R-O-C-E-E-D-I-N-G-S

(8:30 a.m.)

CHAIRMAN APOSTOLAKIS: The meeting will now come to the order. This is the second day of the 495th Meeting of the Advisory Committee on Reactor Safeguards.

During today's meeting, the Committee will consider the following. Proposed 10 CFR 50.69 Risk-Informed Categorization and Treatment of Structure Systems and Components for Nuclear Power Reactors, Draft Regulatory Guide DG-1121, and NEI 00-04, Draft Regulatory Guide DG-1120 and Standard Review Plan Section associated with NRC Cold Reviews, future ACRS activities, report of the Planning and Procedure Subcommittee, reconciliation of ACRS comments and recommendations, and proposed ACRS reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. Sam Duraiswamy is Designated Federal Official for the initial portion of the meeting. We have received no written comments or requests for time to make oral segments from members of the public regarding today's sessions.

A transcript of a portion of the meeting is being kept, and it is requested that the speakers

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 use one of the microphones, identify themselves, and
2 speak with sufficient clarity and volume so that they
3 can be readily heard.

4 Are there any issues that members would
5 like to raise? Hearing none, I give the floor to Mr.
6 Reed.

7 MR. REED: Thank you, Mr. Chairman. I'm
8 Tim Reed from Division of Regulatory Improvement
9 Programs at NRR. I have along with me Chris Grimes
10 and Donny Harrison, also from NRR, to help out in
11 today's presentation.

12 Going first to the objective of today's
13 presentation to the Full Committee, it's obviously to
14 brief you on the proposed rule making package that the
15 Chairman has already discussed, and to gain the
16 Committee's agreement to move forward and publish the
17 proposed rule making package for stakeholder feedback
18 and comment.

19 We're not asking -- in fact, I'm sure the
20 Committee is aware, we're not asking for your
21 concurrence on all the technical issues. In fact, the
22 technical issues have not all been resolved. As you
23 see, our comments are there on the draft guide and on
24 the NEI guidance document. Some issues remain to be
25 resolved, but we do feel that moving forward right now

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and getting stakeholder feedback, and allowing
2 stakeholders to see the actual proposed rule language,
3 the full supporting Statement of Considerations, which
4 are significant. Having all that information, and be
5 able to comment on all of it would be very valuable in
6 moving this thing forward, and trying to get to a
7 final rule, so that's what we're asking from the
8 Committee.

9 CHAIRMAN APOSTOLAKIS: So the technical
10 issues that you raise, hopefully will be resolved
11 during this period?

12 MR. REED: Exactly. We're going to
13 continue, and Chris will talk about this in the next
14 steps at the end, but we're going to continue working
15 with the industry, and resolving the implementation
16 issues in the guidance.

17 CHAIRMAN APOSTOLAKIS: But you would like
18 comments from us on some of these issues?

19 MR. REED: Absolutely. A little
20 background to give everybody a baseline this morning.
21 I think everybody is aware of all this, so I'll just
22 go through it pretty quickly.

23 We last met with the Subcommittee in
24 February, and the Full Committee in early March, and
25 that focused principally on the categorization

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guidance. And in fact, at that time it was Draft
2 Revision B of NEI 00-04. The Committee is all, I
3 think, aware of the three major SECY papers, and this
4 effort started back in December of 1998 with 98-300,
5 and that outlined the options for risk-informing the
6 regulations. Option II is, of course, why we're here
7 today. That's risk-informing special trigger
8 requirements.

9 In 99-256, we put together the rule making
10 plan and an NPR. We followed that rule making plan.
11 We put together proposed rule. That's why we're here
12 today, proposed 69. SECY -00-194 was a response to
13 the NPR comments, and it also had some additional
14 language in there on the actual framework. We've
15 tried to remain true to those words.

16 Since that time, a lot of the effort then
17 went into -- for the following year really into the
18 South Texas exemption. We were able to -- the staff
19 was able to issue that exemption in August of 2001.
20 It was a proof of concept. It proved the fact you can
21 risk-inform special treatment requirements. Of
22 course, that was done by exemption, not by rule. But
23 those lessons have been valuable in putting together
24 proposed 50.69.

25 We've had numerous stakeholder

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interactions through the last three years. I just
2 note three workshops. We briefed the Commission
3 twice, and we've actually issued the draft rule
4 language now on three occasions, and most recently
5 back August 2nd, it appeared on our external web, so
6 just a little background.

7 CHAIRMAN APOSTOLAKIS: You just said there
8 have been numerous interactions. And apparently,
9 there are still significant technical issues. Why do
10 we believe that during the public commentary period,
11 these will be resolved, if they have not been resolved
12 already?

13 MR. REED: I think that the biggest piece
14 -- first of all, you're talking draft language and the
15 previous interactions in that proposed rule language.
16 When we get a proposed rule language, it goes through
17 the concurrence process. It puts a lot more pressure
18 on upper management and everybody to really focus, and
19 really decide where its positions really are on each
20 of the pieces of the language, and the supporting
21 statement considerations. And you get legal, you
22 know, legal feedback too, and that's very important.
23 So the Statement of Considerations for these rules are
24 significant. I mean, they've very large, and I think
25 that's very valuable for people out there to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understand what we really mean with these rules.

2 In addition to having the guidance, I
3 think they need to understand the language. And
4 that's been a problem. I think, you know, to some
5 extent stakeholders have been somewhat blind. They've
6 seen the language but they really don't have the
7 underlying SOC for the language, and I think that
8 would be a big benefit for stakeholders to provide
9 good feedback.

10 MR. GRIMES: Dr. Apostolakis, I think --
11 you know, I'd like to add to Tim's description, and
12 point out that there have been a lot of interactions,
13 but the give and take on the dialogue up until this
14 point has been largely shooting at a moving target.
15 There have been a lot of trials to characterize both
16 the features and attributes of the process, and also
17 the regulatory framework that it would work within.

18 By publishing a proposed rule, it gets all
19 the stakeholders to focus on a baseline to work from.
20 And so that's why we feel this is a ripe opportunity
21 to take four year's worth of dialogue, and to try and
22 baseline it to move forward to resolve the public
23 comments and the issues concerning implementation.

24 CHAIRMAN APOSTOLAKIS: How long is the
25 public comment period, 60 days, or 75?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. REED: Seventy-five days.

2 CHAIRMAN APOSTOLAKIS: Seventy-five.

3 MR. REED: Okay. Next I want to go
4 through the proposed rule language, at a pretty high
5 level and pretty quickly, and I'm doing that for the
6 sake of time so that we can get to the technical
7 implementation issues, which I think are of most
8 interest to this Committee.

9 Really quickly, before we go into the
10 language, just to remind everybody here, the Committee
11 and everybody else here, Option II, now proposed 56,
12 about risk-informing special treatment requires. It's
13 not about changing design-basis functional
14 requirements. In fact, the entire framework is
15 designed to maintain design-basis function
16 requirements. I think we all too often forget that.
17 We're really talking about risk-informing assurance.
18 If you want to risk-inform technical or design-basis
19 functional requirements, that's Option III. So just
20 a little bit of a reminder to everybody.

21 Now getting into the proposed rule
22 language, the overall structure of the rule is
23 basically the same, although you'll see some format
24 changes from what you were familiar with in the last
25 draft rule you looked at. There's still -- Paragraph

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 A still goes through the definitions of RISC-1, 2, 3
2 and 4, and it's done before. This is the same. We've
3 now added a safety significant function definition.
4 That's new, but that language is supposed to be
5 entirely consistent with the philosophy of Reg. Guide
6 1.174, and it's defined as, "A safety significant
7 function is a function whose loss or degradation could
8 have a significant adverse affect on defense in depth
9 safety margins or risk", and that language is used in
10 the rule. And now we're basically using that to tie
11 the rule a little more tightly together.

12 Paragraph B now does a little more than
13 what it did in the past. Last time we saw it, it was
14 basically there to identify who could really adopt it.
15 And those, of course, are the same people, the reactor
16 licensees, either current licensees or applicants.
17 And that's both Part 54 licensees, renew licensees,
18 current or Part 50 licensees, current licensees, as
19 well as, you know, traditional Part 50 applicants, or
20 Part 52 applicants, so basically light-water reactor
21 licensees.

22 MEMBER ROSEN: But only light-water
23 reactor.

24 MR. REED: Right. Exactly, because we're
25 using CDF and LERF. Exactly.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: But that raises the
2 question that -- the implication of saying that is
3 that non-light-water reactor licensees are presumably
4 advanced plants, will not have special treatment
5 requirements. Is that so?

6 MR. REED: Well, we would have to design,
7 I think, the regulation with that -- those kinds of
8 designs in mind. In other words, when we talk about
9 -- when you're looking at the bottom line, for
10 example, and this rule is, you know, risk cannot be no
11 more than small change. We measure with CDF and LERF,
12 you know, large early release and CDF, that means
13 something for light-water reactors. I think we'd have
14 to look at those designs in detail, and then try to
15 develop the rule. I'll let the PRA experts talk about
16 that, but that's principally where we're coming from.

17 MEMBER ROSEN: So it's an implementation
18 difficulty. It's not a philosophical difficulty.

19 MR. REED: It's not a philosophical
20 difficulty.

21 MEMBER ROSEN: It seems to me that one
22 could use this process doing non-light-water reactors
23 also.

24 MR. REED: You could, I think. But we'd
25 have to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: You could apply special
2 treatment requirements, whatever they are, to the
3 things that are --

4 MR. REED: Well, we would have to develop
5 those from the start with that in mind, I think. And
6 we haven't.

7 MEMBER KRESS: And if you were using that
8 it would be small increase to the risk, instead of
9 small increase in CDF and LERF.

10 MR. REED: Yeah. You could do that, and
11 then we'd have to develop all the --

12 CHAIRMAN APOSTOLAKIS: So if you do
13 nothing else, we will then impose the safety-related,
14 non-safety-related categorization to advanced
15 reactors, as well? Let me put it a different way.
16 For advanced reactors or future reactors, would you
17 still need the RISC-1, 2, 3 and 4, or you may go on
18 with your safety significance --

19 MR. REED: Okay. To implement this
20 process, unfortunately, you've got to go first to the
21 safety-related/non-safety-related world.

22 CHAIRMAN APOSTOLAKIS: Even for future
23 reactors.

24 MR. REED: Yeah. You'd have to put it
25 into safety-related/non-safety related terms first,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and then map that into I, II, III and IV. You could
2 do that all up front though, on paper, and procure it
3 initially - okay - as RISC-3 at the facility at the
4 site. Okay? But you still have to map it in. You've
5 got to do the -- remember, we're maintaining the
6 design-basis, so you've got to go out there and do the
7 design-basis the old way, including all the Chapter 15
8 stuff and everything. Okay? That's the way this
9 thing was designed, unfortunately, because it's taken
10 the current set of regulations, and trying to map them
11 into it.

12 MR. GRIMES: This is Chris Grimes. I'd
13 like to -- Tim describes is as "unfortunately."
14 Actually, I think it's a fortunate thing, that we're
15 now looking at, you know, what are the technical needs
16 in order to go through and look at our rules and
17 regulations relative to non-light-water reactor
18 technologies, and the Part 52 licensing process. And
19 I think that we're going to have -- there's going to
20 be a meeting later this month, where the Office of
21 Research is going to explore some of the technical
22 needs in that area. And that will give us an
23 opportunity to reflect back on, in rule making space
24 in terms of what are the order and priorities for
25 looking at improving the rules to deal with non-light-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 water reactor technology.

2 CHAIRMAN APOSTOLAKIS: One last comment on
3 this. There are significant requirements of the
4 quality of the PRA and the proposed use. And I wonder
5 how one would handle that in a future reactor?

6 MR. REED: I think there's going to be a
7 lot of issues that we have to look at, and that would
8 just be the start.

9 MEMBER ROSEN: But there's no fundamental
10 opposition in the staff to applying a process like
11 this to non-light-water reactors. It's just an
12 implementation difficulty, because of CDF and LERF
13 that define specific ways for the current versions.
14 It may need to be defined in a different way, for a
15 different type of reactor.

16 MR. REED: Yeah. Continuing on then now,
17 up in the front, in the Paragraph B, we now list the
18 so-called special treatment requirements now in the
19 front, for which 50.69 is an alternative to, so we've
20 moved those up in the front. And now we have
21 submittal requirements up in the front, so this kind
22 of -- the way this works now, it identifies the
23 licensees who may do it, what this is an alternative
24 to, and then how you implement it. Here's how you do
25 the submittal, so that makes a little more sense.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It's more consistent with other regulations, so that's
2 the format changes there. And those requirements are
3 pretty much the way they've been in the past, so I
4 don't think there's too many surprises there.

5 Moving on then, you make, of course, your
6 submittal, and what you are doing, you measure your
7 submittal against Paragraph C. That's the next
8 section, the categorization requirements, we're going
9 to review and approve their submittal, and see
10 whether, in fact, it meets those Paragraph C
11 requirements.

12 Those requirements again, as already noted
13 by the Chairman, we have a lot of PRA requirements,
14 and there's requirements on the categorization
15 process, requirement to have an IDP or expert panel,
16 and I have listed some of the highlights. I won't go
17 into a lot details here, because this is going to be
18 hit pretty significantly by Donny a little later on,
19 and I think that's probably the best place for the
20 Committee to spend its time. But those requirements
21 are pretty much the way they've been in the --

22 MEMBER KRESS: Well, what are you going to
23 do about shutdown and low power modes, since nobody
24 really knows how to do them?

25 MR. HARRISON: Yeah. We'll get to that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when we get to the other part of the process.

2 MEMBER ROSEN: Okay.

3 MR. REED: The next Paragraph is D, and
4 again, this remains the treatment paragraph that you
5 categorized in the bins 1-4. You apply the treatment.
6 These treatment requirements are pretty much the way
7 they've been before. A little bit of a change here.
8 RISC-1 and 2, of course, maintaining all the special
9 treatment requirements on them, with an additional
10 requirement that says, you know, take a look at your
11 treatment applied to these really for the area beyond
12 design-basis assumptions occurring in your
13 categorization process, and make sure that, you know,
14 the performance you're assuming there is consistent
15 with the treatment. That's what that requirement is
16 there for.

17 And then, of course, RISC-3 treatment
18 where there's been a lot of focus over the last couple
19 of years is basically we're trying to put in the
20 minimum level of requirements to maintain with
21 sufficient confidence RISC-3 capability performance,
22 safety-related functions under design-basis
23 conditions. We think we've achieved that.

24 You'll see a little bit less detail there
25 than we had before. We think we've had a little bit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 more robustness in the categorization requirements, so
2 we've tried to remove a little more detail. But all
3 the previous versions, including this one, have that
4 overriding requirement to maintain RISC-3 design-basis
5 capability, and that's still there.

6 Paragraph E then is the feedback and
7 process adjustment paragraph, and that's really -- the
8 requirements there are to maintain this process valid
9 over time, so as you change the plant, as you change
10 procedures, as you change your operating practices, as
11 you gain information from outside the plant through
12 industry, as well as performance data from the plant
13 itself, that all has to come back into the PRA in the
14 categorization process. And Paragraph E explicitly
15 requires that, and makes you build that back into the
16 process to maintain it valid over time.

17 We were more implicit with these
18 requirements than previous versions. Now I think you
19 see it spelled out pretty explicitly, so the rule is
20 a little more clear in that respect.

21 Then F and G are pretty much now the way
22 they were in the past, you know, with the pieces that
23 were moved up front, but these are the program
24 documentation requirements, requirements to document
25 the decisions on categorization process, requirements

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to update your FCR as you implement this process,
2 reporting requirements. Those are reporting
3 requirements, in addition to 72 and 73, if you have an
4 event or degradation that would have caused a RISC-1
5 or RISC-2 SE not to be able to perform a safety saving
6 function, and it's not otherwise reportable under
7 50.72 and 73, then we have a reporting requirement now
8 in 50.69. And that's the same as in previous --
9 that's a pretty high level, pretty quick go-through of
10 the rule, but I think -- as I said before, I think
11 it's probably more important to get to the technical
12 issues. And then I think all these issues with the
13 rule can be discussed with the technical issues also,
14 at the same time.

15 As a way of kind of introducing the
16 technical discussions that will follow, I've got a
17 slide here that just basically is a way of getting all
18 the issues into one of three bins. As you are well
19 aware, in the last three years there's been a tug-of-
20 war in trying to put proposed 50.69 together. We've
21 been trying to drive this thing to have robust
22 requirements in the rule, so that if somebody who
23 implements the regulation will, in effect, have a
24 categorization process that bins SSCs in 1, 2, 3 and
25 4 with high confidence. High confidence that's either

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 safety significant, or high confidence that it's low.
2 And once you have high confidence, then we feel
3 comfortable with applying the treatment requirements
4 that we've delineated in the proposed rule.

5 And as you're well aware, we have the rule
6 requirements. We've been working with NEI through
7 numerous -- three different drafts, and we'll continue
8 to work with them on the implementation guidance. And
9 if you see in the package, we have some comments on
10 their most recent Draft Revision C that we need to
11 continue working on, so that's where the
12 categorization requirements are. And we continue to
13 work and make sure they're robust.

14 At the same time now on the other side
15 we're trying to be risk-informed, to keep our focus on
16 what's important, so we're making sure the treatment
17 in boxes 1 and 2 are sufficient to maintain the
18 process as valid. Okay? At the same time, a RISC-3,
19 we're trying to have the minimum amount of
20 requirements to maintain design-basis functionality in
21 RISC-3, but no more than what's necessary to do that.
22 And that's been the other difficulty we've been
23 having. And we think proposed 50.69 does that - okay
24 - but that's certainly been a challenge, and you've
25 seen through all the different gyrations we've come

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through. That's been a big effort.

2 And in another area, there's a kind of --
3 I like to think of us a tie between categorization and
4 treatment. And in fact, my view is the bottom line.
5 The bottom line on 05.69 is when you implement it,
6 there should be no more than a small increase in risk.
7 Okay? And we do that. We spell it out explicitly in
8 the rule, I think in C-1.4, that basically you have to
9 show with small changes in CDF and LERF. And we say
10 what small changes are in the SNC and it's Reg. Guide
11 1.174 type criteria. But you have to show that
12 there's no more than a small change in risk, and that
13 comes down to sensitivity studies that you run. If
14 it's in the PRA, or if it's not in the PRA, as being
15 an evaluation using other models. And then the basis
16 for those assumptions, and I think that's really a lot
17 of where this Committee, and the technical
18 interactions with industry are going to focus. That's
19 been a very, very big technical issue, and I think it
20 will continue to be as we try to resolve the remaining
21 issues.

22 That's by way of trying to introduce the
23 next two speakers up here. And I have -- I think
24 Adrian from NEI, at least as I understand the agenda,
25 would be next to discuss Draft Revision C of NEI-00-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 04. And then following that, Donny Harrison to
2 discuss our comments and issues associated with that.
3 But that's all I have for right now. The next slide
4 you have, Next Steps, Chris will get that at the end
5 of everybody's presentation, but I can close right
6 now. I think I'm still pretty much on schedule, and
7 have any questions on this aspect of the presentation.

8 CHAIRMAN APOSTOLAKIS: Move on.

9 MR. PIETRANGELO: George, before Adrian
10 goes through our changes, I just wanted to make a
11 couple of introductory comments.

12 MEMBER ROSEN: Identify yourself, Tony.

13 MR. PIETRANGELO: This is Tony Pietrangelo
14 from NEI. We've been working on the development of
15 this document now for about a year or two. From our
16 perspective, we're way ahead of the game from normally
17 where we are associated with a rule making. In fact,
18 the regulatory guide -- this categorization guideline
19 was developed in advance of the draft ruling, which
20 has been put out for public comment over the last
21 year.

22 Typically, we wait to finalize the ruling,
23 which then we go out and develop the guideline or
24 regulatory guidance on how to implement the rule.
25 We've still got at least a year or so to go before we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anticipate a final rule on this. And, therefore, we
2 have at least another year to work on this guideline,
3 so what you see today, and what Adrian is going to go
4 over is the latest set of changes based on the
5 feedback from our pilots.

6 Obviously, there's going to be additional
7 changes as we get comments from this Committee,
8 comments from our own membership, comments from other
9 stakeholders, so this is a work in progress. Our
10 intent is to get full NRC endorsement and a regulatory
11 guide of this guideline, such that the ability to
12 implement 50.69 will be stable, will be predictable,
13 and will be beneficial to all parties, so with that,
14 I'll have Adrian go through the changes we've made,
15 and then maybe we can come back to some of these other
16 questions.

17 MR. HAMMER: Good morning. My name is
18 Adrian Hammer from NEI. I'm one of the Project
19 Managers that works with Tony Pietrangelo and Steve
20 Floyd on risk-informed regulation.

21 I thought as we start, it would be
22 worthwhile just going back and looking at where we
23 started and where we've been, and where we're going.
24 And the project really started in 1999, firing off the
25 Commission's SRM on SECY-98-300, and the initial

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drafts Rev. A, were based on the early regulatory
2 interactions. And we put something together, and then
3 during those interactions as they went on, the concept
4 of pilot projects and pilot plants was raised. And we
5 then moved forward and produced Rev. B in 2001, based
6 on the initial feedback we got from the NRC, and input
7 as the pilot plants folk prepared to move forward and
8 test the guideline.

9 They've done that now, and Rev. C really
10 incorporates some of the pilot plant lessons learned.
11 It really turned and looked at the guideline, what we
12 had in Rev. B, and said how can we improve on it in
13 two areas. One, so that it would be more attractive
14 to people to move forward. And two, to incorporate
15 what they learned. And it also incorporated a series
16 of observations that the NRC made as they witnessed
17 the IDP interactions.

18 CHAIRMAN APOSTOLAKIS: What are the pilot
19 plants?

20 MR. HAMMER: The pilot plants are Surrey,
21 Wolf Creek, Palo Verdis, and Quad Cities.

22 CHAIRMAN APOSTOLAKIS: Now you didn't
23 mention at all the South Texas project.

24 MR. HAMMER: Well, they were approved for
25 concept. They were way ahead, and really the four

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pilot plants were coming along behind them, learning
2 from it as they went forward, and seeing how they
3 could, perhaps, improve on the South Texas plant.

4 CHAIRMAN APOSTOLAKIS: To what extent are
5 you basing this on the South Texas experience?

6 MR. HAMMER: I wouldn't say it's based
7 totally on it, but it takes insights and input, and
8 methodologies that South Texas used. And then we had
9 a general discussion, and throughout the development
10 process, when we sort of were going round and round in
11 circles on certain topics we said well, what did South
12 Texas do? And that provided a stabilizing influence
13 to the discussions and the development of the
14 guideline.

15 MR. PIETRANGELO: We should mention that
16 South Texas is also represented on the task force,
17 helped in develop the NEI 00-04 guidance.

18 MR. HAMMER: And we see the guideline
19 development will continue through the rule making
20 process, taking insights and input from the rule
21 making activities.

22 The actual changes in Rev. C, when we
23 started off we really went through 00-04, a component
24 by component evaluation. And what the pilot plants
25 recommended is that we change that emphasis, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really build on what we'd done in previous risk-
2 informed activities, take insights from what South
3 Texas did, and really try and, I guess, make the
4 process more efficient, but still come out with the
5 right answer. And also, take into account some of the
6 comments that the staff had by saying well, you're not
7 looking at -- the PRA doesn't look at all components.
8 And we tried to change the methodology so what we had
9 to do, actually expand the scope and do look at all
10 components, so it's somewhat more conservative.

11 CHAIRMAN APOSTOLAKIS: But which way did
12 you change it? You're not looking at the component by
13 component, so which --

14 MR. HAMMER: No, we've gone to a
15 functional basis.

16 CHAIRMAN APOSTOLAKIS: Functional basis.

17 MR. HAMMER: Yes. And I'll get to -- the
18 next slide actually speaks to that. Following
19 discussions with the NRC earlier this year, we moved
20 the guideline to more of a categorization guideline,
21 and the treatment will be moved. Rev. B had something
22 like 60 pages on categorization, and 30 pages on
23 treatment. We're going to take the treatment out, and
24 move it into a supplemental industry guidance
25 document. We're going to expand the treatment basis,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 especially in the area of EQ seismic, and how to apply
2 the various code cases. And it's really to provide
3 some consistency in the application and treatment to
4 RISC-3 throughout the industry.

5 We've refined the change control process
6 to take into account we're now looking at the beyond
7 design basis functions, and we've looked at the
8 periodic review, and we've tried to improve on that.
9 We may have to change that, and I'll get to that point
10 in a minute or two. And taking input from both the
11 IDPs and from South Texas activities, and this
12 Committee, we believe we've improved the guidance as
13 regards to the IDP, what they're to do, and what
14 they're not to do.

15 Some of the specific changes, and I think
16 this talks to what you're speaking to, George, is it
17 really builds on the previous risk-informed
18 activities, and the way we've adjusted the guideline
19 is that we go ahead and we identify using the PRA, and
20 operate and experience, identify the safety
21 significant functions. We then identify the flow path
22 that supports those safety significant functions, and
23 then we map the SSCs to those flow paths. And then
24 all the way through that, we then go back and verify
25 the functions, have we missed anything, so the PRA is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 used as a checking mechanism. Have we missed any
2 safety significant functions? Did the PRA give us
3 any insights that would make the function safety
4 significant? And did the PRA actually identify any
5 components, or specific components that we've missed?

6 That is a much more conservative approach
7 than we had in Rev. B. And there is an option in
8 there to do additional detailed engineering because,
9 for example, if you have a flow path that supports a
10 safety significant function, the vent and drain valves
11 would be considered safety significant, and so we
12 would say you would then do an additional engineering
13 evaluation to say why you believe those vent and drain
14 valves, perhaps, are not safety significant. Document
15 that, justify it, and then run that back through the
16 process, see what impact that would have on the
17 overall approach.

18 We think it's more encompassing, and a
19 number of licensees believe that they can get, if you
20 like, 80 percent of the benefit just by doing the
21 course approach, and then the rest, and certainly for
22 some plants, they would need to go down and do the
23 additional engineering evaluations, documenting them,
24 and then run them, see how it changes the SSC
25 categorization, and then provide the basis for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 change to the IDP.

2 CHAIRMAN APOSTOLAKIS: Now it's not very
3 clear to me what the role of the safety functions,
4 safety significant functions is. Is this guidance to
5 the IDP, because when I do the categorization using
6 the Fassell-Vasley in raw measures, I apply those to
7 SSCs, don't I - not to functions?

8 MR. HAMMER: You apply those to SSCs, and
9 that's part of the check that I said, having
10 identified the functions, and then map the SSCs to the
11 functions. You then check that off against the PRA,
12 the Fassell-Vasley --

13 CHAIRMAN APOSTOLAKIS: The ultimate
14 decision of whether it's safety significant or not
15 depends on what? I mean, it's stated somewhere that,
16 you know, the function may be safety significant, but
17 you can have, you know, ten different ways of
18 achieving that function. So how does that come into
19 the picture? I mean, as to what --

20 MR. HAMMER: Well, the aim is that if you
21 choose a pathway, and you say this is the way I'm
22 going to select the pathway, and you map the SSCs to
23 those functions, and then you go back and you see what
24 the results of the PRA gave you. And you say well,
25 there's a group of SSCs in there that would be safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant that you haven't identified. You would
2 bring those in and say these are safety significant,
3 and then either make an argument why they're not, or
4 just assume that they are, and present results to the
5 IDP.

6 CHAIRMAN APOSTOLAKIS: And why is that
7 different from going to the PRA and just doing the
8 Fassell-Vasley, and saying this component is safety
9 significant or not? It's not clear to me, in other
10 words, what the intermediate step of the safety
11 significant function does. Is it just to organize
12 your thinking, and do a more comprehensive analysis?

13 MR. PIETRANGELO: You still do -- I mean,
14 the functional importance is still based on the
15 importance measure of the SSCs that are modeled in the
16 PRA.

17 CHAIRMAN APOSTOLAKIS: No, I thought that
18 was determined a different way.

19 MR. PIETRANGELO: Well, in addition to
20 other insights you get from the rest of the things we
21 do in the categorization guideline. Once the safety
22 significant functions are identified, as Adrian said,
23 then you do a fairly conservative broad-brush.
24 Everything associated with that function is now
25 considered high safety significant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PERRY: George, can I -- this is
2 Garreth Perry from the Staff. I think our
3 interpretation of the way it's set up, is that first
4 of all, you do the component importance based on the
5 SSCs. And then --

6 CHAIRMAN APOSTOLAKIS: You mean on the --

7 MR. PERRY: Just on the PRA model, right.
8 Using Fassell-Vasley in raw.

9 CHAIRMAN APOSTOLAKIS: Yeah. Yeah.

10 MR. PERRY: Then you look at the functions
11 that those SSCs support. Those functions are then
12 ranked according to the importance of the SSCs.

13 CHAIRMAN APOSTOLAKIS: Well, that's a very
14 different process from what I just heard.

15 MR. PERRY: No, but I think then the next
16 step is that if the function is now given a certain
17 importance, then every component in that -- that
18 supports that function is also given that same
19 importance. So what this process is doing is
20 capturing all those things that are not modeled
21 explicitly in the PRA.

22 CHAIRMAN APOSTOLAKIS: I just don't see
23 how you could do that. I mean, let's say you do the
24 Fassell-Vasley in raw, and you find that 15 components
25 that support one function are of high safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significance, and 23 are of low safety significance.
2 How do you determine the safety significance of the
3 function?

4 MR. PERRY: By the highest safety
5 significance of any component.

6 CHAIRMAN APOSTOLAKIS: So even if one SSC
7 safety significant function is --

8 MR. PERRY: Yes.

9 CHAIRMAN APOSTOLAKIS: And then you turn
10 around and say everything supporting the function is
11 safety significant?

12 MR. PERRY: That's right. That's what
13 Adrian was saying.

14 CHAIRMAN APOSTOLAKIS: How can you get
15 anything in RISC-3 if you do that? I mean, we
16 discussed this with South Texas four years ago, that
17 the function may be significant, but if you have 100
18 ways of achieving it, why is everything under safety
19 significant? I think --

20 MR. HAMMER: That's the course screen, and
21 that's what some of the pilots did. And they found
22 they did have equipment going into RISC-3. Then if
23 you're in the situation that you've just described,
24 George, you then do additional engineering evaluation
25 to look at the SSCs in the flow path, and see if you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can justify why -- are they really safety significant,
2 or is there some reason that you can make why they're
3 not safety significant? You document that, and then
4 you run that back through the process.

5 CHAIRMAN APOSTOLAKIS: Now you say it's a
6 course categorization, but you have already done the
7 Fassell-Vasley in raw, which is not a trivial thing to
8 do.

9 MR. HAMMER: But only on the components
10 that are in the PRA.

11 CHAIRMAN APOSTOLAKIS: So are we
12 addressing now the other group?

13 MR. HAMMER: That's right. And this
14 method is attempting to -- one of the major comments
15 that we had from the staff, and I believe this
16 Committee, is how do we bring in all the other
17 components?

18 CHAIRMAN APOSTOLAKIS: So again, if I have
19 15 that are safety significant, 23 that are not. I
20 declare the function as safety significant, but I can
21 still argue that 23 are of low safety significance,
22 because the Fassell-Vasley wrote them to be low, and
23 I also include defense in depth arguments and so on.
24 But then I go to the components that are not in the
25 PRA and support this function. Automatically they are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 safety significant, unless I give additional
2 arguments.

3 MR. PIETRANGELO: That's correct.

4 MR. PERRY: I think the word --

5 CHAIRMAN APOSTOLAKIS: Well, why don't you
6 say that in the document?

7 DR. BONACA: Well, I have one question.
8 I understand. That is good. Still you have, right
9 now, a Category-1 list of the plant. Okay? Through
10 this process you will not include some of those
11 elements. Are you going to do a verification of the
12 process also for the remaining ones in the Category-1
13 list? See what I'm trying to say, right now, for
14 example, South Texas had like 40,000 known PRA model
15 components on the list. My understanding that for
16 which one of them they went through a process. It was
17 either -- if it wasn't in the PRA they went through
18 the deterministic process one by one, so at the end of
19 the process, all of them went through.

20 Through this approach, you are not going
21 that way. You are going through identifying
22 functionality, and so on and so forth, so you miss a
23 number of those Category-1. Are you just going to
24 exclude it automatically just because it did not -- or
25 are you going to make a verification of each one of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the --

2 MR. PIETRANGELO: I think what happens is
3 when the function is identified as safety significant,
4 as Adrian said, you broad-brush that entire train that
5 supports that function.

6 DR. BONACA: I understand that.

7 MR. PIETRANGELO: Yeah. I think that'll
8 capture the components that you're referring to. If
9 it's a safety related system, if they start in
10 Category-1, then all those SSCs are probably safety
11 related already. I think the -- yeah, the minor
12 difference, as Garreth said, was everything else that
13 supports the function, it's everything else kind of
14 associated with that train that is the function. Then
15 you go -- and this is optional. Then you can go
16 through an engineering evaluation to determine does it
17 really support the function or not?

18 DR. BONACA: But I think you have to --

19 CHAIRMAN APOSTOLAKIS: But to what extent?

20 MR. PIETRANGELO: Well, you can do that,
21 but it's really more of a direct tie.

22 DR. BONACA: But it seems to me at the end
23 you'll have to do just for the heck of going from one
24 list to the next, a verification that each one of the
25 items that you had in the original list has gone

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through the process.

2 MR. HAMMER: Or at least have some -- say
3 there's five items here that haven't gone through the
4 process, and they're in the system. Where did they
5 end up?

6 DR. BONACA: Or at least, I mean -- I'm
7 not saying that they're going --

8 MEMBER SHACK: The default is always they
9 remain where they are until you demonstrate the move.

10 CHAIRMAN APOSTOLAKIS: But they may not be
11 in the safety related category already, so I don't
12 know -- I mean, South Texas found that 600 or so
13 components had to actually be elevated to RISC-2. So
14 I wonder how -- it's not clear to me how this process
15 captures that. It probably does.

16 DR. BONACA: It probably does, but that
17 worries me less than simply that -- the completeness,
18 but I think you have a good point, Bill. I mean, if
19 something doesn't go through that process there, it
20 remains. So probably you want to go a step further
21 just for convenience, to verify you can element those
22 too.

23 MEMBER ROSEN: I think we're talking about
24 pathways to the same end result. I don't think we end
25 up in a different place using the South Texas process,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or this process.

2 MR. PIETRANGELO: No. I think --

3 MEMBER ROSEN: And I'm still curious as to
4 why you go through all of this. Why make it so
5 different? I don't see the benefit of changing. You
6 know, it was much more straightforward, for me, at
7 South Texas.

8 MR. HAMMER: I think the pilots felt that
9 if they were to stick with the process that was
10 described in Rev. B, that the resources associated
11 with that, they believed, were higher than this
12 approach. And it was one of how can we make this
13 approach more efficient, and build on what we've done
14 before so the likes of the IDP would better understand
15 it? Because it really builds on what we did in the
16 other risk-informed categorization activities.

17 CHAIRMAN APOSTOLAKIS: But would you say
18 though, that the first three or four questions that
19 were explicitly stated in the South Texas approach to
20 the panel, in fact did that? They identified the
21 safety significant paths. I mean, this is really what
22 you're --

23 MR. HAMMER: Yes, that's right.

24 CHAIRMAN APOSTOLAKIS: Because when they
25 have to decide what is the safety significant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 function, essentially you will go through the same
2 kinds of questions, won't you? So it's not --

3 MEMBER ROSEN: Maintenance rule questions
4 I think is what George is referring to.

5 MR. HAMMER: Yeah. That's right.

6 CHAIRMAN APOSTOLAKIS: It's not really
7 different. Right?

8 MR. PIETRANGELO: Well, the difference is
9 that South Texas did it component by component across
10 the board. This starts with the components
11 importances --

12 CHAIRMAN APOSTOLAKIS: And goes up.

13 MR. PIETRANGELO: Goes to the functional
14 level, broad-brushes it.

15 CHAIRMAN APOSTOLAKIS: And then goes down.

16 MR. PIETRANGELO: People can stop there,
17 feel like they captured everything they needed to, or
18 they can go to the next level as South Texas did in
19 their case, to further categorize. So it's a little
20 bit more streamlined, less tedious approach. I think
21 if you go the full approach that we're talking about,
22 you're going to end up doing all the same things as in
23 South Texas.

24 CHAIRMAN APOSTOLAKIS: Now I wonder, do
25 you remember off-hand where this is described in NEI

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 00-04? And why I missed it.

2 MR. PIETRANGELO: There's a chart in
3 there. That is the functional chart.

4 MR. HAMMER: Figure 2-1 is a general
5 overview.

6 CHAIRMAN APOSTOLAKIS: Figure 2-1? I
7 guess it's on there, but I'm looking at it with a
8 different eye now. Oh, yeah. You have it there.
9 Okay. So you go to the right there, component safety
10 significance, and then engineering categorization of
11 functions. I see. That makes more sense.

12 MR. HAMMER: Okay. One of the other areas
13 that we've tried to improve the guidance on is the
14 change control processes. And if you look at these --
15 and what we focused on is the post implementation
16 activities. And what we're talking here is if you
17 look at 50.59, 50.59 has the initial screen dealing
18 with the design-basis functions. And when you go into
19 risk-informed space, and you go through Option 2 in
20 the categorization process, some of the functions are
21 what we consider to be beyond design-basis. And so
22 somehow you need to capture those, and we've attempted
23 to do that in the guideline.

24 We've also attempted, at the request of
25 the pilot plants, to provide guidance on what action

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should be taken should the SSCs change categorization
2 once you finish the 50.69 categorization activity, and
3 perhaps you've changed the treatment.

4 One of the comments we've received back
5 when folk have really had time to digest and think
6 about the guideline is, perhaps some of the material
7 that we put in here as regards what action we take is
8 more akin to treatment, and we need to look at that,
9 along with the periodic review to make sure the
10 guideline is consistent, and we're talking about
11 categorization activities. But I do think we need to
12 put something in the document to give some indication
13 of how we're going to treat equipment that was non-
14 safety related, went to 2, and then came back. Or was
15 safety related, went to 3, and then for some reason or
16 another something changes, and you now feel it should
17 be back as safety --

18 MEMBER ROSEN: That's very important,
19 Adrian, because as people look at better and better
20 PRAs, you know, trying to come into conformance with
21 the standards or responding to peer review comments,
22 and do better PRAs, if they have gone ahead and done
23 categorization with their less good PRAs, and then
24 make changes to the PRAs to improve them, they may end
25 up with quite a few of these changes. And what we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 call them at South Texas, what we're calling them
2 South Texas if that happens, and that has happened at
3 South Texas, could we call them critical changes if
4 the changes take something that we put in low, and
5 move it back to high? In other words, cross it back
6 over, so that it would change the treatment. That
7 doesn't happen very often, we hope, but if it does it
8 can be, you know, it can be confounded. So it's very
9 important what you do with that second bullet.

10 MR. HAMMER: Right.

11 MEMBER ROSEN: Because it will happen.

12 MR. HAMMER: So we do have some guidance
13 in there. We also proposed and this -- as regards to
14 controlling the categorization process itself, we
15 would use the commitment management guidelines, NEI
16 99-04, which really need to be amended to reflect some
17 of the activities that we're doing in Option 2.

18 We've developed a draft change to that
19 document. It's with the industry now, and we hope to
20 forward it to the staff in the near future. But we
21 recognize that is an open item, and an open issue.

22 As regards the guidance on action to be
23 taken, we did produce in the guideline a small matrix
24 of how to observe changes to the PRA, and whether or
25 not it should at least be their starting point for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 considering whether or not you need to change the
2 categorization of the SSC, following the 50.69
3 categorization process.

4 Other changes, we made some changes to the
5 periodic review, and which we believe are consistent
6 with the ASME PRA standard. We went around the board
7 a couple of times on this one. We started off I think
8 in Rev. 8 with a set period of time, the ASME PRA
9 standard. Then didn't have a specific period of time,
10 had some criteria listed. And what we tried to do is
11 just reference the ASME PRA standard when you do a
12 periodic review, and that then leads to what's the
13 impact of that? If you have to change the PRA, what's
14 the impact on the categorization?

15 We have based on inputs from the pilots
16 and the observations from the pilot activities, and
17 the comments made, provided additional guidance for
18 the IDP, both in the area of training and
19 familiarization on how to deal with risk information,
20 how to deal with the defense in depth. And we've also
21 taken an action to expand the description in the
22 guideline on defense in depth, to put some words to
23 the diagrams, or more words to the diagrams and
24 figures, to better explain how to interpret that
25 defense in depth diagram. And really to give an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 overall concept of what the IDP is meant to do. And
2 I think it's important here to recognize that in Rev.
3 B, the IDP was more -- we envisioned the IDP to be
4 more of a working level panel. And what's come out of
5 the pilot activities is we believe the IDP is more of
6 an oversight and review function, with subsidiary
7 groups underneath doing the work. And then they
8 present the results, and the justification of those
9 results to the IDP. So the IDP is the final
10 arbitrator of what's safety significant and what's
11 not, but that is somewhat of a change to where we've
12 been before.

13 MEMBER KRESS: Could you elaborate a
14 little on what defense in depth guidance you've given?

15 MR. HAMMER: We have a - let me see if I
16 can find it - a chart in there.

17 MEMBER KRESS: Figure 6.1.

18 MR. HAMMER: Figure 6.1.

19 MEMBER KRESS: Yeah. Would you explain
20 that chart a little to me? Now apparently, you've
21 taken the list of design-basis events that are
22 generally dealt with, and you predetermined what their
23 frequency range is. And so, you're looking at design-
24 basis accidents and you're asking, I have an SSC that
25 by the other process, I've already classified as low

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 safety significance. It means it has a small affect
2 on CDF in this case. And then you're going to say now
3 have I maintained the defense in depth philosophy?

4 MR. HAMMER: Right.

5 MEMBER KRESS: So you're going to look to
6 see if that SSC has to be called upon in one of these
7 DPAs or what?

8 MR. HAMMER: It has to be -- not
9 necessarily has to be called upon, but at the end of
10 the day, do you still have two diverse trains, or one
11 train plus a system with redundancy available to
12 address those activities.

13 MEMBER KRESS: Yeah, I understand. I'm
14 thinking SSC that you've classified as low safety
15 significant.

16 MR. HAMMER: Right.

17 MEMBER KRESS: Where do I put it on this
18 chart, first?

19 MR. HAMMER: Well, this was really coming
20 at it from the functional aspect.

21 MR. PIETRANGELO: Well, it's the same
22 thing. Its function is to mitigate one of those.

23 MEMBER KRESS: Okay. You make a judgment,
24 or if you look at its reason for --

25 MR. PIETRANGELO: Typically, it's formally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 credited in the safety analysis.

2 MEMBER KRESS: Okay. It's formally
3 credited in the safety analysis for it to deal with
4 that.

5 MR. PIETRANGELO: That's correct.

6 MEMBER KRESS: That wasn't clear to me.
7 So you -- it may be there to credit several of these.
8 You pick the one with the high -- the lowest
9 frequency?

10 MR. PIETRANGELO: You look at all of them.

11 MEMBER KRESS: Look at all of them.

12 MR. PIETRANGELO: Yeah. Where it's
13 credited you look at -- for any of those events, you'd
14 look at all those scenarios.

15 MEMBER KRESS: But it's not necessary to
16 look at all of them, because you pick the one that's
17 lowest frequency --

18 MR. PIETRANGELO: You'll end up doing
19 that. That's correct.

20 MEMBER KRESS: Yeah. Okay. So if it
21 happens to be there for loss of off-site power, plus
22 some other things, but the loss of off-site power is
23 the highest frequency DBA it's dealing with, then you
24 say that SSC should have one train, and another system
25 with redundancy. Now are we dealing with systems or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 components there, because it looks like it's all
2 systems to me.

3 MR. HAMMER: Well, it's system of
4 functions.

5 MEMBER KRESS: Okay. So if that system is
6 for that frequency of DBA, then it -- then you're
7 saying that defense in depth is maintained if there's
8 one train, and one system with redundancy.

9 MR. HAMMER: If they're still -- after the
10 categorization you still have one train with
11 redundancy.

12 MEMBER KRESS: Yeah. It's already
13 classified as low safety significant by the other
14 process.

15 MR. HAMMER: Yeah.

16 MEMBER KRESS: So this say now -- now if
17 it doesn't have that, you're going to rethink the
18 classification?

19 MR. PIETRANGELO: Right.

20 MR. HAMMER: That's right. You're going
21 to go back and either send it back to the working
22 level group, and say what -- you're either going to
23 keep it at safety significant, or you're going to send
24 it back to say do more work if this is to be
25 considered to be low, and come back to us with why it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is low.

2 DR. BONACA: These are really the items of
3 RISC-3 have been determined to be low safety
4 significant. And now you run them through this filter
5 here to verify. And those frequency design-basis are
6 the ones from the FSAR.

7 MR. HAMMER: Right.

8 CHAIRMAN APOSTOLAKIS: Is it fair to say
9 that this chart and the accompanying arguments
10 compliment the CDF LERF-based categorization? A
11 criticism that has been raised is that we haven't put
12 all the components there just to prevent core damage.
13 There are other reasons too. And focusing on CDF and
14 LERF, you may be missing some other things that, you
15 know, some other function that the component is
16 supposed to perform to prevent minor releases. Is
17 this the answer to that?

18 MR. HAMMER: Not the total answer.

19 CHAIRMAN APOSTOLAKIS: Well, what is the
20 additional answer?

21 MR. HAMMER: The additional answer is, is
22 that there are some -- in the IDP and elsewhere, there
23 are things like the IDP needs, or has the
24 categorization consider such things as late
25 containment failure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Which is again
2 beyond design-basis. Isn't it?

3 MR. HAMMER: Right.

4 CHAIRMAN APOSTOLAKIS: So for the less
5 severe consequences, this is it.

6 MR. HAMMER: Right.

7 CHAIRMAN APOSTOLAKIS: For the beyond
8 design-basis accidents, because the importance
9 measures focus on CDF and LERF, we have an additional
10 defense in depth requirement that looks at late
11 containment.

12 MR. HAMMER: The IDP or the working level
13 group --

14 CHAIRMAN APOSTOLAKIS: Which is the
15 defense in depth basis.

16 MR. HAMMER: Yeah.

17 MEMBER ROSEN: But ultimately, it's the
18 IDP's responsibility to assure that's taken into
19 account at some level.

20 MR. HAMMER: That's right.

21 CHAIRMAN APOSTOLAKIS: Yeah, but that's
22 all given to the IDP. Correct?

23 MR. HAMMER: Right.

24 MEMBER ROSEN: What they've done here is
25 moved more towards -- with this change, moved more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 towards the way the South Texas process has always
2 worked, with the expert panel being the final arbiter
3 of all changes, all kinds of risk-informed changes in
4 South Texas, categorization changes which are done by
5 a working group, risk-informed ISI changes which are
6 done by different working groups, maybe four, five,
7 six different working groups.

8 MEMBER WALLIS: Really there's at third
9 axis, which is the consequences. And just looking at
10 this, I'm a little concerned that LOCAs are somehow
11 all of low safety significance. They're actually much
12 more significant consequences than just a reactor --

13 MEMBER KRESS: Yeah. This seems to say --

14 MEMBER WALLIS: There's a third axis which
15 is sort of the significance of an event, which isn't
16 shown here. And by lumping LOCAs with reactor trip
17 ups of condenser, you make it look as if nothing
18 associated with LOCAs is ever significant. That can't
19 be true.

20 DR. BONACA: If I understand this table,
21 the first two columns are purely to deal with existing
22 commitments. They are the SFAR, the accident
23 analysis, et cetera. And to the right -- so they
24 exist the way they are. I mean -- and the
25 consequences are really listed in the SFAR. You know

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what they are. They're documented. And here, what
2 you're attempting to do, is to see what kind of
3 requirements should you impose based on the number of
4 redundancies supporting the functions. Okay?

5 But the question I have is two things.
6 One is, I understand Reg. Guide 1.121 is asking that
7 you consider all initiators, and not only the one
8 listed in this table. Right?

9 CHAIRMAN APOSTOLAKIS: Yeah, they have a
10 common element.

11 MR. HARRISON: Yeah, that's correct. This
12 is from the staff. WE're saying since it's a risk-
13 informed process, you need to look at the spectrum of
14 initiators, including like loss of service water, loss
15 of component cooling water. And the design-basis
16 event column needs to be plant-specific, so if your
17 plant has a higher initiator and frequency and it
18 moves it in the category, then you need --

19 DR. BONACA: I understand the question,
20 but I'm saying that this was put in place to deal with
21 existing commitments in the FSAR - okay - that may be
22 categorized RISC-3, and therefore, you're saying well,
23 let's go run it through this process here now. Now
24 you're including, for example, transient from the PRA
25 that may not be in the FSAR, so why are you doing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that? Wouldn't the previous process already address
2 those functions, the PRA based? Okay. I'm trying to
3 understand that.

4 MR. HARRISON: Yeah. If you want to hold
5 off that question until we --

6 DR. BONACA: That's fine.

7 MR. HARRISON: Because this is a bullet on
8 one of my graphs, as well.

9 MR. HAMMER: I think this discussion has
10 emphasized the point that we need to explain this
11 chart better, and we've recognized that. We had a
12 meeting with the staff in July, and we had a lot of
13 discussion on this. And we've agreed to expand the
14 discussion in the guideline associated with this, so
15 it's easier to understand.

16 DR. BONACA: I understand. So the issue
17 will be discussed later on. I have just -- one second
18 issue I have is, my interest clearly is in a guidance
19 that will result in applicants that do this process
20 being consistent in implementation, so at some point
21 to describe how the consistency is going to be
22 achieved. Because I understand, you know, there is an
23 expert panel there that is going to do that, but if
24 the end of the process is that the expert panel would
25 end up with, you know, 40,000 components because they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interpret the process in one way, and another one
2 2,000 because they interpret it in a different way,
3 then there is no consistency, so you'll address that
4 at some point.

5 MR. PIETRANGELO: We can address it now if
6 you want.

7 DR. BONACA: Yes.

8 MR. KELLY: Yeah. This is Glenn Kelly
9 with the staff. I just wanted to go back one second
10 to the defense in depth matrix. And I think one point
11 that it's important to be clear about is that this
12 matrix is designed specifically to deal with the
13 potential for core damage. It does not deal with, for
14 example, any additional areas and safeguards. It
15 doesn't deal with areas such as you might have tanks
16 that are holding radioactive liquid or effluent or
17 whatever, and any changes in treatment for them.

18 This is only -- the way this defense in
19 depth matrix is set up, it only deals really with that
20 aspect, like Chapter 25 analysis area in the FSAR. It
21 does not deal with other areas of the plant,
22 necessarily, so I think that should be understood when
23 you look at this.

24 CHAIRMAN APOSTOLAKIS: Well, what you just
25 said means that you're really not going to get that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information from this that is not already in the PRA.
2 Is that correct?

3 MEMBER KRESS: This almost says to me
4 though, that defense in depth concept is -- for higher
5 frequency events, you want the function to be more
6 reliable.

7 MR. PIETRANGELO: Yeah, that's it.

8 MEMBER KRESS: Well, is the consequences
9 implicit in here in the fact that you've already
10 determined that the potential function is of low
11 safety significance?

12 MR. PIETRANGELO: Yeah. In the Chapter 15
13 analysis, I mean there is no --

14 MEMBER KRESS: Yeah, that's --

15 DR. BONACA: Oh, no, no. But the point of
16 the function there is purely the one of defense in
17 depth, which means a layer of intermediate safeguards
18 to prevent any -- that's why I asked the question
19 about consistency. I want to make sure -- I would
20 like to make sure that by the time you have a
21 filtering process - okay - you will maintain an
22 accepted level of defense in depth, whatever is going
23 to be negotiated. And not that somebody eliminates
24 the functions in between through this process, and
25 others will maintain them. Not eliminate them. I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 saying undermine because of the treatment. There has
2 to be some understanding of how you're defining that,
3 otherwise it is not a logical inconsistency between
4 saying that you maintain your functional requirements,
5 and then you don't support them. I mean, it just --

6 MR. PIETRANGELO: No, we're not doing that
7 at all.

8 CHAIRMAN APOSTOLAKIS: Just to make it
9 clear in my mind, the first conclusion and
10 recommendation of our letter of March 19, 2002 says,
11 "The criteria used by the IDP for categorizing SSCs
12 should be made explicit, and should include
13 consideration of risk metrics of supplement CDF and
14 LERF, such as late containment failure and inadvertent
15 release of radioactive material." I understand late
16 containment failure is handled somewhere else. Is the
17 inadvertent release of radioactive material handled by
18 this, or there is more that should be done? That's
19 what is not clear in my mind, because we just heard
20 that this is still Chapter 15 oriented, but that's not
21 where all inadvertent releases are handled. This is
22 core damage oriented. Correct? So this is not
23 sufficient to address this concern.

24 DR. BONACA: We haven't heard --

25 CHAIRMAN APOSTOLAKIS: No, but this -- if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you look at just this figure, it's still core damage
2 oriented.

3 MR. HAMMER: And the basis behind that was
4 unless you have a core damage event, you won't get to
5 an accident, you won't get to a release. And there's
6 points being made about tanks and other mechanisms for
7 getting off-site releases, and we still need to
8 address that. That issue has come up, and we need to
9 develop some guidance about whether or not we're going
10 to look at those systems that could cause that such a
11 release.

12 CHAIRMAN APOSTOLAKIS: But as far as
13 you're concerned, this statement of inadvertent
14 release of radioactive material is handled by this.
15 That's what you just said.

16 MR. HAMMER: That's right.

17 CHAIRMAN APOSTOLAKIS: Okay. I'm just
18 trying to understand where people are coming from.

19 MEMBER LEITCH: Can I talk about a
20 specific example here for just a minute, to make sure
21 I understand. I'm having trouble with the level of
22 abstraction, I guess, in some of the discussion. Take
23 a BWR where the indication of LOCA is high dry-well
24 pressure, and low reactor pressure, so you've got
25 switches that sense high dry-well pressure and low

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reactor pressure, which scram the reactor. And
2 typically, there's four sets of switches cranked up in
3 a two out of four budgic arrangement. So I come down
4 this chart to LOCA, and then I say well, I've got a
5 completely redundant train of switches, so therefore,
6 none of the switches are -- or I should say the
7 switches are then of -- an individual switch is of low
8 safety significance. Is that the correct
9 interpretation of what I'm seeing here?

10 MR. HAMMER: Not each individual switch
11 will be of low safety significance. And in fact, when
12 you described what you said, those four switches, and
13 you say there is redundancy there, but you're going to
14 have to have something in there that's safety
15 significant.

16 MEMBER LEITCH: Not as a -- I don't know
17 if I understand the answer.

18 MR. HARRISON: If I can jump in just for
19 a second. This is Donny Harrison again from the
20 staff. I think one of the things to remember again is
21 that this is at the system functional level, so you're
22 not down at the SSC individual component to component.
23 This is saying it's the system function. If those
24 four relays are all in one system providing one
25 function, that's one system. That's not four, so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you'd have to say do I have a diverse automatic system
2 in addition to that, to be able to achieve defense in
3 depth.

4 CHAIRMAN APOSTOLAKIS: And then you would
5 go later back to the fact that you have falsehoods,
6 and see where --

7 MR. HARRISON: That would be the optional
8 step in their process. And at that point, you'd have
9 to have --

10 CHAIRMAN APOSTOLAKIS: This is the course
11 level.

12 MR. HARRISON: Right. This is the course
13 level at the -- you'd have the option later to come
14 back at the SSC level and say I've got four. Can I
15 argue why I still have defense in depth met by
16 lowering those. And again, when we get to our
17 comments, we have some additional comments we had on
18 the matrix, and just to clarify it.

19 MEMBER LEITCH: I'm still not sure I
20 understand. To say a redundant automatic system to,
21 in this case, to scram the reactor. And let's say yo
22 have that, not these switches but some other totally
23 different automatic system to scram the reactor, then
24 these switches would be of low safety significance?

25 MR. HAMMER: There's a function to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performed, and if they're in one system - okay -
2 that's one function. You need to have something else
3 out there to do the same activity, before you can even
4 think about lowering the safety significance.

5 MEMBER WALLIS: What's in your box there?
6 What does it mean to be --

7 MR. HAMMER: It means that if you've said
8 that -- if the panel came up -- if the working level
9 people come up and say it's a below safety
10 significance, and you run it through here, and you
11 actually find yourself in the lower right-hand box,
12 then that's okay for that --

13 MEMBER WALLIS: I'm just saying having
14 them all in the redundant automatic system in the
15 event of a LOCA is of low safety significance.

16 MR. HAMMER: No, if it's been determined
17 to be low.

18 MEMBER WALLIS: Then it's okay?

19 MR. PIETRANGELO: That's one redundant
20 automatic system in addition to the function you're
21 looking at.

22 MEMBER WALLIS: But it still seems
23 perverse. Unless I'm misunderstanding it completely.
24 Just because it's infrequent doesn't mean you say you
25 don't worry about it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HAMMER: No, what it's saying is that
2 if you've reached a determination that it's low,
3 you're confirming that it's low. If you've come in
4 and said that it's high, and you don't then come down
5 here and say well, it's in that bottom right-hand box,
6 so I can make it low. So you're going through the
7 process to start with, and then you say when I come
8 down here, if I've said it's low, do I still have
9 these things available? Okay. Well, we need to do a
10 better job explaining this, and we'll come back to the
11 Committee.

12 MEMBER WALLIS: I'm sure the staff is on
13 top of all of that.

14 MR. HAMMER: That's right.

15 MEMBER LEITCH: This is a test.

16 MEMBER ROSEN: Checking to see whether
17 defense in depth has been maintained after the
18 categorization has been done.

19 MR. HAMMER: That's right.

20 MEMBER LEITCH: That's the point that --

21 MEMBER ROSEN: This is what -- South Texas
22 doesn't use a matrix. They rely on the IDPs with an
23 expertise to say okay, now that we've made the
24 categorization, does anybody here have a problem with
25 it? And we believe it, and then people talk about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things like late containment failure, or what happens
2 during outages with the containment door open or, you
3 know, a whole bunch of other considerations. But we
4 don't use a structured approach via this. We just
5 rely on the experience and judgment of the panel.

6 CHAIRMAN APOSTOLAKIS: But being guidance,
7 does this provide a structured approach for --

8 MEMBER ROSEN: Yeah. So there's nothing
9 wrong with providing a structured approach. In fact,
10 it's a better thing, but it's hard to explain. I
11 don't think they've done a good job on that.

12 MR. HAMMER: We haven't done a good job
13 both here or in the document. That's what we need to
14 expand on, and then we can come back and chat to you
15 and the staff at a later date.

16 MEMBER WALLIS: Well, I'm concerned about
17 the philosophy being correct, let alone the chart.
18 Well, I'm probably being stupid.

19 MEMBER SHACK: Well, I think the answer is
20 they have to meet that function. You know, the
21 question is how many ways do they have to meet it?
22 And what they're saying is for something that's a very
23 low frequency, they have to meet it but they don't
24 have to be able to meet it --

25 MEMBER WALLIS: Well, I'm saying that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not right. I mean, the frequency is not the only --

2 MEMBER KRESS: Something of high risk they
3 have to meet it.

4 MEMBER ROSEN: Remember what risk is.
5 Risk is frequency times --

6 MEMBER WALLIS: Frequency can't be the
7 only variable.

8 MEMBER ROSEN: So it can't be the only
9 variable.

10 MEMBER WALLIS: You've got to have
11 consequence on another axis, or in --

12 MEMBER KRESS: Well, that's why I asked if
13 the predetermination that that system has a low
14 contribution to the CDF, already incorporates that
15 dimension. I don't know that it does yet, but it
16 could.

17 MEMBER WALLIS: Yeah, but it has a low
18 contribution because of its low frequency.

19 MEMBER KRESS: Yeah. What bothers me is
20 there's no concept of uncertainty in here, where
21 defense in depth, to some extent in a rationalist view
22 is there to accommodate uncertainty in your
23 determination. Now if, for example, I had a system
24 whose raw or Fassell-Valsey fell in the range where it
25 would be low safety significant by the criteria you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have, but suppose that determination or that raw is
2 very, very uncertain. And it could very well be for
3 LOCAs, and the those other low frequency things, the
4 more uncertain these things are.

5 MR. PIETRANGELO: I think the uncertainty
6 goes up as you go down the column.

7 MEMBER KRESS: Yeah, so I would say well,
8 I'm so uncertain in this determination, I may want
9 more defense in depth. And this seems inverted to me.
10 It seems like it's going the other way. You know, I
11 want more defense in depth for the things that are
12 highly uncertain, which is the very low frequency
13 things. Yeah, somewhere in there I'm a little
14 confused.

15 CHAIRMAN APOSTOLAKIS: I think it's really
16 not the uncertainty of the individual contribution.
17 It's the uncertainty that is induced in the overall
18 risk evaluation. And I think the understanding here
19 is that as you go down the contribution to the core
20 damage frequency also goes down. So even though you
21 may be uncertain, you are not affecting the core
22 damage frequency. But that's not proven, because an
23 individual contributor in a typical example is the
24 seismic contribution in some plants, can be extremely
25 uncertain, but the whole distribution is located on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the low axis, so you really don't care, because it
2 doesn't affect the overall risk evaluation. There is
3 no incentive there to reduce the risk, the
4 uncertainty, because it's low anyway.

5 MEMBER WALLIS: Sorry, George. Low
6 frequency events are inherently uncertain. You have
7 an event that happens every day. You get so much
8 experience that you know what happens.

9 CHAIRMAN APOSTOLAKIS: That's right. No,
10 I think Tom has a good point, but let's not forget the
11 absolute value of risk, as well. Not just the
12 uncertainty in the contributor. That's what I'm
13 saying.

14 Now to strengthen Tom's point, actually,
15 you know, the core damage frequency really is
16 determined by those low events at the bottom. So if
17 you are very uncertain about those, then you are
18 uncertain about the CDF itself.

19 One related question. The columns there,
20 three diverse trains, or one plus one and so on, is
21 that something new that is developed from this guide,
22 or you took it from somewhere else?

23 MR. HAMMER: We developed it from what
24 we've done in the oversight process. And we took that
25 and then brought it over here as --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: The tables that
2 they give to the inspectors.

3 MR. HAMMER: Yes. And what we tried to do
4 was to say well, having categorized them, does this
5 confirm that we've got the right categorization?

6 CHAIRMAN APOSTOLAKIS: So your last row
7 there, in fact, does include -- oh, you say design-
8 basis. Can you also put another row that says beyond
9 design-basis, because these are the PRA events? And
10 say something about defense in depth there?

11 MR. HAMMER: Okay.

12 CHAIRMAN APOSTOLAKIS: Because isn't one
13 of the issues, you know, what is the guidance?
14 Anyway, I think we're covering a lot of the issues
15 that the NRC staff is going to raise later, which is
16 good.

17 MR. HAMMER: Okay. Moving on. We thought
18 it would be worthwhile saying something about the
19 supplemental guidance that we're developing. And
20 initially, we thought we would put the technical basis
21 and the rationale for the categorization process, to
22 really give an explanation of how we got to where we
23 did in the document once it's finalized.

24 We're probably going to move quite a bit
25 of the technical basis for categorization back into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the main document, but we're still going to have a
2 rationale for the categorization. The document itself
3 has a series of bulletized principles, and we've got
4 about a paragraph or two, or three in some cases,
5 description of what those principles are to help
6 better explain them, and that's what we're going to
7 put in there.

8 The treatment I've spoken of before is
9 really an expansion of what we had in Rev. B. It's
10 going to go into a lot more detail about EQ, seismic
11 and the application of cold cases. It's going to
12 provide examples. We're also going to rely heavily on
13 the pilots to give us some examples, in addition to
14 the ones that we already had in Rev. B.

15 The change control process is meant to
16 provide additional explanation for the industry on why
17 they're considering beyond design-basis functions, and
18 how to go about doing that, so it's additional
19 guidance.

20 MEMBER ROSEN: Is that change control for
21 treatment, or change control for categorization?

22 MR. HAMMER: It's both. And then periodic
23 review. And really what we look at all of these is
24 kind of a bridging document. What we found in the
25 past is that people have taken guidance documents, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 then owners' groups have gone off and developed sort
2 of some topical to help their people bridge between
3 the guidance document and developing specific
4 procedures, and so we're trying to do all that in this
5 supplemental guidance document.

6 MEMBER ROSEN: Is that -- would you call
7 that transition guidance, or guidance from where the
8 plant is today, that wants to go and use this process,
9 how to go about it?

10 MR. HAMMER: Yes.

11 MEMBER ROSEN: How to make that
12 transition?

13 MR. HAMMER: To help them through that
14 transition process.

15 MR. PIETRANGELO: And I think this piece
16 that Adrian just talked about addresses the point you
17 raised on Monday. RISC-3 SSCs are -- it's not that
18 they're not important. They're relatively less
19 important than the RISC-1. And given that this is a
20 fairly significant initiative, we still think there's
21 a need to develop the treatment guidance for this
22 because it's the first time out doing it. And in
23 particular, in the areas that aren't that amenable to,
24 or aren't amenable at all to more of a performance-
25 based approach to determine whether the functions can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 still be performed, so that's why you see the seismic
2 and EQ highlighted here.

3 And that gives us some assurance that
4 whoever picks this up in the industry has some
5 consistent industry guidance with which to do the
6 treatment.

7 CHAIRMAN APOSTOLAKIS: Okay. Let's --

8 MR. HAMMER: There's one more. Just to
9 let you know where we're going in the future. We're
10 not finished with the guideline. Obviously, we just
11 had a discussion on defense in depth which we need to
12 expand on. We will have probably an additional
13 appendix or statement in the guidelines dealing with
14 the technical basis, and that will include the
15 discussion on uncertainties.

16 As Tony told you on Monday, we're
17 preparing some material dealing with uncertainties.
18 It's still not ripe for sort of public discussion at
19 the moment. We're still not comfortable with it.
20 We'll probably move forward and talk about propagating
21 uncertainties in the document, but we will address it
22 along the lines that we spoke of back in March.

23 CHAIRMAN APOSTOLAKIS: You said
24 uncertainties with the right parameter. You mean also
25 model. This is really the issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HAMMER: We're focusing on parameter
2 uncertainties. As regards model uncertainties, we
3 still have to discuss that internally where we're
4 going with that.

5 CHAIRMAN APOSTOLAKIS: All right. That I
6 think you should discuss, because that's what the
7 issue is really.

8 MEMBER ROSEN: Well, George, I think
9 you're ahead of us. I think just getting a good hard,
10 clear discussion of parameter uncertainty, and how to
11 treat it if you're going to do this process will be a
12 step forward. Both in the analysis and the
13 categorization as well as what the expert panel does
14 with the parameter uncertainty --

15 CHAIRMAN APOSTOLAKIS: But the people on
16 the staff that will determine the treatment don't care
17 what uncertainties you handle. And I think what they
18 really care about is the models. They don't --

19 MEMBER ROSEN: Well, but I'm saying you've
20 got to start with something easier. Start with and
21 define what to do with parameter uncertainties, and
22 then go ahead and --

23 CHAIRMAN APOSTOLAKIS: And extremely
24 important to the part of the NEI 00-04, the section
25 where they talk about the sensitivities, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sensitivity analysis. Because, you know, these are
2 not the controlling uncertainties but, of course, you
3 have to do those first. I don't disagree with that.

4 MEMBER ROSEN: All I'm saying is that's
5 within the current state-of-the-art. What we're
6 talking about here is industry guidance that hasn't
7 applied the state-of-the-art and how to use it, and
8 all the process.

9 CHAIRMAN APOSTOLAKIS: But the panel has
10 to worry about --

11 MEMBER ROSEN: Oh, right.

12 CHAIRMAN APOSTOLAKIS: I'm not asking them
13 to actually model model uncertainties. I know that's
14 very difficult, but say something, especially in the
15 context of the sensitivity studies, but I think we're
16 going to come back to that.

17 Anyway, that's fine. Good. Anything
18 else?

19 MR. HAMMER: The other three bullets is
20 we'll just take whatever input we get from the rule
21 making process in directions on the draft guideline,
22 and any discussions on 99-04.

23 CHAIRMAN APOSTOLAKIS: Okay. Great.

24 MR. PIETRANGELO: Before we leave, I'll
25 admit I jumped ahead and looked at some of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comments that staff has in the draft reg. guide, and
2 these have been discussed at length over the past
3 several months. Mainly, they have to do with the one
4 I'm going to pick on now, is the sensitivity study
5 that's done after functions have been categorized.
6 What's the basis for your factor of -- in your
7 sensitivity study for the failure rate of the low
8 safety significant SSCs? What's your technical basis
9 for that? And I even see, "The reg. guide will
10 recommend an industry-sponsored development of methods
11 to determine appropriate characterization factor."
12 Okay.

13 CHAIRMAN APOSTOLAKIS: Oh, you have not
14 seen the draft guide?

15 MEMBER ROSEN: No.

16 CHAIRMAN APOSTOLAKIS: Oh, okay.

17 MEMBER ROSEN: We're not going to do a
18 research project to determine what the impact of
19 changes in treatment are. No one knows how to do
20 that. I don't think anybody on this Committee knows
21 how to do that. I don't think the staff knows how to
22 do that, and I don't think the industry knows how to
23 do that.

24 The real basis for the number that's
25 selected - okay - is that you have to be able to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discern a difference in the performance of the
2 equipment that's low. If you see by a factor of two
3 or three your number of failures of your low safety
4 significant SSCs coming into your corrective action
5 program, Houston, we have a problem. All right?
6 That's going to be apparent, so that factor has to be
7 high enough in that bounding sensitivity study for you
8 to be able to discern it, and do something about it.
9 That's the real technical basis for it.

10 Now do we expect to see performance
11 degrade to the point we're assuming in the bounding
12 sensitivity study? No. Can we determine the risk
13 impact and delta CDF and delta LERF due to changes in
14 treatment? No. We can't do that up front. We do the
15 sensitivity study.

16 We will use the 1.174 criteria to look at
17 -- and actually, it's kind of a bastardization of the
18 treatment. I mean, usually you use the 1.174 criteria
19 for actual changes that you are making, not for
20 bounding analysis that one does on a sensitivity
21 study, so it's a little bit of a dilemma for us there.
22 But, you know, no one knows what technically --
23 unless, you know, if the Office of Research wants to
24 go out and figure what the changes in treatment are
25 going to have on the performance of SSCs, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but we are not planning on a research program to go
2 try to discern this. I think that's too much to ask
3 for Option 2.

4 CHAIRMAN APOSTOLAKIS: What you're saying
5 is that this final sensitivity that calculates delta
6 CDF and delta LERF is not the sole basis for the
7 decision. One has to bear in mind the fact that there
8 will be a monitoring program that is a corrective
9 action program.

10 MEMBER ROSEN: Exactly. We tried to
11 separate in our discussions with staff. There's
12 categorization - all right. And this sensitivity
13 study, the real purpose of it is to demonstrate the
14 robustness of that categorization. The treatment
15 requirements that are in the rule, there's enough meat
16 there to be able to discern the performance, and that
17 the functions are still being maintained. All right?
18 But we can't demonstrate through some quantitative
19 analysis that there may be some degradation due to
20 treatment that's going to be small, or within the
21 bounds of the sensitivity study. We don't know how to
22 do that.

23 All right. We will pick a factor whose
24 basis is you could be able to discern the difference
25 in performance. I mean, we've had that discussion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with staff. I still see the same comment in here. I
2 continue to be puzzled by it, and I just wanted to
3 leave you with that thought before we get down from
4 here.

5 CHAIRMAN APOSTOLAKIS: Okay.

6 MR. PIETRANGELO: Thank you.

7 CHAIRMAN APOSTOLAKIS: Thank you,
8 gentlemen. So what do we have now? We have another
9 hour to go? Do the members want to break for five
10 minutes? Okay. Why don't we take not log normal,
11 meeting in eight minutes. And that will show you the
12 value of model uncertainties now.

13 (Off the record 10:05:26 a.m.)

14 CHAIRMAN APOSTOLAKIS: Okay. We're back
15 in session. The staff will now talk to us about Draft
16 Guide 1121. Okay.

17 MR. HARRISON: Thank you. This is Donny
18 Harrison with the PRA Branch in NRR. And as the
19 Chairman just mentioned, I'm going to go over
20 basically the comments that the staff provided on
21 Draft Guide 1121, even though I don't believe NEI has
22 gotten the draft guide, I don't think anyone has
23 gotten that outside the Committee here. They have
24 received our comments, and they would be reflected as
25 the same, so just to make that clear to the Committee.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Now when you
2 publish this, you will publish also the draft guide.
3 Right?

4 MR. HARRISON: Right, that's the intent.

5 CHAIRMAN APOSTOLAKIS: Both together.

6 MR. HARRISON: I think the question there
7 is what format the draft guide needs. Can it have an
8 attachment with comments, or do the comments need to
9 be incorporated as staff positions, so that's just a
10 legal question.

11 CHAIRMAN APOSTOLAKIS: Uh-huh.

12 MR. HARRISON: This slide just gives a
13 little background of where we're at. We received the
14 latest draft of NEI 00-04 at the end of June. As NEI
15 has mentioned, they've made numerous changes in their
16 approach. They've focused strictly on the
17 categorization. They've removed the treatment.
18 They've incorporated the system functional
19 categorization in the process, as opposed to doing
20 individual SSCs.

21 We met with them July 10th. We provided
22 them comments a couple of weeks ago, provided comments
23 at the meeting with them in July, but formally
24 provided them to them a couple of weeks ago. We
25 expect that NEI is going to address those comments,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and our expectation is to go through the process, work
2 with NEI, and at the end of the process endorse NEI
3 00-02 after they've addressed those comments with the
4 staff.

5 What I've got is I'm going to put up four
6 of the key comments that we made on NEI 00-04 that are
7 listed as comments in the materials you got. The
8 first one is on PRA quality. The staff made a comment
9 in the draft guide that it's desirable for licensees
10 to use a broad scope PRA that would cover internal and
11 external events, that would cover full power shutdown
12 conditions to meet the intent of 10 CFR 50.69.

13 We're aware that most plants don't have
14 that, so it's a desire, it's not a requirement. At
15 the same time, we plan to use the draft guide that's
16 under development on endorsing the ASME and the NEI
17 00-02 on PRA technical adequacy for the internal
18 events at full power.

19 For other modes and for simplified and
20 non-PRA approaches that might be used in
21 categorization, they will still have to have some
22 quality that would represent the as-built as operated
23 plant, and they would have to demonstrate that that's
24 going to result in what I call a conservative
25 categorization process, if you use something other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 than a PRA.

2 As part of that, we've also recommended
3 that the industry develop some guidance on the
4 expectations for the type of quality, the attributes
5 of quality for external and shutdown PRAs, and on the
6 non-PRA analysis that might be used for Option 2.

7 MEMBER ROSEN: Now let me see if I
8 understand. Would it be acceptable to try to get
9 Option 2 without a PRA at all?

10 MR. HARRISON: Well, with a -- you still
11 have to have internal events full power PRA as a
12 minimum.

13 MEMBER ROSEN: And then the next thing
14 this Committee will ask about is, and how good is your
15 internal events PRA? Has it been peer reviewed? And
16 if so, what are the facts and observations.

17 MR. HARRISON: Right. And that's all part
18 of our requirement, that you would have to have a good
19 quality PRA. The NEI 00-04 refers to a grade 3 PRA.

20 MEMBER ROSEN: Okay. So this non-PRA
21 approach doesn't apply to the internal events.

22 MR. HARRISON: No. This is strictly
23 talking -- when I say non-PRA, I really am meaning, to
24 be honest with you, the NUMARC 91-06 approach to
25 shutdown, shutdown and risk management. When I talk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about simplified, in my terminology, that's more of a
2 seismic margins or a FIVE analysis, that mixture.
3 That's really what I'm talking about. How do you
4 address those when you've got the internal PRA at full
5 power. What do you do with shutdown and all these
6 other things?

7 MR. HARRISON: The second key topic that
8 we had was -- the staff sees this as a very important
9 step, is to show that after you're through a process,
10 that NEI 00-04 refers to it as a risk sensitivity
11 study. It's basically to show that after you've done
12 the categorization, that the results still show that
13 there's an acceptably small increase in risk. And
14 what they do is they're going to adjust the factor of
15 the RISC-3 components by some amount, and the run it
16 through their PRA and see what the results are, and
17 ensure that the delta CDF/delta LERF are small.

18 I would just say at this point, I think
19 Tony from NEI is over-reading our comment, and for a
20 good reason. I mean, in the past I think we've stated
21 it stronger than it is now. The basis for that factor
22 that you use for the RISC-3 SSCs in that risk
23 sensitivity study, you have to come up with the factor
24 that you're going to use, and there's a couple of
25 different ways you can do it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 One way would be to go out and do some
2 type of engineering evaluation of the treatment
3 affects, and come up with a basis for the factor for
4 treatment. And the alternative is to rely on your
5 feedback and corrective action programs, that they
6 would detect and correct any failures prior to
7 reaching whatever that factor is. So if you use a
8 factor of 3 for your low safety significant
9 components, you've got to then come into the staff,
10 and at least justify that your feedback and corrective
11 action programs are going to be adequate enough that
12 the failures will be detectable, and you will find
13 them before you will have that type of degradation in
14 performance, so that's an alternative. I think that's
15 an alternative NEI has proposed, and the staff is
16 willing to listen to them on.

17 MEMBER ROSEN: I don't understand why it's
18 an alternative. Reliance on feedback and corrective
19 action programs is something that you're going to do,
20 period.

21 MR. HARRISON: You're going to do it at
22 some level.

23 MEMBER ROSEN: Everybody has a corrective
24 action program, and everybody looks at the results, so
25 that's there. The real question is whether you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to do a sensitivity study? And the answer is,
2 you really have to. Now the only question is how much
3 are you going to increase the failure rates by?

4 MR. HARRISON: Right.

5 MEMBER ROSEN: So to get right down to
6 brass tacks here, you know, South Texas used 10. And
7 if somebody wants to use more or less, they need to
8 say why.

9 Now one of the things that occurs to me is
10 you could do it parametrically. You know, do a
11 sensitivity study for, you know, two, four, six,
12 eight, ten, whatever, and see if there's any in the
13 curve, and come off of that with some intelligent
14 engineering discussion.

15 CHAIRMAN APOSTOLAKIS: I think this
16 requirement could be stated a little differently in
17 your DG-1121 to make it explicit that you are not
18 really asking for a technical justification of the
19 factor itself. But the way I understand it, what you
20 want is a justification as to why by doing this, and
21 doing other things, as well, the appropriate level of
22 safety is maintained. So that may include arguments
23 like the ones Mr. Pietrangelo gave us earlier, you
24 know, that we will have a monitoring program, and
25 we'll see this and that. Because if it appears that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you are asking for a justification of the factor
2 itself, you are really asking for something that is
3 extremely difficult to justify.

4 MR. HARRISON: Right. And the way that
5 the words are conveyed there, it's really to say that
6 if someone wants to spend the time and effort and go
7 do that, they can. If they want to justify it, they
8 can. And what we're looking for is a justification,
9 but that's got to be --

10 CHAIRMAN APOSTOLAKIS: Yeah, but I'm
11 saying the words have to make that very clear.

12 MR. HARRISON: Right. We're not forcing
13 the --

14 CHAIRMAN APOSTOLAKIS: That it's the
15 actions that are important, not just the individual
16 number.

17 MEMBER KRESS: This concept that Steve
18 just mentioned, seems to me like needs some
19 consideration. For example, you could vary the change
20 in reliability until you find a value which you would
21 say if you get this kind of change, a factor -- this
22 factor change in the reliability of these things,
23 then it's risk significant. So that's the level I
24 want to be sure that I don't hit. And then you could
25 say, all right, how am I going to be sure that I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hit that level? And then you could fall back on
2 feedback and things like that and say, there must be
3 a basis and approach. You must look at the
4 reliability -- you must monitor the reliability of
5 these things I change, and give me some assurance over
6 time that they haven't even approached this level
7 that's now risk significant.

8 It seems to me like that's the way to
9 handle that sort of thing. And it doesn't require you
10 to -- the way you determine the actual change in
11 reliability is by monitoring it over time.

12 MR. HARRISON: The one thing -- that would
13 be something that I think the staff probably ought to
14 think about. And at the same time, just to be aware
15 in doing this risk sensitivity study, that it's moving
16 the reliability of all RISC-3 components
17 simultaneously. And so then the argument, I think,
18 that the industry could make is that through our
19 corrective action feedback process, you're not going
20 to see a massive move of all components. But then
21 again, you're relying on your corrective action
22 program to maintain that you don't get a collective
23 group moving, because of some type of change in
24 treatment. But no, I appreciate that. I think that's
25 something that we'll take back and think about.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Now you are not
2 stating anything about the actual categorization
3 process. Is this a good place to make some comments
4 on that?

5 MR. HARRISON: On the categorization
6 process itself?

7 CHAIRMAN APOSTOLAKIS: Yeah.

8 MR. HARRISON: Sure.

9 CHAIRMAN APOSTOLAKIS: There is a
10 discussion of how one should get Fassell-Valsey in
11 raw, in NEI 00-04. And there is a comment when raw is
12 calculated, that the common cause event should be
13 excluded. Now in your draft guide, you object to
14 that, and you say no, it should be handled somehow.

15 MR. HARRISON: Right.

16 CHAIRMAN APOSTOLAKIS: What's not clear to
17 me is whether you are asking them to treat the common
18 cause failure term as a basic event in the PRA, or
19 when you're dealing with a particular SSC, and you say
20 this is down, to go back to the PRA and modify it,
21 including the common cause term to see what the new
22 CDF and LERF are. And if you don't make it clear what
23 you really want.

24 MR. HARRISON: Yeah. And maybe it's the
25 intent of that comment if it's in the section I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 believing -- you're probably in that system
2 engineering or component safety significance
3 assessment.

4 CHAIRMAN APOSTOLAKIS: The risk
5 sensitivity study, I suppose. That's where the --

6 MR. HARRISON: Well, no. At that point,
7 you're doing the wrong Fassell-Valsey --

8 CHAIRMAN APOSTOLAKIS: Oh, the component
9 safety significance assessment?

10 MR. HARRISON: It's over here.

11 CHAIRMAN APOSTOLAKIS: Yeah.

12 MR. HARRISON: And what that's doing is
13 you're still at the safety system functional level, so
14 you're at the system level, not at the component
15 level. So we're saying when you're doing that course
16 mapping, and you're figuring out the Fassell-Valsey
17 raw importance of the components, and then you're
18 applying that to say is the system function high that
19 that analysis needs to include the raw for the SSC for
20 the individual components.

21 CHAIRMAN APOSTOLAKIS: Right. But then at
22 some point, I can go down to the component level when
23 I develop my technical argument now why I should put
24 it in RISC-3.

25 MR. HARRISON: Right. Then it --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: And it's not clear
2 to me how the common cause failure term is going to be
3 handled there.

4 MR. HARRISON: Okay.

5 CHAIRMAN APOSTOLAKIS: Are you still going
6 to treat it as a basic event? For the function yeah,
7 I think it's important. But for the component, it's
8 not clear to me, and I don't think that the argument
9 that raw for common cause events is an unrealistic
10 parameter since it reflects the relative increase in
11 CDF that would exist if a common cause failure
12 condition existed for an entire year. I don't think
13 that argument is a good one, because that's the
14 definition of raw. I mean, if you don't like it, use
15 another measure, because raw -- it's equally
16 unrealistic to assume that the safety related
17 component will be out for a year. And yet, raw says
18 you do it. And also, the lack of realism probably is
19 reflected on the factor of 2 that is the cut-off
20 point. Suggested say - I'm not going to use this term
21 because it's unrealistic, does no good to me.

22 MEMBER ROSEN: I bring in the argument
23 that we had yesterday about human reliability, that
24 latent errors could, in fact, keep a component out for
25 a year. You think it's in, but it's not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: That's right. And
2 you don't know.

3 MEMBER ROSEN: You don't know.

4 CHAIRMAN APOSTOLAKIS: Exactly. So I
5 think this issue of CCF which we have been discussing
6 now for at least two years is still not resolved, how
7 one would handle that.

8 MR. HARRISON: Yeah. I think we've
9 resolved it at the system level. We haven't resolved
10 it maybe at the risk sensitivity study level.

11 CHAIRMAN APOSTOLAKIS: Yeah. And then we
12 have the issue of the sensitivity studies. For
13 example, Table 5-2 of the NEI document, where it says,
14 you know, "Increase all human error basic events to
15 their 95th percentile, decrease them to the 5th,
16 decrease all component common cause events, increase",
17 and this and that. And again, it's not clear. If I
18 do all this, do I take the most conservative result
19 from all these sensitivity studies and declare this is
20 now the basis for the categorization?

21 MR. HARRISON: That's the staff's position
22 - right - at this time.

23 CHAIRMAN APOSTOLAKIS: And then if that is
24 the case, it seems to me we should, as a community
25 really scrutinize these sensitivity studies, because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I have the feeling at least that there is a
2 considerable element of arbitrariness there. And
3 especially when it says "increase human error basic
4 events to their 95th percentile value". Well, this
5 distribution probably comes from a particular model,
6 and we know -- we have seen evidence that if one uses
7 another model, the whole distribution is somewhere
8 else. So to say that I rely on one model, and I'm
9 just going from the mean or the median to the 95th
10 percentile, I don't think that we are covering the
11 real uncertainty here.

12 So if the case is that we will really rely
13 on the maximum, or the most conservative result from
14 these sensitivity studies, then we should take each
15 one of them and ask ourselves whether they make sense.
16 And I've always been a critic of the sensitivity
17 studies, because I think they are pretty arbitrary.
18 And that's why we do a full probability distribution
19 propagation, you know, to get the mean value, and so
20 on and so on, and then have a qualitative evaluation
21 of what, perhaps, has been left out.

22 For Level 1 PRA the issue of model
23 uncertainty is not that significant. There are little
24 places, except for human error. But when you go to
25 Level 2, because LERF also have to be evaluated.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Right?

2 MR. HARRISON: Right.

3 CHAIRMAN APOSTOLAKIS: Then I know that,
4 for example, the state of knowledge dependence of
5 distributions might be important there, like in the
6 interfacing system LOCA. You know, you have broad
7 distributions for the failure of these valves. If you
8 ignore this dependence, this correlation, you may get
9 a mean value that is not really correct. And I don't
10 see any discussion of that. There is a distinction
11 between how you handle the uncertainty in the CDF and
12 LERF.

13 MR. HARRISON: And I think on the
14 sensitivity studies that those are to address, to some
15 degree, but the uncertainties that we have with the
16 modeling and -- but you are right. You run a
17 different HRA method, you can get a different number
18 and a different distribution.

19 CHAIRMAN APOSTOLAKIS: Or a different
20 common cause failure maybe. What I would like to see,
21 since this is such an important table, is some
22 discussion, some justification again, as to why these
23 sensitivity studies provide an envelope that is
24 reasonable. And I don't understand why, for example,
25 I should set all maintenance and availability terms to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 zero. What insight does that give me? Maintenance
2 unavailability to zero, so that means they're
3 available all the time.

4 MR. HARRISON: Right.

5 CHAIRMAN APOSTOLAKIS: What do I gain from
6 that?

7 MR. HARRISON: That's only a case if it's
8 masking the -- if your maintenance unavailabilities
9 are masking the results.

10 CHAIRMAN APOSTOLAKIS: And then what --
11 how does it help me with CDF? What do I learn from
12 that? Isn't that an optimistic thing to do, to say
13 that the unavailability is zero?

14 MR. HARRISON: I'm not sure exactly how
15 that would be --

16 CHAIRMAN APOSTOLAKIS: How does that
17 contribute to the envelope?

18 MR. PERRY: I don't think that's
19 necessarily an optimistic thing to do. I think for
20 some systems, for example, the unavailable in the PRA
21 could be quite high, so by taking it out, you might be
22 masking the failures of those components, for example.
23 I think that it's just --

24 CHAIRMAN APOSTOLAKIS: But it is
25 conservative. I mean, if you're masking, that means

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's pretty high. If you take it out, then you're
2 doing something that's --

3 MR. PERRY: No. You're masking the
4 importance of the failures by having conservative
5 values for the unavailabilities. I think all these
6 tests are basically to try to see whether certain of
7 the parameters, which you know are subject to
8 significant uncertainty, like common cause failures,
9 human reliability and unavailabilities could be
10 masking the significance of component failures.
11 That's all it's intended to do, I think.

12 CHAIRMAN APOSTOLAKIS: In other words,
13 you're saying because a term is very high, I may not
14 appreciate other possible failure modes.

15 MR. KELLY: Other possible failure modes.
16 Yeah.

17 MEMBER ROSEN: But then you listen to
18 Garreth, and you say -- he tells you the purpose of
19 doing these sensitivity studies, to try and uncover
20 masked affects. But then the staff turns around and
21 says the astonishing thing, that you use the
22 sensitivities to determine the categorization. This
23 the worst --

24 CHAIRMAN APOSTOLAKIS: The maximum.

25 MEMBER ROSEN: The maximum from your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sensitivity studies to determine the categorization.
2 That's astonishing, and unworkable.

3 CHAIRMAN APOSTOLAKIS: And that's why I
4 really want to see a scrutiny of this table, and what
5 is the basis for this request.

6 MR. PERRY: I don't understand why it's
7 unworkable.

8 CHAIRMAN APOSTOLAKIS: Because there's an
9 arbitrary element here, and you're saying well, I do
10 the PRA. I do my best to reflect my realistic state
11 of knowledge, and now you're telling me you make some
12 decisions using some extremes that are fairly
13 arbitrary. I mean, all the failure rates have to be
14 increased to their 95th percentile value.

15 MR. PERRY: No, that's not in there.

16 CHAIRMAN APOSTOLAKIS: Well --

17 MR. PERRY: It's not in there.

18 CHAIRMAN APOSTOLAKIS: Or human error.

19 MR. PERRY: Human error is specifically
20 pulled out because it does have the possibility of
21 masking things. Now whether the 95th percentile is
22 the correct thing, or whether we should have some more
23 global thing that spans over all models, I'm not sure.
24 I mean, we take your comment, and that's an issue we
25 can look at.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Okay. Some type of
2 argument, in other words. Don't just throw the table
3 there and say, you know -- and take the maximum.

4 MR. PERRY: And while I'm talking, can I
5 address your issue on the interfacing systems LOCA
6 issue and the state of knowledge correlation?

7 CHAIRMAN APOSTOLAKIS: Yeah.

8 MR. PERRY: I think you'll find actually
9 that that is discussed, that whole issue is discussed
10 in the statement of considerations. I think where it
11 would come in particularly would be in the calculation
12 of delta LERF, delta CDF.

13 CHAIRMAN APOSTOLAKIS: Yeah.

14 MR. PERRY: So it's not forgotten. We go
15 back to Reg. Guide 1.174 where it's also addressed.

16 CHAIRMAN APOSTOLAKIS: But my point is, I
17 have the impression that a lot of the stuff that's
18 written here is really driven by CDF considerations,
19 because I agree that if you use some reasonable point
20 values in your Level 1 PRA, and especially if you're
21 conservative in your categorization, you're probably
22 doing a pretty good job. But in the LERF area, I'm
23 not sure. I'm not sure whether you can do that, or
24 you should actually go to some distribution.

25 Now finishing the thought, I thought the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 whole point of not doing uncertainty analysis, and
2 doing sensitivities is that people feel it's a burden
3 to get all these distributions and propagate them.
4 But then the next paragraph says that, you know, get
5 these distributions even from generic sources. So the
6 burden is there. In other words, all we're
7 eliminating now is the computer work of propagating
8 the distributions.

9 MR. PERRY: But remember where in the
10 process you're at though. You're at the process of
11 using importance analyses here. Okay. Nobody is
12 saying that you shouldn't do an uncertainty analysis
13 when you're doing the delta CDF, delta LERF
14 calculation. That's where the parametric
15 uncertainties would be evaluated.

16 CHAIRMAN APOSTOLAKIS: But when I
17 calculate the Fassell-Valsey in raw, shouldn't I be
18 using mean values? That's really my point. And
19 especially --

20 MR. PERRY: And probably you are, because
21 most people are. But I'm not sure that in calculating
22 Fassell-Valsey in raw, you get -- you can take into
23 account things like the state of knowledge
24 correlation, for example.

25 CHAIRMAN APOSTOLAKIS: I need the baseline

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 LERF in order to calculate raw, and I need to do the
2 change.

3 MR. PERRY: Right.

4 CHAIRMAN APOSTOLAKIS: And what I'm saying
5 is that theoretically, one should take the
6 distributions propagated and use the mean value and do
7 that.

8 MR. PERRY: Right.

9 CHAIRMAN APOSTOLAKIS: The only step that
10 this leaves out now is this propagation, and I don't
11 see that that -- because you still have to have the
12 distributions to get the 95th percentiles, so the
13 burden is there.

14 MR. PERRY: But remember, propagating
15 uncertainty to get importance measures is very
16 difficult, as you know.

17 CHAIRMAN APOSTOLAKIS: Well, I don't want
18 the uncertainty in importance measures.

19 MR. PERRY: Okay.

20 CHAIRMAN APOSTOLAKIS: I just want the --

21 MR. PERRY: But that's what the
22 sensitivity studies are aimed at. And this Table 5.2
23 is to do with the categorization using importance
24 analysis.

25 CHAIRMAN APOSTOLAKIS: Right. But the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 values I put in the measures have to be mean values,
2 and it's not clear to me that they would be mean
3 values. That's what I'm saying, especially for LERF.
4 Are we going to have another opportunity to meet again
5 at the Subcommittee level on this? All right. Because
6 this is too detailed for a full Committee meeting.

7 MR. PERRY: Yes.

8 CHAIRMAN APOSTOLAKIS: Okay. Now one
9 other point here. As I collect data, a lot of these
10 distributions become narrow, so the 95th percentile
11 will leave no difference from the median at some
12 point, and I don't know how that would affect the
13 sensitivity study.

14 One other comment comes here from the
15 integrated Fassell-Valsey importance integrated risk
16 achievement work.

17 MR. PERRY: What page are you on?

18 CHAIRMAN APOSTOLAKIS: Page 32, which I
19 didn't see any comment in the guide, draft guide on
20 these things.

21 MR. HARRISON: Well, the guidance we gave
22 in the draft guide, or the position we gave was that
23 because of the different methods, and because of say
24 if you're doing a seismic PRA, the level, the degree
25 of uncertainty in that analysis --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Is different.

2 MR. HARRISON: -- is much different than
3 say internal event or a fire PRA even, and so that it
4 would be --

5 CHAIRMAN APOSTOLAKIS: You should go --

6 MR. HARRISON: -- inappropriate to use an
7 integral assessment of it all.

8 CHAIRMAN APOSTOLAKIS: So you're not
9 really approving Section 5.5.

10 MR. HARRISON: Right. We're saying
11 basically that if the seismic analysis shows it's
12 high, and that if you were to do this integral, that
13 the system would be -- system function would be low.
14 It's still high.

15 CHAIRMAN APOSTOLAKIS: Okay.

16 MR. HARRISON: And what you need to do in
17 that case is go do maybe better seismic PRA analysis
18 if you want to narrow that down.

19 CHAIRMAN APOSTOLAKIS: So that's something
20 that you have to settle with NEI, how to do that.

21 MR. HARRISON: Right.

22 CHAIRMAN APOSTOLAKIS: Okay. Let's go on.
23 If there's anything else, I'll bring it up later.

24 MR. HARRISON: Okay. As part of the delta
25 CDF and delta LERF, going back to slide four of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 package, the second bullet there is just dealing with
2 the -- if you're using a simplified or a non-PRA
3 approach, you have to demonstrate that it's not going
4 to have a significant impact on risk. You can't just
5 do the delta CDF for internal events, and show it's
6 small.

7 CHAIRMAN APOSTOLAKIS: Yeah. This is
8 another point now. The sensitivity studies in
9 Statement 5.2 is repeated as 5.3 with some changes,
10 and 5.4 for fire and seismic analysis.

11 MR. HARRISON: Right. Now that's not the
12 risk sensitivity study, and I would almost champion
13 that we use a different term.

14 CHAIRMAN APOSTOLAKIS: It says,
15 "Sensitivity studies for fire PRA."

16 MR. HARRISON: Right. But those are again
17 on the categorization part of the process. The risk
18 sensitivity state that we're talking about is actually
19 Chapter 8.

20 CHAIRMAN APOSTOLAKIS: I understand. The
21 categorization. The comment about model uncertainty
22 that they made earlier, I think here is worse. The
23 model uncertainty is a big issue. There are
24 assumptions that are made in the fire PRA and
25 especially when you're doing bounding analysis, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the seismic PRA, that to say that, you know, take the
2 human error and go to the 5th or 95th percentile
3 doesn't really mean much.

4 MR. HARRISON: Right. On the topic of
5 uncertainty what our comment has been is to basically
6 go back and read Reg. Guide 1.174, Section 2.5.

7 CHAIRMAN APOSTOLAKIS: I noticed that, and
8 that was very nice, because that's what we said in our
9 last letter too.

10 MR. HARRISON: Right.

11 CHAIRMAN APOSTOLAKIS: So that was really
12 -- I was very pleased to see that.

13 MR. PERRY: George, can I just add a
14 comment here?

15 CHAIRMAN APOSTOLAKIS: Yeah.

16 MR. PERRY: I think the -- what you're
17 looking for is in the other category at the bottom of
18 that table basically. You're talking about the
19 modeling uncertainties. There would be any applicable
20 sensitivity studies identified in the characterization
21 of PRA adequacy. That's where you'd capture the model
22 uncertainties and issues like that.

23 CHAIRMAN APOSTOLAKIS: Where do you
24 capture them?

25 MR. PERRY: It's in the last bullet on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 each of those tables.

2 CHAIRMAN APOSTOLAKIS: Any applicable
3 sensitivity studies?

4 MR. PERRY: Yeah, because that comes from
5 a review of --

6 CHAIRMAN APOSTOLAKIS: I think we need an
7 elaboration on that.

8 MR. HARRISON: Yeah. Again, we made a
9 comment on that.

10 CHAIRMAN APOSTOLAKIS: Huh?

11 MR. HARRISON: We made a comment on that
12 saying that as part of your technical adequacy
13 determination that you performed sensitivity studies
14 to show that an issue was not -- or that a topic was
15 not an issue, that that then becomes part of that
16 additional sensitivity study.

17 CHAIRMAN APOSTOLAKIS: But, you know,
18 speaking again of convenience and efficiency here, I
19 really don't think that propagating parametric
20 uncertainty is a big problem. And yet, people make it
21 a big problem. If you tell people to do this last
22 bullet, any applicable sensitivity study, and then you
23 say go read 1.174, essentially you're telling them
24 don't do it, because 1.174 has a fairly high level
25 discussion of the various uncertainties. It talks

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about incompleteness. It talks about model
2 uncertainty.

3 I don't know how an average engineer can
4 sit down and actually do something about them without
5 further guidance, so it seems to me there is a lot of
6 guidance here on things that may not be that
7 important. And things that are important will either
8 be ignored completely, or there will be a major
9 obstacle to the implementation.

10 MR. PERRY: George, this is Garreth Perry
11 again.

12 CHAIRMAN APOSTOLAKIS: I know who you are.

13 MR. PERRY: But I think the -- we're still
14 confusing things between this table, which has to do
15 with the use of the initial categorization using
16 importance measures, and the Chapter 8 which has to do
17 with the delta CDF, which is really where Reg. Guide
18 1.174 comes into play, I think. This has to do with,
19 for example, if in performing the PRA, the peer review
20 has come up with a specific assumption that was
21 driving the results, then this is where this comment
22 on the sensitivity study would come into play. You
23 would investigate that to see if it had an impact on
24 the initial categorization of the components. I mean,
25 you might revisit that same assumption again when you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were doing the delta CDF but this is -- you know, try
2 and separate the problem of the initial categorization
3 with the final demonstration that the risk is small.

4 CHAIRMAN APOSTOLAKIS: But, you know, in
5 the categorization process, I think you are telling
6 them that they have to go and read 1.174, so I don't
7 know what the guide can do with that. I remember
8 there was -- it's not clear that you have to worry
9 about these things only when you calculate delta CDF
10 and delta LERF.

11 For example, Section 2 of the NEI document
12 talks of -- the title is, "Overview of categorization
13 process." And Section 3.2 is, "Use of PRA
14 Information." And then your comment on Section 3.2 --
15 oh, no, you make it clear. When assessing the
16 increase. Yeah. I still think though that in the
17 categorization process, one has to worry about these
18 things.

19 Anyway, when you revisit the tables and
20 the sensitivity studies, I think there should be a
21 better justification of these.

22 MR. HARRISON: Okay. And the final bullet
23 here is just that we recommend that the process that's
24 used to come up with the factor, if it includes some
25 type of analysis and evaluation, or if it includes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reliance on the feedback and corrective action
2 program, that that needs to be elaborated or developed
3 further by the industry, so that there's a consistent
4 approach, if you will, to how we do the determination
5 of what factor to use in that calculation that's
6 performed for delta CDF.

7 The next slide just has a main topic also.
8 The first one is on the defense in depth
9 consideration. I think we saw the chart before, and
10 our comment basically was that there needed to be more
11 guidance. I think if you had two or three engineers in
12 the room, you get four or five different answers of
13 how to interpret the chart, and that just needs to be
14 elaborated, and clarified.

15 And just -- I know, Mario, you had asked
16 a question earlier on the chart on the design-basis
17 event where we had made the comment that it should
18 include other initiators that aren't in the design-
19 basis, such as loss of service water, loss of
20 component cooling water. And I guess, part of the
21 staff's comment fell into two categories on that. One
22 is, these design-basis events have been put in a
23 different initiator event frequency category. That's
24 got to be plant-specific. The second part of that was
25 this is a risk-informed process, and so we would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 expect you to at least address defense in depth for
2 other initiators, such as loss of service water. And
3 you would still want to consider defense in depth for
4 those conditions.

5 That may actually end up with a higher
6 initiating event frequency than say the LOCAs or some
7 of the lower events, so it's more of, if you will,
8 making sure that defense in depth is addressed in a
9 risk-informed manner, as well.

10 DR. BONACA: The reason why I asked that
11 question, I thought that that process already had
12 taken place before through the PRA categorization.
13 And this is just a filter that you come through to
14 review the existing commitments of your FSAR, and to
15 see what kind of level of defense in depth you want to
16 maintain for those. That's why I --

17 MR. HARRISON: And that may be true.
18 Again, this is a confirmation step, if you will,
19 because it says it's confirming a low.

20 DR. BONACA: That's the way I understood.
21 In that case I was wondering, you know, are you
22 referring to other initiators from the PRA? I mean,
23 those are dealt with.

24 MR. HARRISON: Well, you could have
25 something come out low because of its reliability, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it may be a single point, a single system that's doing
2 that. You would still want to say do I have defense
3 in depth for that initiator, so just trying to expand
4 our thought to make sure that we don't say well, this
5 is design-basis, so we ignored, you know, everything.

6 DR. BONACA: But if you do that then, you
7 know, the concern that Dr. Kress has pressed before
8 will be --

9 MR. HARRISON: The consequence element of
10 it.

11 DR. BONACA: Right.

12 MR. HARRISON: And we'll take that back
13 from this, as well. And the last bullet that we had
14 here was the fact that the staff has looked at NEI 00-
15 04, and at this time, the staff's position has been to
16 -- if it's determined to be safety significant for any
17 reason in the process, then it should be safety
18 significant, and it shouldn't be downgraded by the
19 IDP, because that's either -- that significance is
20 determined either because of the base PRA results, or
21 it's based on some of the sensitivity studies that are
22 addressing modeling uncertainty at least on some
23 level, or it's because you're using a conservative
24 model.

25 There was a comment in NEI00-04 that says

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well, if it shows up because it has a high failure
2 probability, then the IDP ought to look at that and
3 maybe, you know, think about lowering it. And that's
4 not an appropriate approach.

5 CHAIRMAN APOSTOLAKIS: Or they could send
6 it back to re-evaluation.

7 MR. HARRISON: That's the issue. If the
8 IDP has an issue that they don't believe the results,
9 or they believe the results are overly conservative,
10 they ought to be telling the technical team that's
11 putting it together to go back, consider what they,
12 redo the model, come back through the process, and
13 have it be more of a process, not have it be an ad hoc
14 change committee.

15 CHAIRMAN APOSTOLAKIS: Right.

16 MR. HARRISON: So that was the focus, and
17 that's why we -- again, if you do a seismic margins
18 analysis, and you're getting very conservative results
19 from that, then it's not appropriate for the IDP to
20 say well, we know these are conservative. Let's
21 change them all. What's more appropriate is for them
22 to say hey, these are more conservative than they need
23 to be. Maybe we need to think about doing something
24 else like a seismic PRA, or at that point, that allows
25 you to do more.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Okay.

2 MR. HARRISON: So those were the key --
3 what I thought were the key topics that we brought
4 forward in the draft guide. I think I want to put up
5 another slide, and this is just to address a concept
6 that I just want to put across. The bottom of the
7 curve is -- in this case for this application it's the
8 capability to identify components as RISC-3, low
9 safety significant. And again, this is concept. The
10 curve is an arbitrarily drawn curve. It may go other
11 ways, but for those plants that are -- this is just a
12 recognition that those plants that are using a limited
13 scope PRA. They're relying on margins analysis,
14 simplified approaches or non-PRA approaches, they can
15 come in through this process and they will get some
16 benefit. They will be able to move some things to
17 RISC-3. Okay? But if they were to go to the other
18 end of the extreme and provide a full scope PRA, do
19 the full analysis for internal and external events for
20 shutdown and full power. Then the staff's view is
21 that their potential benefit, their potential
22 capability to identify things as RISC-3 would be much
23 higher. You'd see a greater benefit for the licensee,
24 and that's just a concept that I want to express.

25 MR. GRIMES: This is Chris Grimes. I'd

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like to add that when we talked to the Committee last,
2 I think when we were describing our coherence efforts,
3 we indicated we've got some language challenges. The
4 term "full scope PRA", you know, has certain meaning
5 to certain people. And for this purpose, this rule
6 really represents the first opportunity to make a
7 substantial change in a regulatory program in a risk-
8 informed and performance-based way. But we also
9 recognize that we want all sources of risk addressed
10 because of that.

11 Now that can be a full scope PRA, or as we
12 discussed with the Committee on Monday, that can be
13 PRAs in combination with addressing other sources of
14 risk using reasonable techniques. And so we want to
15 develop further some characterizations or some terms
16 that are going to make that distinction.

17 MR. HARRISON: And this is just a summary.
18 Again, we've made numerous comments on NEI 00-04.
19 It's made numerous changes itself. We expect NEI to
20 address those. WE're going to continue to work with
21 NEI in addressing those comments, clarifying our
22 intent. We'll take back the comments we've received
23 here today. And the goal is that at the end of this
24 process is to be able to endorse an NEI document that
25 can be endorsed with few, if any, exceptions, that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can come to a common ground on them. That's all I
2 have.

3 CHAIRMAN APOSTOLAKIS: The request now is
4 for us to write a letter on whether we agree that --
5 okay.

6 MR. HARRISON: The request is, as I
7 mentioned, this is really the first significant rule
8 change that the staff has developed in an effort to
9 achieve a risk-informed and performance-based
10 regulatory program.

11 The staff published draft rule language
12 back in August that included some specific treatment
13 requirements for RISC-3 components. And in the course
14 of developing the proposed rule to deliver to the
15 Commission, we concluded that that approach wouldn't
16 achieve the Commission's expectations for risk-
17 informed regulatory program improvement. Therefore,
18 we've provided to you a rule making package that
19 provides high level treatment requirements for RISC-3
20 components, and request public comment on this matter
21 because there are still many among the staff who
22 believe that fundamental treatment requirements for
23 RISC-3 are needed to maintain safety.

24 We do not have all the concurrences in
25 this rule making package yet. There are going to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some additional conforming changes to the Statements
2 of Consideration, in order to satisfy our general
3 counsel, and perhaps other office's approval of this
4 package.

5 We are working to complete all the changes
6 in the package in order to achieve concurrence so that
7 we can fulfill our commitment to deliver a proposed
8 rule to the Commission by the end of September.
9 Actually, that's a revised commitment. They
10 originally hoped to get it in July, and because of the
11 developmental work on the guidance documents, and we
12 missed an opportunity. We couldn't come to the ACRS
13 in August, so we committed to provide it to them in
14 September.

15 We recognize that there are still many
16 questions, as you've just discussed, relative to
17 implementation, but we believe that those details can
18 be better addressed in the context of resolving public
19 comments on our proposed rule, that would integrate
20 the resolution of all of these details about how to
21 implement such a rule.

22 Consistent with this approach we would
23 intend to continue an open dialogue with NEI and other
24 stakeholders to resolve comments on the guidance
25 documents, the associated regulatory guide that would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implement this proposed rule. And on that basis, we
2 are requesting that the Committee endorse the concept
3 of this rule, so that we can move forward to publish
4 it for public comment, and start a more meaningful
5 dialogue on the details.

6 CHAIRMAN APOSTOLAKIS: Okay.

7 MR. HARRISON: That completes the staff's
8 presentation, and we'd be pleased to answer any other
9 questions you might have.

10 CHAIRMAN APOSTOLAKIS: Do any other
11 members have any other questions? Members of the
12 public? Okay. Thank you very much, and we'll break
13 until five minutes after eleven.

14 (On the record 11:07:44 a.m.)

15 CHAIRMAN APOSTOLAKIS: We're back in
16 session. The next item on the agenda is Draft
17 Regulatory Guide DG-1120 and Standard Review Plan
18 Section associated with NRC Code Reviews. Professor
19 Wallis is a cognizant member.

20 MEMBER WALLIS: The Standard Review Plan
21 and Reg. Guide that we're going to go through today,
22 we first saw in 1998. They were issued in response to
23 Lessons Learned, and to comments that the ACRS have
24 made in this review of 8600, and those two sources
25 recommended that there should be an effort by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staff to specify what should be in the thermal
2 hydraulic codes.

3 We reviewed both of these documents in
4 1998, and we said that the SRP is in pretty good
5 shape, but we need to see changes in the reg. guide.
6 And in response to that, the staff took to heart our
7 comments and made significant changes in the reg.
8 guide, which in the year 2000 we reviewed again, and
9 we said both of these documents are now in good shape.
10 Put it out for public comment.

11 It went out for public comment, and the
12 significant public comment was from industry, the gist
13 of it was that yes, these are good things, but when we
14 only make small changes in codes, maybe we don't need
15 to go through the whole process, so give us some way
16 of having this burden proportional to the need. And
17 the staff responded to that reasonable request, and
18 they added a section to the reg. guide, which we
19 reviewed as a Subcommittee, I forget when. Fairly
20 recently. July 17th. And our impression at the time
21 was that the review plan had not been changed, so we
22 focused on the changes to the reg. guide which were in
23 response to the comments. Essentially in the reg.
24 guide is Section 5. Section 5 has been added, and we
25 had some comments. And then the staff has responded

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to the comments of the Subcommittee in a way which I
2 hope this Committee will find acceptable.

3 In preparing for this meeting, I was
4 surprised to find that the SRP which we thought had
5 not been changed, has been changed -- maybe just why
6 and how will become clear, by lifting the changes to
7 the reg. guide, and simply incorporating them in the
8 SRPs. Exactly the same words now appear in Section 6
9 of the SRP, as appear in Section 5 of the reg. guide,
10 which was a surprise to me because I thought we were
11 only reviewing the reg. guide because it had been
12 changed. And actually, the SRP has been changed in
13 essentially the same way. And I'm sure this can all
14 be sorted out, and so I'm looking forward to Norm to
15 help us do that. I don't want to take any more of you
16 time, Norm. Norman Lauben, please lead us through the
17 reg. guide.

18 I might add that we're really looking
19 forward to these getting out there for use, because we
20 have to review codes. And both the applicants and the
21 staff, and the ACRS will find these documents useful
22 when we do them in reviewing codes, preparation of
23 codes in the case of applicants. It would be very
24 timely to have these documents actually issued in the
25 final form. While you take you time, Norm, I keep

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talking. Watch out.

2 MR. LAUBEN: I think, first of all - am I
3 coming through now? Okay. All right. Jack, did you
4 want to say a few words before I say a few words?

5 MR. ROSENTHAL: Okay. My name is Jack
6 Rosenthal, and I'm the Branch Chief of the Safety
7 Margins and Systems Analysis Branch of the Office of
8 Research.

9 Norm and I, and a fellow named Len Ward
10 went up to the Yankee Atomic in 1996 to do that
11 review. And it's six years later, and at this point
12 we think everyone would be better served to get the
13 documents out on the street. In looking over the
14 material, we believe that we have been responsive to
15 the Subcommittee, in terms of their comments.

16 The guide describes a method for building
17 an evaluation model, and let me remind you, this is
18 for transients and accidents, really non-LOCA. And
19 some of the transients are, by their very nature, far
20 simpler.

21 I think that the sections I'm doing,
22 phenomena identification, and scaling, and code
23 assessment, et cetera, are straightforward and
24 reasonably non-controversial. The section on a graded
25 approach would be more controversial. And also, how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we approach quantification of uncertainties was an
2 issue to us, and also an issue to the Subcommittee.
3 So although Norm's presentation covers the broad scale
4 span of the development of the reg. guide, the plan is
5 that he'll go quickly through the non-controversial
6 aspects, and then that will give us more time for
7 discussion of the more important aspects.

8 MEMBER WALLIS: Jack, you already said
9 something strange to me. You said that this guide is
10 aimed at transients which are not LOCA, and yet the
11 SRP and the guide makes quite a few references to
12 LOCA, right on the first page, (reading.) So I don't
13 understand this business of LOCA being somehow
14 different. These codes are going to be used for LOCAs
15 and for other transients, all transients. What is
16 this backing off of -- these codes and the LOCAs are
17 referred to in these documents as if they were a use
18 of the code, as well. And that, I think, was our
19 understanding.

20 MR. ROSENTHAL: Let's see.

21 MEMBER WALLIS: The word "LOCA" appears on
22 quite a few of these pages, so it must be relevant.

23 MR. ROSENTHAL: It does. And I don't --
24 I think -- let's see. How should we approach this
25 whole thing?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Maybe you should make your
2 presentation.

3 MR. LAUBEN: Well, I'm not sure I want to
4 make it.

5 MEMBER WALLIS: But you have to.

6 MR. LAUBEN: I have to. I'd almost say
7 that it's -- a lot of it is just -- let me go through
8 it quickly, and I will get to that. Okay? This was
9 DG -- okay. This used to be DG-1096. It's now DG-
10 1120.

11 The difference between 1096 and 1120 is
12 the graded approach. That's really the only -- that's
13 the principal difference. I think the outline is
14 obvious background. Many of you are familiar with the
15 contents of DG-1096, the contents of 1120. I think I
16 said what the difference was, and then we'll do a
17 status and summary.

18 In terms of the background and need, let
19 me just say something about there were really two
20 Maine Yankee investigations. One was the LOCA
21 investigation which was conducted by NRR to address an
22 allegation, and it was -- the allegation had to do
23 with LOCA message. What Jack referred to was the ISAT
24 that Chairman Jackson set up, and which we were to go
25 up there and look at everything except LOCA. However,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's not to say that the reg. guide isn't applicable
2 to all events in Chapter 15. Indeed, it is applicable
3 to all events in Chapter 15. However, if it weren't
4 for the ISAT part, and the part that looked at non-
5 LOCA things, I'm not so sure that we would need this
6 reg. guide for LOCA, because LOCA is addressed in reg.
7 guide 1.157. It's addressed in the conservative
8 method in Appendix K. And if we were to make changes
9 to update Reg. Guide 1.157, we could do that in the
10 context of LOCA only.

11 However, there are certain features about
12 this new draft guide, especially including the idea of
13 the hierarchical message that we discuss in terms of
14 co-development and assessment, which is principally a
15 response to your concerns, Graham, about how -- do you
16 have the right things in the code that you're using
17 for the particular application? So in that sense, the
18 reg. guide, yes, it's not just to address transients.
19 However, the first response which was to the ISAT, was
20 indeed to make sure that transients and other non-LOCA
21 accidents are being addressed, as well.

22 And, in fact, when we were at Maine
23 Yankee, we spent a lot of time on steamline break,
24 which is an accident. We spent also a fair amount of
25 time on non-accidents, but the AOO, Anticipated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Operational Occurrences which are by their definition
2 less benign, unless other failures occur.

3 MEMBER WALLIS: But clearly, the time you
4 want your code to be really good is when it matters.

5 MR. LAUBEN: When it matters. So the
6 point about that is that for benign AOOs which are
7 design-basis AOOs, not the risk part where additional
8 failures occur beyond -- you know, that may start out
9 with these anticipated transients, but then with the
10 further failures they become risk significant events.
11 That's not what we're talking about.

12 MEMBER WALLIS: Could I add another need
13 here?

14 MR. LAUBEN: Sure.

15 MEMBER WALLIS: In my introduction I said
16 that these were introduced in response to Maine Yankee
17 Lessons Learned.

18 MR. LAUBEN: Yes.

19 MEMBER WALLIS: Also, to concern to the
20 ACRS.

21 MR. LAUBEN: Yes.

22 MEMBER WALLIS: And the ACRS saw a need to
23 tighten up and make clear the requirements for these
24 codes.

25 MR. LAUBEN: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: And I see your documents
2 as being quite responsive to our concerns.

3 MR. LAUBEN: Right. Now the difficulty
4 probably comes in when we start to think of something
5 like a degraded approach, which was a response to
6 industry's concerns. And I think this is a new
7 concept, and probably it's not as easy for us all to
8 deal with. But let me just say then that in terms of
9 what we looked at at Maine Yankee, the things that
10 were more difficult were the non-LOCA accidents,
11 steamline breaks and things like that.

12 What we decided was, because the industry
13 very much doesn't want to have their plants
14 compromised or threatened because of simple events,
15 they do a pretty good job when it comes to these non-
16 threatening events. They spent a lot of time on it
17 because due to normal operations or simple transients,
18 they don't want to see their plant compromised.
19 That's an economic reason, as much as a safety reason,
20 and that's understandable. So they spent a lot of
21 time. It may be with tools that we don't think are
22 very modern all the time, but I think they do a pretty
23 credible job, and they were anxious to show us how
24 they handled these things. But we then, on the other
25 hand, had to respond to did they do as good a job, or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as, you know, a sufficient job on the non-LOCA events.
2 And NRR, as part of their investigation, looked at how
3 do they do when it comes to LOCA events?

4 And these are the -- the accidents have
5 more severe consequences. The accidents also turn out
6 to be more complex, and so it wasn't surprising that
7 we would have spent more time on the accidents, in
8 terms of our concerns.

9 MEMBER WALLIS: You can presumably use it
10 for lots of cases, such as beyond design-basis.

11 MR. LAUBEN: Okay. All right. And that
12 -- but usually for beyond design-basis, it means you
13 have to have something more than the simple design-
14 basis codes that you are using for the non-threatening
15 events, for the simple events. In other words, the
16 fact that you may have a loss of feed water, it
17 becomes more significance if you have a loss of feed
18 water, and then something else. And that requires a
19 more sophisticated code than just the loss of feed
20 water.

21 MEMBER WALLIS: Why does it require more
22 sophisticated codes?

23 MR. LAUBEN: Because you now encounter
24 phenomenology that goes beyond the design-basis. If
25 the design-basis shows a simple transient that's not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 threatening to the fuel, non-threatening to the
2 vessel, doesn't cause two phase flow to occur, then it
3 -- it is because when they calculate the transient
4 with their design-basis codes, without the additional
5 failures, the transient is simple.

6 MEMBER WALLIS: Well, Norm, I think that
7 the principles are laid out in the standard review
8 plan.

9 MR. LAUBEN: Yes.

10 MEMBER WALLIS: The principles are
11 rigorous basic equations, and then saying what your
12 assumptions are and all those things, apply to any of
13 these codes. Would you agree to that? It doesn't
14 really matter what the application is. You still have
15 to do a reasonable job of deriving, explaining and
16 using the code. Maybe for some applications you need
17 to add things.

18 MR. LAUBEN: Yes.

19 MEMBER WALLIS: But the principles that
20 you've laid out in these documents still apply.

21 MR. LAUBEN: Okay. Yes. That's
22 especially true if you're going to change any one of
23 the five categories that we listed in Section 5 of the
24 revised reg. guide. That is correct. But in general,
25 just -- okay. Just because a set of analytical tools

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is old, doesn't necessarily mean that it can't address
2 what it is attempting to address. And I'm saying that
3 for simple transients that are non-threatening, even
4 though we say oh, my God, this is 40 years old. This
5 must be terrible by definition, that's not necessarily
6 the case. If it can address the simple cases, then
7 it's okay. Okay.

8 MEMBER LEITCH: Dr. Bonaca, I think I need
9 to declare a conflict of interest at this point. I
10 was an office of Maine Yankee at the time this ISAT
11 team was investigating up there. And although I was
12 not deeply involved with this particular part of the
13 process, I think I should recuse myself from this
14 discussion.

15 MEMBER WALLIS: Well, as the Subcommittee
16 -- I'm a little perplexed by you, because really ISAT
17 had very little to do with these reg. guides. There's
18 no reference to Maine Yankee itself in any of the
19 documentation. We're talking generalities about
20 codes.

21 MEMBER RANSOM: You don't really have a
22 conflict.

23 PARTICIPANT: Yeah, I don't think -- well,
24 that's okay.

25 MEMBER WALLIS: Okay. Let's move on. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm surprised. There's nothing about Maine Yankee.

2 MR. LAUBEN: I think you've seen the
3 contents of DG-1096. We've discussed it here. I
4 don't think I need to go through slides 5 and 6.

5 I think that it's important, just to go
6 over the principles of the -- remember, Chapter 15
7 talks about the specific transients, as well. Chapter
8 15 describes the specific transients, and what they --
9 you know, there's many subchapters in Chapter 15 that
10 address transient classes, and what is expected in
11 terms of figures of merit, which related to the
12 general design criteria and stuff like that. That's
13 for the specific things. But this is a new -- this is
14 related to the new Subchapter 15.0.2, which says we
15 think you ought to formalize your thought process in
16 terms of how you address transient and accident
17 methods that are required to do the transients that
18 are listed in Chapter 15.

19 So the first thing is to determine
20 requirements of the evaluation model. And by the way,
21 there seemed to be some confusion about evaluation
22 models in the comments that I saw. My feeling here,
23 my intent here always been that evaluation models
24 should be as defined in the reg. guide, not what
25 somebody's common usage may be of the term. And that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 definition in the reg. guide comes straight from
2 50.46. This is not a new idea. The ideal of
3 evaluation model in 1988 was that it was exactly as
4 we've talked about in the reg. guide. This is not --
5 before 1988, because of the only kind of things that
6 used the concept of evaluation model was LOCA analysis
7 with Appendix K. There seemed to be a merging of
8 those concepts.

9 Well, in 1988 when the rule was changed
10 for LOCA, the concept was generalized there to mean
11 both the conservative method described in Appendix K,
12 and the realistic method required, or the realistic
13 option that was described in the revised rule.

14 MEMBER WALLIS: Really, any computer code
15 or something put together to evaluate a transient.

16 MR. LAUBEN: Or set of computer codes, or
17 set of procedures.

18 MEMBER WALLIS: It's a generic term.

19 MR. LAUBEN: It's a generic term and
20 that's what we certainly meant here. If there was
21 some confusion about the way people use that term, you
22 know, I --

23 MEMBER WALLIS: There isn't a confusion
24 any more.

25 MR. LAUBEN: I hope not. Okay. All

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 right. So then it -- the idea in the first principle
2 is that you should do something, including an
3 importance determination of what's important in the
4 transient, and then develop an evaluation model that
5 meets the requirements of number one.

6 Number three, is that obviously you need
7 an assessment base. And the assessment base should
8 also be consistent with the requirements that you had
9 in Part 1. And then assess the -- four is to assess
10 the evaluation model. And this comes in large measure
11 from CSAU. This is not unique.

12 The principles that were outlined in CSAU
13 are not unique to LOCA. They can be -- in principle
14 they are useable in any kind of transient or accident
15 that you may have to analyze. And then, of course,
16 five and six are -- I think we all realize the
17 importance of quality assurance and good
18 documentation.

19 MEMBER WALLIS: So if I could just
20 paraphrase what you've done, what I see you've done is
21 you've taken these principles. You've expanded on
22 them in the reg. guide so they go into more detail
23 specifics in a way which is most helpful to the
24 applicants.

25 MR. LAUBEN: Yes. I think the point that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should be mentioned is that CSAU was originally done
2 as a demonstration that you can do best estimate
3 analyses, evaluate the uncertainties, and come up with
4 an answer that has some degree of conservatism based
5 on that uncertainty analysis. But isn't something
6 that requires all of the conservatisms that are laid
7 out in the 40 principles of Appendix K, or the 40
8 requirements in Appendix K. So this is -- and it's a
9 more risk-based idea, I think.

10 Okay. And the other thing that I think
11 was the principal change from CSAU to this reg. guide
12 was the idea of the decomposition, the hierarchical
13 decomposition so that you made sure that the basic
14 things that you have in the code, or the evaluation
15 model make sense in terms of what you're trying to
16 analyze. And this was in response to the things that
17 you uncovered, Graham, I think, and also others that
18 had to do with the review of reprint. So that was a
19 principal addition to this whole reg. guide, which was
20 different from CSAU. Because CSAU really said hey,
21 the development is over with. We now have a code that
22 is developed, but we want to show that it's possible
23 to do a code uncertainty analysis and come up with an
24 answer.

25 Okay. So then we took this to the public.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The public comments were -- it seemed like this was
2 fine for complicated transients. This was fine for
3 things like LOCA, but for simple things, simple
4 changes, they thought that it was over-kill, so that's
5 why we made the changes.

6 Now the changes that are listed on slide
7 number 9 are the changes that were made to the reg.
8 guide.

9 MEMBER WALLIS: Most of them are very
10 small, aren't they, except for the first one?

11 MR. LAUBEN: Most of them are small.
12 There's the addition of Section 5, which was the
13 graded approach. I don't think I need to go through
14 these additions.

15 MEMBER WALLIS: Unless the Committee
16 wishes.

17 MR. LAUBEN: Yeah. I don't think so. I
18 think we -- okay. Now what did we do --

19 MEMBER WALLIS: About the only thing you
20 didn't do is correct about four typos in --

21 MR. LAUBEN: We'll get back to the new
22 author when he comes back from vacation.

23 MEMBER WALLIS: No, but you did a good job
24 of cleaning up the details.

25 MR. LAUBEN: Okay. Yeah.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: And then you added this
2 new section, which maybe we want to hear about a
3 little bit.

4 MR. LAUBEN: Yes. And we took out -- in
5 response to the Committee comments, which have the new
6 section in it, we took out the risk part. The idea
7 being we weren't -- your comment, Graham, was we're
8 not sure how you would do this risk part anyway. And
9 when we thought about it, how would we concretely
10 address the concepts of risk if we were going to, in
11 terms of simplification of a graded approach. And we
12 said no, and really you do have to do some kind of
13 uncertainty no matter what, whether it's -- hopefully,
14 a lot of this simplification comes out of the fact
15 that the transients are simpler, or the changes are
16 simpler. And this should be a fairly natural thing
17 that would come out of that.

18 MEMBER WALLIS: I guess my comment which
19 was if you're going to talk about risk, you need to
20 talk about it in more detail. You need to talk about
21 the model uncertainties, the fact that the code is
22 getting wrong or a lousy answer, this has an impact
23 upon decisions which you might make about whether or
24 not something is risky, and how risky it is. You get
25 into an area there where we're not really ready to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things. We're not really ready to put model
2 uncertainty into the PRA, so if you're going to say
3 anything, you need to say more. Maybe you shouldn't
4 say anything, because we don't quite know how to say
5 it yet.

6 MR. LAUBEN: We opted to say nothing. Let
7 me just say something about risk, and the design-basis
8 events. In a certain sense, the guidance, or the
9 regulation, Appendix A, which is the GDC. The GDC are
10 in a way risk-based in the following sense.

11 Certain of the GDC are meant to address
12 the simple transients, the AOOs that occur more
13 frequently. And they are, if you will, more
14 restrictive requirements. And they are more
15 restrictive because, you know, you want to have
16 defense in depth in a way, and I don't think defense
17 in depth in this way is inconsistent with the risk
18 philosophy. So the idea that you would want to have
19 less damage to the cladding, you would want to have
20 less threats to the vessel, are contained in the idea
21 of in the more frequent events, the anticipated
22 operational occurrences, you want to reduce that
23 threat. So I think that's there for the accidents
24 which occur, which were thought at that time, and
25 still believed at this time to occur much less often.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The GDC allows you to have less
2 threatening, or I should say more threatening
3 consequences to the accidents. So this is -- if you
4 look, there's GDC 27, 28, and some of those which
5 apply to the non-LOCA accidents, are different from
6 GDCs 10, 15, and 20 which are for the AOs.

7 MEMBER WALLIS: I think the upshot is that
8 you want to remove this very short two lines on risk
9 from the document.

10 MR. LAUBEN: Yeah.

11 MEMBER WALLIS: This is where we had this
12 confusion at the beginning.

13 MR. LAUBEN: Okay.

14 MEMBER WALLIS: I think they saw that in
15 the SRP. They put it in --

16 MR. LAUBEN: The SRP didn't do that.
17 Right.

18 MEMBER WALLIS: Now I understand it's in
19 error.

20 MR. LAUBEN: No, it's just the one didn't
21 catch up with the other.

22 MEMBER WALLIS: No, I think one didn't
23 catch up with the changes you had already agreed to
24 make.

25 MR. LAUBEN: But NRR was aware of that,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and they --

2 MEMBER WALLIS: I'm not sure if they were
3 of any of these changes.

4 MR. LAUBEN: No, I think they were,
5 because I talked to Mark yesterday or the day before.

6 MEMBER WALLIS: Well, they weren't aware
7 of the inconsistency.

8 MR. LAUBEN: And I talked to Ralph also
9 about this.

10 MR. CARUSO: This is Ralph Caruso from
11 NRR. We knew that there were changes that were being
12 made. I don't believe we had actually seen the
13 detailed words, but there was always -- it's always
14 been clear to us that the two documents should proceed
15 together. And that's why you saw the change that was
16 made to the SRP to reflect the change that was made to
17 the reg. guide in the area of the graded approach.

18 We want to try to keep the guidance to the
19 reviewers the same as the guidance to the licensees.
20 And we want to keep the wording, as much as possible,
21 identical, because we have many controversies over
22 minor changes in wording, and just try to minimize
23 that amount of controversy. So the SRP will be
24 updated to reflect the final wording of this
25 particular area that is in the reg. guide. The reg.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guide has got the lead in this area, and the SRP will
2 follow.

3 MEMBER WALLIS: Now remind me. The reg.
4 guide is going out for public comment. The SRP is
5 not. Is that the case, although you've made the same
6 changes to the SRP.

7 MR. CARUSO: Well, I guess we'll have to
8 go back and reconsider that. Considering the comments
9 that we're getting today, it probably would be a good
10 idea to send it out together with the -- to send the
11 SRP out together with the reg. guide for public
12 comment.

13 MEMBER WALLIS: My comment personally is
14 that in response to Subcommittee concerns, you have
15 done an excellent job of crafting language which is
16 clear, and allows sufficient definition of some
17 principle, but also allows reviewers sufficient
18 flexibility and common sense, and experience and so
19 on, in the way in which they apply these principles.

20 MR. CARUSO: Thank you.

21 MEMBER WALLIS: Someone has done a good
22 job, is my personal view, of crafting the document to
23 about the right level of specificity.

24 MR. CARUSO: Thank you very much.

25 MEMBER WALLIS: While not losing the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 principles involved. That's just my personal view.
2 So maybe we should jump to

3 MR. LAUBEN: The graded approach.

4 MEMBER WALLIS: Slide 13.

5 MR. LAUBEN: Yeah. Right. This is the
6 graded approach which was developed in response to the
7 industry concerns. And there are four attributes
8 there, I think, that you notice. There used to be
9 five, now there's four. Risk is gone from the list of
10 attributes.

11 One of the attributes that one should
12 consider is the novelty of the revised evaluation
13 model. The complexity of the event being analyzed.
14 The degree of conservatism, and I think we just can't
15 get away from the fact that if you're going -- you
16 can't just raise your hand and swear this is
17 conservative. You have to do some assessment.
18 Hopefully, it should be a lot simpler if the event is
19 simpler, and the changes are simpler. So it doesn't
20 -- I think we got burned an awful lot in the LOCA
21 experience last year when everyone said ah, but
22 Appendix K is so conservative. I mean, how can you
23 stand there and say Appendix K is not conservative?
24 Well, Appendix K may be conservative in
25 the requirements, but that doesn't mean that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 evaluation models, they're developed in compliance
2 with Appendix K, because they have many other things,
3 besides the 40 things that are in Appendix K that you
4 have to do. And since Appendix K models did not
5 account for things like down come or boiling, we found
6 that in some circumstances, if you remove conservatism
7 from the model, you may not be overall conservative,
8 so you do -- I think we've learned that lesson.

9 And the lesson there is, you've got to do
10 some assessment of conservatism that's realistic. It
11 can't just be I believe, and that this is
12 conservative. So I think that --

13 MEMBER POWERS: Go ahead and finish.

14 MR. LAUBEN: Okay. So that's -- okay.
15 Then the third thing is the extent of any plant design
16 or operational changes. If you can show that you're
17 still within the region that you assess the code for,
18 that the code was approved for, that should be -- you
19 shouldn't have to require a reassessment of the
20 evaluation model.

21 MEMBER POWERS: Yeah, but how do you know
22 -- what are the degrees of complexity? I mean, how do
23 I answer what the complexity in the main bend is?

24 MR. LAUBEN: Okay. I think that this is
25 trying to look at a design-basis event for a simple

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anticipated operational occurrence, for which the
2 analysis would show a fairly benign transient. It
3 stays two phase. There is no DNB. The DNB ratio is
4 still high. The pressure only changes by 2 percent in
5 the plant. There is no boiling that occurs. The
6 power may only change by as little as 10 percent, and
7 it may be for only a brief fraction of a second, or a
8 few seconds. That what your analysis shows is that
9 the event is benign. And if you make a small change,
10 and the analysis show the event is still benign, this
11 also -- also what you -- it doesn't require a
12 complicated thermohydraulic analysis to determine what
13 the -- to measure the thermohydraulic behavior. It
14 may be something for which you have plant data, for
15 instance, on a pump trip or something like that, that
16 you can use as a boundary condition in your analysis.
17 This is what I mean by a less benign or a less complex
18 event.

19 MEMBER POWERS: I think I understand the
20 last one, that is I have data, plant data for the
21 event.

22 MR. LAUBEN: Right.

23 MEMBER POWERS: I mean, a complicated
24 thermohydraulic analysis, if I have to get it past Mr.
25 Wallis, all thermohydraulic analyses are complicated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if I have to do them.

2 MR. LAUBEN: Okay.

3 MR. ROSENTHAL: May I offer a comment.

4 And Norm and I, in talking about this -- and he used
5 the words at the very beginning of his presentation,
6 and what it does, this reg. guide asks the analyst to
7 think. And it asks the analyst to think in a
8 structured manner, and to document that thought
9 process. And we would expect that the analyst would
10 figure out that for a pump trip, that the pump coast-
11 down is the dominant phenomenological issue. They're
12 required to identify what the key phenomenon are, and
13 make sure that they get those right. There's no
14 substitute for good analysis, and good thinking.

15 MEMBER WALLIS: You know, I think the word
16 "complexity" is the right one, rather than benign.
17 And it really -- complexity really is a measure of the
18 information you need to describe something, in terms
19 of bits, if you want to go that far. But in terms of
20 thermohydraulics it's the number of the phenomena, and
21 the range of those phenomena. And if you simply have
22 a small break in the pipe, and all that's happening is
23 you're boiling off some -- maybe a simple mass
24 balance, a one node analysis of the core will work, so
25 you've got a simple event. You don't need to be too

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 precise in your analysis. There are certain events
2 where you need much more complicated approach. Isn't
3 that the thrust that you have there?

4 MR. LAUBEN: Yes. And the point really,
5 I think, is that for less complex events, if you do
6 the thinking right, as Jack was saying, you will find
7 out that there's -- you need to be a lot less
8 complicated in how you analyze the events.

9 MEMBER WALLIS: In fact, that may be a
10 better way to analyze it, in spite of what Dr. Powers
11 says about my propensity. I would welcome if the
12 event is simple, a simple analysis which explains
13 what's going on, rather than fogging everything up
14 with a code with 2,000 nodes and all the kind of
15 stuff, giving you -- where have all kinds of other
16 uncertainties introduced because of these new things,
17 which may not be relevant to what's really happening.

18 MEMBER POWERS: You made it complicated
19 for me already.

20 MEMBER WALLIS: So I think this is an
21 appropriate statement. And I think it's appropriate
22 that you leave the interpretation up to the reviewer
23 to decide whether the level of analysis is really
24 matching up with the complexity of the event. You
25 don't try to get too specific about what you mean.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LAUBEN: I think so too. I think it's
2 -- especially since this graded approach is new, I
3 would hate to get too specific about it.

4 MEMBER WALLIS: This means that the
5 reviewer has to be really sharp and experienced, and
6 know when the complexity is there, and when it isn't.

7 MR. LAUBEN: That is correct. I think all
8 of this depends upon developers, users and reviewers
9 being reasonably capable.

10 MEMBER WALLIS: Yes.

11 MR. LAUBEN: This is just --

12 MEMBER WALLIS: That's really the same
13 thing in a different view.

14 MR. LAUBEN: It is.

15 MEMBER WALLIS: So do we need to go over
16 that?

17 MR. LAUBEN: No, I don't think so. I
18 think the properties are the same as what was on the
19 previous page. It just shows that you may -- you have
20 a full application on one side, and on the other side
21 a minimum application. And it really says the same
22 thing.

23 MEMBER WALLIS: And the next two slides
24 about conservatism you really addressed already, I
25 think.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LAUBEN: I hope so. I think you do
2 need to -- right. Okay.

3 MEMBER WALLIS: So can we go to slide 17?

4 MR. LAUBEN: Sure. Okay.

5 MEMBER WALLIS: I think the only important
6 word on page 17 is timely.

7 MR. LAUBEN: Yeah. Let's see. Where is
8 it? Oh, second - okay. "Timely inclusion of current
9 ACRS comments is the next step in the process." Okay.
10 You saw the slight revisions that we did. The
11 question would be do you feel that they're sufficient.
12 And if we need to address this --

13 MEMBER WALLIS: The only thing I'm sort of
14 bringing up here, and I'm ready to move on, was that
15 I think there is a point that some of our consultants
16 made, is that the problem with having something like
17 a graded approach where you say well, if the
18 evaluation model isn't very new compared with the
19 currently acceptable models, you don't really have to
20 do very much, and so on. There may be an inhibition
21 about improving the model. The currently acceptable
22 model is to devote K for so many things, then there
23 may be an inhibition about improving the model.

24 MR. LAUBEN: I think that will always be
25 the case in the context of --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Well, I think I would just
2 give you the example that we're up against now with
3 something like, I can mention the word RELAP.

4 MR. LAUBEN: Yeah.

5 MEMBER WALLIS: Now RELAP has gone through
6 a whole evolution over about 30 years or something.

7 MR. LAUBEN: Sure.

8 MEMBER WALLIS: And you go back to the
9 days of the 70s when we were arguing about Framatome
10 equations and all that stuff. And people put
11 something into RELAP because they had to put something
12 in there. Now does it mean that's cast in stone for
13 the next century, or can we improve it?

14 MR. LAUBEN: Well, I think Vic will tell
15 you that RELAP since RELAP V is a brand new code.

16 MEMBER WALLIS: It's a brand new code, so
17 we have to look at these things again.

18 MR. LAUBEN: No, no, no, no, no. It
19 started with RELAP V, what, 20 years ago? It started
20 with a clean sheet of paper.

21 MEMBER WALLIS: Vic and I are debating
22 this amongst ourselves too.

23 MR. LAUBEN: Okay.

24 MEMBER WALLIS: But it seems that if there
25 is something which we all knew at the beginning about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 RELAP, was something which functioned okay then, but
2 we realized that it could be improved. And that for
3 a realistic model, as opposed to Appendix K model, it
4 really ought to be improved. And we don't want this
5 graded approach to -- applicants to come back with
6 some of these graded approach arguments and inhibit
7 improving the model, simply because it's old, and
8 established, and has been accepted in the past.

9 MR. LAUBEN: Actually, I think that the
10 reality these days is that people are applying for
11 models that are new and substantially better. If you
12 look at what they're doing with TRAG-G for both the
13 LOCA and non-LOCA, you know, that is -- I think what
14 they are realizing is that if you use modern computer
15 codes, that there's an advantage in that you can get
16 things -- you can actually accomplish what you want to
17 accomplish in a more rigorous and quicker, so they're
18 using TRAG-G for -- they're proposing to use TRAG-G
19 for both LOCA and non-LOCA events.

20 I think the same is true with the work
21 that's being done now with RELAP V for Framatome. I
22 think for both --

23 MR. CARUSO: Norm, let me jump in here.

24 MR. LAUBEN: Yes.

25 MR. CARUSO: I'll just make an observation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that in NRR we're seeing more code reviews being done,
2 and what's driving it is economics. And it's
3 economics on several -- addressing several issues.
4 First, economics to reduce margins. Okay? Second of
5 all, economics in terms of automation of the analysis
6 process, because the old methods involved a lot of
7 small codes that had to be -- where data had to be
8 transferred manually from one computer code to another
9 computer code. There was a lot of opportunity for
10 error there. There was a lot of manual handling that
11 costs money.

12 In addition, you find that people are
13 smarter because of the research that's been done by
14 industry, by NRC, by EPRI. We know how to do things
15 differently, and they want to take advantage of that.
16 And it -- I'm not really too concerned about the old
17 codes sticking around. If they establish the
18 baseline, and we're comfortable with that baseline, it
19 can sit there. But if somebody wants to do something
20 differently to improve the way things are done for an
21 economic benefit, then they are going to use these new
22 methods. That's really what we are seeing is driving
23 the new methods right now.

24 MR. LAUBEN: Right. I put an example of
25 analysis package that Yankee had based on old methods.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And I think what Ralph is saying it may be a lot
2 easier to use one or two codes, instead of eleven
3 codes and processes just to look at a few events.

4 MR. CARUSO: One of the vendors --

5 MR. LAUBEN: So I think that's economics
6 that drives it.

7 MR. CARUSO: One of the vendors, I can't
8 say who it is because it's proprietary, and tends to
9 use one code for both reactor and containment analysis
10 - okay - in a combined fashion. And they intend
11 eventually to take that through, and use that one code
12 for also neutronics. They're doing some neutronics
13 analyses using a separate code right now, but
14 eventually they want to get to the point where they
15 have one model with one code, and that will tell them
16 how the entire thermohydraulics and neutronics
17 interaction takes place. And what's supporting all
18 this is the fact that computers are getting faster and
19 cheaper, so you can do it better. You can do it
20 cheaper, and that's what's driving it.

21 MR. LAUBEN: And you can do it better.
22 That's --

23 MR. CARUSO: You can do it faster. You
24 can do it better. You can do it cheaper.

25 MR. LAUBEN: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: And moreover, if you have
2 better physics, then you probably have less
3 uncertainty. And therefore, you can reduce margins.

4 MR. CARUSO: Yes.

5 MR. LAUBEN: That's right.

6 MR. CARUSO: And it's happening.

7 MEMBER WALLIS: Don't forget the better
8 physics part.

9 MR. LAUBEN: No, that's right. That's
10 better. That's the better part.

11 MR. CARUSO: As I said, this is because of
12 research that's happened at universities, at NRC, in
13 industry to do things better. They developed better
14 methods.

15 MEMBER WALLIS: Thank you. And now do my
16 colleagues have questions or points you want to raise?

17 MEMBER RANSOM: I only have a comment, and
18 that has to be do with the graded approach. And there
19 are numerous examples from the past where, you know,
20 a more complete analysis has revealed inadequacies in
21 simpler models, and so there is a danger in always
22 going simpler.

23 I think the simpler may be useful for
24 identifying the components of the overall phenomenon,
25 but it may not be good enough to reveal the details,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which sometimes can be important.

2 MEMBER WALLIS: Yeah. My rule of thumb is
3 you should always go one level of sophistication
4 beyond what you need in order to check that you've
5 gone far enough.

6 MR. LAUBEN: I think the problem that we
7 always -- and this is -- I know it's not always looked
8 up favorably, but one of the things we don't want to
9 run afoul of is backfit problem. And I think that's
10 what the industry --

11 MEMBER WALLIS: Unless they are necessary.

12 MR. LAUBEN: Well, unless they're
13 necessary. Then you do rule making. Yeah. Right.
14 But I think that's really it, Vic, is that -- I agree
15 with you. It's better to do a better job. I think
16 everyone realizes that.

17 MEMBER RANSOM: I think this move towards
18 using a standard good tool actually is the right way
19 to go. You accumulate more knowledge and that sort of
20 thing, and more confidence in it in time, and
21 greater --

22 MR. LAUBEN: And I think that at least as
23 far as LOCA, and to some degree transients in the case
24 of TRAG-G, every vendor is going to have available to
25 them a better tool. Framatome will have a better

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tool. Westinghouse has better tools. GE GGNF has
2 better tools, so I think that's -- I think, in truth,
3 the trend is going in that direction. Okay.

4 MEMBER WALLIS: It's now 12:00. We've
5 gained some time, unless -- this is a very tough
6 Committee. They always ask so many questions, it's
7 going to go into its usual mode. You're going to fix
8 up the details, such as asking for comments by
9 February 15, 2001 on something which is issued in
10 September 2002. And you're going to fix a few typos.
11 And then if the Committee likes the rest of the
12 document, we look forward to its eventual emergence as
13 a real document and its use. Thank you very much.

14 MR. LAUBEN: Thank you.

15 MEMBER WALLIS: This has been very
16 helpful. Any other member of the staff wish to say
17 anything more at this point? I'll hand it back to
18 you, Mr. Chairman.

19 CHAIRMAN APOSTOLAKIS: Thank you, Graham.
20 The next item will be the Subcommittee for Plant
21 Protection, which was done yesterday. And we were
22 planning to have the Committee give advice of the
23 50.69 letter. We're scheduled to restart at 1:30. I
24 wonder whether we should start a little earlier than
25 that, because now it's 12. And it's essentially

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Committee activities after lunch, so I'm not even sure
2 we need the court reporter. Right? We do not.
3 There's plenty of time. We have plenty of time.

4 MEMBER POWERS: We're doing the research
5 report, and we always do it as the last thing on the
6 last day.

7 CHAIRMAN APOSTOLAKIS: Tomorrow at 12.

8 MEMBER POWERS: About 12:00 tomorrow.

9 CHAIRMAN APOSTOLAKIS: No, there is --

10 MEMBER POWERS: Can we go off the record
11 and talk about this?

12 CHAIRMAN APOSTOLAKIS: Yeah. We are off
13 the record now.

14 (Whereupon, the proceedings went off the
15 record at 12:03 p.m.)

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701