

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Plant License Renewal Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, December 3, 2003

Work Order No.: NRC-1222

Pages 1-155

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

MEETING OF THE SUBCOMMITTEE ON LICENSE PLANT RENEWAL

+ + + + +

WEDNESDAY,

DECEMBER 3, 2003

+ + + + +

The meeting was convened in Room T-2B3 of
Two White Flint North, 11545 Rockville Pike,
Rockville, Maryland, at 8:00 a.m., Dr. Graham M.
Leitch, Chairman, presiding.

MEMBERS PRESENT:

GRAHAM M. LEITCH	Chairman
MARIO V. BONACA	ACRS Member
F. PETER FORD	ACRS Member
THOMAS S. KRESS	ACRS Member
VICTOR H. RANSOM	ACRS Member
JOHN D. SIEBER	ACRS Member
WILLIAM J. SHACK	ACRS Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACRS STAFF PRESENT:

2 MARVIN D. SYKES Staff, Designated
3 Federal Official

4 JOHN J. BARTON ACRS Consultant

5

6 ALSO PRESENT:

7 George Wrobel RG&E

8 Russ Wells Constellation

9 Ron Clary SCE&G

10 Jamie LaBorde SCE&G

11 Al Paglia SCE&G

12 Bob Wharton SCE&G

13 Mike Dantzler SCE&G

14 Stan Crumbo SCE&G

15 Dave Solorio NRC/NRR/DSSA/SPLB

16 Tilda Liu NRR/DRIP/RLEP

17 Carolyn Lauron NRR/EMCB

18 George Georgieu NRR/EMCB

19 Cheng-Ih (John) Wu NRR/EMEB

20 Y.C. (Renee) Li NRR/EMEB

21 Barry Elliot NRR/EMCB

22 Louise Lund NRR/EMCB

23 Stephanie Coffin NRR/EMCB

24 Pei-Ying Chen NRR/DE/EMEB

25 Jin-Sien Guo NRR/SPLB/DSSA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ALSO PRESENT (Continued):

2	David C. Jeng	NRR/DE/EMEB
3	John S. Ma	NRR/DE/EMEB
4	Thomas Cheng	NRR/DE/EMEB
5	Noel Dudley	NRR/DRIP/RLEP
6	Steven Jones	NRR/DSSA/SPLB
7	Mario G. Cora	NRR/DRIP/RLEP
8	Greg Gallotti	NRR/DIPM/IEPB
9	W.H. Koo	NRR/DE/EMCB
10	Kimberley Corp	NRR/DRIP/RLEP
11	David Shum	NRR/DSSA/SPLB
12	Terence Chan	NRR/DE/EMCB
13	Henry A. Wagage	NRR/DSSA/SPLB
14	Duc Nguyen	NRR/DE/EEIB
15	Raj Auluck	NRR/RLEP
16	Paul Shemanski	NNRR/DE/EEIB
17	R. Pettis	NRR
18	John Fair	NRR/DE/EMEB
19	Ram Sulland	NRR/RLEP
20	P.T. Kuo	NRR/RLEP
21	Hai-Boh Wang	NRC/RLEP
22	Sam Lee	NRC/DRIP/RLEP
23	Sam Miranda	NRC/DSSA/SRXB
24	Caudle Julian	NRC/Region II
25	Jim Strnisha	NRR/DE/EMEB

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ALSO PRESENT (Continued):

2	Mark Hartman	NRR/DE/EMEB
3	Wen Change	NRR/RLEP
4	James C. Pulsipher	NRR/DSSA/SPSB
5	Russ Arrigh	NRR/DRIP/RLEP
6	Peter J. Kang	NRR/DRIP
7	Naeem Iqbal	NRR/DSSA/SPLB

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

C O N T E N T S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAGE

Introduction, Chairman Leither 6

Presentation by P.T. Kuo 7

Presentation by Applicants:

 Al Paglia 8

Staff Presentation

 Rajender Auluck 61

Discussion of License Renewal Inspections,

 Caudle A. Julian 73

 Rajender Auluck 95

 Carolyn Lauron 115

Discussion of TLAAs, Kimberly Cook 138

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

(8:01 a.m.)

CHAIRMAN LEITCH: Good morning. This is a meeting of the Advisory Committee on Reactor Safeguards, License Plant Renewal Subcommittee.

I am Graham Leitch, and I will be chairing this meeting.

Members present here this morning are William Shack, Peter Ford, and John Sieber. We will be joined momentarily by Mario Bonaca and Vic Ransom, and we also have a consultant, John Barton, here with us today. Marvin Sykes is the Designated Federal Official for this meeting.

The purpose of this meeting is to discuss the license renewal application for the VC Summer Nuclear Power Station and the associated NRC Safety Evaluation Report.

During this meeting we will hear presentations by the applicant, South Carolina Electric and Gas, and the Office of Nuclear Reactor Regulation.

The subcommittee will gather information, analyze relevant issues and facts, and formulate proposed positions and actions as appropriate for deliberation by the full committee.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The rules for participation in today's
2 meeting have been announced as part of the notice of
3 this meeting previously published in the Federal
4 Register on November 20th, 2003. We have received no
5 written comments or requests for time to make oral
6 presentations from members of the public regarding
7 today's meeting.

8 A transcript of the meeting is being
9 prepared and will be made available as stated in the
10 Federal Register notice. Therefore, we request that
11 all speakers identify themselves and speak with
12 sufficient clarity and volume so that they can be
13 readily heard.

14 I should also mention that we have a
15 teleconferencing arrangement and some of the
16 contractors that supported the NRC inspection efforts
17 are on the teleconferencing line.

18 So at this point I'd like to begin the
19 meeting. I should also mention that we have been
20 joined by Dr. Thomas Kress. I failed to mention at
21 the introduction to the meeting.

22 So at this point I'll turn the meeting
23 over to P.T. Kuo, who will proceed from here.

24 P.T.

25 MR. KUO: Thank you Dr. Leitch.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Good morning. My name is P.T. Kuo, the
2 Program Director for the License Renewal Environmental
3 Impact Program. I have with me today also on my right
4 Dr. Sam Lee, who is the Section Chief for Section A,
5 License Renewal.

6 Today's staff presentation will be led by
7 Dr. Auluck, Rajender Auluck on my far right, and then
8 he will be assisted by Kimberly Corp, sitting on my
9 back.

10 There were no open items on some review as
11 a result of the staff review and the inspection. Dr.
12 Auluck will discuss a few issues with the ACRS
13 members, and then we will present a couple of examples
14 of one time inspection as requested by the ACRS.

15 After that, we have also Mr. Caudle Julian
16 here from Region II, and he will present his
17 inspection findings and also describe the plan's ROP
18 status for the ACRS members.

19 Let's see. I guess with that, I would
20 like to, if there's no further questions, I would like
21 the applicants to proceed with their application first
22 and follow with the staff presentation.

23 MR. PAGLIA: Okay. Thank you, P.T.

24 Good morning. I'm Al Paglia, and I'm
25 supervisor for the Plant Life Extension Project.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And I'd like to begin by presenting, first
2 of all, the overall licensee project manager for this
3 project. To my left I'd like to introduce Jamie
4 Laborde as the mechanical lead for the NSSS.

5 Sitting over here is Mike Dan Dantzler,
6 who is the mechanical lead for the VOP.

7 Bob Horton, who is the lead for civil and
8 structural, and Stan Crumbo is the lead for
9 electrical.

10 What I plan to do this morning is cover
11 just a few topics. I'm going to go briefly over some
12 background and history on this issue, and I'll talk
13 about some issues I think that are of particular
14 interest, and I'll just touch on the application
15 there. I'll try to answer any questions you may have,
16 a few statistics on programs, and then talk a little
17 bit about a tracking program and what we plan to do in
18 the program.

19 As far as background, as you probably are
20 well aware, we are a three-loop (phonetic)
21 Westinghouse plant, 1,000 megawatts electric nominal,
22 and our license was granted in August of 1982.

23 South Carolina Electric and Gas is a two-
24 thirds owner and licensee. Santee Cooper is the South
25 Carolina public utility. They own one third. Note we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 did change out our steam generators to Westinghouse
2 Delta 75 steam generators in 1994.

3 Following that in '96, we did upgrade the
4 plant from 2,775 to 2,900 megawatts of thermal.

5 And as far as the oversight process, right
6 now all of our performance indicators and inspection
7 findings are green.

8 MR. SHACK Could your steam generators
9 support an additional up rate if you wished to in the
10 future?

11 MR. LABORDE: Yes, they could. The
12 generators are, in effect, the design from the AP-600,
13 and the generators themselves are rated at about 1,000
14 megawatts thermal each.

15 MR. PAGLIA: The issues that I plan to
16 talk about a little bit, and I know you have some
17 knowledge of our alpha hot let crack that we had, and
18 I'll just touch the highlights and try to answer any
19 questions that you may have. I'll talk a little bit
20 about the upper and lower inspection results. There's
21 some blockage both in response, and then I'll talk a
22 little bit about the philosophy on one times
23 (phonetic), and I think the staff is going to present
24 the major body of that information, and we'll support
25 them.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 On the alpha hot leg, again, as you
2 probably already know, what we did was cut out that
3 weld. We cut out a spool piece that was a little over
4 a foot long and did destructive examinations and metal
5 approach examinations to understand the cause.

6 What that cause ultimately was was
7 determined to be attributed to a high tensile stress
8 on the ID of the pipe and from the original
9 installation weld.

10 MR. BARTON: Was that weld in your ISI
11 program in crack not detected or --

12 MR. PAGLIA: That's correct. It was, and
13 it was not detected.

14 MR. SHACK The other thing that was
15 curious to me about that, it wasn't covered in your
16 boric acid corrosion program initially either, was it,
17 at the time?

18 MR. PAGLIA: Well, our boric acid
19 corrosion program encompasses, of course, walk-downs
20 that we do when we initially shut down the plant for
21 outages, and we look for all sources of boron. Now,
22 what we don't do is remove insulation, and at the
23 previous outage, there was no evidence of this.

24 Now, on start-up there is a surveillance
25 that requires us to take a look for any leakage at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 normal operating pressure. That we also do and do
2 every outage, and there was nothing noted at that
3 time.

4 So this lead did really propagate to
5 fruition, if you will, and leak through the outage.
6 There was some very site -- you know, some attempts to
7 characterize when that occurred. It wasn't exact, but
8 it was determined that it probably started after we
9 had started up. It came through wall after we had
10 started up.

11 MR. BARTON: Well, if this was on the ISI
12 program not detected, I guess that raises my question
13 of, you know, how good your ISI program is and what
14 did you do when you found this crack? Did you go back
15 and look at other --

16 MR. PAGLIA: Yeah, let me try to go
17 forward here.

18 MR. BARTON: Can you tell me what you did?

19 MR. PAGLIA: We've done quite a lot
20 actually in that regard to try to figure out what we
21 have and to the extent that we have it.

22 I made this note here that at that time,
23 in that outage, we, of course, looked at all five
24 other nozzles. We did it both with eddy current
25 technology, which was not, you know, a qualified

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process when it was something to provide information
2 to us, and we did UTs.

3 And we found, at that time, a number of
4 indications via the eddy current technology. We did
5 not find anything with UT, nothing reportable. We
6 actually didn't find anything in UT, but we did find
7 those indications.

8 Now, let me carry forward because I think
9 I have kind of the remainder. I've got a little
10 graphic here. Again, you may be aware of this, but I
11 wanted to show it to you anyway, how this problem
12 really began.

13 This is a reactor vessel nozzle. This is
14 the cladding on that nozzle, and this is the butter,
15 the ICONEL butter and, of course, the loop pipe, and
16 this is just the normal weld prep for this kind of
17 situation. So this is the starting point.

18 And, you know, these passes are laid in.
19 They're about a tensile width thick. They are many
20 passes, probably 100, to go from here to here. Maybe
21 100 of the first number of passes go here.

22 This weld was rejected based on
23 indications that were identified, and so this bridge
24 was established to stabilize the pipe, and following
25 that, then this original weld was excavated, and we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 excavated the land area as well. Okay?

2 Now, this was done at 360 degrees around
3 the pipe. Okay? There were other repairs associated
4 with this weld, but this is the principal one and the
5 one that we feel dominated the scenario.

6 Then we reapplied this weld, and we did it
7 from the bridge to the ID, and then came out later and
8 went from the bridge to the OD, and then the end
9 result, and this graphic, by the way, isn't to scale.
10 I'll show you an actual cross-section in a second.
11 This was what it was supposed to be, and this was what
12 we ended up with.

13 Now, I think you also know as you lay
14 these welds in and have weld shrinkage, it puts the
15 lower welds in a compressive state. That's the
16 concept, and by design, in the end, the ID is in a
17 compressive state for the purposes of reducing tensile
18 stress.

19 This next slide shows you the actual
20 dimensions in cross-section. Again, nozzle, butter,
21 weld and pipe. This was a blow-up of this area here,
22 and this was the excavated area where it was relayed
23 back in, and there was your tensile stress that we
24 think drove this PWSCC forward.

25 We had all of the conditions at that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 point. Before the stress we did not. So we feel like
2 by replacement of the weld, the spool piece and using
3 proper welding techniques we've eliminated that
4 problem. We've not eliminated PWSCC, but eliminated
5 this particular issue.

6 Yeah, go ahead. Comment?

7 MR. LABORDE: On your question about the
8 boric acid inspection, the actual way we found this
9 was a boric acid inspection.

10 MR. SHACK Yeah, but it sounds sort of
11 like it was an accident, that you really weren't
12 looking at this. You then included all of the 182
13 butters in the boric acid inspection program, and I
14 would have thought that, you know, that would have
15 been one of the first things that would have gone into
16 my boric acid inspection program.

17 MR. LABORDE: The way our program is
18 written, we basically go in and examine everything in
19 the reactor building, and it's just now we're a little
20 more specific at looking at that, being careful to
21 look at that, but automatically we would go into all
22 areas and look for evidence of leakage, and that's how
23 this was detected, because of those efforts.

24 MR. PAGLIA: Yeah. In effect, nothing is
25 excluded per se.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHACK: No, it's a question of where
2 you do focus some attention.

3 MR. PAGLIA: Yeah, sure.

4 MR. BONACA: Now, will future inspections
5 of this area fall under your alloy 600 program?

6 MR. PAGLIA: Well, we'll get to that, but
7 the alloy 600 program essentially right now is
8 comprised of the ISI program, our chemistry program,
9 and we've agreed to obviously implement any
10 recommendations that come out of the MRP and future OE
11 in this area, but at this point -- and I'll show you
12 what we did in 13 and 14 -- we are doing code required
13 inspections going forward.

14 I think we got some good news, frankly, in
15 13 and 14. In 14 --

16 MR. BONACA: No. I'm sorry. The reason
17 why I'm asking that question is that you are reading
18 about your alloy 600 energy management program. You
19 take an exception on goal by indicating that you would
20 not rely on enhanced leakage detection system for
21 detection of small leaks caused by primary water
22 stress corrosion cracking.

23 And I was trying to understand what this
24 statement means in the context of this program.

25 MR. LABORDE: Right. In the context of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that program, I think when the GALL was written, there
2 was indication that we would use a monitoring program
3 to detect leakage that was not in place, and I think
4 since then there has been some, I guess, radioisotope
5 type of analysis done with rad monitors that I think
6 is a little more effective than the methods we
7 originally used.

8 But the thought process when we wrote that
9 was that we didn't have a method better than the
10 monitoring program we had already established on
11 monitoring water level on sumps and condensate from
12 drain coolers, et cetera.

13 MR. PAGLIA: And the other thought process
14 is that that's not really an aging management program.
15 Leak detection is really fault finding. Fundamentally
16 we're looking through ISI and maintaining good
17 chemistry, that we see things hopefully that will
18 become limiting.

19 MR. BONACA: Well, when you say ISI, that
20 includes --

21 MR. PAGLIA: Fundamentally UT inspections
22 on those welds.

23 MR. BONACA: Yeah. It includes volumetric
24 inspections.

25 MR. PAGLIA: Yeah, volumetric.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BONACA: In fact, you also use eddy
2 current as a lead inspection to identify where you may
3 have superficial cracks. I just was confused by the
4 writing of your program. When I read it, I read that
5 you are now going to perform volumetric inspection.
6 That's what I understood, and so this clarifies it.
7 Okay?

8 MR. PAGLIA: Okay.

9 MR. BONACA: And I just couldn't
10 understand where you were going with that. So that's
11 not true.

12 MR. PAGLIA: That's not true. That's not
13 true.

14 MR. BONACA: So you do have a
15 comprehensive problem consistent with GALL, really
16 except for that exception.

17 MR. PAGLIA: That's correct. That's
18 correct.

19 MR. BONACA: Okay. Thank you.

20 CHAIRMAN LEITCH: So on that point, and
21 maybe this is more a question for the NRC, but I
22 thought I read in the inspection report that you were
23 not planning to do eddy current inspection of the B
24 and C hot leg welds at the upcoming outage. Is that
25 correct?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAGLIA: Well, what we did do, we did
2 do eddy current in 13 and we did do eddy current --

3 CHAIRMAN LEITCH: Thirteen was?

4 MR. PAGLIA: Thirteen was the last outage.
5 We just completed refuel 14.

6 Now, let me back up a second. Without
7 trying to get too much detail, we took those -- that
8 spool piece that we took out, we did destructive
9 characterizations and characterized all of the flaws
10 that we identified, and we came to understand the
11 aspect ratio, the length and depth relationships.

12 We took the worst case relationship and
13 applied it to the eddy current indications we
14 identified in the other five loops. I think all but
15 one had some indications, and we then inferred a
16 depth. Because you may know that eddy current only
17 gives you surface length essentially.

18 And then we applied crack growth
19 methodology on top of that. And the SER for start-up
20 out of 12 was based on the fact that those flaws
21 applying this worst case approach would not grow to a
22 limiting fault in two cycles. Okay?

23 We came back in 13 and we did Bravo and
24 Charlie hot legs only. The lower -- the cold legs
25 required to remove the lower internals, and we did

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 choose to do that for 13.

2 Now, in Bravo and Charlie in refuel 13, we
3 did identify two recordable indications, one in Bravo
4 1 and Charlie. What we did in 13, because we were
5 trying to figure out how to reduce the probability of
6 this to occur in the future, we applied what's called
7 the MSIP process. It's mechanical stress reproduction
8 improvement process, hydraulically basically
9 compressing the pipe and cost of bending on the ID to
10 reduce that tensile load.

11 We did that. Now, once we did that, the
12 indications that we had were pre-MSIP, most MSIP. The
13 one indication that was reportable on Bravo hot leg
14 went away. It became invisible. It didn't go away,
15 but it became invisible to UT. The other indication
16 remained visible.

17 CHAIRMAN LEITCH: On Charlie.

18 MR. PAGLIA: On Charlie.

19 Now, we came back basically on that basis
20 and on the fact that we had done a mitigative
21 procedure. You know, the SER, that's how we started
22 up from 13.

23 Coming into 14, which is our ten-year,
24 full ISI program, now we went back and looked at
25 everything again. We looked at everything with VT.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We looked at everything with UT, and to, you know, a
2 pleasant surprise, everything that we had identified
3 originally was reidentified. We could trace; we could
4 correlate, and there was no growth. Nice to be able
5 to say there was no growth among all of the
6 indications that we had found, and there were no
7 recordable indications under UT.

8 Another fact that was a nice surprise was
9 that that Charlie loop indication that we had, because
10 techniques got better over this cycle, we were able to
11 determine with UT that it was an embedded flaw, not a
12 surface breaking flaw, and it was about a .43 inch
13 ligament between the ID and the flaw.

14 So because it was imbedded and it did not
15 meet recordable characteristics, so it's really a
16 nonrecordable flaw.

17 Now, because we had that Bravo hot leg
18 flaw that went away after MSIP, but it was recordable,
19 we are obligated now to accelerate now on that nozzle
20 weld for the next three ISI cycles. So every two
21 outages we'll hit that. And then beyond that, we'll
22 drop back to strictly the code required inspections.

23 For all other loops we are now committed
24 to just code inspections, and that's what the SER that
25 we -- authorizations we just received after review of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the 14 days.

2 So that's where we are. Right now we
3 think we have arrested the situation. We don't know
4 that we solved it, but we've arrested it, and right
5 now the data is looking favorable.

6 CHAIRMAN LEITCH: Now, was it the floor in
7 B, "Baker," disappeared, was undetectable?

8 MR. PAGLIA: Yes.

9 CHAIRMAN LEITCH: Is that still
10 undetectable in 14?

11 MR. PAGLIA: Correct. It is still
12 undetectable. That's correct.

13 CHAIRMAN LEITCH: Now, the two new welds
14 on A, where you welded in the new piece, what kind of
15 an inspection program applies to those?

16 MR. PAGLIA: Code inspections.

17 CHAIRMAN LEITCH: Just code inspections?

18 MR. PAGLIA: Yes, code inspections.
19 Again, what we did there, we had to rebutter the
20 nozzle, but we also butted the spool piece. So the
21 spool piece had to stay in the stainless weld, and
22 then it had an INCONEL-to-INCONEL weld. Actually
23 that's what went back in.

24 MR. CLARY: And since we were in 14 at the
25 end of the ten-year ISI and so we did the vessel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inspections also, we looked at that alpha hot leg with
2 the UT and eddy current this time.

3 CHAIRMAN LEITCH: Okay.

4 MR. SHACK: Now, when you say you're back
5 to code inspections, I assume that you're still using
6 the actual technique as something that you've
7 qualified as being able to detect. I mean, you missed
8 it the first time, and you changed your UT techniques
9 and you finally were able to see it again. I assume
10 you're using -- you're committed to using the improved
11 UT.

12 MR. PAGLIA: Well, yeah. I'm not a UT
13 expert here, but I will tell you that, you know, the
14 code required inspection is with UT technology, and I
15 know that there are increasing requirements on UT
16 technology, performance demonstrations that have to be
17 made.

18 We were able to make some improvement, but
19 could not meet the fully new requirements for the
20 performance demonstration, but what we agreed to do
21 and what we will always do in the future until we
22 improve the technology is we take that margin that we
23 couldn't capture, that accuracy we couldn't get, and
24 just put it on top of what we find and calculate from
25 that point where we are and where we can be.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That's our approach. I think that's
2 pretty much an industry-wide approach right now. This
3 technology has been pushed to the limit, and we just
4 have to wait till we get these probes down to the
5 point where they can follow the surface profile in
6 closer so that we can get the detail that we want to
7 get.

8 MR. BONACA: Well, that was my next
9 question, in fact, you know, how the industry is
10 learning this experience and applying it in detection.
11 They are doing it.

12 MR. PAGLIA: Yes, they are doing it. It's
13 very active, very active in it, and there's progress
14 being made, and it fundamentally centers around the
15 sizing and the profile following of these probes.

16 MR. BONACA: In fact, when I was reading
17 the alloy 600 problem, there's a statement that says,
18 "Conclusion. The Alloy 600 issue in my report has
19 been demonstrated to be capable of detecting and
20 managing cracking."

21 And, you know, this is the place where I
22 would have liked to see a statement that said there
23 were problems and we have learned from this, and we
24 think we're doing better. Hopefully that's really
25 where we are.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I mean, the whole industry is in that
2 direction. But I'm not taking any objection to the
3 exact writing, but I hope that the lessons learned
4 have been truly applied here.

5 MR. PAGLIA: Yeah.

6 MR. SHACK: But your history explains to
7 me why I can't find MSIP in the license renewal
8 application. You really weren't going to do MSIP
9 until you found the indication in the Baker leg; is
10 that --

11 MR. PAGLIA: Well, no, actually not true.
12 Once we, of course, have out the hot leg, you know,
13 everybody is involved in this thing and going forward.
14 We knew we had to do some things to reduce the
15 probability of it occurring again, and one of them was
16 mitigative repair.

17 And one of the proven concepts before was
18 MSIP. It wasn't new to us. However, the sizing of it
19 was new. Nothing had been done that large.

20 MR. SHACK: Yeah, but nobody had done this
21 on a PWR pipe before.

22 MR. LABORDE: When we wrote the
23 application originally, we actually started writing
24 prior to discovering the crack. We rolled some of the
25 information into the application, but certainly not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all of it.

2 MSIP had not been done on PWR, only on
3 BWR.

4 MR. LABORDE: It's been done on big, big
5 pipe, yeah, but not the wall thickness you guys have.

6 MR. LABORDE: And it has not been done in
7 this kind of situation. So I think we had to go
8 through an evolution to I guess you would say qualify
9 the process on the pipe, on our pipe. So it was a
10 while before we knew that we could, in fact, do that
11 process.

12 MR. SHACK: Now, was that an analytical
13 verification or did you actually make measurements of
14 plastic strain on comparable joints?

15 MR. PAGLIA: I believe -- I am not totally
16 familiar -- I believe they actually had done it in a
17 shop type setting to confirm they could do it.

18 MR. PAGLIA: I believe that's correct.

19 MR. LABORDE: But I was not involved in
20 the process.

21 MR. PAGLIA: I don't think we took strain
22 measurements on our particular --

23 MR. LABORDE: No, we didn't.

24 MR. SHACK: But there was a mock-up kind
25 of arrangement?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LABORDE: Yeah, we did a mock-up or
2 there was a mock-up done and they tweaked it to verify
3 that they could get the results.

4 MR. SHACK: And then you do have a full
5 analytical study for your particular configuration.

6 MR. LABORDE: Sure, right.

7 MR. PAGLIA: And, again, you know, that's
8 the theory, and we think we reduce some stress. I
9 mean, I don't think we can say we've eliminated it,
10 but the results are in the results, and right now it's
11 favorable based on the lack of growth primarily. That
12 was a real positive sign they thought.

13 CHAIRMAN LEITCH: Did I understand you to
14 say that you were planning on mechanical stress
15 improvement even before the crack was --

16 MR. PAGLIA: It became a plan. You know,
17 there was a big effort kicked off obviously after the
18 hot leg. The whole point I was making is that we
19 didn't wait for Bravo to do this. All of these
20 actions were kicked off out of the hot let, Alpha hot
21 leg episode.

22 CHAIRMAN LEITCH: Oh, okay.

23 MR. CLARY: The fact that we found the
24 Bravo indication was just more data, more data. And,
25 you know, there's differences, and this technology

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 isn't perfect. So you've got some variation when you
2 apply it. I mean it's not 100 percent.

3 And then the other thing that was evident
4 was the UT process and eddy current process improved
5 from 12 to 13 and from 13 to 14. So, you know, that
6 indication in the Bravo hot leg could have been there
7 in 12. We just didn't see it, and then we saw it as
8 the UT process was better.

9 CHAIRMAN LEITCH: That's right. That's
10 right.

11 MR. PAGLIA: So that's the hot leg story.
12 If you have got any other questions, I'll be glad to
13 hit them later if you want.

14 All right. Moving on to head inspections,
15 for our upper head, you know, as a result of the
16 bulletin that came out in 2002 and Davis-Besse and so
17 forth, what we did in refuel 13, we did a best effort
18 bare metal inspection of the head. We went to all
19 accessible areas. We did user mode optical device,
20 robotics device that went around under the insulation.

21 We did find some accumulation of boron.
22 These came as we determined from an earlier conoseal
23 leak that occurred at the end of refuel 2 and refuel
24 3. That was subsequently repaired in refuel 4, and we
25 had no leak since. It's just where the thermocouple

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extension wire comes through and is sealed at the top
2 of the whole conoseal assembly.

3 There was some residue remaining. It was
4 a thin film that occurred at cold, low temperatures,
5 not considered aggressive and, you know, it wasn't
6 cleaned up perfectly, but that's what we found.

7 And obviously, no active leaks or
8 degradation was found. There was no boron in direct
9 contact with the head.

10 In 14, we went back and this time we did
11 100 percent bare metal. We did remove the insulation
12 where it was required, and we did use a similar device
13 and no active leaks or degradation. You may know that
14 we are a low susceptibility plant. We have a T-cold
15 (phonetic) head and think we would be later --

16 MR. SHACK: You've been cold since day
17 one, right?

18 MR. PAGLIA: We've been cold since day
19 one. So, you know, we're vulnerable, but we should be
20 toward the end of the list.

21 So that's how --

22 CHAIRMAN LEITCH: So is this inspection in
23 compliance with the NRC order?

24 MR. PAGLIA: Yes, I think we're in full
25 compliance with the requirements of the BOLTA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (phonetic), and if they go --

2 CHAIRMAN LEITCH: You didn't have to seek
3 relief from some facets of the order?

4 MR. PAGLIA: No, and primarily, I think,
5 because we were able to do 100 percent load, and we're
6 going to look again. We're not stopped here.

7 CHAIRMAN LEITCH: So there are no plans
8 for head replacement at this unit then?

9 MR. PAGLIA: We don't have any specific
10 plans. We have done some very preliminary looking at
11 the availability of material and so forth, but we have
12 no plans specifically in place.

13 CHAIRMAN LEITCH: Okay.

14 MR. PAGLIA: On the lower head, again, we
15 went down this outage. Again, we normally would go
16 through. We do a walk through this NCORE (phonetic)
17 pit. We look as part of the normal boron walk-down as
18 well as the start-up surveillance for leakage. That's
19 what we have always done at every outage and never saw
20 anything.

21 This time we went in and we did do a 360
22 degree, 100 percent inspection of all of the
23 penetration of the nozzles, instrument nozzle
24 penetrations from the bottom. We did find some dry
25 boric acid. We found some that looked like it had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dripped down the side of the vessel and to some of the
2 nozzles. We found some rocks on the NCORE pit floor.

3 We did a chemical analysis, tried to
4 characterize it. You know, basically, again, as you
5 may be aware there was no Cobalt 58. There was no
6 Cesium 134, no iodine. So it was considered not an
7 active leak. I mean, it had been there a while, and
8 radially this dripping down the side of the vessel was
9 under the alpha hot leg, and we also think that
10 probably in refuel 13 there may have been some leakage
11 from the refueling cavity. You've got a seal between
12 the vessel and the cavity, and there may be some
13 leaking down through there.

14 So we cleaned it up real well and pressure
15 washed it. We've got a video record of it. We've
16 identified all of the penetration nozzles on the
17 record. So now we have a very clean baseline to go
18 from for future inspections and comparison purposes.

19 And that's the lower head. Right now
20 we're okay.

21 On the sump blockage bulletin, there are
22 a number of things we responded with option two. We,
23 you know, discussed the various compensatory measures
24 that we have in place, I think, which was
25 satisfactory. We did obviously go down and do a walk-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 down in accordance with the NEI guidance. What we did
2 find was some original installation gaps. They
3 weren't significant, but they were there, and we
4 repaired them and closed them up.

5 There are some doors over the sump. They
6 have, if you will, regular hinges instead of piano
7 hinges, and between the hinges you've got a space.
8 The gap was only a quarter of an inch, but the length
9 was obviously more than a quarter of an inch, the
10 screen-to-fine screen mesh is a quarter by a quarter.
11 So we had greater than the spec on the gap.

12 Also, at the top of the fine mesh screen
13 where it would intersect with the door there was a
14 half inch gap instead of the quarter inch gap, and
15 that was also closed.

16 Also, one other thing, there was some
17 level instrumentation that was inside the screens
18 before, with cabling running through conduit, and that
19 was removed to the outside. The conduit was removed,
20 and the hole in the screen remained, and so we closed
21 it up.

22 So we repaired those gaps. The general
23 overall material condition of sumps is very good. Bob
24 has got some pictures if you're interested, but it was
25 in good shape.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Some other things that we did looking
2 forward and where we're going, we did some latent
3 debris collection, sampling. This is just debris that
4 would come fundamentally out of the ventilation system
5 during the cycle and would be in containment, and we
6 did that for future design studies that we're going to
7 do on debris generation and transport to put to bed
8 analytically that the strains (phonetic) and the
9 design can handle it.

10 We are going to apply some new guidelines
11 that are put out by NEI, and we are going to evaluate
12 the adequacy of the surface area to available screens,
13 being sure that they are sufficient.

14 If they're not, we will make mods. The
15 mods are planned for refuel 16, and that should be
16 ahead of -- which I believe is the NRC target for
17 closing 191, which is the end of 207. So that's our
18 going forward plan on the sumps.

19 CHAIRMAN LEITCH: Have you been able to do
20 any modifications to operating procedures to mediate
21 properly?

22 MR. PAGLIA: In the bulletin -- I don't
23 have these details, but what we did is we basically
24 provided what we currently do. We made no other
25 changes to the way we do business. We did provide a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 defense for not early termination of spray. We did
2 that based on the conflict with the ERGs. I know
3 that's an issue of interest, and what we have
4 committed to do, and there's a study going on now to
5 reevaluate early termination of spray, you know,
6 before you would reach SI termination criteria, to
7 determine if that can be done, and that study is
8 scheduled to be completed in March of this coming
9 year.

10 And whatever the results are, we're going
11 to obviously evaluate and take appropriate action, but
12 I think what we currently do meets the intent of what
13 was required in the bulletin.

14 MR. KRESS: What kind of insulation do you
15 have?

16 MR. PAGLIA: Jamie, do you want to speak
17 to that?

18 MR. LABORDE: The insulation inside
19 containment is predominantly reflective metal. We do
20 have some other types of insulation, but they're
21 encapsulated in stainless steel jacket.

22 MR. KRESS: Is your containment well
23 painted?

24 MR. LABORDE: Yes, it is. We do have
25 coating.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PAGLIA: Yeah. There was no issues
2 with coating. There were some minor issues that Bob
3 can speak about, but around the interface between the
4 floor, nothing; no big doubling or anything going on
5 in there.

6 CHAIRMAN LEITCH: You had some evidence of
7 some flaking of --

8 MR. PAGLIA: At the floor interface?

9 CHAIRMAN LEITCH: And those of the upper
10 region, I thought.

11 MR. PAGLIA: Yeah. bob, do you want to
12 talk about that a little?

13 MR. WHORTON: Bob Whorton, structural
14 engineer.

15 As part of our maintenance rule
16 inspections and the IWE and IWL containment
17 inspections, we have now a well documented baseline of
18 all the coatings of the liner itself, and in the dome
19 area, we have just identified some very minor -- a
20 split in one location and a top surface flaking, and
21 we're talking areas of less than two square inches
22 that we can identify through high power telescopes and
23 lighting.

24 At the intersection of the moisture
25 barrier on the base floor is where we have identified

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some light rusting in that area, and we've addressed
2 that as part of a nonconformance notice program and
3 done evaluations.

4 MR. KRESS: Do you consider this issue a
5 license renewal issue or is this something that you
6 just did for comfort to satisfy the --

7 MR. PAGLIA: The sump issue?

8 MR. KRESS: Yeah.

9 MR. PAGLIA: Well, no. I think it's
10 really current licensing, but it's meeting design
11 basis functions today. I mean, the aging is really
12 not the issue.

13 MR. KRESS: But it was just an interest in
14 this license renewal.

15 MR. PAGLIA: Yes, right. Okay?

16 Okay. If there are no other questions,
17 we'll talk a little bit now about one time, and again
18 I'll give you a little philosophy, and then we can
19 talk in more detail about the specific inspections
20 later if you'd like.

21 There are nine programs that we identified
22 as one time inspections consistent with the GALL, and
23 for all of these areas where there were aging effects
24 that need to be managed, there were no existing
25 programs that we could credit. Okay?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We applied this one time inspection
2 technique, and you know, we took this from the GALL
3 and said this fits and we'll use it. This is how
4 we'll do it, and what we'll do is we'll go out and
5 typically I think we've tentatively planned by year 35
6 time frame, if not before, and do an actual inspection
7 to determine if these aging effects that we identified
8 as potential actually exist.

9 And if they exist and if there's anything
10 measurable or significant, we intend to do further
11 inspections. We will enter into a corrective action
12 program and carry forth from that point.

13 So these are more than likely not one time
14 inspections, but that's how we're starting out. We
15 did use this approach, and I think in all cases, and
16 we have some data to support this, where we very
17 conservatively identify that these aging effects would
18 occur, and second, these aging effects that we're
19 talking about are expected to progress very slowly.
20 If we go in and find otherwise we'll obviously take
21 necessary action.

22 Again, we have some detail on specifics if
23 you'd like to talk about it or we can certainly wait
24 and walk about it when the staff is going to present
25 this information.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN LEITCH: Well, some of them, like
2 the diesel generator systems inspection, I'm just
3 curious. I know you do inspect these generators. You
4 certainly look at active components.

5 MR. PAGLIA: Right.

6 CHAIRMAN LEITCH: I thought you had also
7 some inspection activities looking at passive
8 components. So how different in this case would the
9 one time inspection be?

10 MR. PAGLIA: Okay. Mike, do you want to
11 address that?

12 MR. DANTZLER: Mike Dantzler.

13 Now, we have other programs. The diesel
14 generator inspections, the one time inspections are
15 material-environment combinations for which we didn't
16 have a program. Now, they're very specific, and
17 they're very specific components. Okay? It's the
18 interior of the starting air tank. It accumulates
19 moisture.

20 So we don't expect it to occur quickly,
21 but we're going to look at it. There should be some
22 general corrosion. And conservatively we said there's
23 some alternate wetting and drying because operation
24 shifts will blow down a little bit of moisture every
25 shift. It's not really driven by any heat or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anything. It's not accelerated dry. It just
2 fluctuates a little.

3 So we couldn't rule it out. So we put it
4 in. We're going to look at it.

5 There's also some exhaust air we're going
6 to look at, and our diesel generator is a standby. So
7 normally the predominant environment is just filtered
8 air. Sometimes we'll run it and it will be exhaust
9 air. So we can't rule out aging effect. So we put it
10 in.

11 CHAIRMAN LEITCH: Okay. Thank you.

12 MR. PAGLIA: Okay. On the application I
13 really don't have a lot. I wasn't going to go into
14 any detail here. Obvious it was put together
15 according to the Reg. Guide 9510, SRP, and did GALL
16 comparisons as you know.

17 On programs, just some statistics. We
18 ended up with 45 programs that were accredited for
19 license renewal. Twenty-nine of them were existing,
20 six of which needed some enhancements to be broad in
21 consistency with GALL.

22 Of the 23 existing, 15 were already
23 consistent with GALL. These are essentially
24 regulatory required CLB programs, and there are 16 new
25 programs that were identified, 13 of which will be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consistent with GALL.

2 On commitment tracking, we have entered
3 all of the commitment into our station tracking
4 system, identified future actions and assigned
5 responsibilities. As far as the overall management of
6 that, we are managing it similar to other regulatory
7 commitments.

8 We are really not treating license renewal
9 particularly different. The licensed organization
10 remains responsible for regulatory commitments and
11 retains the overall approval authority. That's how
12 our system works, and they assure that the intent of
13 the commitments are met when the action items come
14 back in in the organizations.

15 So that process will continue, and all of
16 these commitments are in that system.

17 CHAIRMAN LEITCH: There's a comment in the
18 inspection report dated 9/29/03 that, I guess, the
19 inspection was actually done a month or two prior to
20 that time, but the report was dated the end of
21 September. It says that the tracking system has not
22 yet been established.

23 What does that comment mean?

24 MR. PAGLIA: The wording is not correct in
25 the sense that the system that we are using is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 existing system. We at that time had not loaded these
2 commitments into that system, and that has occurred,
3 and I think Caudle will speak to that in a little
4 while.

5 CHAIRMAN LEITCH: Okay.

6 MR. PAGLIA: But we did not create a new
7 system. It is simply our -- in fact, we call it
8 condition evaluation report. The software is a PIP
9 (phonetic) system that we, frankly, bought from Duke
10 years ago. It's our one stop reporting. We report
11 everything into it. Our regulatory commitments are
12 specifically identified. License renewal commitments
13 are specifically coded.

14 So you can go into that system which has
15 thousands of --

16 MR. BARTON: It's a common system for --

17 MR. PAGLIA: It's a common system, yeah.

18 MR. LABORDE: And, frankly, we wanted to
19 wait until we had the SER to write our commitments up
20 to agree with the SER. We thought that would be
21 easier and cleaner for the regulators to come in and
22 track against.

23 CHAIRMAN LEITCH: Okay. Well, I'll ask
24 the staff to comment on that when they get their turn.

25 MR. PAGLIA: Okay. Now, as far as the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 living program, the one big item that we still have
2 left to do is we're going to put together a license
3 renewal design basis document. This is going to be
4 something we decided to do internally. It's going to
5 be a compilation. It's basically the story and the
6 essence of what we did and why we did it, but it's
7 also going to include importantly the implementation
8 guidance for the future commitments that aren't clear,
9 crystal clear.

10 And so they'll be housed in this DVD, and
11 engineering in the future, when those things come down
12 to implementation, will take advantage of existing OE
13 obviously, techniques of the time, et cetera, but
14 using these, just this implementation guidance which
15 will be bounding to insure that we meet the intent of
16 the commitment once it's implemented.

17 And we need to distill this form our basis
18 documentation. This is a process that we haven't yet
19 done, but we will as a project complete that before we
20 break up next spring.

21 Commitments that are implemented through
22 procedures, those commitments are identified in
23 procedures, again, not new to license renewal. This
24 is the way we do business, and they are tracked back
25 to their base documentation and are a regulatory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 commitment.

2 The procedure changes are obviously
3 controlled under 5059, and we are going to go into our
4 configuration and control procedures, our engineering
5 change processes and include steps and guidance to
6 assure that we continue to meet the requirements of
7 Part 54 down the road for review of the need for aging
8 management in the application of appropriate programs.

9 That's also a piece of work that we will
10 complete prior to closure of the project.

11 CHAIRMAN LEITCH: Just a question there
12 about the corrective action program. Is that a
13 separate program or when you're talking about your
14 commitment tracking program, does that include --

15 MR. PAGLIA: Yeah, it does.

16 CHAIRMAN LEITCH: -- that corrective
17 action?

18 MR. PAGLIA: Because that commitment
19 program, if we had an event occur in the plan or find
20 something in a failed state or we have a regulatory
21 commitment, we write this; we identify this, and
22 there's a description page that describes the event.

23 And then there is a condition evaluation,
24 and in that condition evaluation is where engineering,
25 typically engineering, would evaluate the disposition

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of that item.

2 We have procedures in place for varying
3 levels of root cause analysis depending on the
4 severity. The CERs are categorized one through five,
5 and that drives the root cause process or a little
6 lesser detailed approach. That's the corrective
7 action program.

8 Now, if we went out under a one time
9 inspection and we identify aging, by definition by our
10 program it's going to be off normal, and it will
11 require a conditional evaluation. That conditional
12 evaluation may not be a root cause per se, but it's
13 going to drive future inspections so we can properly
14 characterize it and understand what's going on.

15 MR. BARTON: Because you have one
16 corrective action system at the station.

17 MR. PAGLIA: Exactly.

18 MR. BARTON: Is that what I'm
19 understanding?

20 MR. PAGLIA: Yes, sir.

21 MR. BONACA: We have two types of
22 commitments right now that you have to track. One is
23 commitments to implement programs that you will use
24 during the license renewal period, and that also
25 includes, for example, completion of your TLAs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analysis, whatever you have committed to do.

2 MR. PAGLIA: That's correct.

3 MR. BONACA: And then you have commitments
4 to execute the program when you get into license
5 renewal. Are you keeping those two commitments
6 separate? I mean how do you --

7 MR. PAGLIA: No, we don't really
8 characterize them differently. I mean, you're right.
9 There are different types of commitments to go out and
10 create a new program and implement it, to continue to
11 implement an existing program, and that's where we
12 will now include in procedures that drive those
13 programs. It's called our procedure commitment
14 accountability program. We will annotate those steps
15 or the scoping statement of the procedure to indicate
16 that this is a license renewal requirement, and it
17 will refer back to that DVD that I said we were going
18 to generate so the person that wants to change that
19 procedure down the road would have to go back and
20 reconcile it with DVD.

21 MR. BONACA: When you answer the question,
22 it is that the NRC will come and inspect you before
23 you get your license to verify that the first group of
24 commitments have been, in fact, implemented.

25 MR. PAGLIA: Sure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BONACA: According to your
2 commitments. I mean to what you said you would do.

3 MR. PAGLIA: That's why I said earlier
4 that the licensing organization remains overall
5 approval authority. They're the group that will,
6 regardless of who is in the seat, will assure that
7 those commitments are met prior to that period, and we
8 fully recognize that the staff in the end will
9 comment.

10 MR. BONACA: Right.

11 CHAIRMAN LEITCH: So as I understand it,
12 although you have one program, you could sort on
13 license renewal commitments there.

14 MR. PAGLIA: Yep, you sure can.

15 CHAIRMAN LEITCH: So they're all coded.
16 We won't lose them.

17 MR. PAGLIA: Yeah. Okay. Well, that's
18 all I had, I think, formally prepared.

19 CHAIRMAN LEITCH: I wondered if just to
20 help me a little bit if you could give me a little bit
21 of discussion of the rural water situation. In other
22 words, just what does the plant look like?

23 I read a lot of discussion about the pump
24 house, the dams, but I didn't have a good physical
25 picture in my mind of what was going on. They talked

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about the dam's retention dykes. What's all that
2 about? Can you give me just a two minute thumbnail
3 sketch of what the --

4 MR. PAGLIA: Let me defer to Bob, I think.
5 He can give you all you need.

6 MR. WHORTON: This is Bob Whorton.

7 It might help if I give you like a layout
8 of some of the features of the plant just to orient
9 you. Okay. This is a general layout of the plant
10 site, and as you can see here, we have the Monticello
11 Reservoirs, the once through cooling for the nuclear
12 plant. It also --

13 MR. SIEBER: You have to use the
14 microphone.

15 MR. WHORTON: We have Monticello
16 Reservoir, which is the impoundment for the cooling of
17 the nuclear plant, which also serves as an upper
18 storage pond for the Fairfield pumped storage facility
19 here.

20 The service water pond is a 44 acre
21 surface acre pond, which is our safety related
22 impoundment, and it is enclosed by a north dam, a west
23 embankment, a south dam, and an east dam.

24 The north berm that we've been talking
25 about is non-safety related -- I'll call it a dyke.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It's just an earthen embankment that was put in
2 primarily for the severe flooding under hurricane PMP
3 situation, probable maximum precipitation.

4 The other dams of the Monticello Reservoir
5 are all non-safety. They're four dam, Dam D, C, Bravo
6 and Alpha is up to the north. So that's the general
7 layout of the plant facility.

8 CHAIRMAN LEITCH: So the general elevation
9 of the ground is higher than the Monticello Reservoir?

10 MR. WHORTON: Yes, sir, the general site
11 area is at elevation 436. The maximum impoundment of
12 the reservoir is at 435 -- it's 425. I'm sorry. Four,
13 twenty-five.

14 So we have I think it's 11 feet of height,
15 elevation above that. The lower river, the Board
16 River is well below. It's several hundred feet lower.
17 So the only flooding potential that we have is this
18 natural impoundment.

19 So this north berm right here was
20 installed primarily for those several hurricane winds,
21 PMP situations.

22 CHAIRMAN LEITCH: Now, there's a pump
23 house. Could you show me the location of that?

24 I'm just a perfect straight man to you.

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WHORTON: My next slide.

2 MR. BARTON: Before you get to that,
3 you've had some hurricanes to that area. What's the
4 maximum level the reservoir has gotten to?

5 MR. WHORTON: The reservoir was formed as
6 part of a pump storage facility. So it operates
7 normally between elevation 420 and 425. We can
8 control that elevation. So 425 is the maximum.

9 Hurricane Hugo, when it came into South
10 Carolina in '89, came in probably 50 miles to the
11 east. So the winds did not produce any significant
12 wave run up in that location.

13 MR. BARTON: Okay.

14 MR. WHORTON: So we've never had any
15 severe phenomenon at that summer station at this point
16 in time.

17 MR. BARTON: Thank you.

18 MR. WHORTON: The service water pump house
19 we're talking about is on the west embankment of the
20 service water pond. This is actually a dam, but the
21 site boundary comes up to form the surface there.

22 CHAIRMAN LEITCH: Now, is that circulating
23 water or is there safety related water in that?

24 MR. WHORTON: The service water pump house
25 is the safety related part of the system, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 circulating water is there.

2 CHAIRMAN LEITCH: It's that other pump
3 house. Okay.

4 MR. WHORTON: Which is the non-safety.

5 CHAIRMAN LEITCH: Okay.

6 MR. BONACA: That's the area where you
7 experienced settlement, right?

8 MR. WHORTON: Yeah.

9 MR. BONACA: Significant settlement.

10 MR. WHORTON: Know the surface water pump
11 house and the intake structure are where the
12 settlement occurred in the early part of construction,
13 and we can talk about that in detail if you'd like.

14 CHAIRMAN LEITCH: Yeah, I was kind of
15 curious about that. I guess as it impacts, you know,
16 the joint, but I'm picturing that there's piping
17 running from there into the plant, and there's a
18 differential movement occurring there.

19 MR. WHORTON: I don't have a viewgraph
20 showing the details of the pump house, but there's a
21 tunnel, reinforced concrete tunnel that goes down
22 vertically from the pump house and then out into the
23 pond about where the arrow is. So that's your intake
24 location of the water.

25 As we were in construction in the late

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 1970s, we found out that the pre-consolidation
2 estimates for settlement of the pump house turned out
3 to be much greater than we were anticipating at that
4 point in time.

5 We discovered that during construction.
6 So we accelerated the amount of settlement by filling
7 the basin of the pump house as it was being
8 constructed with water to preload that area. So we
9 obtained a maximum settlement of almost 12 to 13
10 inches, but it was very uniform.

11 So after we achieved all of the settlement
12 that we could recognize from this problem, we then
13 continued with construction and built the pump house
14 on up to finished grade and finished elevation. All
15 of the piping connections were not connected until
16 after all of the settlement had been achieved, I'll
17 say, and we had understood what the problem was and
18 recognized now that we had probably obtained all
19 settlement that would occur.

20 We have a commitment in our FSAR to
21 monitor the settlement of the pump house and intake
22 structure twice a year, which we've been doing for the
23 last 20-plus years, I guess, and I actually have a
24 plot showing that if you'd like to see it. But
25 basically it's a straight line plot. It hasn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 changed to any significance, less plus or minus a
2 quarter of an inch over the last 20 years, and that
3 appears to be a more seasonal fluctuation than
4 anything unusual happening.

5 CHAIRMAN LEITCH: Okay. I think the last
6 data we had and the information we had was like 2000,
7 and it just seemed a couple of years old. I was just
8 wondering if the settlement was continuing, but I
9 guess what you're saying is, if I hear you, is after
10 that initial settlement and it has been basically
11 table since the initial construction.

12 MR. WHORTON: Basically stable since that
13 point in time over the past 20-plus years.

14 CHAIRMAN LEITCH: And there has been no
15 problem maintaining the joint, shall we say between
16 the pump house structure and the pipes that are going
17 into the plant?

18 MR. WHORTON: No, sir. We put in some --

19 CHAIRMAN LEITCH: As an expansion joint?

20 MR. WHORTON: We put in some flexible
21 Dresser couplings in at those joints, and we are also
22 actually monitoring the intake line for settlement as
23 part of this program that we have for settlement
24 monitoring to make sure that nothing unusual was
25 happening there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BONACA: Why are you monitoring all of
2 the intakes Line A? Is there more than one line
3 imagined?

4 MR. WHORTON: It would be very
5 representative of the other line. There are two
6 lines, but it would be representative.

7 We're also monitoring the electrical duct
8 banks that come in underground into the structure, and
9 that's a statistical measurement where you can see the
10 gap and actually take a measurement.

11 MR. BONACA: So they're representative
12 because they're adjacent or because --

13 MR. WHORTON: At the location of the pump
14 house, they're basically adjacent, and we just
15 continued the service order intake Line A all the way
16 to the plant just to have some baseline of what would
17 happen across the yard of the plant area.

18 MR. BONACA: But if you do have some
19 settlement on Line 8, are you looking at the other
20 lines?

21 MR. WHORTON: Yes, sir. If anything
22 unusual would happen, then that would promote us to go
23 forward to look at other lines.

24 CHAIRMAN LEITCH: Now, the service water
25 pond is maintained at a constant level, more or less,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and the reservoir, the Monticello Reservoir is
2 associated with the pump storage plant. So it
3 fluctuates; is that correct?

4 MR. WHORTON: The Monticello Reservoir
5 fluctuates approximately four and a half feet per day
6 is the design fluctuation. It may or may not
7 fluctuate on a daily basis like that.

8 The pond is basically stable. Its maximum
9 height would be 425 elevation. It typically would not
10 get less than 423. We actually have a make-up line
11 between the two pump houses that can provide supplies
12 should we ever recognize that the service water pond
13 dam was being deficient in water level.

14 CHAIRMAN LEITCH: Do you have some kind of
15 analysis that, say, one of those dams should rupture
16 and drain the service water pond? Is that part of
17 your licensing basis?

18 MR. WHORTON: The dams that are safety
19 class Seismic Category I, safety class dams, has been
20 analyzed for a maximum earthquakes, the safe shutdown
21 earthquake and operating basis earthquake.

22 CHAIRMAN LEITCH: So all those dams that
23 surround that service water pond are Seismic Class I
24 structures?

25 MR. WHORTON: That's correct. That's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correct.

2 MR. LABORDE: And they're surrounded by
3 the lake on all three dams. The dams are all .5 of
4 the lake.

5 CHAIRMAN LEITCH: Okay. Good. Any other
6 questions?

7 That was very helpful, by the way. I
8 appreciate that because I was confused in the reading.
9 I didn't have the picture of what was done on it.
10 Thank you.

11 MR. BONACA: I just had some questions
12 regarding here anyway, structure.

13 MR. WHORTON: Excuse me?

14 MR. BONACA: Regarding some groundwater
15 penetration that should have had in different
16 locations of the containment. Could you explain
17 leakage or penetrations in the auxiliary building, for
18 example? And you have concrete leaching in candle
19 (phonetic) access gallery.

20 Now, you make a statement that groundwater
21 is not addressed, but, I mean, my question, I guess is
22 is it, you know, a one-time occasion that you had some
23 leaching or water penetration or is it the normal
24 process that you have to monitor and correct for?

25 MR. WHORTON: Okay. As part of our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 evaluation for license renewal, we have not really
2 done any chemical analysis until about three years ago
3 of just groundwater, but because it was an issue for
4 license renewal, we took some samples.

5 The wells that are in green here, there
6 are five or six or so, were the existing wells that we
7 had installed I'll say ten to 15 years ago around the
8 plant site, and they were primarily installed to
9 monitor any oral leakage into the environment from our
10 aux. storage fuel oil tank, and so that was the
11 purpose of the wells.

12 Once we got into license renewal since the
13 wells existed, we took some samples, and that's the
14 data that we presented as part of our application. We
15 found out that our chlorides and our sulfides were
16 very low, much below the threshold. The pH in each of
17 those wells varied from about 4.8 to 5.2, and that's
18 what was reported. Those values are less than the
19 threshold of 5.5 on pH, which the GALL has determined
20 to be an aggressive environment.

21 Our terminology in the application was
22 it's mildly acidic, but we considered that because our
23 pH or -- excuse me -- our chlorides and our sulfides
24 were very low that we were basically nonaggressive.

25 Now, the staff in further discussions have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 basically discussed with us that if you exceed any of
2 the three thresholds then you should be considered as
3 an aggressive environment, and so that's where we are.

4 The chemistry we have taken here, the
5 three wells that we reported on our pH, those are the
6 values that went into the application there. We've
7 continued to take some data over the past couple of
8 years, and most from the same wells, and the data
9 stayed consistent.

10 However, as you saw on the previous slide
11 where there were a bunch of wells that were in yellow,
12 we put in 38 new wells in the last three months
13 primarily to look at controlling our site groundwater
14 issues.

15 We have in-leakage in a lot of the
16 structures, and it has been a nuisance for operations,
17 is one of the biggest issues. So we're now evaluating
18 how we potentially can de-water the plant site to
19 eliminate a lot of the in-leakage that we have in the
20 plant.

21 These three wells here, two, six, and
22 nine, were recently tested, and as you can see, as it
23 turned out the pH was actually higher on those. The
24 difference, I talked to the engineers who collected
25 the samples, and basically they said that they went

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through all of the code processes to make sure that
2 they purged the well and got fresh in-flow of
3 groundwater, and that was the samples that were taken.

4 So I'm not sure if the old wells maybe had
5 some contamination that could have changed the pH
6 possibly.

7 As another example, we have a hydro
8 project with a major dam about 30 miles from Summer
9 Station. The geology and the soil conditions are very
10 similar, and it might be helpful to show you a slide
11 here just in a minute. The pH that was taken from
12 recent samples there approach seven, which is, again,
13 fresh, clean water. So those are consistent at that
14 point in time

15 In our Saluda hydro project, which is
16 about 30 miles away, this hydro facility and the dam
17 behind it were built in the 1925 to 1930 time frame.
18 We are currently building a secondary back-up dam for
19 another purpose under FERC guidelines for seismic
20 concerns, but as you can see in the construction, in
21 1929 to 1930, the state of the pump house, and here is
22 a picture taken just in the last year. So you have 70
23 year old concrete, and even more dramatically, here's
24 from 1929 to 1930. These are the penstocks that have
25 been imbedded, were imbedded in the original dam with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concrete placement in 1929 and 1930.

2 This is a picture that was taken about six
3 months ago, and when I visited this project back in
4 September, I was amazed at the quality of the concrete
5 that had been imbedded for 73 years under very similar
6 conditions of chemistry.

7 PARTICIPANT: With the soil, the backfill
8 was up to here.

9 MR. SIEBER: You need to use the
10 microphone.

11 MR. WHORTON: Okay. So we're saying the
12 soil level was above all of this area. So we have
13 here a case of a 70-year time frame.

14 MR. BONACA: Are you saying similar
15 concrete composition?

16 MR. WHORTON: Well, I'll actually say the
17 concrete from 1925 to 1930, the QC and the quality
18 level were probably much less than the QC and the
19 quality that is put in today.

20 Just one other interesting point here.
21 Before the concrete was placed around the penstocks,
22 this is the type of construction in 1930 that took
23 place. When we did the excavation recently, they
24 excavated all of the scaffolding, the barrels, all of
25 the contaminants, grease, you name it was all still

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 left in place. So they just backfilled over it.

2 MR. SIEBER: You finally cleaned it up?

3 MR. WHORTON: And now we're cleaning it
4 up. So those are pretty dramatic, the point being
5 that, you know, we have actually a test case now in
6 the very comparable conditions where the concrete
7 appears to survive very well in an environment that we
8 have at Summer Station.

9 MR. BONACA: So, I mean, for example, for
10 the concrete leaching in the candle access (phonetic)
11 gallery, I mean, you feel that it's a limited amount
12 and is controllable?

13 MR. WHORTON: Yes, sir. I have
14 participated in all of the maintenance rule, and this
15 will be more primarily for IWE and IWL containment
16 inspections, and we have gone down each outage for the
17 last three outages to insure that the conditions have
18 changed.

19 We started our baseline in 1996 when IWE
20 and L first came about. In the year 2000, we did a
21 very detailed, complete plant evaluation for both
22 maintenance rule and for IWE&L. During that 2000
23 inspection, we documented and evaluated the amount of
24 leaching that was inside the tendon access gallery
25 (phonetic), and the biggest problem we had was that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the drains for the gallery for any normal seepage had
2 been clogged by some of the leaching material. There
3 was a fine mesh screen over the drains which were left
4 in from construction. So we removed those mesh
5 screens. We cleaned up all of the build-up of
6 leaching so that we could document any changes.

7 And when I just went in the salvage,
8 refuel 14, which was about I'd say six weeks ago, the
9 area was still very dry and clean and no significant
10 leaching appeared to be evident.

11 MR. BONACA: Thank you.

12 CHAIRMAN LEITCH: Okay. Well, thanks very
13 much. We appreciate that presentation. You'll still
14 be around, and we may have some further questions for
15 you as the morning progresses. I appreciate it.

16 So we'll turn the meeting over to the
17 staff now, P.T., for a presentation.

18 MR. KUO: Yes, sir. Dr. Auluck and
19 Kimberly Corp will be making their presentation, and
20 staff experts are in the audience ready to help.

21 MR. AULUCK: Good morning. My name is Raj
22 Auluck. I'm the project manager for the safety review
23 of the Summer license renewal application.

24 With me is Kimberly Corp. She has been
25 helping me the last few months in putting the safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 evaluation out together and other issues, and she'll
2 be making part of the presentation to us later on
3 Section 4.

4 And Caudle Julian, who is the lead team
5 leader from Region II, will be speaking later on in
6 the presentation.

7 This is some more --

8 CHAIRMAN LEITCH: I had some questions
9 about the inspections, and I'm just trying to know
10 when I should introduce those. When are we going to
11 have the inspections discussed?

12 MR. AULUCK: After Chapter 2 I will go
13 over all of that.

14 CHAIRMAN LEITCH: Okay. Thank you.

15 MR. AULUCK: And all the slides are
16 included in the handout.

17 I was just mentioning that VC Summer is
18 the fourth man that has implemented the GALL process,
19 and all of these three applications last, they came
20 together within a short period of each other. So
21 essentially there was no lessons learned from one from
22 the others.

23 So they each followed the FALL process
24 through, you know, what they understood.

25 CHAIRMAN LEITCH: And how many REIs were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there in this case?

2 MR. AULUCK: In this case we had 280 REIs,
3 and if you look over it all from a few years back,
4 they have ranged from low 200s to higher number
5 earlier, but now there seems to be ranging from low
6 two to low three, and this one was 280, and then we go
7 with Summer, you know, what kind of REIs were there.
8 I think I just briefly looked over the next one, which
9 also follows GALL process. It's 268 or so. So it's
10 in the same ballpark.

11 My thinking is more like once we go to the
12 new process where we go to the site and look at the,
13 you know, application as there is a back-up
14 information, that should cut down. I mean that's my
15 opinion.

16 CHAIRMAN LEITCH: Didn't you get to the
17 site at summer then? I thought you were in the new
18 process now.

19 MR. AULUCK: No, this is the GALL process,
20 and we had audits for specific purposes, like only
21 thing different in this process was the GALL audit,
22 AMP's audit, aging management program's office.
23 Besides that it was all reviewed. Technical
24 information was reviewed and supported by our
25 contractor staff.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN LEITCH: So you're now in the new
2 process though of ones that are in the pipeline now?
3 You're --

4 MR. AULUCK: I think there's one more.

5 CHAIRMAN LEITCH: There's one more?

6 MR. AULUCK: Which is following the GALL
7 process as it exists now. I think starting with
8 fouling they will start the new review process, which
9 they're going through the many more cycles.

10 CHAIRMAN LEITCH: Okay. Now, there were
11 a number of the ISGs incorporated in this process,
12 were there not?

13 MR. AULUCK: They addressed all of those
14 which had been finalized and, you know, positions.
15 And this application, the review was also supported by
16 the contractors from Brookhaven National Lab and
17 Argonne National Lab, and they are available on the --
18 this line is available. If there's a need for them
19 to, you know -- and they will assist the staff in
20 responding to your questions.

21 Most of their support was in Chapter 3 and
22 Chapter 4.

23 CHAIRMAN LEITCH: And that was primarily
24 headquarters support, that is, it was not at the site,
25 right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. AULUCK: Right. Basically we was
2 contracted out for certain parts of aging management
3 programs and reviews to Argonne and Brookhaven
4 National Labs, but we have the lead technical people
5 behind us from the staff right here who are fully
6 knowledgeable to respond to any of the questions.

7 CHAIRMAN LEITCH: Okay. Thanks, Raj.

8 MR. AULUCK: Next slide, yeah.

9 As the applicant has stated, the
10 application was submitted on August 6th, 2002. It's
11 a Westinghouse three-loop plant located in the town of
12 Jenkinsville. That's about 25, 30 miles north of the
13 City Columbia. Its current output is 966 megawatts
14 electrical.

15 The current license expires on August 6th,
16 2022, and they are requesting for a 20-year extension
17 to August 6th, 2042.

18 I'll just briefly go over what the NRC
19 review process is used in this application. It
20 concluded, of course, review methodology and deserves
21 other scoping and screening of plant systems,
22 structures, and components as described in the license
23 renewal application, and for documentation available
24 at the site.

25 Review included audits and inspections

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conducted at the site, and as a result of our review,
2 there were no new structures added to the scope of
3 license renewal. However, there are some components
4 that were added, and we'll go over that in the next
5 couple of slides.

6 And as a result of staff review, three new
7 aging programs were also added, and they were all in
8 the electrical area and will be briefly mentioned
9 later on when we make presentation on those programs.

10 The next slide just gives you the dates of
11 the various audits and inspections conducted at the
12 site. At the bottom you see the third inspection,
13 which we call it an option inspection, and for many
14 plants' earlier applications, we have not done that.

15 In this case, as earlier you raised the
16 question on commitments, and the focus of this
17 inspection was to look at that because, you know,
18 whenever we were at the site, of course, questions
19 were raised. How are you going to implement it? How
20 are you going to crack it?

21 And we were told, hey, it will be part of
22 -- it will, you know, fold it into the existing
23 program and will be tracked. And so had a discussion
24 with Region II. Caudle and myself would go and spend
25 two days to look at their tracking system, and that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what we did on November 16th and 17th, a few weeks
2 back.

3 CHAIRMAN LEITCH: So that report has not
4 yet been generated.

5 MR. AULUCK: That report has not been.

6 CHAIRMAN LEITCH: Okay.

7 MR. AULUCK: Yeah. Our next several
8 slides identify different areas of review covered
9 under different sections of Chapter 2 of SER. And
10 Chapter two of the LRA provides the listing of all
11 structures, systems, components included in the scope
12 of license renewal. There was nothing unusual, unique
13 about that review. So I was taken to go highlight
14 some of the things we found which were not included
15 and hopefully why they were not included.

16 As you can see from the REIs, many of the
17 REIs were in the scoping scheme section work, in
18 Section 2.3, which is scoping scheme of mechanical
19 system and competence. I think in Chapter 2 there
20 were about 18 or 20 percent of the whole REIs were in
21 Chapter 2, and many of thee REIs were related to
22 clarification of statements in the application, and
23 many were also related to identification of commodity
24 groups under which the applicant has been included.

25 As an example, I have a few examples here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In the control room ventilation system, system dampers
2 and filter housings are grouped together with duct
3 work, fan and plenum housing. Grout is grouped under
4 equipment packs. In the competent cooling water
5 system, venturies (phonetic) are listed as orifices,
6 and the structure area, refueling water storage tank,
7 and the reactor makeup water storage tank are both in
8 scope, but they're listed in the mechanical systems
9 area.

10 So you see many of these were fully and
11 bona fide REIs, but that information was already
12 included. So hopefully the new process, once we go to
13 the site, we shouldn't see those types of REIs.

14 CHAIRMAN LEITCH: So if I understand
15 correctly, this is more of a bookkeeping issue than a
16 matter of not including the information.

17 MR. AULUCK: Not including. But in that
18 case of fire protection, we did find that there was a
19 few things which were not included, and as you know,
20 we always have questions in the fire protection area,
21 and in this application the applicant uses a
22 nomenclature QR. It's called quality related red
23 flags. They had marked up all of their drawings with
24 QR boundaries, and that is everything outside the QR
25 boundary is --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHACK: It's one acronym that's not in
2 your list in the SER.

3 MR. AULUCK: Ut-oh. Sorry.

4 (Laughter.)

5 MR. BONACA: One of the inspection reports
6 reported that the tables included a number of systems
7 which do not exist at the plant.

8 MR. AULUCK: Correct, and I think although
9 we talk about that, yes, a quick answer is that
10 Gilbert, Burns & Roe -- Gilbert -- the architect
11 engineer had designed a plant and was the construction
12 manager. They, when they prepared all their drawings,
13 they used their whatever systems they had in house.
14 They included all nomenclature of potential systems
15 and basic definitions.

16 And when they finally ended up, some of
17 the plant did not use all of them. So nobody took the
18 time or effort to go take those, the nomenclature and
19 things out. And when we went for our first inspection
20 and we were going to look at certain -- we picked up
21 certain structures and systems and then followed, hey,
22 they don't exist.

23 So you know, at the time it looked
24 strange, but I think when we met with applicant and --

25 MR. BONACA: Yeah.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. AULUCK: So it didn't impact any
2 operation or view of the plant, but it does, you know
3 -- we say there is something listed in FSAR, and the
4 application doesn't exist.

5 Coming back to the fire protection, so the
6 cure boundaries and according to the applicant the
7 thought was that's everything inside of this QR, is in
8 compliance with 3048. But our review indicated that
9 these QR boundary flags on the drawings did not
10 capture, completely capture all of the components and
11 systems which needed further compliance with 5048.

12 So there were several back-and-forth
13 meetings and REIs, and as a result, they added several
14 components, including a fire service, jockey pump and
15 associated piping, whole stations in several
16 buildings, valve manifolds. They were added.

17 So here we can see that it is basically a
18 difference in interpretation on what should be
19 included.

20 MR. SHACK: This one seems inconsistent.
21 I think jockey pump is one of those phrases --

22 MR. AULUCK: Jockey pump is mine.

23 MR. SHACK: You know, it always comes up.

24 MR. AULUCK: I agree, but many of these
25 host stations is probably not as common, and you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 so that was something once we've talked to them that
2 we've said, yes, they should be included.

3 CHAIRMAN LEITCH: Is there an ISG issued
4 or being planned on this topic?

5 MR. AULUCK: I think it has been put on
6 hold, and I think they're going to discuss some more
7 with the industry. I think maybe P.T. or Sam can.

8 MR. KUO: Yes, Dr. Leitch. This was an
9 ISG before, but we had several meetings with industry,
10 and recently, as recent as probably a couple of months
11 ago, we had another meeting with industry, and both
12 sides decided it will be -- for the moment it will be
13 better to give review on a plant specific basis. So
14 the ISG is begin put on hold.

15 CHAIRMAN LEITCH: I see. I agree with DR.
16 Shack. It does seem to be a problem that continues to
17 come up as though there's some lack of clarity in this
18 particular area.

19 MR. KUO: Right, and when time is ripe, we
20 will put an ISG through again.

21 CHAIRMAN LEITCH: Okay. Thank you.

22 MR. AULUCK: In the fire protection area,
23 our review is pretty thorough, and we did find one
24 thing which was missed out completely. It's a
25 sprinkler system in the diesel generator building and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the diesel fire pump room and (unintelligible), and
2 they were employed. So I think that is the only
3 thing, I think.

4 And those are the kind of highlights of
5 our scoping and screening. If there are no questions
6 on this area, I would like to ask Caudle to come and
7 talk about license renewal inspection program and
8 documentation

9 CHAIRMAN LEITCH: When you look at the
10 scoping and you find certain omissions in the areas
11 that you look at, does it give you cause for concern
12 that perhaps there are other areas where maybe your
13 review has not been as thorough?

14 In other words, did this cause you to call
15 into question the thoroughness of the licensee scoping
16 process or did you think these were shall we say
17 legitimate omissions or misunderstandings?

18 MR. AULUCK: On the fire protection,
19 competence-wise, yeah, it was not a misunderstanding.
20 It's just they are there in compliance, and that's
21 where there is a disagreement of where the boundary
22 should be. So that's, you know, a valid question and
23 valid REI.

24 But if there were many more misses, I
25 would have said that, but I think one area sprinkler

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system in one building, I think it's --

2 CHAIRMAN LEITCH: Okay.

3 MR. AULUCK: No, I wouldn't want to be
4 concerned. Especially we had 280 REIs and more than
5 50 or so in the scoping scheming and one which is
6 found.

7 CHAIRMAN LEITCH: We are about due for a
8 break. Would this be a good time to take it?

9 MR. AULUCK: Yes, I think that's what the
10 schedule calls for.

11 CHAIRMAN LEITCH: Okay. Let's take a
12 break until 9:40 then. We're in recess.

13 (Whereupon, the foregoing matter went off
14 the record at 9:28 a.m. and went back on
15 the record at 9:41 a.m.)

16 CHAIRMAN LEITCH: Okay. Come back into
17 session, please, and we'll resume with a discussion of
18 the license renewal inspections.

19 MR. JULIAN: Thank you.

20 My name is Caudle Julian from NRC Region
21 II, and I was a team leader on the E.C. Summer license
22 renewal inspections.

23 The slides that we have up, the first ones
24 you've probably seen before. They're a little bit
25 generic. So we'll go quickly through them.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We do a scoping and screening inspection
2 and an aging management program inspection and an
3 optional third inspection if needed, and we were
4 looking at the commitment tracking system in the third
5 inspection, and we'll cover that in just a moment.

6 We have a manual Chapter 2516 and the
7 standard inspection procedure 71002. We put together
8 a site specific inspection plan for each applicant,
9 and we schedule our inspections to support the NRR
10 review.

11 We have a consistent team of five
12 inspectors in Region II, and we are again very
13 fortunate in getting support from Louis Reyes, the
14 Regional Administrator, to help us continue with the
15 continuity you have, the same people.

16 And when members leave our team, we have
17 to have a replacement training program for them.

18 Next slide.

19 CHAIRMAN LEITCH: Although we refer to the
20 fact that a third inspection was necessary here,
21 should that lead us to believe that the licensee was
22 not quite as far along with some of the activities?

23 MR. JULIAN: No.

24 CHAIRMAN LEITCH: How would be interpret
25 that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. JULIAN: Let me address that in the
2 third slide.

3 CHAIRMAN LEITCH: Okay.

4 MR. JULIAN: I'm not sure if I can. Keep
5 them in order for me.

6 The scoping and screening inspection, the
7 objective was to confirm that the applicant has
8 included all appropriate systems, structures and
9 components in the scope of license renewal. As
10 required by the rule, it was one week in length, the
11 V.C. Summer, and you see the dates, and there was very
12 little outcome, very little negative outcome from the
13 Summer scoping and screening inspection.

14 We concluded that the scoping and
15 screening process was successful, and we again had
16 very few negative findings from that inspection. It
17 was pretty much clean. The one issue that you
18 mentioned -- this would be a place to address it --
19 about the systems that don't exist, that was a unique
20 condition which we had never seen before. It
21 evidently began from an old procedure that existed in
22 engineering that had about 25 names of systems that
23 could possibly be included at other Westinghouse
24 plants, but were not design features at Summer.

25 And we questioned why in the world does

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 such a document still exist at the V.C. Summer site,
2 and we really didn't get a very clear explanation, but
3 the plant management is well aware of it and, I'm
4 sure, will correct it.

5 We pointed out to the applicant that that
6 information, although it's not safety related, could
7 cause confusion and cause one to conclude that there's
8 errors in the application, and so Raj worked with me,
9 and we sent an REI back, and V.C. Summer properly
10 corrected that with an REI.

11 CHAIRMAN LEITCH: I noticed that your
12 inspection report indicated that an RHR, SI, and RW,
13 that there had been construction strainers that were
14 removed and, therefore, were not in the scope, but
15 when you look a little deeper, you found that it was
16 really just the strainer bodies --

17 MR. JULIAN: That is correct.

18 CHAIRMAN LEITCH: -- in mean the strainer
19 internals that were removed and the bodies were still
20 in place, and the bodies were then added to the scope;
21 is that correct?

22 MR. JULIAN: Yes, they were brought into
23 the scope. The V.C. Summer folks, when we discussed
24 that, recognized that our inspector was correct in
25 that assessment, and they quickly brought it into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 scope.

2 CHAIRMAN LEITCH: I was wondering about
3 the generic implications of that. So I think that
4 procedure may be common at a number of plants.

5 MR. JULIAN: It's something that certainly
6 every time we find some little anomaly like this --
7 and I call it a little anomaly -- we do take that as
8 a lesson learned, and we're looking for that the next
9 time we go down the road to the next plant. That's a
10 positive feature of having continuity of the
11 inspection team, you know, is that they learn to look
12 for things that they've seen in the past.

13 I don't know if the --

14 CHAIRMAN LEITCH: But is the inspection
15 team just Region II based? In other words, would a
16 plant in another region get the benefit of -- I'm
17 not --

18 MR. JULIAN: Probably not, probably not.
19 We don't have a very good, effective way of cross-
20 pollinating, so to speak, from region to region,
21 except with visiting inspectors. For example, I went
22 out to the Quad Cities in Dresden inspections and
23 joined them out there since that was their first one
24 in Region III and did my best to inject everything
25 that I knew, you know. That might be a good idea for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consideration.

2 In the next inspection, the aging
3 management inspection, the objective is to confirm
4 that the existing aging management program --

5 CHAIRMAN LEITCH: Just before you move
6 on --

7 MR. JULIAN: Okay.

8 CHAIRMAN LEITCH: -- I haven't been to
9 Summer, but I mean, this groundwater issue that we
10 heard about earlier, what's your impression of the
11 housekeeping and the material condition at the plant
12 as a result of this groundwater leakage? Is it
13 impacting equipment or is it just an appearance
14 situation?

15 Could you comment on that?

16 MR. JULIAN: Sure. It does not appear to
17 be negatively affecting the equipment. We looked
18 specifically for that, looking for rusted supports and
19 things that attach to the floor, and it appeared to us
20 that they're doing a good job with keeping up with it.

21 Summer to me looks better now than it did
22 ten, 12 years ago when I was over there, and I think
23 they're making even more concerted effort to keep the
24 groundwater intrusion problem down, and to take care
25 of the equipment that gets affected by it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The problem has been with Summer ever
2 since it existed. It is worse than other plants that
3 I've seen, and I don't know why, except that the plant
4 is deep. It's very deep in the ground, and it's
5 sitting right next to the lake, and evidently the
6 water sealing on the outside of the plant must not
7 have been as good as could be at other places, and so
8 they have a continual groundwater intrusion problem in
9 the lower levels of the auxiliary building, but
10 they're continually fighting it and are doing a good
11 job it looks to me like.

12 MR. BARTON: Are there any cables that run
13 underneath the floor that could be subjected to this
14 water, could be laying in the water?

15 MR. JULIAN: No, I don't think --

16 MR. BARTON: In conduits or anything?

17 MR. JULIAN: I don't think there are.

18 MR. BARTON: No?

19 MR. JULIAN: I don't think there are any
20 imbedded, to my knowledge. Maybe Summer could correct
21 me if I'm wrong, but I don't know of any.

22 MR. BARTON: Are there any areas of cable
23 conduit that run underneath your floor that would be
24 laying in this groundwater?

25 MR. CRUMBO: We have not found any.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This is Stan Crumbo, electrical engineer.

2 We have not found any, and do not suspect
3 that there are any.

4 MR. JULIAN: Yeah, we're talking in the
5 very lowest levels of the auxiliary building, the main
6 area of --

7 MR. BARTON: Well, I know a plant in the
8 low levels of the turbine building that has water
9 underneath the floor and there's conduit and cable
10 that runs in there. So that's why I asked the
11 question.

12 MR. JULIAN: Yeah, I don't think they have
13 any at summer, but their latest effort is that you've
14 seen all of these wells that they drilled around this.
15 It's going to be on the idea of building a de-watering
16 system like a ship, continually have the bilge pumps
17 running, you know and pump the water out, and it
18 should work, and it should be effective and very
19 helpful.

20 MR. SIEBER: In turn, that could give rise
21 to settlement.

22 MR. JULIAN: True.

23 MR. SIEBER: You know, you get rid of all
24 the water in the plant, it goes like Brigadoon.

25 MR. JULIAN: Well, back onto the aging

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 management program inspections, it was two weeks in
2 length, conducted in August 4 through 8th and August
3 18 through 22nd, and there was really no negative
4 findings of significance of that inspection.

5 We thought that the material condition of
6 the plant was being adequately maintained and has
7 improved over time. As I said, the documentation was
8 of good quality.

9 We noted that there was a need to load the
10 future license renewal tasks into the established site
11 task tracking system. That's my terminology. They
12 have different terminologies for it, but as most
13 plants do, they have the official system for tracking
14 items that need correction, the deficiencies they
15 find, and also put in their licensing commitments that
16 they're going to do down the road.

17 V.C. Summer had not done that yet -- move
18 to the next slide if you would -- so we chose to go
19 back for a third inspection, and it was very brief.
20 Raj and I did it together, and to look at the effort
21 that they had done in between time, and we noted that
22 the applicant had loaded the future tasks into
23 established site task tracking system and that the few
24 revisions that we pointed out in her report that
25 needed to be made to the basis documents had been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 made, and we sampled those and some of them -- many
2 changes had been made to the basis document since we
3 had been there last, and they had been officially
4 issued now and were getting ready to be put into the
5 design basis document as they describe.

6 PARTICIPANT: Are in the system.

7 MR. JULIAN: Right, and we thought we
8 couldn't find any deficiencies there.

9 You asked a question earlier about the
10 third inspection. Is that negative inflection; is
11 that a bad thing? In my opinion, it's not
12 necessarily. The plants that I've gone to for license
13 renewal I've seen different applicants do different
14 things.

15 We've seen plants like Florida Power &
16 Light establish an official system day by day by day
17 throughout their process, and when they got done, they
18 had everything loaded in, you know, to their system,
19 and it was there and established and not a problem.

20 We've seen people who have established
21 their own corrective action system, their own tracking
22 system, rather, for items that they're working in
23 license renewal, and that's probably the source of the
24 comments you made earlier from our inspection report
25 where we said they had not yet established a system.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 They have not established their own separate system
2 that we could detect to track work items, things to
3 do, et cetera.

4 Some people do that. They have their own
5 separate system, and then at the end of the process,
6 they load it all into the official system.

7 V.C. Summer chose to wait until the SER
8 was out, and they had more focused on what would be
9 the commitments to NRR, and then they went back and
10 loaded all of those into their system, and Raj and I
11 looked at the efforts that they had done and thought
12 that they were complete. We couldn't find any holes
13 in them.

14 This is a list of the CERs that they have
15 loaded in. I have forgotten the exact number, but it
16 was up about 50 or so, and each item corresponded to
17 an item in the SER commitment to NRR and/or in our
18 inspection report.

19 So we thought they had done a good job.
20 We were very pleased with the follow-up inspection
21 that we did. I don't necessarily see that as a
22 negative.

23 CHAIRMAN LEITCH: Okay. There was a
24 couple of other items that in your original inspection
25 report you said would be the subject of future

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inspection. One of those was also new aging
2 management programs that you said were not yet
3 developed and would be the subject of a future
4 inspection.

5 Was that done in this third inspection, or
6 is that yet future inspections?

7 MR. JULIAN: That is yet to be done as we
8 discussed before. The NRC has a future piece of work
9 to do at each one of these reviewed licenses, and
10 that's what I meant by that language, is that the NRC
11 has established a procedure which we're keeping up
12 with, 71003, and we're going to have a punch list of
13 things to go follow up on at the time that the renewed
14 license kicks into the extra 20 years, and we have not
15 yet decided whether we're going to have an established
16 team from the region. Are we going to dole it out to
17 the resident inspectors to do?

18 We haven't taken the time to address who's
19 going to do it, but we are keeping a list of the work
20 so that we know what needs to be done.

21 CHAIRMAN LEITCH: Okay. There was another
22 comment in the inspection report that said the steam
23 generator inspections are the subject of ongoing
24 inspections by the NRC. Is that just along --

25 MR. JULIAN: That's just the normal ROP

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process.

2 CHAIRMAN LEITCH: Okay.

3 MR. JULIAN: NRC inspections of their
4 efforts to look at steam generators every outage is
5 just an ongoing thing that we do. We try not to
6 duplicate effort and waste resources, and our
7 inspector who is looking at that, Kim Van Dorn,
8 particularly put that language in, so that the public
9 know who reads the report that NRC is specifically
10 every outage looking over the shoulder of the
11 applicants who are doing steam generator inspections
12 as you do for in-service inspection. That's another
13 area where that's in a routine program.

14 CHAIRMAN LEITCH: So I ought not to infer
15 anything special by that phraseology.

16 MR. JULIAN: No, nothing special for
17 Summer. In fact, their steam generators are in very
18 good shape.

19 CHAIRMAN LEITCH: Okay. Thank you.

20 MR. JULIAN: And the last thing that you
21 asked us to address in the past is the current ROP
22 performance, and V.C. Summer has a very good
23 performance record as you can see. This is off our
24 Web site and in the ROP area, and all of the
25 performance indicators are green, and there have been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 no NRC inspection findings of any significance in the
2 last two years.

3 So we think that V.C. Summer is a very
4 good performer as far as operations go.

5 Are there any other questions?

6 CHAIRMAN LEITCH: That just reflects PIs
7 that are any significant inspection findings?

8 MR. JULIAN: No, they're not.

9 CHAIRMAN LEITCH: Not greater than green?

10 MR. JULIAN: Not greater than green,
11 right.

12 CHAIRMAN LEITCH: Okay. In Attachment 2
13 to the inspection report, it says a list of programs
14 selected for inspection. It looks like that was
15 virtually all of them; is that correct?

16 MR. JULIAN: Right.

17 CHAIRMAN LEITCH: I couldn't find any that
18 were not on that list. So you really looked at them
19 all. It's not just an audit thing. You did, indeed
20 look at them all.

21 MR. JULIAN: Yeah. We went into this
22 program not knowing what to expect, and so our
23 inspection procedure says we will select a sample, but
24 as long as the number of aging management programs
25 remains as it is, we are able to divvy them up amongst

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the inspectors and look at them all, and we think
2 that's a good thing to do since we have the resources
3 to do that.

4 MR. SHACK: Is that a regional thing? I
5 mean that's just --

6 MR. JULIAN: Yes.

7 MR. SHACK: -- Region II has made the
8 commitment to provide enough resources to do that.

9 MR. JULIAN: Right, and so far I believe
10 we've done that consistently, I believe, in the other
11 regions. I know that we did the Quad Dresden
12 inspection. I think we handled them all in Region
13 III.

14 MR. LEE: This is Sam Lee from License
15 Renewal Section.

16 I think the one that I remember is Fort
17 Calhoun. I don't think we finished all of the
18 programs at Fort Calhoun. Part of the reason we have
19 was that that was the first GALL plan. So we did not
20 expect -- I guess like Caudle was saying, okay, we
21 didn't know how difficult the job was.

22 So in that case, we were not able to do
23 all of the programs, but I think we left like two or
24 three programs out.

25 MR. JULIAN: Fort Calhoun comes to mind

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 now that that may be a sample process.

2 MR. LEE: I guess the inspection procedure
3 asked for a sample, not a program, but as long as the
4 people are there on site at the time they do, you
5 know, as much as they can.

6 MR. SHACK: Right.

7 CHAIRMAN LEITCH: I noticed that the
8 inspection report referred to non-EQ instrument
9 cables, and apparently there's two different
10 approaches that can be taken there. One depends upon
11 failed surveillance test data, I guess, and I'm not
12 really clear just what the two approaches are and when
13 you use one or when you use the other. Could you
14 discuss that?

15 MR. JULIAN: The GALL language in this
16 area on non-EQ instrumentation for nuclear
17 instrumentation and radiation monitors, high range
18 radiation monitors, high range radiation monitors is
19 concerned about the aging over time of that cables and
20 a change in the IR characteristics, you know, the
21 resistance of the insulation.

22 The GALL specifies that it would be a good
23 thing to do to utilize, to look at the results of
24 normal surveillance that are performed routinely as
25 required by technical specifications.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Yes, loop calibrations. It implies that
2 you should look at the trend of those things, but then
3 it is confusing in the spot where it says no trending
4 is required. We had quite a dispute with some
5 applicants over that, and of course, if you don't
6 track and trend the data, you're wasting your time.

7 But there are things, some instruments,
8 where they do a continual loop calibration, where they
9 will check the cable and the detector together, and
10 those will fit in with the GALL program.

11 And then there are instruments in which
12 they disconnect the cable and do a calibration on the
13 drawer. In those instances, we've written an ISG that
14 says that you can use other methods if you want to to
15 do a special test of some sort, an insulation check on
16 that cable, and that's the alternate program.

17 And V.C. Summer wanted the flexibility, as
18 I understand it. So they wrote both of those programs
19 in and are uncertain yet, I think, about how things
20 are going to divide between those two.

21 PARTICIPANT: And both programs apply
22 toward --

23 MR. PAGLIA: All of the cables that are in
24 scope are not included in the loop count. So we have
25 to do the alternate method.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN LEITCH: I see.

2 MR. PAGLIA: We know we have a defined
3 scope for those.

4 MR. JULIAN: It comes from the problem
5 that the GALL described program is not readily
6 adaptable to people who disconnect the cables and
7 don't do a loop cal., but just disconnect the cables
8 and work on the instrumentation package itself.

9 That's a very confusing area which we need
10 to clarify one of these days.

11 CHAIRMAN LEITCH: I guess you also talked
12 about, and maybe we'll get into some of this later,
13 varied tanks and piping. I guess it wasn't clear to
14 me. Are we talking about external only?

15 This was on page 7 of their inspection
16 report. Did that just apply to externally?

17 MR. JULIAN: I believe that's external.
18 The reason that some of the -- Summer tried very hard
19 to follow the GALL program, and in fact, using some of
20 the language that's specified in GALL when it's not
21 really applicable, and you see some places where we
22 talk about buried tanks and piping, and then the first
23 thing we say is there is none of this.

24 And so it's a little bit confusing when
25 they force fit the GALL language into the names of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 their inspection programs.

2 CHAIRMAN LEITCH: Okay.

3 MR. BARTON: In Section 211 of level
4 scoping, there's a subsection there that's entitled
5 non-safety related mechanical systems, and there's a
6 statement in there that the applicant has not
7 completed review of high energy piping, insulation,
8 seismic code break, and leaks, et cetera, et cetera,
9 at the time of the LRA.

10 Has that subsequently been submitted and
11 reviewed and accepted by the staff?

12 MR. JULIAN: Yes, it has.

13 MR. BARTON: Okay.

14 MR. JULIAN: That's the concern of non-
15 safety related piping in the area that we discussed
16 before on --

17 MR. BARTON: Okay.

18 MR. JULIAN: -- safety related, and Summer
19 was one who had to go back and address that issue
20 after the fact as opposed to it being in the
21 application.

22 MR. PAGLIA: That was the supplement that
23 we submitted in September following the August
24 application.

25 MR. BARTON: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. JULIAN: Well, if there's no further
2 questions, I'll turn it back to Raj.

3 CHAIRMAN LEITCH: Well, I had one, and I'm
4 a little confused. Were you speaking for the audit
5 report as well as the --

6 MR. JULIAN: The GALL audit?

7 CHAIRMAN LEITCH: Yeah.

8 MR. JULIAN: No.

9 CHAIRMAN LEITCH: Okay. I'll come to that
10 later.

11 MR. JULIAN: That's another new feature
12 that we've added this time to Summer, Ginna and
13 Robinson, where there was a step forward towards their
14 new process, and they put together a special audit
15 team of NRR people who went down and looked at whether
16 or not the applicant's statement that their program is
17 consistent with GALL is absolutely true, and Raj can
18 address that.

19 CHAIRMAN LEITCH: Okay. I'll defer my
20 questions on that until that time.

21 Thanks, Caudle.

22 Anything else for Caudle?

23 MR. JULIAN: I want to thank you for
24 reading our inspection report.

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. JULIAN: I asked the question of an
2 applicant recently had they read our inspection
3 report, and I got a blank stare.

4 MR. KUO: Dr. Leitch, maybe I just try to
5 clarify your question. I heard that you asked the
6 question a couple of times already. Between the
7 previous review approach and the new approach, we have
8 a transition and that starts with Robinson. Robinson,
9 Ginna, Summer and Dresden, Quad City, these four
10 plants are subject to this audit that Raj was talking
11 about.

12 That audit is basic to go to the site and
13 verify the consistency with GALL, nothing else, just
14 that.

15 CHAIRMAN LEITCH: So when the licensee
16 says, "This program is consistent with GALL," to
17 verify that that's, indeed --

18 MR. KUO: That is, indeed, true. And the
19 new process, when the audit team goes on site,
20 starting from Farley in '02 and Kirk, they are going
21 to actually look more than just consistent with GALL.
22 They're also going to look at, say, those programs
23 that are consistent with some previously approved
24 staff positions, and also they are preparing the SER's
25 input.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So the audit teams assumed much more
2 responsibility than the audit team that goes out to
3 Summer. So we will schedule a briefing for the
4 committee some time later to brief you on the new
5 process.

6 CHAIRMAN LEITCH: Okay. So that will
7 begin with Farley?

8 MR. KUO: Yes, that has begun with Farley.

9 CHAIRMAN LEITCH: Okay. We just haven't
10 seen that. Right, yeah. Okay. So that's not so much
11 an additional activity. It's really a relocation of
12 the activity from the program home office to the site
13 where you can --

14 MR. KUO: Correct.

15 CHAIRMAN LEITCH: -- perhaps get more
16 expeditious clarification.

17 MR. KUO: Exactly

18 CHAIRMAN LEITCH: And perhaps eliminate
19 some of the REIs and paper work back and forth.

20 MR. KUO: That's the idea.

21 CHAIRMAN LEITCH: Okay. Good. Thanks,
22 P.T. I appreciate that clarification.

23 I was a little confused with that
24 intermediate step on these four plants that we're
25 looking at right now. I was thinking that we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 already in the --

2 MR. KUO: No, not yet because we didn't
3 have time to perform the whole --

4 CHAIRMAN LEITCH: I understand.

5 MR. AULUCK: We started on aging
6 management review of the application. The GALL
7 device, the system structures into six groups, again,
8 for aging management review and aging management
9 programs. We will highlight certain areas of staff's
10 review of the application which is unique to this
11 site, and the staff is available to answer any
12 questions in any of the areas.

13 There are 45 aging management programs and
14 someone to manage the aging of competence and
15 structures included in the scope of license renewal.
16 These include existing as well as new programs. Of
17 these, 34 are addressed in the GALL report and the
18 rest, 11, are non-GALL programs.

19 Of these 45, again, nine are addressed in
20 the first part of Chapter 3 under the common aging
21 management programs, and the definition we have used
22 is that they're applicable to at least two systems,
23 and that's what I am sort of describing the system
24 sections of the SER.

25 As I mentioned earlier, as a result of our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 review, there were three new aging management programs
2 that were added, and they were all in the electrical
3 area, and we were just talking about those two, and
4 the first one is wrap for electrical cables used in
5 the instrumentation circuit not subject to 5049
6 requirements.

7 And one of the reasons this was based on
8 our REI, initially the applicant had stated that the
9 visual inspection of these cables is a better means to
10 detect any degradation of the insulation, but the
11 staff did not agree, and after further discussions,
12 they agreed to add this program for those cables where
13 you can use loop calculations to detect the
14 degradation, and it's consistent with GALL E-11 and E-
15 2.

16 And as you just mentioned earlier, for
17 those cables which are not in this loop calibration
18 program, they're going to initiate a new program.
19 It's called alternate E-2, and they provided us in
20 response to an REI, provided the ten attributes
21 similar to the attributes in the GALL, and then staff
22 has reviewed that program and found it to be
23 acceptable, and the details have not been developed as
24 yet, but some of the details are like the cables that
25 are being tested every ten years and testing may

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 include insulation resistance tests and other tests
2 for the cable installation.

3 CHAIRMAN LEITCH: That may be a possible
4 future improvement to GALL, would it not? In other
5 words, I don't think this is necessarily a Summer
6 unique issue.

7 MR. AULUCK: Right now I think there is
8 ISG in the works or there are discussions going on
9 between the industry and the staff, and once that is
10 finalized, it will be, you know, put it into the GALL,
11 yes.

12 CHAIRMAN LEITCH: Okay. Thank you.

13 MR. AULUCK: The third one is also in this
14 area, is called for inaccessible medium voltage cables
15 not subject to 5549 requirements. In the application,
16 the applicant identified that damage leading to
17 electrical failure is caused by moisture intrusion and
18 water treats.

19 There the aging effects mechanism for
20 inaccessible medium voltage cables, but in the
21 application, no program was proposed, and the reason
22 given was that the history has not shown any such
23 instance of cable degradation at Summer. So that's
24 why I think they didn't propose it.

25 But based on our staff REIs and further

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussion, the staff agreed to add this program.
2 They responded to the ten attributes consistent with
3 GALL, Program 11(e)(3), and you know, staff has
4 reviewed that and found it to be acceptable.

5 CHAIRMAN LEITCH: This is the treeing
6 issue?

7 MR. BARTON: Water trees, yeah.

8 MR. AULUCK: Exactly.

9 CHAIRMAN LEITCH: Do we know what to do to
10 detect these problems? It's an aging management
11 program, but it commits to follow the future
12 developmental work in this area.

13 In other words, I don't know that we have
14 a good, nondestructive test for detecting this kind of
15 a problem, do we?

16 MR. AULUCK: I do not know. Maybe we have
17 Doug who can substantiate on this program.

18 MR. NGUYEN: My name is Duc Nguyen for
19 electrical, and I'm a reviewer for electrical.

20 And you're right. Right now we don't have
21 a very good test because mode of pipe as you mentioned
22 may be destructive. So we are leaving the applicant
23 to implement this test. In the future maybe something
24 come up better.

25 As long as they commit to the test like we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 indicate in the GALL, proven, energy proven test, and
2 we leave it there, and as you say probably right now
3 the test that we have is probably not very good. Most
4 of them are destructive tests.

5 And this is consistent also with our
6 acceptable (phonetic).

7 CHAIRMAN LEITCH: Okay. Thank you.

8 MR. AULUCK: Moving further we'll talk
9 about the aging management program audit we conducted
10 at the site. We conducted on July 16th and 17th of
11 this year. The team included five staff members and
12 two contractors. The reason for such a large team was
13 that this was the first time contractors were with us.
14 So a little bit more of training and so, you know,
15 they can use similar process in thinking what we're
16 looking in the future inspections.

17 We look at all 34 programs. We compared
18 the attributes as described in the program. This is
19 documents which are called the technical reports at
20 the site; compared them with GALL report or what all
21 the team found that attributes were consistent.

22 However, at many places some
23 clarifications and additions were needed for
24 consistency, and in the report we highlighted those
25 when we left the site, and applicant agreed that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will put those activities into their CERs, which is a
2 condition evaluation report, and which will be part of
3 their corrective action program, and so that activity
4 also we inspected during our optional third inspection
5 and showed that each of those activities which we had
6 highlighted did an audit, was included in their
7 corrective action program.

8 CHAIRMAN LEITCH: I had a couple of
9 questions in that area as well. In Paragraph B-3.2 of
10 that inspection report relating to thermal fatigue, it
11 says that they'll revise the program to base the
12 analysis on 60 years instead of the current 40 years
13 at some time in the future, the way I understood it.

14 How do we know that's okay? Why can't it
15 be done now? In other words, why is this a future
16 thing, or has it now been done and closed in the
17 November inspection?

18 MR. AULUCK: It has not been done as yet.

19 Ken Cheng.

20 MR. KUO: I have Dr. Ken Cheng answer the
21 question.

22 DR. CHENG: In this matter of fatigue or
23 Summer fatigue monitoring program area, the
24 application itself has a Summer fatigue monitoring
25 program in there, and they identify two enhancements

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that need to be implemented. Those two enhancements
2 are both in the area to take care of the environmental
3 effects, two enhancements. From the application,
4 identified two.

5 It's also said that some of fatigue
6 management program is part of the TLAA. So we went
7 also into the TLA part of their they call it basis
8 document or the TR reports, technical reports.

9 In there it mentioned that each December
10 staff from operating, they have many cycle counting
11 first, and then by 1991 they had an automated cycle
12 counting. But cycle counting, don't mix that with the
13 on-line stress evaluation.

14 By 1995, the V.C. Summer program for cycle
15 counting and CUF calculation program using WESTAMP has
16 been initiated, and take a few years to develop that
17 so that it fits V.C Summer specific configurations and
18 conditions and transients.

19 By 2002, it was implemented, start
20 operating, and beginning of 2003, V.C. Summer
21 performed an annual review of the cycle monitoring
22 program using WESTAMP and is summarized in January
23 7th, 2003 reports.

24 To summarize that, it give a good
25 introduction of the, let's say, stress based

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 monitoring program. In monitoring cycle county
2 (phonetic) at certified locations, it cover most of
3 the locations that you need.

4 It also covers, five components at seven
5 locations. Those seven locations corresponding to
6 NUREG CR-6260, one to one, and they give a summary of
7 what has been recorded and evaluated during that one-
8 year period.

9 To fill out those reporting items, but not
10 to give the items; there are only three items in a
11 metal fatigue area which can potentially exceed the
12 code allowable of 1.0 for usage factor. Those three
13 locations are the charging nozzle, the alternate
14 charging nozzle, and the surge line connection to the
15 hot leg.

16 At the time when they summarize, it's base
17 don part of the assumptions in the first few years
18 before you have the monitoring system, then plus a
19 projection based for the future.

20 AT the time the variation was done,
21 charging or alternate charging has .46, .47,
22 respectively for Unit 1 and Unit 2.

23 PARTICIPANT: CUF.

24 DR. CHENG: CUF. For surge line, .37. In
25 other words, the conclusion was made that said based

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on this training -- this is training. It's not a
2 scientific evaluation -- based on the training, it's
3 safe to say there's three components. It's the
4 limiting condition, limiting locations will meet the
5 EOL, end of life, CUF limits, but it will not meet the
6 plant life extension or renew extended period of
7 operation.

8 But that's okay because that's only the
9 first cut. It's trending, pointing in the direction
10 of what kind of order of magnitude you need to be
11 improved. In that 2002 summary evaluation, it's also
12 summarized seven additional future actions, which we
13 also called enhancement.

14 So we have created a two-level
15 enhancement. The application has one-level
16 enhancement. It's to bring the design basis to the
17 environmental effect. Two enhancements, and in the
18 WESTAMP report, seven enhancements to bring the
19 WESTAMP system tailor made for this assembly.

20 When these two are combined, we envision
21 that this will be a very good tailor made system for
22 the cycle fatigue monitoring of V.C. Summer. And the
23 reason we cannot do it now is it's only a one-year
24 training data. It's not enough to conclusively
25 extrapolate. It's just a training.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Did I answer your question?

2 CHAIRMAN LEITCH: Yeah. That's a very
3 complete answer to the question. Thank you.

4 MR. AULUCK: Any other questions?

5 CHAIRMAN LEITCH: Yeah, I had another
6 question where the inspection report indicated that
7 the steam generator inspection recall only included
8 the tubes.

9 MR. AULUCK: Right. I think --

10 CHAIRMAN LEITCH: Not the shown internals.
11 I was confused by that. Am I reading that correctly?

12 MR. AULUCK: Yeah, this is right. GALL
13 only talks about those that are in tubes, and they
14 have added something more. So this is a little more
15 than the --

16 CHAIRMAN LEITCH: It's commendable that
17 this licensee did that. I'm just a little surprised
18 that GALL doesn't include the shell in internals. I
19 think that there's some generic implications perhaps.

20 MR. ELLIOT: This is Barry Elliot.

21 CHAIRMAN LEITCH: Yeah, Barry.

22 MR. ELLIOT: The steam generator shell is
23 included in the GALL report. It's one of the items
24 that in the reactor coolant system that we have
25 further review on, and the review is to determine

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 whether or not there's pitting and cracking associated
2 with the shell welds, in particular, where the water
3 level goes up and down.

4 If you remember, that was an Indian Point
5 2 problem, and we look at that for license renewal to
6 see if the plant is susceptible to that type of aging
7 effect. In this plant we did look at that, and it is
8 not susceptible.

9 CHAIRMAN LEITCH: It is not?

10 MR. ELLIOT: It is not.

11 MR. LEE: This is Sam Lee again.

12 The GALL writes up the steam generator
13 program, GALL has its specific steam generator program
14 in it. It only addresses the tubes. However, the
15 shell is addressed separately. It's not part of the
16 program, part of the so-called steam generator
17 program, kind of like Barry said. Okay?

18 Because you get the surface inspection,
19 ASME Section 11, that also addresses the shell and
20 also the staff is collecting from past experience.
21 Sometimes being looked at separately. That's why when
22 you see, you know, pop-out strips they start with just
23 looking at the portion of the program, and then they
24 talk about trips (phonetic).

25 MS. LUND: I'm Louise Lund. I'm the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Section Chief for the steam generator integrity in the
2 Chemical Engineering Section, NRR.

3 And what Sam and Barry were saying is
4 true. The program, the AMP, aging management program
5 is the steam generator integrity AMP, and it covers
6 the tubes. However, this is not the first plant that
7 has, you know, gone kind of over and above in the
8 steam generator integrity AMP and actually included
9 more.

10 However, it really does have some overlap
11 with the in-service inspection, you know, AMP. So,
12 see, there's a little bit of overlap in those two
13 programs.

14 So different plants have chosen to do it
15 different ways. I think, you know, they're trying to
16 be consistent with GALL. I mean, we don't look at
17 that as being inconsistent with GALL. It's almost,
18 you know, doing that and an enhancement.

19 CHAIRMAN LEITCH: Yeah, and could you
20 comment about internals as well? Apparently there's
21 also a question about some internals not being
22 included in the steam generator AMP. Is that --

23 MR. AULUCK: Yeah, they call it anti-
24 vibration bars and feedwater distributor.

25 MR. ELLIOT: We have a whole list of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 components like jet impingement bars and vibration
2 bars. They are reviewed, but they're not part of the
3 tube inspection program, but they're reviewed as part
4 of GALL, but as part of additional items that we
5 consider to be reviewed.

6 MS. LUND: They're in the list in the
7 aging management, the AMR section, the aging
8 management review. You know, there's a whole list, as
9 Barry said, in those components. So they don't get
10 left out as far as the few goes.

11 MR. ELLIOT: What we did is the review
12 plan has a whole bunch of reactor coolant components
13 that require further evaluation. Steam generator
14 internal type of components are one of them, and
15 licensees have to address that as far as further
16 evaluation, and we have to address it, too.

17 MS. LUND: And, you know, I think why the
18 aging management program for the steam generator
19 integrity is the way that it is, is because the
20 specifics for it typically in the technical
21 specifications are not in the ASME code. So that's
22 why there's an aging management program and also an
23 NEI 9706.

24 So the plant generally comes back and
25 says, you know, "This is may aging management program,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is for doing a steam generator inspection for the
2 tubing," okay, is in the technical specifications
3 specified in the technical specifications, plant tech
4 specs and also, you know, under the guidance that's in
5 NEI 9706.

6 So that's why it's kind of more of a
7 unique type of program.

8 CHAIRMAN LEITCH: Okay. Thank you.

9 So again, I guess my concern was not with
10 Summer, but rather with other plants that perhaps
11 didn't --

12 MR. ELLIOT: But, you know, we do look at
13 all of them.

14 CHAIRMAN LEITCH: They are reviewed.
15 Okay.

16 Okay. Thank you.

17 MR. AULUCK: Okay. Moving on, I think
18 Slide 21 I think talks about different neutral
19 sections of Chapter 3 of the SER. The first one is
20 reactor system. You see the list. This provides the
21 reactor coolant system Class 1 competence which are
22 part of the reactor systems and thus subject to aging
23 management reviews.

24 Just as a note, the steam generators as
25 mentioned earlier were replaced in 1994. So,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 therefore, at the end of extended period of operation,
2 they'll have seen only 48 years of their life.

3 Our next slide talks about the Alloy 600
4 program, which we have talked earlier, but this is
5 basically a commitment, this language here, which
6 indicates that the applicant has committed to
7 cooperative imaging requirements and recommendations
8 into their program, and further, it will permit the
9 staff to review the aging management programs for
10 acceptability.

11 The next one talks about --

12 CHAIRMAN LEITCH: The SERs seem to
13 indicate that the applicant did not use the
14 Westinghouse WCAPS, the Westinghouse analysis, as many
15 other applicants have done. I didn't know how to
16 interpret that. Why did they not use the WCAPS?

17 MR. AULUCK: I think they have not used
18 any of the WCAPS on a generic basis, and they have
19 taken information on a plant specific basis, but I
20 think maybe the applicant can respond to whether they
21 decide to do that.

22 MR. PAGLIA: Yeah, what we chose not to do
23 is to rely upon the SER that was written on the WCAPS
24 that were taken all the way to completion, and then
25 there were some WCAPS that were in draft and under

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 review.

2 We used the materials that were in the
3 WCAP, the technical information about our plant, as a
4 basis for the evaluation that we put forward. We just
5 had it reviewed through the SER done on the
6 application rather than just simply refer to SER on
7 the WCAPS.

8 That's really the only difference. The
9 material is still applicable.

10 CHAIRMAN LEITCH: So it's really kind of
11 a bookkeeping, administrative kind of an issue, not a
12 technical difference. Okay. Thank you.

13 MR. AULUCK: The next slide is you've got
14 two new programs, and the commitments as, you know,
15 are identified here permit the staff to review the
16 acceptability against NRC requirements.

17 Moving further on, I think under Section
18 3.2, 3.3, and 3.4 and 5, there was nothing unique
19 about the review. However, we have, you know, a
20 specific area that you want to mention and talk about
21 regarding aging management of in scope, inaccessible
22 concrete. There was, you know, mention earlier on the
23 chemical analysis of the water, and this was taken
24 from the three wells, and the table shows the values
25 of pH, chlorides, and sulfates. This was based on a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staff review, and there was an REI on it, and
2 applicant responded with this information.

3 And as mentioned earlier, these samples
4 were taken from 2001, and in the application it was
5 classified as a nonaggressive but based on staff
6 review we thought, you know, it should be considered
7 as aggressive, and because of that specific provisions
8 were added into the program, and these provisions are
9 site procedures will be revised to include concrete
10 surface examination, if soil is removed existing to
11 any concrete surface at or below the groundwater
12 elevation of 423.

13 Second, a chemical analysis of groundwater
14 will be conducted on a five-year interval to coincide
15 with the maintenance rules structures inspection
16 program. This analysis will also include a water
17 sample from the surface water pond.

18 Third, underwater divers' inspection of
19 the service water intake structure will continue.
20 These instructions will provide additional assurance
21 of the integrating of the concrete structures exposed
22 to the water conditions and since that operates with
23 the new values of the recent combination wells.

24 CHAIRMAN LEITCH: So we consider this to
25 be all of the above. In other words, if any of these,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's not --

2 MR. AULUCK: It is not either/or.

3 CHAIRMAN LEITCH: It is not either/or.

4 MR. AULUCK: Right, right.

5 CHAIRMAN LEITCH: In other words, if any
6 of these conditions --

7 MR. AULUCK: Yeah, there was sensitivity
8 on these values and comparisons.

9 CHAIRMAN LEITCH: Because I would think,
10 having such low chlorides and sulfates, the pH is
11 lightly buffered and easily changed and, you know, I
12 would think the pH might not be as significant when
13 the chlorides and sulfates are that low, but at any
14 rate, if any one of those falls below, falls outside
15 of this one, it would be considered --

16 MR. AULUCK: Falling, yes.

17 CHAIRMAN LEITCH: Okay.

18 MR. AULUCK: Moving on, I think, at the
19 last meeting, the ACRS had requested us to talk about
20 one-time inspections, and so we are prepared to do
21 that at this meeting, and as a background, the GALL
22 report provides guidance to the ten attributes for a
23 typical one-time inspection program. These
24 inspections include mergers to verify the
25 effectiveness of an aging management program and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 confirm the absence of an aging effect.

2 Second, these inspections will address two
3 aging issues. The first one is aging is not expected
4 to occur, but there is insufficient data to completely
5 rule out aging.

6 Second, an aging expect is expected to
7 progress very slowly.

8 Next summer --

9 CHAIRMAN LEITCH: Raj, can I just say
10 that, so that we understand where we're going here,
11 this topic of one time inspection is not necessarily
12 related to Summer. That's correct, isn't it?

13 I mean, what we --

14 MR. AULUCK: It was a general topic, but
15 we had stated that we'll take a couple of examples
16 from a Summer application, and we'll talk more in
17 detail about those.

18 CHAIRMAN LEITCH: Right. In other words,
19 we were concerned that this topic of one-time
20 inspections seems to be continually coming up, and we
21 asked the staff to give us a little more in-depth
22 discussion on one time inspections and Raj is being
23 responsive to that request in this next little piece.

24 MR. AULUCK: If you look at the
25 application, there is in GALL, it says one-time

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inspection, and you know, different applicants are
2 treated differently. Some applicants have a program
3 called one-time inspection, and some there is no
4 program called one-time inspection.

5 They have nine programs as listed on the
6 next slide, which use the attributes given for one-
7 time inspection in the Gall report, and then those
8 programs have their own attributes acceptable at the
9 end and so on for each of those, and we will take
10 example of two of these programs.

11 One is the underground tank inspection,
12 and second is the heat exchanger inspections, and
13 we'll talk a little bit more detail of these programs,
14 and the first one we'll talk about is above ground
15 tank inspection, and Carolyn Lauron from our staff
16 will make the presentation.

17 MR. KUO: But to answer Dr. Leitch's
18 question, this is an attempt to answer the questions
19 about concerns about one-time inspections in general,
20 but we use a summary of data in Summer to illustrate
21 that.

22 MR. FORD: But this assembly, again, this
23 is an action item that we come away, you know, from
24 the last ACRS subcommittee meeting.

25 CHAIRMAN LEITCH: Right. Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. LAURON: Okay. My name is Carolyn
2 Lauron. I'm from the Materials and Chemical
3 Engineering Branch.

4 I reviewed in conjunction with the
5 reviewers from Argonne National lab the above ground
6 tank inspection program. I'll be presenting the
7 staff's review of this new, one-time inspection, and
8 the basis for concluding that it provides reasonable
9 assurance that the in-scope tanks will be adequately
10 managed so that the intended functions will be
11 maintained for the period of extended operation.

12 As Raj went over, the GALL provides for
13 the on-time inspection to verify that either (a) an
14 aging effect is no expected to occur or there was
15 insufficient data to completely rule it out and (b) an
16 aging effect is expected to progress very slowly.

17 In the case of Summer's above-ground
18 tanks, lots of material due to general corrosion is
19 not expected to occur or, if it is occurring, the
20 corrosion is expected to progress slowly because of
21 the chemistry controls of the fluid stored within the
22 tanks.

23 The fluid stored in these tanks are part
24 of a closed treated water system with the addition of
25 corrosion inhibitors.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In addition, by means of water chemistry
2 guidelines delineated in the GALL report, the
3 applicant is controlling the purity of the fluids and
4 the entry of contaminants into the water system.

5 There are materials, handbooks, out that
6 discuss general corrosion of structural carbon steel
7 as a slow, generally uniform process. The average
8 loss in thickness of carbon steel exposed to a rural
9 atmospheric condition, which is applicable to Summer,
10 is less than five mLs over 15 years.

11 And I believe if it's projected out, it's
12 around 25 mLs.

13 With respect to galvanic corrosion, this
14 aging effect is possible at the connection of carbon
15 steel tanks to the stainless steel instrument tubing.
16 Once again, based on handbooks, the rate of corrosion
17 will vary directly with the increase or decrease of
18 the area ratio of the more noble metal to the less
19 noble metal when connected by the electrolyte.

20 In this case, the more noble metal is
21 stainless steel. It is smaller area. It is connected
22 to the electrolyte, which is the fluid in the tank, to
23 the less noble metal, which is the carbon steel.
24 Since the ratio of the more noble to the less noble is
25 greater, you expect minimal corrosion of the anode,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which in this case is the carbon steel tank.

2 The summary of above-ground tank
3 inspection relies on visual and volumetric inspections
4 on a sampling of subject components to verify that
5 degradation of the carbon steel and stainless steel
6 tanks are not occurring. The inspection will examine
7 the tanks for measurable changes in wall thickness and
8 visible evidence of corrosion and cracking.

9 The inspection focuses on bounding
10 components most susceptible to the aging due to time
11 in service, severity of operating conditions, and
12 lowest design margins. The inspections will include
13 locations of the air and water interface, of the
14 stainless steel RWST in one of the carbon steel tanks
15 and some locations of the sodium hydroxide tank.

16 The inspections are performed by qualified
17 personnel in accordance with the requirements of the
18 ASME code and Appendix B. In addition, the program
19 provides for additional inspections should corrective
20 actions programs require additional information to
21 characterize the aging effects.

22 The SAC (phonetic) concluded that the
23 above-ground tank inspection is inseparable because it
24 is a conservative program for verifying the internal
25 surfaces are not experiencing the slow, generally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uniform, general corrosion and minimal galvanic
2 corrosion.

3 The staff would like to also point out
4 that in the GALL report there is an above ground tank
5 inspection which addresses the external environment,
6 which is more corrosive because the atmospheric
7 conditions cannot be controlled. There is the
8 possibility of salts or sulfates, the industrial fumes
9 that could enter into the corrosion process.

10 In addition, there are provisions included
11 in the program to preclude a negative impact to the
12 function of the in-scope components, and there is
13 industry experience of similar tanks which have been
14 drained and inspected, resulting in little or no
15 evidence of corrosion. I think the most recent one is
16 Ginna that they had mentioned earlier in the
17 committee, when they came before the committee.

18 Next slide.

19 With respect to Summer's carbon steel and
20 stainless steel tanks, this slide shows you that the
21 internal environment is managed by both this new, one-
22 time inspection and the chemistry program. While the
23 external environment is managed by two inspections,
24 the inspection of mechanical components and the
25 maintenance rules and structured programs. Those two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 external programs have periodic frequencies.

2 CHAIRMAN LEITCH: When you say above
3 ground tanks, are you referring to those tanks where
4 you can see all around them like a cylindrical tank?

5 MS. LAURON: Yes.

6 CHAIRMAN LEITCH: But this acts in
7 parallel to the ground and you can see all around it
8 or are you talking about something like a condensate
9 storage tank or a cooling water storage tank where you
10 may be able to see the sides, but not the bottom as
11 well?

12 MS. LAURON: Right. I believe the CSC is
13 encased in concrete and sand, and you do have a
14 commitment for a --

15 MR. DANTZLER: -- has got a concrete base
16 and it's got a ring wall over the top of the concrete
17 that extends. The ring wall extends about one foot
18 below grade, and the tank sits on the top of the ring
19 wall one foot above grade. There is sand inside that,
20 the ring wall, and there are drains down at the two
21 feet level. There are four little drains.

22 So water is not going to pool on the
23 bottom, and besides, we have the inspection program to
24 look at the deal on the foundations themselves.

25 So we expect maybe some general corrosion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that is slow, and 25 mLs at most in 60 years.

2 MS. LAURON: Next slide.

3 This summarizes the tanks, the above-
4 ground tanks, at Summer, and you can see that there's
5 a combination of programs for both the internal and
6 external environments.

7 MR. AULUCK: Any questions?

8 MS. LAURON: Oh, sorry. Any questions?

9 (Laughter.)

10 MR. FORD: I think this question of one-
11 time inspections came up at Ginna, and our problem
12 primarily was the extent of the quantity to evaluation
13 of the amount of degradation that might occur.

14 In other words, was there someone on the
15 staff, a kind of qualified corrosion engineer, who
16 went and looked at these structures and assessed what
17 is the likelihood that you could get degradation
18 between now and the one-time inspection and then
19 beyond, and what would the consequence be if corrosion
20 did occur outside that inspection period?

21 And what I've heard you address here was
22 going down a list, ticking off whether this
23 occurred -- was this covered under this particular
24 program, et cetera, but there was little quantitative
25 quantification of the amount of damage that might

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 occur and what would the consequence be, and that was
2 essentially our concern that we brought up at Ginna,
3 and I thought that we might be addressing during this
4 presentation.

5 Can you comment? I mean, was there a kind
6 of corrosion engineer went around and looked at these
7 various tanks?

8 MS. LAURON: Specifically for these tanks,
9 I'd say no. However, we do have -- I referenced a
10 couple of handbooks that do have some data, and we can
11 certainly provide that to you. There are some graphs
12 that show the rate of corrosion for various types of
13 steel over a period of time for various environments:
14 industrial, rural, marine. So we can provide those to
15 you if you'd like to see those.

16 MR. FORD: It's really a question of as
17 being kind of the technical conscience of the NRC as
18 to whether we can put our hand on our hearts and sign
19 off and say, "Yes, this was done competently by a
20 qualified corrosion person."

21 MR. AULUCK: I think applicant does have
22 some additional information, but to respond to your
23 question on consequence, if for whatever reason they
24 find something, this first, one-time inspection, if
25 they meet this acceptance criteria, it automatically

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 brings them into their second action, into the
2 conditional evaluation report which spotted the
3 collection action program which may require more
4 inspections or create a regular program.

5 MR. FORD: I mean, just in this
6 conversation that we've had just in the last ten
7 minutes, I'm hearing that the dialogue going exactly
8 as occurred at Ginna, and we asked the question. I
9 forget what it was on, with galvanic corrosion. I've
10 forgotten the specific incidence, and the licensee
11 answered the question, not the NRC staff, and that
12 worried me.

13 MR. AULUCK: Yeah, that's why I think we
14 went back and requested about the staff to, you know,
15 pull out the references for each material involvement
16 conditions and see how the degradation can progress
17 over the next ten, 20, 30 years from the operating
18 experience of the industry.

19 And I think a couple of the references you
20 heard from the handbooks are from there.

21 MR. FORD: Okay.

22 MR. AULUCK: And I'll have more probably
23 in the next example where we have some more data.

24 MR. FORD: Okay, good. I think what we
25 were hoping for in answer to this concern it had about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one-time inspections, there was quantitative analysis
2 done of the amount of degradation, and I was hoping to
3 see some numbers.

4 MS. LAURON: You're talking specifically
5 to the tanks at Summer?

6 MR. FORD: Or whatever example you're
7 going to bring out. We ask for give us a couple of
8 examples, and I had hoped that it was understood that
9 it would be quantitative examples.

10 MR. KUO: Okay, Dr. Ford. I think this
11 example that Carolyn just described to you is to
12 demonstrate what inspection may be used. In this
13 case, I think she described that the more concern
14 actually in this case is external corrosion rather
15 than the air and water interface.

16 The staff's judgment is that the air-water
17 interface corrosion problem is not as serious as
18 external service. However, we want to make sure that
19 judgment is correct, and that's where the one-time
20 inspection is used, without the quantification, of
21 course.

22 (Pause in proceedings.)

23 MR. AULUCK: Jim. Yes, please.

24 MS. STRNISHA: I'm Jim Strnisha from
25 Division of Engineering.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The example I have here is heat exchanger
2 inspections. Let me go over and see if there are any
3 questions.

4 The heat exchanger is a one-time
5 inspection program. It's for closed cycle, heated
6 water, heat exchangers only, and these would include
7 heat exchangers, such as ventilation and air handling
8 that had treated water and air environment on the
9 other side, and various lube-oil coolers which are
10 treated water with oil on the other sides.

11 System purity on the treated water side is
12 maintained by the water chemistry control program.
13 These heat exchangers are specific for brass, copper,
14 nickel-copper heat exchangers and brass components
15 only. So it's a very specific program.

16 It's consistent with the GALL one-time
17 inspection program and the selective leaching program.

18 The aging effects, plant specific industry
19 experience was reviewed, and these were the possible
20 aging effects for this component in this environment:
21 erosion-corrosion, selective leaching, and fouling.

22 CHAIRMAN LEITCH: Now, in a heat
23 exchanger, you've got internal-external corrosion on
24 the shell?

25 MS. STRNISHA: Yeah.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN LEITCH: Or the internal-external
2 corrosion on the tubes. I mean, what are we
3 addressing here?

4 MS. STRNISHA: Right here, other programs
5 address those components in the heat exchanger. This
6 one is only addressing the brass, copper, nickel, the
7 soft heat exchanger components, the tubes and a few
8 other things in there.

9 CHAIRMAN LEITCH: So this program is
10 addressing the tubing?

11 MS. STRNISHA: Yeah, pretty much the
12 tubing, and there may be some other brass components
13 in here.

14 CHAIRMAN LEITCH: And we're talking
15 internal or external on the tubing or both?

16 MS. STRNISHA: The internal, the treated
17 water environment only.

18 CHAIRMAN LEITCH: Okay, okay. Thank you.

19 MS. STRNISHA: So looking at that, the
20 three aging effects are erosion-corrosion. We looked
21 at that one, and the main factor affecting erosion-
22 corrosion is the abrasives in the water. So that's
23 going to be negligible for treated water.

24 Selective leaching, purity in the water is
25 going to be maintained well. So we expect that to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 curve slowly over a long period of time.

2 And as far as fouling on these and in the
3 pure water environment, we don't expect to see any
4 fouling.

5 So these are possible aging effects. So
6 what Summer did was put them in a one-time inspection
7 program. So during your 30 or you 35, they'll go in
8 and take a one-time inspection for these. If they
9 find something, if there's an aging effect that's
10 occurring, then they'll do additional inspections,
11 possible periodic inspections later, and then if they
12 don't find anything, pretty much they'll rule it out.

13 MR. RANSOM: Is flow accelerated
14 corrosion considered in that program?

15 MS. STRNISHA: In erosion-corrosion?

16 MR. RANSOM: Flow accelerated corrosion,
17 possible cavitation, that type of thing.

18 MS. STRNISHA: Well, yeah, this is
19 specific for the erosion-corrosion with the abrasives,
20 and, Mike, is that covered in another program for
21 these heat exchangers?

22 MR. DANTZLER: Yes. Mike Dantzler.

23 Yes. That's flow accelerated corrosion.
24 That's a different program, and that's for hot
25 systems, two-phase systems. These are relatively low

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 temperature systems. The only erosion-corrosion that
2 we could have in these systems is with the abrasives
3 in there. We couldn't entirely discount them, but we
4 keep treated water systems clean so that we don't
5 think it's going to occur, but we can't entirely
6 discount them. So we're going to look at them.

7 MR. RANSOM: Do these inspection programs
8 look for things like cavitation effects, you know,
9 which erodes away material at, oh, points of high
10 velocity in the system?

11 MS. STRNISHA: Well, the FAC program would
12 look at that. But the program that I'm addressing
13 here, the heat exchanger program, what do we do? It
14 would probably take a wall thickness measurement on
15 these tubes for wear on the one-time basis.

16 MR. SIEBER: It would be quite --

17 CHAIRMAN LEITCH: So what you're saying is
18 flow accelerated corrosion is not a credible aging
19 effect in this type of a heat exchanger, not with
20 brass. I mean, you wouldn't use copper-brass tubing
21 in an environment subject to --

22 MS. STRNISHA: Yes.

23 MR. AULUCK: Yes, Dr. Ford did issue a
24 report, I think, by Sandia which gives information on
25 different mechanisms following and, you know, a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant amount or make or general corrosion, and
2 it also gives operating. They looked at a lot of LERS
3 over the years, and they have like 44 percent, you
4 know, falling was the aging effect; erosion-corrosion
5 about 25 percent; general corrosion, 12 percent;
6 fatigue, 5 percent.

7 So they have some information on the
8 Sandia report. I have no looked at the report, but
9 apparently there's some data on that from the
10 operating history of the heat exchangers for several
11 years.

12 MS. STRNISHA: And the last bullet, visual
13 volumetric hardness one-time testings will be capable
14 of detecting these aging effects, and as I said
15 earlier, if anything is detected in year '30 to '35
16 before the period of extended operation, they'll
17 reassess it, and I'll put it in the corrective action
18 program.

19 Any questions?

20 (No response.)

21 MS. STRNISHA: Okay. Thank you.

22 CHAIRMAN LEITCH: To move off one-time
23 inspections, I guess I had a question about
24 opportunistic inspections of buried piping and tanks.
25 It's not clear to me whether there is a commitment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here to -- well, certainly there is a commitment that
2 if we're digging up the tanks or piping for other
3 purposes we'll take a look at the condition of that
4 equipment. But if we're not digging it up for other
5 purposes, is there a commitment to do inspection of
6 buried piping?

7 MR. AULUCK: Actually there is an actual
8 experience on this plant. In 1992 time frame,
9 apparently, they dug up the fuel oil storage tank, and
10 they did a, you know, very substantial inspection, UT,
11 of all sites, and that is also very positive. There
12 was no degradation found, and on the piping, recently,
13 you know, if I recall, in 1997-97 time frame, there
14 was some modifications were to be done in the fire
15 service area, and they looked at those very open,
16 unfollowed insulation, looked at certain tees
17 (phonetic) for changes, and as I understand, there was
18 no degradation found. Maybe the applicant can
19 substantiate that position.

20 PARTICIPANT: That's true.

21 CHAIRMAN LEITCH: But that's all
22 opportunistic inspection. My question really is:
23 suppose none of that occurs. Are we going to look at
24 anything buried for the next 30 years?

25 MR. AULUCK: I think there's a program,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 buried piping and tank inspection. I think, Carolyn,
2 can you say is there anything specific on that.

3 MS. LAURON: As I understand the question
4 you were asking, it's if there was just based on
5 opportunity; if other than just based on opportunity,
6 to do modifications to inspect the buried piping and
7 tank; is that correct? Is that the question?

8 CHAIRMAN LEITCH: Yes, other than
9 opportunistic.

10 I mean, I realize there's a commitment
11 here that if they dig up something, they're going to
12 evaluate its condition, but my question is suppose
13 they are very fortunate and they don't have to dig
14 anything up. Is there any requirement or any
15 commitment to look at buried equipment, either tanks
16 or piping?

17 MS. LAURON: Well, in terms of the piping
18 I would say no because the staff has taken the
19 position that for them to excavate for whatever
20 reason, other than -- well, not that they wouldn't be
21 able to damage the coatings or the wrappings on the
22 pipes during modifications. To actually have them go
23 in and dig out, they may do more damage to the
24 coatings, but to do these in sections.

25 And since the piping is also coated, it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cathodically protected. Even though they don't take
2 credit for that cathodic protection, staff believes
3 that the type of degradation that they would see would
4 not be as significant.

5 CHAIRMAN LEITCH: So the answer is no.

6 MS. LAURON: Correct. Sorry.

7 MR. FORD: Let me ask another question,
8 again, before we close out on this one-time
9 inspection. It's more of a general question maybe to
10 both of you.

11 Time and time again over the last 30 years
12 that I know of both in and out of the nuclear island,
13 you have had unfortunate degradation occurrence, and
14 all of them that I know of before the even was "it's
15 not likely to occur." I can think of it in turbines.
16 I can think of it in the reactors, and other
17 components.

18 Every one of them it was not likely to
19 occur, and yet it did occur. Is anyone within the
20 staff looking at the question of what do we have to do
21 to the system before we get an occurrence, like a
22 chloride transient or whatever it might be?

23 And the rigor at which you're going to go
24 that inquiry will depend on what is the risk. Is
25 anyone doing any such analysis?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 How much do I have to push the system
2 before I have a degradation? And what will the risk
3 be? What will the consequence be if I had such a
4 degradation?

5 MR. KUO: Dr. Ford, if I understand you
6 correctly and that you address this in a general term,
7 it has nothing to do with Summer.

8 MR. FORD: Absolutely correct.

9 MR. KUO: And I will answer it in a way.
10 This is a version.

11 MR. FORD: Needs someone to do a
12 quantitative corrosion engineering analysis.

13 MR. KUO: Okay. We do the aging
14 management review and look at the system components
15 first. Okay?

16 And then we look at if there is a probable
17 aging effect on certain components of the materials.
18 We really look at it and say if I've got carbon steel
19 piping, I know that is going to corrode. I don't care
20 whether anyone tells me that there's no corrosion or
21 nothing happened or not. There is a corrosion based
22 on the experience.

23 Corrosion is going to occur on carbon
24 pipe, on this pipe. Therefore, we will require an
25 aging management program. Okay?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In those rare cases that we really cannot
2 positively say that there is going to be an aging
3 mechanism on this component, then we say, okay, you
4 could use a one-time inspection to verify that or to
5 confirm that. That is a very rare case.

6 So to answer your question, Dr. Ford
7 generically, it is that for those aging mechanisms in
8 any component or materials we will require an aging
9 management program.

10 Now, for those rare cases, there is really
11 very improbable occurrence, this aging effect
12 occurred, in any of these materials or components. We
13 would say you use a one-time inspection to confirm
14 that, okay, in case, just in case that our judgment
15 was wrong.

16 Something happened. We still have this
17 regulatory process to catch that. We have the
18 Appendix B corrective action, program there on site.
19 There's an ongoing regulatory process. It doesn't
20 mean that we don't have anything to deal with it.

21 MR. FORD: I guess I've been bitten so
22 often in the last 30 years by "it will never occur.
23 I'm so far away from," "my margins are so great," and
24 they've done it every time. You get killed by such an
25 occurrence.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The GE BWR turbines never crack, and they
2 do. It becomes an industry problem.

3 MR. BONACA: But one thing that is
4 important to give also further confidence to the one-
5 time inspection concept is that you're doing one-time
6 inspection on separate components on a consistent
7 basis across the board. So, for example, you're doing
8 small bore inspections, and you're going to look for
9 evidence that confirms that you're not going to have
10 a degradation in that system.

11 Now, as you do that, you're doing it for
12 many plants there, and the staff has expected that
13 these inspections are not risk based. In fact, you
14 have to look at the most acceptable areas.

15 Should you begin to see, in fact, that you
16 have significant degradation at Plant A, Plant B and
17 Plant C, I would expect that you would move to a
18 programmatic approach to the resolution of the issues.
19 It means now you institute an inspection program on a
20 certain frequency.

21 So, I mean, I think the confirmation
22 process, it's not only, again, one unit, but is many
23 units which are all in this license renewal process.
24 So as I said, I'm not --

25 MR. FORD: Mario, I agree with you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 absolutely. Unfortunately I don't see them asking
2 "what if" questions, and that's what I'm concerned
3 about.

4 MR. KUO: Yeah, I understand that, and
5 what I'm trying to say, Dr. Ford, is that the
6 regulatory process is an in depth kind of a process
7 that we have built up so many steps to deal with the
8 problems.

9 I give you one example. We really cannot
10 possibly consider all probability. The design, for
11 instance, we designed the piping according to ASME
12 code. We did structures according to HEI code.

13 Okay. However, just for that
14 improbability that it may fell, even though our design
15 criteria are very conservative, it could fell; it
16 could weep; it could crack. So we have ISI in place
17 to deal with that kind of problem.

18 We have a maintenance program to deal with
19 that problem. If we are so sure the design criteria
20 would do the job, then the structure would never fail.
21 The piping would never crack, but it's not -- the
22 reality is not such. We know it is going to. For
23 some reason it is going to crack. Okay?

24 Therefore, we have in-service inspection
25 program. Therefore, we have maintenance program. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do our best, try to deal with this kind of
2 unanticipated situation, but we cannot handle
3 everything.

4 MR. SIEBER: It seems to me that there is
5 a sort of graded approach. You know, the high energy
6 and high pressure systems under the ASME code get
7 intense inspections through the ISI program and very
8 controlled conditions for repair, but if you're
9 looking at fire lines and cooling water lines where
10 the consequence of a broken line is a wet hole in the
11 ground, you know, you can tolerate a less expensive
12 inspection program because the consequences really
13 don't amount to too much.

14 And I think that's what I see in these
15 aging management programs. You put the effort where
16 the consequence can be severe, which is reactor
17 coolant system, main steam sys. generator, steam
18 generators, and so forth.

19 So to me I think the balance is there.

20 MR. AULUCK: Yeah, I think if one can say
21 the consequence is severe, there's no way it can be a
22 one-time inspection.

23 MR. FORD: I remember when we first
24 started this license renewal, and this is the last
25 comment I'll make on this one, in the fire protection

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system, I remember there was a big argument that went
2 on about this is going to be a one-time inspection,
3 and then they raised the question about, well, what
4 happens if a whole lot of corrosion crud is on the ID
5 of the piping and when you was the fire protection
6 system you gum up your whole space systems.

7 I remember this was a topic that came up
8 for discussion, and the argument that the staff made
9 was, well, these are stagnant lines. They'll be de-
10 aerated, and you'll stop all of the corrosion.

11 Well, that well could be the case, but
12 what happens if they are not always de-aerated? What
13 happens if they don't have an inhibitor in the system,
14 et cetera, and then they started pushing on that
15 question. They didn't get a foolproof answer.

16 So I agree that by the book it shouldn't
17 corrode, but if you don't go by the book, then you
18 could crud up your whole fire protection system.

19 MR. SIEBER: On the other hand, if you
20 have flow in your fire protection system all the time,
21 that means you've got a fire someplace, and once you
22 stop flow, which sprinkler heads in various vales and
23 barriers stop the flow, then you deplete the oxygen in
24 the water and corrosion then goes to a very minimum
25 amount, you k now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FORD: It's that more in-depth
2 discussion I'm just challenging the system.

3 MR. KUO: I would say if we could have
4 some time, let us discuss among ourselves, and we will
5 schedule another separate briefing with the staff to
6 talk about this. Yeah, I know exactly, I think, what
7 you are talking about.

8 MR. FORD: Good. Thank you.

9 MR. KUO: And we will do that.

10 CHAIRMAN LEITCH: Raj, I think we're ready
11 to move into the --

12 MR. AULUCK: Yes.

13 CHAIRMAN LEITCH: -- TLAAs.

14 MR. AULUCK: Yes, the final part of our
15 presentation, and Kimberly Corp will make the
16 presentation.

17 MS. CORP: Section 4 evaluated the time
18 limited aging analysis on the Summer license renewal
19 application, including reactor vessel neutron
20 embrittlement, metal fatigue, environmental
21 qualification of electrical equipment, concrete
22 containment, attendant pre-stress, containment liner
23 plate, and penetration fatigue analysis, as well as
24 other plant specific TLAAs.

25 Section 4.2 evaluated the reactor vessel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 neutron embrittlement. The three TLAs identified for
2 radiation embrittlement were reactor vessel upper
3 shelf energy, pressure thermal shock, and pressure
4 temperature limits.

5 The first TLA identified was reactor
6 vessel upper shelf energy. Appendix G of 10 CFR 50
7 requires that reactor vessel beltline materials have
8 upper shelf energy values throughout the life of the
9 vessel of no less than 50 foot-pounds. For the
10 limiting beltline material, the staff calculated the
11 upper shelf energy value for the extended period, 60
12 years, using Reg. Guide 1.99 and found it to be 53
13 foot-pounds.

14 For the limiting weld, the staff
15 calculated the upper shelf energy value to be 59 foot-
16 pounds.

17 This independent staff analysis confirms
18 that the applicant's analysis satisfies Appendix G.

19 Commitment 31 states that the licensee
20 will update their analysis with the removal of the
21 capsule from the latest average.

22 MR. BONACA: The question I had was the
23 staff did the calculations. I mean, did the licensee
24 do the calculations?

25 MR. AULUCK: They also did it, and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staff independently verified it, and they have taken
2 the last capsule out during this last outage.

3 MR. BONACA: The reason why I asked the
4 question is in some cases it says they have not
5 completed the calculations yet. They have established
6 the method that they will use.

7 MS. CORP: Right. No, they have
8 calculated the values, and they will be revising them
9 based on the latest information collected from this
10 capsule.

11 MR. SHACK: Just as a general question, do
12 they have to pull the capsule? I mean, if I got these
13 answers, I might be inclined to quit.

14 MR. ELLIOT: As far as capsules are
15 concerned, there's an ASTM standard that we endorse,
16 ASTM E-185, and it says when you're supposed to take
17 out capsules, and it depends on how much radiation
18 embrittlement is projected. This plant has very low
19 radiation embrittlement. So they probably don't have
20 to take out a lot of capsules.

21 They've already taken out four of them.
22 They probably have taken out enough, but they're
23 committed now to take out two more. So they're
24 probably doing a lot more than the standard requires.

25 MR. SHACK: That might buy them some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relief on their pressure temperature limits.

2 MR. ELLIOT: I mean, it might, but this
3 plant has very low copper, and that's why you can see
4 the PTS values are really very, very low, and so we're
5 not going to get a lot of embrittlement here.

6 It would be surprising if they took out a
7 capsule and they saw a lot of embrittlement. So far
8 four capsules haven't shown it.

9 MR. SHACK: But just on my sort of general
10 question, how many specimens are there in a capsule?
11 When do I trump the Reg. Guide 199 kind of limit which
12 is based on my collective wisdom and everything I know
13 with a bunch of data that's probably got scattered up
14 the wazoo when I run the tests?

15 I mean, I'm sure that's all addressed in
16 the standard. I just don't know it very well.

17 MR. ELLIOT: Well, not, the standard
18 doesn't address that. The Reg. Guide 1.99 addresses
19 that. The standard just says when you take out the
20 capsules. It tells you how many samples to put in the
21 capsules, like a minimum of eight to do a Sharpy
22 curve, a few tensile specimens, that type of
23 information, dosimetry, what kind of dosimetry to put
24 in, and that's all there is in that standard.

25 The reg. guide says that after you test

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the capsules, it says based upon the results how to
2 analyze it, and that's what your question is, and it
3 tells you how to analyze it.

4 Now, it's staff experience it's very rare
5 that the shift of the uppers shelf energy would not be
6 bounded by the reg. guide methodology. There has been
7 cases though, Beaver Valley, where it didn't, and so
8 the staff had to work out a methodology that wasn't in
9 the reg. guide.

10 And that's the whole purpose of the
11 surveillance program. It's very similar to the
12 question about the ISI. We have an ISI program. I
13 just wanted to get this in. We have an ISI program --

14 (Laughter.)

15 MR. ELLIOT: We have an ISI program that
16 says you do some kind of inspection, and we don't
17 expect them to find anything. That's the point of the
18 inspection program. It is to look for things that we
19 don't know about.

20 Well, when they find it, that's when we
21 have to change the inspection program, and this is the
22 same thing with this. We have guidance on the
23 surveillance program here, and we expect them all to
24 fall within the bounds of the data, but if they don't,
25 that's when NRC takes out its collective wisdom and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 starts to change things. That's how it works.

2 MR. AULUCK: Moving on.

3 MS. CORP: I have the second TRA
4 identified as pressurized thermal shock. Materials
5 should provide adequate protection against PTS events
6 if reference temperatures are less than or equal to
7 the screening criteria. For base metal, intermediate
8 shell plate and axial weld, the PTS reference
9 temperatures should be less than or equal to 270
10 degrees.

11 Staff assessments of PTS include
12 application of all applicable Summer surveillance
13 material data in the reactor vessel program, and the
14 staff calculated the PTS reference temperature for the
15 shell plate toe to be 158 degrees and for the axial weld
16 to be 110 degrees.

17 These values are well within the specified
18 criterion of 10 CFR 5061.

19 CHAIRMAN LEITCH: Are they also reasonably
20 close to the licensee's calculations?

21 MR. ELLIOT: Yes. They're just about
22 exactly right.

23 CHAIRMAN LEITCH: Okay. Thank you.

24 MR. SHACK: Is this a combustion vessel,
25 engineering?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: Chicago Bridge and Iron.

2 MR. SIEBER: It is a late vessel plant, an
3 '82 plant.

4 MR. AULUCK: Okay. Go ahead.

5 MS. CORP: The third TLA identified as
6 pressure temperature limits. As Section 4.23 of the
7 LRA states, the applicant will submit PT curves for
8 the period of extended operation for approval pursuant
9 to the license amendment requirements of 10 CFR 5090.

10 The technical specifications will also be
11 updated as required by Appendix G of 10 CFR 50. This
12 is Commitment 32 in Appendix A of the Summer ICR.

13 Section 4.3 of the SER evaluated metal
14 fatigue. Reactor coolant system components at Summer
15 are designed to Class I requirements of the ASME code.
16 As Dr. Cheng has mentioned earlier, three components
17 may exceed the design base fatigue usage factor during
18 the period of extended operations. Those components
19 are the charging nozzle, the alternate charging
20 nozzle, and pressurizer/surge line reactor coolant
21 loop nozzle.

22 In accordance with the thermal fatigue
23 monitoring program the applicant must take corrective
24 actions prior to exceeding the fatigue usage limit for
25 these components.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In the SER, Commitment 33 stated that the
2 applicant's commitment for metal fatigue included
3 transients will be tracked by the thermal fatigue
4 management program. They'll perform evaluations in
5 alignment with NUREG CR-6260 components for
6 environmental fatigue prior to the period of extended
7 operation, and components with CUFs protected to
8 exceed one will be either reanalyzed or replaced prior
9 to exceeding cycles of transience tracked by the
10 thermal fatigue management program.

11 Section 4.4 of the SER evaluated
12 environment qualification of electrical equipment, and
13 the applicant's EQ program is consistent with GALL.
14 The staff concluded the EQ program will continue to
15 manage equipment in accordance with 10 CFR 5049 and
16 meets Option 3 of 10 CFR 5421(c)(1).

17 Effects of aging on the intended functions
18 will be adequately managed for the period of extended
19 operation.

20 Section 4.5 of the SER evaluated the
21 concrete containment tendon loss of prestress.
22 Prestress losses were estimated for 60 years. The
23 applicant provided trending analysis in response to
24 REI 4.5-1, and the staff considers that applicant's
25 actions adequate during the period of extended

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operation and are consistent with GALL.

2 Section 4.6 evaluated the containment
3 liner plate and penetration fatigue analysis. Staff
4 concludes that the TLA for the reactor building liner
5 stress has been projected to the end of the period of
6 extended operation, and the staff concludes that the
7 TLAA for the piping penetration flat plate fatigue
8 remains valid for the period of extended operation as
9 well.

10 And finally, Section 4.7 of the SER
11 evaluates the other plant specific TLLAs. I'll
12 briefly mention the service water intake structure
13 settlement. Since this is unique to LLA, not seen in
14 other applications, as the applicant had discussed
15 earlier in their presentation, excessive nonuniform
16 settlement of the intake structure occurred during
17 construction which caused considerable cracking. This
18 settlement was analyzed in a service water pump house
19 calculation, which was originally based on a plant
20 design life of 40 years.

21 Therefore, this issue meets all six
22 criteria of 10 CFR 54.3.

23 In the application, the applicant
24 indicated that the calculation was revised to account
25 for the period of extended operation. No description

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the analytical methodology or summary of the
2 results utilized in the TLA calculation was provided
3 in the LAR.

4 So during the AMR inspection, the staff
5 reviewed numerical calculations demonstrating that
6 changing from a 40 year operating life to a 60 year
7 operating life has no impact on the conclusions
8 reached in the original calculations.

9 Summer has committed to a service water
10 structure survey monitoring program and an underwater
11 inspection program

12 And this concludes our presentation.

13 MR. SHACK: I have a question on the leak
14 before break, which I thought was a good section in
15 the ECR. I was sort of looking forward to seeing how
16 they were going to treat LBB for a PWR that now has
17 stress corrosion cracking.

18 But did I lose count? Are there two
19 mitigative measures here in place or have we suddenly
20 changed the criteria?

21 MR. ELLIOT: I'll have to look at it.

22 MR. SHACK: Okay. Now, the issue here,
23 are you concerned about the leak before break from the
24 safe ends?

25 MR. ELLIOT: For the safe ends.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHACK: Through the hot legs? You
2 have an active degradation on our criteria.

3 MR. ELLIOT: Two mitigation measures.

4 MR. SHACK: Two mitigation effects. They
5 have the stress improvement, and do they have any
6 others? No, I guess they don't.

7 MR. ELLIOT: I'm looking forward to
8 Farley's evaluation.

9 MR. SHACK: So that's where we stand.

10 CHAIRMAN LEITCH: I didn't lose count.

11 MR. AULUCK: Okay. Continue, sir.

12 MR. BARTON: I have a question. This is
13 the first application I've reviewed that didn't have
14 any open items. Now, is this because the licensee or
15 the applicant succumbed to NRC arm twisting or what?
16 Can you explain to me why there's no open items in
17 this?

18 This is the first one at this stage that
19 there are no open items.

20 MR. AULUCK: That is true, and part of the
21 reason could be we pushed ourselves, we published the
22 applicant, and had an opportunity to discuss things,
23 and agree upon, and you know, long hours. You know,
24 but there have been a couple of applications before
25 where we didn't have too many either. Turkey Point is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one.

2 MR. BARTON: Yeah, but this is the first
3 one I didn't see any at all.

4 MR. AULUCK: Yeah, this is the first time.
5 We were not shooting, but it has happened. You always
6 want to do that, but you know, I think credit goes to
7 the staff and credit goes to the applicant for, you
8 know, trying to address technical issues in a fair
9 way.

10 MR. KUO: I would say a large part of the
11 reason is really lessons learned. It's being so many
12 previous applications already, and they closely follow
13 the previous applications and how it worked and all of
14 that.

15 I think that part has a lot to do with why
16 we don't have open items here. I think this will
17 probably be the case later on, you know, for the
18 future applications. You probably won't see many open
19 items.

20 MR. BONACA: Your generic guidance, you
21 know, issues, in fact, have not increased in numbers,
22 right?

23 MR. KUO: Has not increased in numbers,
24 no.

25 MR. BONACA: And so there should be pretty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well a familiarization of open issues with the
2 industry that should lead to this kind of expectation
3 hopefully.

4 MR. KUO: I believe so unless there are
5 some unique cases. Otherwise, it's pretty stable now.

6 MR. BONACA: Yeah, that's good.

7 CHAIRMAN LEITCH: Did you have a comment
8 you wanted?

9 MR. LABORDE: Just from the licensee's
10 side of it, I challenged Al and his team early on in
11 our process to get to the SERs with open items with no
12 open items and to get there required numerous meetings
13 with the staff, whether it was in person or phone
14 calls, to resolve the issues

15 We set out as a goal to get there, and I
16 think that the process that we went through, being
17 this kind of transient level of GALL status plant was
18 challenging, but like I said, it was our target, and
19 we were pleased to get there.

20 MR. BARTON: Well, I'm glad to hear that
21 because I would have been concerned if you had finally
22 said just to hell with it and were just going to do,
23 you know, whatever the staff asked for, and that's
24 apparently not the case.

25 CHAIRMAN LEITCH: I would like to take the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 couple of minutes we have remaining now to ask the
2 subcommittee members to give me responses to
3 basically two issues. One is is there any reason for
4 an interim letter in this case, and are there items,
5 residual issues that you would like to hear discussed
6 at the full committee meeting whenever it occurs?

7 So, Jack, do you want to start with those?

8 MR. SIEBER: I don't see the need for an
9 imprimatur, and I can't think of any residual issues
10 that I think has not been covered by the applicant in
11 his application and the SER. In fact, I found this
12 application and this SER to be one of the easiest ones
13 to review. I thought it was very well done.

14 And so the answer to both questions is no.

15 CHAIRMAN LEITCH: Okay. Bill?

16 MR. SHACK: No, no.

17 CHAIRMAN LEITCH: Okay. Peter.

18 MR. RANSOM: No, no either.

19 CHAIRMAN LEITCH: Mario?

20 MR. BONACA: No need for an interim
21 letter. I felt that the application hopefully is as
22 small as they will ever get.

23 CHAIRMAN LEITCH: This is the smallest of
24 all the applications we have received so far.

25 MR. BONACA: Was very condensed. I wish

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 somewhere in the first page they would have told me
2 what kind of plant, what kind of rating you had. I
3 mean it was that condensed.

4 But I think tha t--

5 MR. SIEBER: In the future that's all that
6 will change.

7 MR. BONACA: That combined with an SER
8 that was quite descriptive, I think, was enough
9 information there to cover all of the bases. I think
10 that I was pleased to see that there were no open
11 issues, and so I don't see any need for an interim
12 letter, and I think that there is no new items we need
13 to have.

14 The full committee, just maybe a summary
15 of what we've seen here.

16 CHAIRMAN LEITCH: Right. Jack, John?

17 MR. BARTON: No interim letter. I though
18 it was a good application. The only problem I had in
19 the review of it, and I mentioned in my comments, is
20 that in the tables this application used generic terms
21 like tanks, and it was very difficult when you were
22 reading this section to go find out which tank were
23 they specifically talking about, whereas applications
24 in the past that had listed specific tank, condensate
25 storage tank, you know when you went to the table, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, exactly what tank they were talking about and
2 what the program was.

3 I found a problem here because they used
4 a lot of generic terms, but in nothing having their
5 drawings, you couldn't figure out which tank were they
6 actually talking about. That was the only problem I
7 had in reviewing this application.

8 But I don't think you need a letter. I
9 have two questions in my submittal to you, in my
10 comments, that I think you ought to submit to the
11 staff and ask -- it's number two and three -- and ask
12 the staff to kind of answer those and get back to the
13 committee on.

14 I didn't want to take up time today
15 because it would have needed to go back and forth
16 within tables in the application, and that would have
17 taken too much time, but there's two questions I think
18 you can send to the staff and ask them to get back to
19 the ACRS on.

20 CHAIRMAN LEITCH: Okay. Do you want to --

21 MR. BARTON: I highlight them in yellow
22 there.

23 CHAIRMAN LEITCH: Yeah, okay. I think the
24 application was good and the presentations were good.
25 I appreciate that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think as far as the full committee
2 meeting, I recognize it will be condensed. I think we
3 usually allocate -- what do we allocate? -- not more
4 than an hour and a half or something like that. So
5 obviously the presentations will have to be somewhat
6 more condensed.

7 I do think the issues that you opened up
8 with, although perhaps not directly related to license
9 renewal are certainly issues that will be of interest
10 to the full committee, and you ought to go over those
11 again, the hot leg weld issue, the heads, upper head,
12 lower head, the sump blockage issue. There are three
13 hot topics, and certainly they'll come up again, and
14 we should just for the benefit of the members that
15 were not here. I think that's important.

16 I think the thermal fatigue, the three
17 limiting situations that were mentioned, it would
18 probably be good to go over those again just to
19 mention what that situation is.

20 And I think the settling of the pump house
21 would be an important issue to discuss. I think the
22 drawing that shows the configuration of the lakes and
23 the dams and so forth I certainly found helpful, and
24 I think the rest of the committee would find that
25 helpful to repeat that so that we understand the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 configuration of the water works.

2 So that's about it, I guess. Any
3 concluding remarks, P.T. or others?

4 MR. KUO: Well, thank you very much for
5 your time. I think this is, like you all said, an
6 application that's well returned, and we also
7 appreciate the applicant's cooperation throughout the
8 course of the review.

9 CHAIRMAN LEITCH: Okay. The subcommittee
10 stands adjourned then.

11 (Whereupon, at 11:31 a.m., the
12 subcommittee meeting was concluded.)

13

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701