

TRAVIS AIR FORCE BASE  
ENVIRONMENTAL RESTORATION PROGRAM

PUBLIC MEETING  
PROPOSED PLAN FOR GROUNDWATER CLEANUP  
FINAL, OCTOBER 2012

NORTHERN SOLANO COUNTY ASSOCIATION OF REALTORS  
3690 HILBORN ROAD  
FAIRFIELD, CALIFORNIA

THURSDAY, OCTOBER 18, 2012

7:00 P.M.

Reported by:  
Richard A. Friant

A P P E A R A N C E STravis Air Force Base

Mark Smith, Restoration Program Manager, 60 CES/CEANR

Glenn Anderson, Project Manager, 60 CES/CEANR

Lonnie Duke, Project Manager, 60 CES/CEANR

Gregory Parrott, Attorney Advisor, 60 AMW/JA

Brian Sassaman, Environmental Chief, 60 CES/CEANR

Merrie Schilter-Lowe, Public Affair, 60 AMW/PA

Regulators Present

Jose Salcedo, Project Manager  
Dawn Wright, Public Participation Specialist  
Department of Toxic Substances Control

Adriana Constantinescu  
San Francisco Bay Regional Water Quality Control Board

Nadia Hollan Burke, Project Manager  
United States Environmental Protection Agency

Restoration Advisory Board Members

Lt. Col. Dan A. Guinan, Air Force Co-Chair

David Marianno, Community Co-Chair

John Foster, RAB Member

Mike Reagan, Supervisor District 5  
Solano County Board of Supervisors

Contractors

Alison Jones, Vice President  
Arcadis

Mike Wray  
Jeannette Cumberland  
CH2M HILL

Clare Gilmore, Project Manager  
Rachel Hess, Project Manager  
Joe Yeasted, Senior Program Manager  
ITSI Gilbane

Mary Snow  
Techlaw Inc.

John Clark, Senior Engineer  
URS Corporation

Also Present

Jack Batson

Bill Cumberland

I N D E X

Page

Call to Order	5
Presentation by Project Manager Anderson	9
Presentation by Project Manager Duke	18
Public Comment	31
Adjournment	39

P R O C E E D I N G S

7:02 p.m.

1  
2  
3 RESTORATION PROGRAM MANAGER SMITH: Well good  
4 evening and welcome. I'm Mark Smith, the environmental  
5 restoration, or cleanup, program manager for Travis Air  
6 Force Base.

7 If you haven't already done so, please sign in.  
8 The sign-in sheet is in the back by the door where you  
9 entered. Refreshments are on the back table. I see most  
10 people have found them, that's good. Coffee and tea are on  
11 the counter over to the side; please help yourself.

12 If there should be an emergency for any reason,  
13 you can exit through the door that you came in. Or over on  
14 your left there's a couple of doors that take you into a  
15 hallway; there's an exit door on the end of the hallway.  
16 Restrooms are also through those doors on that side.

17 So I'd like to talk about three items this  
18 evening. The first is we will discuss the Travis Air Force  
19 Base preferred alternatives for cleanup of contaminated  
20 groundwater and seek your input.

21 Second you will see various interim groundwater  
22 cleanup activities we have conducted as we prepared for our  
23 final groundwater cleanup.

24 And third you will also see the Air Force  
25 preferred alternatives that we hope will become part of our

1 final groundwater cleanup program.

2 I am now calling this public meeting to order.  
3 This meeting should adjourn no later than 8:30 p.m.

4 This is a public meeting that Travis Air Force  
5 Base is holding because we are proposing preferred  
6 alternatives for 19 contaminated groundwater locations.  
7 This meeting is part of the 30-day public comment period  
8 running from October 10th, 2012, through November 9th, 2012.

9 I welcome your questions, your comments and your  
10 involvement as we move forward with the Travis cleanup  
11 program.

12 Tonight's meeting is being recorded for the  
13 purpose of an official transcript. So if you don't feel  
14 comfortable speaking in public, feel free to write down any  
15 comments or questions that you have as we go through  
16 tonight's meeting. You can hand them to Mr. Wray on my  
17 right here or to myself. Formal comments can be given to us  
18 tonight by writing your comments on the comment forms  
19 provided or you can email Ms. Merrie Schilter-Lowe at the  
20 Public Affairs Office. If you have additional comments  
21 after tonight you can submit your comments to us as long as  
22 they are postmarked by November 9th.

23 Tonight's meeting and the public comment period  
24 provide you with an opportunity to ask questions, provide  
25 comments and help shape the direction the Travis Air Force

1 Base cleanup program will take.

2 Mr. Glenn Anderson, a project manager and part of  
3 the Travis Environmental Restoration Program staff, will  
4 provide more detail on all the steps and phases involved in  
5 addressing the problem of contamination, all while  
6 protecting people and the environment and ultimately  
7 cleaning up the contamination.

8 Mr. Lonnie Duke, also a project manager and part  
9 of the Travis Environmental Restoration Program staff, will  
10 describe in more detail our preferred remedies to clean up  
11 our groundwater contamination at the 19 groundwater sites.

12 The proposed plan provides what we, the Air Force,  
13 believe are the best approaches to groundwater cleanup.  
14 Each preferred approach or preferred remedy has been  
15 discussed and developed with the state and federal  
16 regulatory agencies: the Water Board, the Department of  
17 Toxic Substances Control or DTSC, and the Environmental  
18 Protection Agency or EPA.

19 The regulatory agencies have not concurred with  
20 our preferred remedies yet and won't do so until we have  
21 public input. Once we have the public input, we can begin  
22 to develop a final Record of Decision for the groundwater  
23 cleanup.

24 Any speaker or presenter should leave the audience  
25 with a key message to take home. I have two tonight that I

1 would like you to take back with you. The first is that  
2 people and animals are not at risk from the contamination in  
3 the groundwater beneath Travis Air Force Base. The Travis  
4 groundwater is not used for drinking, bathing or cooking.

5 The second is that the Air Force preferred  
6 remedies are being proposed to you; they are not final.  
7 Please take this opportunity to provide us with your input.

8 All public input provided will be documented in a  
9 responsiveness summary in the Record of Decision, and the  
10 preferred remedies will be selected at that time.

11 I want you to know that we have advertised in the  
12 local newspapers, our own newsletter and the Travis public  
13 website to get the word out to everyone that this proposed  
14 plan is available for public review and comment.

15 This is the proposed plan; it looks like this.  
16 There's extra copies in the back, hard copies in the back.  
17 You may have downloaded a copy of this already from the  
18 Travis Environmental website that was advertised in the  
19 local newspaper, the Vacaville Reporter for one. We have  
20 also advertised it in the Guardian, which is this; it's our  
21 newsletter. This describes what's in the proposed plan to  
22 some extent. It's kind of a guide to help you through it.  
23 But if you prefer hard copies we have them both in the back.

24 At this time I'd like to ask Mr. Glenn Anderson to  
25 come up and discuss our interim groundwater cleanup



1 activities with you.

2 PROJECT MANAGER ANDERSON: Thanks, Mark. Well as  
3 Mark stated, I'll cover the interim groundwater cleanup  
4 actions that are taking place today. That means that this  
5 is not the first time that we have presented our ideas for  
6 groundwater cleanup to the public for comment. We have  
7 asked for public comment twice in the past to start the  
8 cleanup of contaminated groundwater, first on the east side  
9 of the base and then on the west side.

10 So for the third time we are asking for public  
11 comment. But this time we want to change our current  
12 strategy for the whole base and transition to a new set of  
13 cleanup technologies. Before we can determine whether it is  
14 a good idea to use these technologies, it is important to  
15 know what our current strategy is and why we believe that a  
16 change in strategy is in the best interest of the  
17 environment and the Air Force.

18 First I want to show you the basic process that we  
19 use to make cleanup decisions. I am calling it the  
20 Superfund Process because most people recognize the term  
21 "Superfund" as the law that deals with contamination. The  
22 official name of this law is the Comprehensive Environmental  
23 Response, Compensation and Liability Act of 1980 and its  
24 acronym is CERCLA.

25 These are the steps to identify places where

1 contamination might be found; to investigate those places  
2 and determine if discovered contamination requires some sort  
3 of an action, to determine the best technologies to deal  
4 with the contamination. That's the feasibility study; to  
5 present those technologies to the public for review. That's  
6 what we're doing today (proposed plan); to document those  
7 cleanup decisions in a legally binding document. And Mark  
8 already mentioned that's the Record of Decision.

9           This cleanup time line shows how we apply the  
10 Superfund process to our contaminated groundwater. In the  
11 1980s the base realized that industrial activities generated  
12 contamination and began to study the problem through the  
13 1990s.

14           Toward the end of the last century initial cleanup  
15 options were compared and appropriate cleanup options were  
16 selected. We have spent the last dozen years in an interim  
17 cleanup program and now we are taking a second look at new  
18 technologies and going through the process again to  
19 eventually select final cleanup technologies.

20           In the 1990s there were not a whole lot of proven  
21 groundwater cleanup strategies to choose from that would  
22 definitely work beneath the base. The standard approach was  
23 called groundwater extraction and treatment, or pump and  
24 treat, and the EPA referred to it as a presumptive remedy.  
25 This is because it did not require a lot of field work to

1 obtain regulatory acceptance, so it ensured a consistent  
2 approach to address groundwater issues. It was expected to  
3 be used except under unusual circumstances, and Travis  
4 didn't have any unusual circumstances, so most of our  
5 interim groundwater actions involved pump and treat.

6           Also in the 1990s the Environmental Protection  
7 Agency and the Department of Defense looked into the  
8 possibility that natural processes could contribute to the  
9 cleanup of a site. The term "natural attenuation" refers to  
10 the naturally-occurring physical, chemical or biological  
11 processes that act without human intervention to reduce the  
12 mass, toxicity, mobility, volume or concentration of  
13 contaminants in the soil or groundwater.

14           To determine whether these processes were actually  
15 taking place at Travis Air Force Base, we added a few  
16 groundwater analyses to our annual groundwater sampling  
17 program to support a monitored natural attenuation  
18 assessment.

19           We had two expectations for these pump and treat  
20 systems. First, we wanted them to remove as much  
21 contaminant mass out of the ground as possible. To achieve  
22 this, extraction wells are placed in areas where you have  
23 the highest concentrations.

24           Also we wanted to stop groundwater contaminants  
25 from moving into clean areas. So extraction wells were

1 placed around a plume so that the contaminants can't move  
2 beyond the wells.

3           And I put together a collage to show some of the  
4 treatment systems that we have on base. Starting in the  
5 upper left hand corner and going clockwise, first we have a  
6 photograph of the Central Groundwater Treatment Plant. This  
7 is a photo that was taken during the time when we were  
8 pumping activated carbon into two 20,000 pound canisters  
9 that are used to treat groundwater. Contaminated  
10 groundwater enters the top and it comes out clean at the  
11 bottom.

12           Moving along to the upper right corner. That's a  
13 construction photograph of the West Treatment and Transfer  
14 Plant. At this facility contaminated gases or vapor are  
15 treated and contaminated groundwater is transferred to the  
16 Central Plant that I mentioned earlier.

17           And then the last two photographs. The bottom  
18 right is our North Treatment Plant and the bottom left is  
19 our South Treatment Plant. So a total of four large  
20 treatment facilities.

21           Overall the interim cleanup strategy proved to be  
22 very successful. The well network for all groundwater sites  
23 extracted over 1.3 billion gallons of contaminated  
24 groundwater; and that's billion with a B. And the four  
25 treatment systems removed almost 12,000 pounds of

1 contaminants from that water. Also we achieved the interim  
2 cleanup goals for one pesticide site, so it's ready to be  
3 closed.

4           Also I mentioned earlier that we were collecting  
5 additional groundwater data to demonstrate whether natural  
6 attenuation processes in the subsurface can contribute to  
7 the groundwater cleanup. After over ten years of monitoring  
8 it is clear that natural processes are capable of  
9 stabilizing plumes and reducing contaminant concentrations.

10           I am now going to show you a series of figures of  
11 the base. The first figure shows sort of like the starting  
12 point of before we actually began active interim cleanup.  
13 This shows the plumes, the extent of the plumes across the  
14 base. So this is the starting point. This is what it  
15 looked like back in 2001, in 2003, and on throughout that  
16 decade. And as you can see the extent of the plumes have  
17 been shrinking during that interim period. Let me just go  
18 back. I just like to do this. If you go real fast you can  
19 kind of see that it shrinks pretty quickly, okay. So you  
20 start off with big blobs and they're shrinking to small  
21 blobs.

22           But there is more to the story than that. Not  
23 only are we shrinking the plumes but the concentrations are  
24 dropping. These two figures show the contaminant  
25 concentrations at a groundwater site in the northeast corner

1 of the base shown right here. The dark pink represents  
2 contaminant concentration over 1,000 ppb, the light pink  
3 represents concentrations between 100 and 1,000 ppb and the  
4 yellow represents concentrations between 6 and 100 ppb. As  
5 you can see, not only are -- not only are the individual  
6 portions of the plume smaller but it also has much lower  
7 concentrations.

8 Now that was a small plume, a very small location  
9 of the base. This is another example of the success of our  
10 pump and treat strategy. This is our largest and most  
11 contaminated plume on the base. And to make the cleanup  
12 more challenging, it's located between aircraft parking  
13 areas, taxiways and runways so access to large portions of  
14 the plume are very restricted. However, after over ten  
15 years of interim cleanup, the plume is smaller in size and  
16 the contaminant concentrations are lower. These are trends  
17 that we see at most of our sites.

18 So that's the good news. Unfortunately, our  
19 interim approach offers some serious challenges. First,  
20 over time the groundwater extraction and treatment strategy  
21 becomes less efficient. There are two reasons for this.  
22 First, the concentrations of the residual contaminants are  
23 lower so less contaminant is removed for each gallon of  
24 groundwater extracted. We often illustrate this using the  
25 soap and the sponge analogy. And I tend to use props

1 whenever possible so this is my analogy.

2           This is a sponge. Imagine the sponge is like your  
3 medium that requires cleanup and this is the contaminant,  
4 the liquid soap. So if you accidentally leaked soap onto the  
5 sponge I have to now figure out how do I clean it up. Now  
6 imagine that I have some fresh water and that I can fill the  
7 sponge up with water and then squeeze it. And every time I  
8 squeeze a certain amount of soap comes out. The first  
9 squeeze a whole lot comes out and I've made a lot of  
10 progress. The second time not quite as much, the third  
11 time, the fourth time, the amount tends to drop with every  
12 squeeze.

13           Now imagine each squeeze represents \$100,000 of  
14 activity. Using that analogy, you can see that over time my  
15 effort that I am putting into it becomes less efficient. I  
16 am not getting as much for every amount of water that I am  
17 putting into the sponge. After about the 20th time the  
18 water actually may look like it's clean but when you taste  
19 it you are going to realize there's still some soap left  
20 over. So we're not -- in other words we are not getting to  
21 the cleanup goal, which is a clean sponge.

22           Another reason for the drop in efficiency is where  
23 the residual contaminants are located. Pump and treat  
24 systems are very effective when the extraction wells are  
25 placed in gravel and sand layers. That's because it's

1 easier for water to flush through them. This is not true  
2 for silt and clay layers, these layers are tight and water  
3 does not flow through them very well.

4           So after years of pump and treat operation the  
5 water in the sandy soil is really clean but the clay layers  
6 hold most of the residual contaminants. Since it takes a  
7 long time for the contaminants to travel by diffusion from  
8 the clay layers into the sandy layers, it is more difficult  
9 to reach the selected cleanup levels.

10           On top of all of that, the treatment plants are  
11 manmade and require maintenance, and the amount of  
12 maintenance increases over time.

13           And finally, these systems use a lot of  
14 electricity, and the Air Force is looking into ways to  
15 reduce its electrical consumption as a cost and resource-  
16 saving measure.

17           During the interim period several questions came  
18 up that added to the challenge. First, were vapors from  
19 dissolved contaminants getting into buildings? Vapor  
20 intrusion is a term used to describe this and the breathing  
21 of contaminated vapors can create a human health problem.

22           Another question is whether we can demonstrate how  
23 natural attenuation is working on Travis Air Force Base. We  
24 know that it's happening because many plumes or portions of  
25 the plumes are not moving and their concentrations are



1 dropping, even though we are not actively cleaning them.  
2 But could we actually identify the natural processes that  
3 are attenuating these plumes? That's the question.

4           And finally, and the biggest one, are there any  
5 new technologies available and will they work under the  
6 conditions found at Travis Air Force Base?

7           So to answer the first question concerning vapor  
8 intrusion, we conducted an assessment of the buildings with  
9 office spaces that lie above contaminant plumes. We learned  
10 that any vapors from these plumes are not able to get through  
11 our clay-rich soil and enter the foundations of our office  
12 buildings. So that is good news because we don't have to  
13 install any engineered remedies in existing buildings to  
14 prevent vapor intrusion.

15           Concerning natural attenuation. We conducted  
16 several studies to identify the processes that make natural  
17 attenuation work. The most impressive study involved highly  
18 technical laboratory procedures that have been recently  
19 developed to measure the activity of microscopic organisms  
20 that can contribute to the breakdown of contaminants. These  
21 procedures target the genes of microbes, looking for their  
22 DNA, and the enzymes that they produce; the enzymes that  
23 actually could break down contaminants in an oxygen-rich  
24 environment. The study concluded that there was a  
25 biological component to the natural attenuation observed on

1 the base.

2           The last question involved new technologies that  
3 have been developed during the interim period and whether  
4 they might work at Travis Air Force Base. The simple answer  
5 is that a number of new cleanup technologies are now  
6 available and the Air Force Center for Engineering and the  
7 Environment has funded several demonstration projects on  
8 Travis and other Air Force facilities to see if they work  
9 under real world conditions.

10           Thanks to the success of these demonstration  
11 projects we designed groundwater cleanup remedies that  
12 already have a proven track record on the base. This gives  
13 a high level of confidence that the Air Force-proposed  
14 remedies will clean up the residual groundwater contaminants  
15 and achieve all established cleanup levels.

16           At this point I would like to turn over the  
17 presentation to Mr. Lonnie Duke who will describe the  
18 demonstration projects that I just mentioned and present the  
19 Air Force-proposed remedies.

20           PROJECT MANAGER DUKE: Thank you, Glenn, and good  
21 evening, everyone. Glenn has just told you about how we got  
22 to where we are today and now I'm going to talk a little bit  
23 about where we are going.

24           The next step is the proposed plan that we are  
25 presenting tonight that provides the details of what

1 remedies the Air Force believes are the most appropriate to  
2 clean up the contaminated groundwater under the base.

3           These remedies are just proposed at this time and  
4 we would like your input to help us determine if these  
5 remedies are indeed the best way to proceed or if there is  
6 something else that was not considered that may get the  
7 sites cleaned up faster, safer or in a more cost-effective  
8 manner.

9           Glenn mentioned the technology demonstration  
10 projects and here is a list of them that we looked at during  
11 the interim period. And most of these were actually  
12 deployed on Travis in actual conditions to determine if they  
13 would work. And also in 2008 while we were doing this,  
14 green sustainable remediation, or GSR techniques, were being  
15 discussed and developed.

16           So what is green sustainable remediation or GSR?  
17 That's the practice of considering all of the effects of a  
18 remedy, such as the amount of energy used and the resulting  
19 greenhouse gas emissions created by that energy that is used  
20 while operating a remediation system.

21           The Travis program was the first in the Air Force  
22 to really adopt these GSR techniques. Several different GSR  
23 techniques were tried out during the interim period and  
24 proved to be useful for the remediation program so they have  
25 been incorporated into the Air Force-proposed remedies for

1 cleanup of the groundwater.

2           And here is one of the first GSR techniques used  
3 on the base. It was a solar-powered pump to run an  
4 extraction well. And this is actually an extraction well  
5 with a solar panel and a battery and it runs the pumps and  
6 it was very successful.

7           The reason we did this here is this happens to be  
8 a real nice vernal pool out here and we weren't able to  
9 bring any power out there; we couldn't trench. So we tried  
10 the electric -- the solar electricity generation and it  
11 worked great. The pumps proved to work very well and they  
12 required very little maintenance. They also proved to be  
13 very capable of pumping water long distances for treatment  
14 without using any electricity from the grid and therefore  
15 not creating any additional greenhouse gas emissions.

16           Now the solar extraction wells worked so well it  
17 was decided to use a solar-powered extraction well for a  
18 different demonstration project, a solar-powered bioreactor.

19           A bioreactor is essentially a big hole in the ground back-  
20 filled with mulch. You can think of a bioreactor as a  
21 coffee percolator with the mulch acting as the coffee  
22 grounds.

23           The solar-powered pump brings contaminated  
24 groundwater into the bioreactor where it percolates through  
25 the mulch, down through the mulch. It provides carbon,

1 which stimulates certain bacteria to thrive. And that's as  
2 Glenn mentioned, the different studies on bacteria. And  
3 these bacteria, or bugs if you will, use up the available  
4 oxygen creating the perfect condition for different bacteria  
5 to thrive. And then these anaerobic bugs in turn create  
6 enzymes that break down solvents into harmless compounds.  
7 This process also proved to be very successful at Travis as  
8 one of the techniques proposed is a component of two  
9 different cleanup remedies.

10           The vegetable oil injections are similar to the  
11 bioreactor example in that they use a carbon donor source to  
12 increase the naturally occurring bacteria that create the  
13 conditions for a different bacteria to thrive and initiate a  
14 process called reductive dechlorination. This targeted  
15 approach of injecting vegetable oil directly into the areas  
16 of highest concentration and plumes has proven to be very  
17 beneficial with greater than 90 percent mass destruction in  
18 the areas that this technology was tried out.

19           We also tried phytoremediation or  
20 phytostabilization. It's the use of plants in stopping or  
21 cleaning up contamination. This is a long-term  
22 demonstration project that again proved to be useful. Red  
23 iron bark eucalyptus trees, and you can see some of them  
24 here being tested. They were planted in the late '90s at a  
25 groundwater solvent site. The trees' roots grow in search

1 of water and in this case the water was a plume containing a  
2 solvent, trichloroethylene, or TCE. The trees take the  
3 water up with the TCE and they use the water to live while  
4 the TCE is transpired into the air, where it quickly breaks  
5 down from exposure to ozone.

6 We had Utah State University conduct a  
7 transpiration test to confirm that TCE was being given off  
8 by the trees and to estimate how much TCE the trees are  
9 treating. And that's what you see in here with all these  
10 tubes. They would actually place a glass cylinder over a  
11 branch and run oxygen through it and then they were able to  
12 measure the residual TCE that was coming out of that. So it  
13 was a very interesting study to watch them do.

14 They also needed to do this so we could get an  
15 estimate of how much TCE the trees were treating for us.  
16 And while the amount treated by the trees now is very small  
17 it will increase with time as the trees grow larger. This  
18 is a true solar-powered cleanup operation.

19 While Utah State University was looking at  
20 transpiration of contamination out of the tree leaves they  
21 also looked at whether the trunk was transpiring solvents.  
22 They placed a device on the tree, circulated air, used a  
23 pump to pull air throughout the tree and determined that  
24 there was very little coming out of the trunk itself. But  
25 they also took core samples of the trees, sent them to a lab

1 for analysis, and there was an indication that there is TCE  
2 beginning to build up in the trees. So when the time comes  
3 for these trees to be removed, samples will need to be  
4 collected to determine what levels of solvents are in the  
5 trees at that time to see if the trees need any special  
6 handling or disposal.

7           Natural attenuation is Mother Nature working to  
8 break down harmful chemicals into harmless components. And  
9 during the interim period we looked at several natural  
10 attenuation factors in an effort to learn what the  
11 groundwater plumes were doing and why. By looking at the  
12 data we could easily see that the plumes were stable. That  
13 is, not migrating into areas of non-contamination. But why?  
14 One of the reasons we discovered was that there are  
15 naturally-occurring bacteria on Travis that create certain  
16 enzymes that naturally break down chlorinated compounds as  
17 described in the bioreactor example.

18           In the bioreactor, the perfect anaerobic  
19 conditions to increase the population of the target bacteria  
20 was established with the use of a carbon donor, the mulch.  
21 But even without the addition of a carbon source the  
22 bacteria are present throughout the base and they're  
23 breaking down solvents into harmless compounds.

24           Natural attenuation is just that, the plumes are  
25 reducing in size and concentration naturally without any

1 intervention from anyone. And the monitored part of this  
2 equation means the Air Force will continue to collect  
3 samples in order to monitor the progress of this naturally-  
4 occurring attenuation. And that's where -- illustrated here  
5 -- is lines of wells in all of these plumes. We collect  
6 samples, send them to a lab and get the data to make sure  
7 that the plumes are still shrinking and the concentrations  
8 are going down or if something else needs to be done.

9 Additional data gathering. We also used this  
10 interim period to gather some additional data, fill in some  
11 potential data gaps to ensure that the groundwater plumes  
12 were adequately defined. This additional data was used to  
13 develop the preferred remedies that are in the proposed  
14 plan.

15 The three of us, Mark, Glenn and myself, along  
16 with our contractor support team, have spent a lot of time  
17 preparing this proposed plan and we all feel good about what  
18 we are presenting to you this evening. And here are the  
19 proposed alternatives.

20 Alternative 1 is No Further Action and it means  
21 just that, no further action. As Glenn mentioned, there was  
22 one pesticide location that in the interim period the site  
23 met the cleanup levels. Once we document that in the Record  
24 of Decision that site will be closed because there is no  
25 longer any contamination there.



1           Alternative 2, Monitored Natural Attenuation. As  
2 I just mentioned, this is a naturally occurring process to  
3 break down contaminants.

4           Alternative 3, Groundwater Extraction and  
5 Treatment, or GET. Using pumps to bring the groundwater to  
6 the surface and treat it using activated carbon, or  
7 granulated activated carbon, GAC.

8           Alternative 4 is a combination of a bioreactor and  
9 groundwater extraction and treatment. Using a bioreactor at  
10 the higher concentrations and then groundwater extraction  
11 and treatment in the middle parts of the plume.

12           Alternative 5, Emulsified Vegetable Oil and  
13 Enhanced Attenuation. It's a treatment train kind of  
14 concept linking two different treatments. Injecting food  
15 grade vegetable oil into portions of the plume with higher  
16 concentrations to biologically degrade the contamination  
17 down to harmless byproducts. That's, again, the reductive  
18 dechlorination process.

19           And then Enhanced Attenuation. And I'll just  
20 throw a definition in there from the Interstate Technical  
21 Regulatory Council, Enhanced Attenuation is defined as a  
22 plume remediation strategy to achieve groundwater  
23 restoration goals by providing a bridge between a source  
24 zone treatment and MNA -- and/or between MNA and slightly  
25 more aggressive methods. So in-between where you've got

1 different treatment zones you have enhanced attenuation and  
2 that's what EA is defined as.

3           So Alternative 6 is Bioreactor, phytoremediation,  
4 EVO in a permeable reactive barrier, PRB, which is a line of  
5 wells where you inject the oil and enhanced attenuation. So  
6 that's a real long treatment train with several different  
7 treatment activities in one alternative.

8           And then finally we have Alternative 7, which is  
9 Passive Skimming and EA. At one location this will be used,  
10 or proposed to be used. It's a Stoddard solvent, which is a  
11 petroleum-based solvent that floats on the groundwater, so  
12 we'd put skimmers down in the wells. The skimmers would  
13 collect the floating-free product, and that would remove a  
14 source of continuing contamination. So this EA is -- since  
15 we removed the source, we're enhancing the attenuation  
16 downgradient of the plume.

17           And here is a figure of the map and you can see  
18 the outline, the outline of the plumes. There's three  
19 little sections of plumes that actually go off the base and  
20 those will show up here in a minute.

21           Alternative 1 is proposed for just one location.  
22 That's the pesticide site that I mentioned is ready to be  
23 closed.

24           Alternative 2, Monitored Natural Attenuation. A  
25 few more sites throughout the base where the concentrations

1 have already begun to drop.

2           Alternative 3, Groundwater Extraction and  
3 Treatment. And that's appropriate for the off-base plumes,  
4 because it's working real well and it's helping to pull that  
5 contamination back towards the base so it's appropriate for  
6 those locations.

7           Alternative 4, the bioreactor and groundwater  
8 extraction and treatment. And that's just one site, the big  
9 one in the middle of the base. It's appropriate there  
10 because it's real difficult to get underneath the flight  
11 line to do much else so this is the most appropriate that we  
12 could see at this point.

13           Alternative 5 is the Enhanced Vegetable Oil  
14 Injections and Enhanced Attenuation. And that's several  
15 sites near the industrial part of the base where this is the  
16 appropriate technique to clean up these locations.

17           Alternative 6 is the long treatment train with the  
18 bioreactor, phytoremediation, the EVO permeable reactive  
19 barrier and enhanced attenuation. And that's also just one  
20 location where the trees have already been planted. Site  
21 DP039 is the name of that, we call it that.

22           Alternative 7, Passive Skimming and Enhanced  
23 Attenuation. That's also just one site, one small location  
24 where the solvent is floating on top of the groundwater.

25           And then here is a figure with all the remedies

1 that are proposed across the base.

2           So what are the advantages of these proposed  
3 remedies? Well, there are several, several advantages to  
4 these. The proposed remedies will allow for cleanup to take  
5 place within the clay soil particles where the contamination  
6 is sticking, which makes conventional pump and treat  
7 difficult. And that's what Glenn was demonstrating with the  
8 sponge there.

9           It's much easier to have the treatment take place  
10 in situ underground rather than trying to pump millions of  
11 gallons of groundwater out for treatment. At some sites the  
12 contamination that was mobile has already been removed and  
13 treated and the residual contamination has bound on to clay  
14 particles, making groundwater extraction and treatment no  
15 longer a good remedy at these locations.

16           Also green and sustainable remedies are much more  
17 energy efficient and they are able to clean up contamination  
18 using less electricity, saving taxpayer dollars and reducing  
19 the generation of greenhouse gases.

20           At some sites where appropriate, such as those  
21 off-base plumes I mentioned, groundwater extraction and  
22 treatment is still working and is the right remedy.  
23 However, there are plumes on base where a natural process  
24 such as monitored natural attenuation or enhanced reductive  
25 dechlorination using bioreactors or vegetable oil injections

1 are more appropriate and will meet the necessary cleanup  
2 levels and do so in a much more cost-effective manner than  
3 using the more expensive groundwater extraction and  
4 treatment.

5 Now the final cleanup objectives are to protect  
6 human health, to clean up contaminated groundwater to  
7 federal or California cleanup standards as appropriate, to  
8 keep contamination from migrating any further, and to take  
9 no action that exposes protected plants or animals to the  
10 contaminated groundwater.

11 So with that information I'll turn it back over to  
12 Mark Smith.

13 RESTORATION PROGRAM MANAGER SMITH: Hello again.  
14 Thirty-five minutes into a technical presentation is not a  
15 good time to repeat myself, I'm sure, but I am going to  
16 anyway. The part I want to reiterate is that the preferred  
17 remedies that you have seen are proposed; they are not the  
18 selected remedies. This is a proposal. It is your  
19 opportunity to provide comments.

20 The public comment period, again, is open until 9  
21 November. You can provide input here orally, you can write  
22 on the comment forms that we have, you can call us, you can  
23 email us. All the information for contact information is on  
24 the back of the proposed plan.

25 We will use these preferred remedies and your

1 input to help us select the final groundwater remedies that  
2 will go into the Final Groundwater Record of Decision.

3 If you would like additional information you may  
4 pick up a copy of the Travis newsletter, the Guardian, in  
5 the back. I showed that to you here. Or you can also  
6 download the proposed plan from our public website. The web  
7 address is shown at the bottom of our screen here. And I  
8 believe that's also in the proposed plan.

9 Historical information on the cleanup program may  
10 also be found at the Vacaville Library and of course you may  
11 call the Travis Public Affairs Office at the numbers shown  
12 here. The top number will get you directly to Merrie  
13 Schilter-Lowe and the bottom number will get you to the  
14 general Public Affairs Office. Yes, Mr. Reagan.

15 SUPERVISOR REAGAN: You have two library branches  
16 in Vacaville. Is it at both of them or one of them?

17 RESTORATION PROGRAM MANAGER SMITH: The one on  
18 Ulatis.

19 PROJECT MANAGER ANDERSON: The Cultural Center.

20 RESTORATION PROGRAM MANAGER SMITH: The Cultural  
21 Center.

22 At this time I'd like to open the meeting to any  
23 questions. Do we have any comment forms that have been  
24 filled out?

25 (No response.)

1           How about orally? Mr. Foster.

2           RAB MEMBER FOSTER: I have two questions.

3           RESTORATION PROGRAM MANAGER SMITH: Please, I'd  
4 like to ask that you stand. And I should have asked that of  
5 Mike Reagan as well. Stand, state your name, spell your  
6 last name and state your question for the reporter.

7           RAB MEMBER FOSTER: John Foster, F-O-S-T-E-R.

8           RESTORATION PROGRAM MANAGER SMITH: And your  
9 affiliation?

10          RAB MEMBER FOSTER: I don't know. I don't have an  
11 affiliation, do I? I'm a member of the RAB from the  
12 community.

13          RESTORATION PROGRAM MANAGER SMITH: Yes.

14          RAB MEMBER FOSTER: No affiliation.

15          On SS016 it shows -- looking at the Figure 4  
16 layout of the preferred alternatives it has SS016 as an  
17 Alternative 4, bioreactor and ground extraction treatment.  
18 And that appears to be the area that's under a lot of  
19 concrete and so forth. How is that bioreactor going to  
20 actually work in there? Where is that planned for? I'm  
21 curious about that.

22          And my second question, I'll just throw that out  
23 there as well. On all these plans are there going to be any  
24 land use controls needed after everything is completed, in  
25 your projections?

1           RESTORATION PROGRAM MANAGER SMITH: I'll go ahead  
2 and take the first stab at that and, Lonnie, feel free to  
3 jump in at any time.

4           SS016 is this green plume on this map in the  
5 center of the base. The bioreactor is one of the  
6 demonstration projects already installed and already shown  
7 to be making cleanup progress. It's located right here  
8 where we believe was the source area of the contamination,  
9 where they used to degrease plane engines and they would  
10 dump the solvent into a drain here that leached and got into  
11 the ground.

12           The area shown in green and all the groundwater  
13 plumes are currently under land use controls. We have  
14 institutional controls or land use controls in place at all  
15 of our groundwater sites for the purpose of protecting the  
16 base population. Any trenching, any digging, any soil  
17 boring that actually comes in contact with groundwater in  
18 those areas.

19           We attend the meetings where the proponents'  
20 actions are discussed. We tell them, you're in the area of  
21 contaminated groundwater, this is the action you need to  
22 take. You need to containerize it, you need to dispose of  
23 it as waste, as a hazardous material. Or take it to the  
24 central plant and we'll treat it for them. Does that answer  
25 all of your questions?



1           RAB MEMBER FOSTER: No. The land use controls I  
2 was referring to, at the end of this process do you foresee  
3 the cleanup level to not require land use controls at all of  
4 these sites? There's going to be no -- the residential  
5 cleanup level? I mean, what is the final cleanup level?  
6 Are you going to have land use controls? That was the  
7 question.

8           RESTORATION PROGRAM MANAGER SMITH: It is my hope  
9 that we are able to clean up groundwater to the level that  
10 it does not require any land use controls. That is a  
11 discussion we still need to have with the Water Board. In  
12 some cases I think the Air Force's position is to clean up  
13 to minimum contaminant levels; is that right?

14           PROJECT MANAGER ANDERSON: Maximum.

15           RESTORATION PROGRAM MANAGER SMITH: Maximum  
16 contaminant levels, excuse me, MCLs. That's for further  
17 discussion between the Air Force and the Water Board on  
18 groundwater cleanup goals. But if we actually do reach an  
19 agreement that MCLs are safe there won't be any land use  
20 controls.

21           PROJECT MANAGER ANDERSON: That's correct. I  
22 mean, that's the idea is that once you reach the cleanup  
23 levels you've established then there is absolutely no need  
24 for them. The groundwater is safe for unrestricted use,  
25 unlimited use.

1 RESTORATION PROGRAM MANAGER SMITH: Unrestricted  
2 exposure.

3 PROJECT MANAGER ANDERSON: The acronym is UUUE and  
4 I can never remember what it stands for. But the bottom  
5 line is that the water can be used for anything as if the  
6 contamination never occurred in the first place. So land  
7 use controls are essential, you know, like Mark was saying,  
8 to protect human health, to prevent exposure and also to  
9 protect the infrastructure that we are using to conduct the  
10 remedies.

11 So they are absolutely essential during the time  
12 of when the final remedies are documented in the Record of  
13 Decision. They will be implemented based on the individual  
14 alternative. For each alternative the land use controls  
15 will be different. And once we've achieved the cleanup  
16 level and a period of time has been established that as long  
17 as there is no rebound and we don't see it coming back at  
18 all then we can demonstrate that yes, the final remedy was  
19 effective, it succeeded in what it was designed to achieve  
20 and the land use controls then will be removed.

21 RESTORATION PROGRAM MANAGER SMITH: Sufficient?  
22 Thank you.

23 RAB MEMBER FOSTER: As a member of the public I  
24 just wondered if your goal is to have a cleanup to that  
25 level when this is done that there won't be land use

1 controls? If that's the goal.

2 PROJECT MANAGER ANDERSON: Well, I mean, for  
3 example, we have one site where the alternative is no  
4 further action. We are not planning on having any land use  
5 controls assigned to that particular site because the work  
6 has been done.

7 That was a unique situation because we had interim  
8 cleanup goals for that site. And not only did the remedy  
9 achieve that but we can't even detect the contaminants  
10 anymore. The laboratory procedure we have doesn't go down  
11 that far. So even though we didn't have an established  
12 cleanup level, at the time because we couldn't find any more  
13 contaminant down there, the Air Force and the regulatory  
14 agencies signed a consensus statement that said, hey, we're  
15 done as far as the groundwater is concerned and we no longer  
16 have to collect any more samples. Because we had a track  
17 record of years of non-detects, non-detects throughout that  
18 whole, whole time.

19 So the whole idea is that at the time when we  
20 write our decision document, it goes through regulatory  
21 review, everybody signs it, land use controls will be  
22 established and then there will be language in there about  
23 what is required to basically turn things off and then  
24 decommission the infrastructure and remove the controls.

25 RESTORATION PROGRAM MANAGER SMITH: Yes,

1 Mr. Salcedo.

2 MR. SALCEDO: Jose Salcedo, S-A-L-C-E-D-O, I work  
3 for the Department of Toxic Substances Control. I want to  
4 make a comment.

5 All of the sites currently have land use controls  
6 on them right now. All of the alternatives, except for the  
7 no action, will continue to have that, as part of the  
8 alternative will still be land use controls. Those land use  
9 controls can be removed once they achieve below the cleanup  
10 goals. The Air Force requests regulatory agencies to remove  
11 those because the groundwater no longer poses a threat.

12 So it's implied that all of the remedies will  
13 continue to have as part of the alternative a land use  
14 control associated with them.

15 RESTORATION PROGRAM MANAGER SMITH: Thank you.

16 Are there any other comments regarding the  
17 proposed plan? Did everybody receive a copy of it? Yes?

18 Like I mentioned, you have through November 9th.  
19 Please have your comment forms postmarked by November 9th to  
20 us so that we can assemble them and work them into the  
21 responsiveness summary.

22 COMMUNITY CO-CHAIR MARIANNO: Could I make a  
23 comment?

24 RESTORATION PROGRAM MANAGER SMITH: Yes you may.

25 COMMUNITY CO-CHAIR MARIANNO: I'll introduce

1 myself. Dave Marianno, M-A-R-I-A-N-N-O.

2 I'm glad to see what's happening because I'm  
3 probably the one that would be threatened by a lot of this  
4 water, groundwater contamination, because I'm only about a  
5 half a mile from the contaminated water and I am pleased to  
6 see it being returned.

7 This land control. What I'm thinking now, you had  
8 ground -- you had contaminated water. Now what have we got?

9 Contaminated soil with no water? Because what happens to  
10 the contamination? You're drawing it back, you're still --  
11 as I hear in the comments here about it's in the clay or  
12 silt. It seems to me we've -- thank God we've got the water  
13 to where it's not encroaching on us anymore. But it seems  
14 like maybe the base might have another problem later on.  
15 Then we're going to --

16 Talking about land control, that's what I'm saying  
17 is that you're going to control -- you're going to -- in  
18 other words, broken land. I certainly hope that Travis  
19 never leaves us and it becomes a subdivision. but with land  
20 control is that what you mean by land control? That if it  
21 were to become public property then what would happen then?

22 RESTORATION PROGRAM MANAGER SMITH: Thank you. If  
23 Travis were to become public property, deed restrictions  
24 would have to be placed on those sections of land that have  
25 contaminated groundwater beneath them.

1           When you mentioned -- let me go back to your first  
2 comment about what do we have. We had contaminated  
3 groundwater. The concentrations in the contaminated  
4 groundwater plume or the area that is contaminated, the  
5 concentrations have reduced to a point where we think  
6 natural -- in the case of most of 16 here, for example,  
7 where we think natural attenuation processes will occur.  
8 Biological processes predominately will occur that help  
9 break down the contamination.

10           The contamination has a tendency to dissolve in  
11 groundwater, it also has a tendency to stick to clay  
12 particles. You can clean the groundwater, you can extract  
13 the groundwater and treat it. New rain water flushes in  
14 that is not contaminated. But if it sticks around those,  
15 hangs around those clay particles long enough some of the  
16 contamination may come off the clay particles and go into  
17 solution. So you're right. What we call that is rebound,  
18 you could still have contamination there.

19           Part of what Lonnie described with the emulsified  
20 vegetable oil involves going after those sticky parts of  
21 contamination, the soap in the sponge. Groundwater  
22 extraction and treatment works well on highly contaminated  
23 groundwater or groundwater that has larger concentrations of  
24 contamination. But once you get low enough in contaminant  
25 concentrations you are using more electricity than it's --

