

**THE U.S. DEPARTMENT OF HEALTH AND HUMAN SERVICES**  
**AGENCY FOR TOXIC SUBSTANCES AND DISEASE REGISTRY**

convenes the

**ELEVENTH MEETING**

**CAMP LEJEUNE COMMUNITY ASSISTANCE**

**PANEL (CAP) MEETING**

DECEMBER 18, 2008

The verbatim transcript of the  
Meeting of the Camp Lejeune Community Assistance  
Panel held at the ATSDR, Chamblee Building 106,  
Conference Room 1A, Atlanta, Georgia, on Dec. 18,  
2008.

**STEVEN RAY GREEN AND ASSOCIATES**  
**NATIONALLY CERTIFIED COURT REPORTING**  
404/733-6070

C O N T E N T S

Dec. 18, 2008

WELCOME, INTRODUCTIONS AND ANNOUNCEMENTS CHRISTOPHER STALLARD	5
1997 PHA DISCUSSION TOM SINKS	13
WATER MODELING UPDATE TT-23 CHRONOLOGY HP INTERCONNECTION SOURCE OF WATER FOR KNOX TRAILER PARK MORRIS MASLIA	73
RECAP OF LAST MEETING PERRI RUCKART	97
SUMMARY OF DOD/ATSDR DECEMBER 2008 MEETING PERRI RUCKART AND FRANK BOVE	116
UPDATES ON HEALTH SURVEY AND MORTALITY STUDY APPROVALS RECEIVED CONTRACTOR SELECTION PROCESS SIGNATURE ON SURVEY PRENOTICE AND INVITATION LETTERS PERRI RUCKART AND FRANK BOVE	116
DISCUSSION ABOUT CAP PRESENTATION AT EXPERT PANEL ON WATER MODELING OF HADNOT POINT JERRY ENSMINGER	149
UPDATE ON CONFERENCE CALL WITH CANCER REGISTRIES PERRI RUCKART AND FRANK BOVE	154
UPDATE ON STAKEHOLDER ANALYSIS	167
WRAP-UP CHRISTOPHER STALLARD	203
COURT REPORTER'S CERTIFICATE	210

**TRANSCRIPT LEGEND**

The following transcript contains quoted material. Such material is reproduced as read or spoken.

In the following transcript: a dash (--) indicates an unintentional or purposeful interruption of a sentence. An ellipsis (. . .) indicates halting speech or an unfinished sentence in dialogue or omission(s) of word(s) when reading written material.

-- (sic) denotes an incorrect usage or pronunciation of a word which is transcribed in its original form as reported.

-- (phonetically) indicates a phonetic spelling of the word if no confirmation of the correct spelling is available.

-- "uh-huh" represents an affirmative response, and "uh-uh" represents a negative response.

-- "\*" denotes a spelling based on phonetics, without reference available.

-- "^" represents inaudible or unintelligible speech or speaker failure, usually failure to use a microphone or multiple speakers speaking simultaneously; also telephonic failure.

**P A R T I C I P A N T S**

(alphabetically)

BOVE, FRANK, ATSDR  
BRIDGES, SANDRA, CAP, CLNC  
BYRON, JEFF, COMMUNITY MEMBER  
CLAPP, RICHARD, SCD, MPH, PROFESSOR (via telephone)  
ENSMINGER, JERRY, COMMUNITY MEMBER  
GROS, MICHAEL, COMMUNITY MEMBER (not present)  
MCCALL, DENITA, COMMUNITY MEMBER  
PARTAIN, MIKE, COMMUNITY MEMBER (via telephone)  
RUCKART, PERRI, ATSDR  
SIMMONS, MARY ANN, NAVY AND MARINE CORPS PUBLIC HEALTH  
CENTER  
TOWNSEND, TOM (via telephone)

**P R O C E E D I N G S**

(9:00 a.m.)

**WELCOME, INTRODUCTIONS AND ANNOUNCEMENTS**

1  
2           **MR. STALLARD:** Good morning. We're going to  
3 get started. Now that we're ready I'd like to  
4 welcome everyone in the audience here. I'll  
5 introduce myself. I'm Christopher Stallard.  
6 I am a CDC employee with the Coordinating  
7 Office for Global Health. I've been working  
8 with the CAP since its inception going on  
9 three years now, I think, maybe four.

10           I just wanted to, for those of you who  
11 may be new to this process, I want to briefly  
12 go over some introductory remarks and  
13 establish -- speak into the microphone is a  
14 guideline, thank you. So welcome to our  
15 meeting of 12/18. I want to recap that the  
16 purpose of the CAP is to determine the  
17 feasibility of future scientific studies and  
18 to conduct Camp Lejeune-related activities  
19 with the full participation of the affected  
20 community.

21           As always, we have operating  
22 guidelines to govern our interactions together

1           today. And I'm going to put these out there  
2           and if there are any others that people would  
3           like to offer, please do. One speaker at a  
4           time. That is very important. We don't hear  
5           very well if people are talking across one  
6           another. Zero personal attacks. We represent  
7           various agencies here. There's a long  
8           history. This is a deeply emotionally charged  
9           issue.

10                   Our focus is on offering solutions;  
11           what can be done. That goes along with  
12           respect for the speaker. Very important,  
13           speak into the microphones. We have this  
14           wonderful new setup this time where each one  
15           of us has a speaker, a microphone. You have  
16           to push the red button on the bottom, the red  
17           bar, to activate it, and you have to push the  
18           red bar again to deactivate it after you've  
19           finished speaking.

20                   Please keep your cell phones either  
21           off or on silent stun. Again, the audience is  
22           here to listen. This is an open meeting.  
23           It's being broadcast to those who are  
24           interested in seeing it. The audience may be  
25           invited to comment if invited by the CAP

1 members. There are those of you in the  
2 audience that have particular knowledge or  
3 expertise that may be called upon to answer a  
4 question posed by the CAP.

5 Is there anything else under operating  
6 guidelines that you all would like to offer?

7 (no response)

8 **MR. STALLARD:** So we're good with this. A  
9 little nod here, a little nodding. Okay,  
10 good.

11 I know we have an agenda, and we're  
12 going to stick to the agenda as much as we can  
13 including the timing, taking breaks and  
14 whatnot. But I'd like to get a sense from the  
15 CAP members what is it that you came here  
16 today expecting to achieve?

17 **MR. ENSMINGER:** This is Jerry Ensminger.  
18 One of my main goals today, which was a  
19 suggestion by Denita McCall, another CAP  
20 member, is to have this public health  
21 assessment taken down once and for all. We  
22 realize that there's a lot of site-specific  
23 errors in data which have been admitted to.

24 On the ATSDR website there's a  
25 disclaimer up there about the water system

1 data. However, there's a lot of conclusions  
2 that were made in this public health  
3 assessment, and there's also a bunch of  
4 contradictory statements in the text. I mean,  
5 it just doesn't match up. They negative each  
6 other out.

7 And there are a lot of health  
8 providers -- not health providers, but there  
9 are a lot of agencies such as the VA that are  
10 using statements out of this public health  
11 assessment that are prohibiting people from  
12 getting help, and it's because of this public  
13 health assessment. And it's got to go.

14 **MR. STALLARD:** Thank you.

15 Anyone else? Denita?

16 **MS. McCALL:** Well, Denita McCall. I would  
17 like to see the 1997 Public Health Assessment  
18 banished and for a public health assessment to  
19 reflect the truth about Camp Lejeune. This  
20 public health assessment is a mockery to  
21 anyone who has been affected by this  
22 contamination. And I would really like to see  
23 it go away and have a more truthful  
24 representation of what has happened at Camp  
25 Lejeune.



1                   **MR. STALLARD:** Thank you.

2                   **MR. ENSMINGER:** This is Jerry Ensminger.  
3                   One more thing. I realize that not everything  
4                   in this public health assessment is ATSDR's  
5                   fault, as a matter of fact most of it isn't.  
6                   I want to make that clear. You can only work  
7                   with what you're given, and they were given a  
8                   lot of incorrect data.

9                   But by the same token we're going to  
10                  hold off on a lot of other issues, ATSDR is,  
11                  and they're going to re-do the Small for  
12                  Gestational Age and Adverse Pregnancy Outcome  
13                  study once the water modeling is completed.  
14                  And the disclaimer that's up there about the  
15                  water system data, they're going to re-do all  
16                  of that once Morris' work is completed with  
17                  the water modeling.

18                  And once we get into this discussion,  
19                  and I point out these contradictory things  
20                  that are in this public health assessment and  
21                  the conclusions that are made, it is my hope  
22                  that the powers that be here knowing that  
23                  people are being denied benefits because of  
24                  these statements, they'll do the same thing  
25                  with the rest of this thing and just pull the

1 thing down and will re-issue it in another  
2 form when everything's done.

3 **MR. STALLARD:** Thank you.

4 Yes, Tom, as a matter of fact, Tom,  
5 we're going to go around the room real quick  
6 and do introductions, and then I'll come back  
7 to you for the benefit of the court reporter  
8 that we have names identifying these speakers.  
9 So let's start.

10 **DR. BOVE:** Frank Bove, Division of Health  
11 Studies, ATSDR.

12 **MS. SIMMONS:** Mary Ann Simmons, Navy Marine  
13 Corps Public Health Center.

14 **MS. McCALL:** Denita McCall, Camp Lejeune  
15 CAP.

16 **MS. RUCKART:** Perri Ruckart, ATSDR.

17 **MR. BYRON:** Jeff Byron, Camp Lejeune CAP.

18 **MS. BRIDGES:** Sandra Bridges, Camp Lejeune  
19 CAP.

20 **MR. ENSMINGER:** Jerry Ensminger, Camp  
21 Lejeune CAP.

22 **MR. STALLARD:** And on the phones we have --

23 **DR. CLAPP (by Telephone):** Dick Clapp, ^  
24 Public Health of Camp Lejeune CAP.

25 **MR. STALLARD:** Welcome, Dick.

1                   **MR. TOWNSEND (by Telephone):** Tom Townsend,  
2                   Camp Lejeune CAP.

3                   **MR. STALLARD:** And is Mike on the phone?  
4                   (no response)

5                   **MR. STALLARD:** Not yet.

6                                 All right then, Tom, go ahead.

7                   **MR. TOWNSEND (by Telephone):** The 1997  
8                   Public Health Assessment has been the subject  
9                   of my dissent for about nine years. I was the  
10                  first, that was the first item that I received  
11                  from ATSDR and started asking questions and  
12                  filed information that pointed out that that  
13                  was erroneous in many portions thereof.

14                                 And I've asked Dr. Sinks multiple  
15                  times in writing to get that off of... It's  
16                  bozo\* and it's out there, and people that  
17                  don't have any awareness of the problem think  
18                  it's the gospel. That document should be  
19                  eradicated, corrected and republished. But it  
20                  should not be available to the public for  
21                  dissemination at this time.

22                   **MR. STALLARD:** Thank you, Tom. You're going  
23                  to have an opportunity to speak to Dr. Sinks  
24                  yet again this morning. At 9:30 he'll be  
25                  here.

1                   It sounds like the question is what is  
2 the process for removing or changing or taking  
3 away a previously published study. What is  
4 the process for doing that when facts have  
5 changed over time? So hopefully we'll get a  
6 response to that question today.

7                   So now we're moving on to --

8                   Yes?

9                   **MR. BYRON:** This is Jeff Byron. I have one  
10 other thing that I wanted to bring up. The  
11 water modeling that's been done at Tarawa  
12 Terrace, I'm hearing a rumor that the Marine  
13 Corps now disputes that study. I'd like to  
14 find out what is your actual dispute to that  
15 study since you've been a part of this process  
16 through the whole operation.

17                   You paid for it and now you're paying  
18 for people to come up and dispute the findings  
19 is what I'm understanding, at least that's the  
20 rumor I'm hearing. So if there's something to  
21 that, I'd like to hear it right here.

22                   **MS. SIMMONS:** To the best of my knowledge --  
23 this is Mary Ann Simmons -- we haven't  
24 disputed anything. We do have some water  
25 modeling experts and some water engineers

1                   who've been working with Morris on some things  
2                   and trying to clarify some issues that, to the  
3                   best of my knowledge --

4                                 And, Scott, please.

5                                 -- we haven't disputed anything.

6                   **MR. BYRON:** Okay, thank you.

7                   **MS. SIMMONS:** You're welcome.

8                   **MR. STALLARD:** We just got clarity on the  
9                   water modeling --

10                   **MR. BYRON:** So -- this is Jeff again -- so  
11                   what you're saying is that you agree with the  
12                   water modeling that was conducted at Tarawa  
13                   Terrace, the results? Or you're still hashing  
14                   that over and --

15                   **MR. STALLARD:** Let's save that for the water  
16                   modeling.

17                                 Perri.

18                   **1997 PHA DISCUSSION**

19                   **MS. RUCKART:** Well, since Tom and Bill are  
20                   here, we can just go right into the discussion  
21                   of the PHA and then do the recap after that if  
22                   you want. Do you want to do that? Just get  
23                   started so we don't take up more of your time?  
24                   And then when you're done we can go into the  
25                   recap.

1           **MR. STALLARD:** There's a lot of energy  
2 around this issue that they're here to talk  
3 about so I think that's a mighty fine  
4 suggestion.

5           For the benefit of the court reporter  
6 would you be so kind and just introduce  
7 yourself and your affiliation, please? We'll  
8 start right here.

9           **DR. CIBULAS:** Good morning. I'm Bill  
10 Cibulas, and I am the Director of the Division  
11 of Health Assessment and Consultation. I have  
12 been in that position since 2004, but a long-  
13 time ATSDR employee. I've been an ATSDR  
14 employee since 1985, previously in the  
15 Division of Toxicology and Environmental  
16 Medicine. Good morning.

17           **MR. STALLARD:** And before we go over to Dr.  
18 Sinks, who just joined us on the line, please?

19           **MR. PARTAIN (by Telephone):** This is Mike  
20 Partain.

21           **MR. STALLARD:** Welcome, Mike.

22           **MR. PARTAIN (by Telephone):** Thank you.

23           **MR. STALLARD:** Introduce yourself and then  
24 go ahead.

25           **DR. SINKS:** Tom Sinks, Deputy Director of

1 the National Center for Environmental Health  
2 and ATSDR.

3 Denita, I'm here because of your e-  
4 mail. So it's good to put a face onto an e-  
5 mail.

6 But let me just say I'm not sure who's  
7 on the phone so can somebody give me an idea  
8 who's on the phone?

9 **MR. ENSMINGER:** Tom Townsend.

10 **DR. SINKS:** Hi, Tom.

11 **MR. ENSMINGER:** Dr. Clapp.

12 **DR. SINKS:** Okay, Richard.

13 **MR. ENSMINGER:** And Mike Partain.

14 **DR. SINKS:** Hi, Mike.

15 I don't have any prepared statements  
16 or anything like that. Basically here to let  
17 you know I'm paying fairly close attention to  
18 what we're doing at Camp Lejeune, paying  
19 attention to the e-mails that I get. I think  
20 the last time I was here I said reach out to  
21 me, contact me. I'm available. And Denita is  
22 the only one of all of you that contacted me.  
23 Even Tom didn't contact me since the last CAP  
24 meeting, and I usually hear from him pretty  
25 frequently.

1 Denita's concern basically goes back  
2 to the two 1998 public health assessments.

3 **MR. ENSMINGER:** 'Ninety-seven.

4 **DR. SINKS:** 'Ninety-seven, thanks, Jerry.

5 And concern about it as it, I think  
6 she feels as it has been applied to her and to  
7 others that she feels they're probably in a  
8 similar circumstance. And I think that we're  
9 --

10 Yes, go ahead, Denita.

11 **MS. MCCALL:** When I initially e-mailed you,  
12 I gave you five representations of how this  
13 1997 Public Health Assessment has been used.  
14 It's not only been used in my case. It's been  
15 used in a report to the Commandant. Mary Ann  
16 Simmons used it in her PowerPoint  
17 presentation. It's been used in another  
18 public health assessment in Pennsylvania.  
19 It's been used in the GAO report. It was used  
20 in the Commandant's panel. It's not just a  
21 personal thing. They're using this public  
22 health assessment as bible.

23 **DR. SINKS:** Well, let me comment first that  
24 we want the public health assessment to be  
25 used for the purpose that it was written. And



1           one of the things we don't control is how  
2           other people use our documents for how they  
3           use it. You did send me three or four  
4           attachments that I've looked at.

5                     And I'll tell you the one that I found  
6           very interesting and informative to me and  
7           provided me some education on the topic was  
8           the report from the VA, and how they're using  
9           benefit information. Because this is  
10          something I really have no firm knowledge on  
11          other than my experience with Agent Orange and  
12          the IOM Committee and the VA's decision to  
13          compensate Vietnam War veterans.

14                    And I did look at that yesterday. I  
15          actually looked at that this morning. I don't  
16          see, at least from that, any suggestion that  
17          the VA is actually using our document for  
18          evidentiary evidence in decisions they're  
19          making. I don't have any real knowledge of  
20          how they would have used the report in a issue  
21          of yours.

22                    Let me just say personally I don't  
23          believe that our science is done for the  
24          purpose of identifying whether an individual  
25          case of a certain disease is caused by or

1 related to something we've studied. And what  
2 I did note on the IOM report is a -- I'm  
3 sorry, the VA report was a strong  
4 recommendation to include a recent IOM  
5 committee on how to use scientific evidence to  
6 determine whether compensation should be  
7 given. I don't know if the VA has actually  
8 followed up on that.

9 But if one was to look at the  
10 scientific evidence on a case-by-case basis,  
11 it is not an easy thing to do. The other  
12 thing I thought was interesting in that report  
13 was the documentation of the benefit of doubt  
14 about issues for to provide compensation to  
15 veterans, that they should always rule in  
16 terms of the benefit of doubt. But I saw  
17 nothing in there that told me, and I've  
18 actually seen nothing that tells me that the  
19 VA is actually using our document as a way to  
20 adjudicate one case versus another.

21 **MR. TOWNSEND (by Telephone):** Dr. Sinks?

22 **DR. SINKS:** Yeah, Tom.

23 **MR. TOWNSEND (by Telephone):** Dr. Sinks?

24 **DR. SINKS:** Yeah, please.

25 **MR. TOWNSEND (by Telephone):** Tom here. I

1 have applied for a, I have an existing 50  
2 percent disability from the VA now, and I've  
3 had it for 35 years. I filed for an  
4 additional VA disability as a result of severe  
5 neuropathy in my feet and hands, which are  
6 leading lives of their own at the present  
7 time.

8 I went to the VA hospital, was  
9 examined, and they pretend that there's no  
10 knowledge in their vast repository in the  
11 nation of any connection between exposure to  
12 neuropathy by a long-term VOC and a long-term  
13 NA. There's no cause and effect in their  
14 files; therefore, I filed an appeal, and I'm  
15 waiting to hear what comes of it.

16 But the VA is playing games. They're  
17 taking your document, studying your document  
18 and using it as a rationale for not going  
19 forward on a claim. I think that that is  
20 unacceptable.

21 **MS. McCALL:** Dr. Sinks, let me just add one  
22 more thing. I meant to bring it today. I  
23 have a denial from the VA of benefits, and it  
24 clearly has quoted from your 1997 Public  
25 Health Assessment. One paragraph that, no

1 adverse health effects are expected from this  
2 exposure.

3 And if the 1997 Public Health  
4 Assessment is the only literature available to  
5 people to go to and find facts, and the facts  
6 that they're finding are erroneous, well, of  
7 course, people are going to be misled by what  
8 the water has or has not caused. That's the  
9 issue.

10 **DR. SINKS:** Let me get to the core of what  
11 you're stating with that comment. If you  
12 would have shared that with me, I could see us  
13 sending a message to whoever made that  
14 determination and suggest to them how we  
15 interpret what this is saying.

16 Now, understand, what we could say is  
17 at this point we see a very low risk here.  
18 The risk as modeled was 5.5 times ten to the  
19 minus five, which is just a mathematical  
20 number, but it was for cancer. It was not for  
21 the specific type of tumor that you have. And  
22 in looking at the literature related to the  
23 type of tumor that you have, there isn't a  
24 body of evidence that suggests there's an  
25 environmental link.

1                   So while we could say to them if you  
2                   are interpreting our report as saying there  
3                   can be no connection between, that is not what  
4                   we, you know, what we're saying here is the  
5                   risk is low. At the same time we would  
6                   probably make a statement such that we cannot  
7                   make a statement that your illness was  
8                   causally related to these exposures because we  
9                   don't have that information.

10                   So it's kind of the glass is half full  
11                   and half empty. I mean if the VA is using our  
12                   report to make a determination on  
13                   compensation, I think we would want to clarify  
14                   with the VA we don't think that's an  
15                   appropriate use of our report. But at the  
16                   same time the VA has to make a decision based  
17                   on something, and, frankly, we don't have the  
18                   science at this point to give to the VA that  
19                   says here's the science you ought to be using  
20                   to make this determination.

21                   **MS. McCALL:** Well, I won't get into that now  
22                   because Jerry has the report in front of him,  
23                   and he can clearly point out to you the  
24                   contradictions --

25                   **DR. SINKS:** He just handed it to me.

1           **MS. McCALL:** -- that that report represents,  
2 and I'll just let him go with that because we  
3 can sit here and go back and forth all day,  
4 but Jerry's really the one that has the  
5 information. Thank you.

6           **MR. PARTAIN (by Telephone):** Jerry, before  
7 you jump in, let me read something out of the  
8 ^ Committee report about the 1997 ATSDR PHA.

9                   Quote, "A 1997 ATSDR scientific survey  
10 concluded that there is no scientific evidence  
11 to support the claim that VOC exposure at the  
12 levels present at Camp Lejeune caused adverse  
13 health reactions in adults." That seems  
14 pretty concrete to me.

15           **MR. ENSMINGER:** Mike, you done?

16           **MR. PARTAIN (by Telephone):** Yes.

17           **MR. ENSMINGER:** This is Jerry Ensminger. I  
18 have right here the Public Health Assessment  
19 for Camp Lejeune. And if anybody else has it  
20 here at the table, I'd like you to open it to  
21 page 26, which is Table 3, which are potential  
22 health effects for VOC exposures. Without  
23 exception on this table it says for adults  
24 non-cancerous effects not likely. Cancer risk  
25 increase, absolutely no.

1           **DR. SINKS:** It doesn't say absolutely.

2           **MR. ENSMINGER:** Well, what is no? No is  
3 absolute.

4                         Now I would like to point out to you  
5 in the text following that table on page 27  
6 down in the second paragraph it says, "Not  
7 enough scientific information on humans is  
8 available to rule out the possibility of  
9 cancerous health effects from low-dose  
10 exposures to VOCs." That doesn't sound like a  
11 no. Not to me it doesn't. Does it to you,  
12 Dr. Cibulas?

13           **DR. CIBULAS:** No.

14           **DR. SINKS:** Bill, why don't you mention the  
15 updated table that is on our website because  
16 we did make --

17           **MR. ENSMINGER:** There is no updated data --

18           **DR. CIBULAS:** You're right, Jerry, it was  
19 pulled in June of 2007 because apparently it  
20 was still causing some difficulty in  
21 understanding it. But as a result, Jerry, and  
22 I think you know this, that following some of  
23 these discussions that we had with Dingle's  
24 staff, you and others, that we did revise this  
25 table and change the no for increased risk of

1 cancer to not likely.

2 And that was placed up on the table,  
3 up on the website along with some additional  
4 information that we had learned subsequent to  
5 the conduct of the 1997 Public Health  
6 Assessment about exposures of some housing  
7 units that were being provided water through  
8 the Holcomb Boulevard system. I mean, in our  
9 Public Health Assessment we talked that these  
10 three housing units only received contaminated  
11 water for a 12-day period in 1985.

12 And we had learned by that time in  
13 2004 when we made that update that prior to  
14 1972 that these units actually were, people in  
15 these housing units actually were receiving  
16 contaminated water from Hadnot Point. So as a  
17 result of what we had learned at that time, we  
18 did provide some update. And we did revise  
19 this table to reflect not likely for an adult  
20 human cancer risk.

21 But, again, it was taken down in 2007,  
22 and it is no longer up there. And the only  
23 Public Health Assessment Table 3 that's up  
24 there now is the original 1997 Public Health  
25 Assessment which you get to through the ATSDR



1 website.

2 **MS. McCALL:** Why did you take it down from  
3 not likely to no?

4 **MR. ENSMINGER:** No, they took it from not  
5 likely to no.

6 **DR. CIBULAS:** I think it's a matter of  
7 somewhat of semantics here. We did some  
8 cancer risk estimates as part of the 1997  
9 Public Health Assessment, and we came up with  
10 theoretical lifetime cancer risks in the ten  
11 to the minus five to ten to the minus six  
12 range which basically means that in a modeling  
13 exercise -- and that's what it is. It's a  
14 modeling exercise --

15 **MR. ENSMINGER:** Now, can I ask a question  
16 while you're talking about this?

17 **DR. CIBULAS:** Sure, Jerry.

18 **MR. ENSMINGER:** This is Jerry Ensminger.  
19 Your assessments that you did and the slopes  
20 and all that were based on animal studies,  
21 right? Everything that you used to come up  
22 with -- well, not you, but we had, came up  
23 with was based on animal studies. And none of  
24 the epidemiological stuff was even considered  
25 in this, was it?

1           **DR. CIBULAS:** Well, as far as --

2           **MR. ENSMINGER:** I mean in this table.

3           **DR. CIBULAS:** No, no, we certainly looked at  
4 the human, we looked at all the epi data as  
5 well as the human data in making our  
6 determination about adverse health effects.

7           **MR. ENSMINGER:** Well, this statement over  
8 here in your paragraph says because the  
9 results of epidemiologic studies suggest the  
10 possibility of cancer from exposure to VOCs at  
11 low doses, more studies are needed to  
12 adequately address the issue of cancer  
13 associated with low-dose VOC exposure. It  
14 says because the results of epidemiologic  
15 studies suggest the possibility of cancer.  
16 The possibility of cancer doesn't match up  
17 with no.

18           **DR. CIBULAS:** I agree.

19           **MR. PARTAIN (by Telephone):** Or even not  
20 likely.

21           **MR. ENSMINGER:** Yes. It's a probable.

22           **DR. SINKS:** Well, remember that the question  
23 here of the no, I think we all agree the no is  
24 probably not the appropriate way to phrase  
25 this. I don't think we need to argue about

1           the no, and I think we ought to go ahead and  
2           take a look at that again. I think the issue  
3           becomes one of, well, what is the risk. And  
4           then there's all kinds of things that come  
5           into it, Jerry, and how good is the database.  
6           Why is the, you know, the National Academy is  
7           reviewing TCE again.

8                     I don't know. Did they finish that  
9           report? The TCE or PCE?

10                    These things are constantly being re-  
11           looked at because there's more data. And when  
12           the people who are, the modelers are doing it,  
13           they end up having to say, well, what's the  
14           best study on which I'm going to base this on.  
15           Am I going to use an animal study? Am I going  
16           to use a human study? And whether they use  
17           the animal study or the human study, they use  
18           the best science they can to form an opinion.  
19           But the issue of is ten to the minus five  
20           low; is ten to the minus five high. I mean,  
21           this is a -- the other thing I think we can  
22           all agree to is that more science is better.

23                    **MR. ENSMINGER:** Absolutely.

24                    **DR. SINKS:** And if we are going to do more  
25           science, let's make sure we do the darn best

1 science we can that is informing us.

2 **MR. ENSMINGER:** Well, I'm not, I'm not --

3 **DR. SINKS:** So we're not arguing --

4 **MR. ENSMINGER:** -- I'm not disputing that  
5 fact. The fact I'm disputing is that this  
6 document contradicted itself multiple times in  
7 its original form. I mean, it has nothing to  
8 do with future studies or -- I mean, and if it  
9 was up to this Public Health Assessment, there  
10 wouldn't be any future studies. There would  
11 not have been anything done other than the  
12 kids at Camp Lejeune.

13 **DR. SINKS:** You corrected yourself because  
14 that's where I would argue with you.

15 **MR. ENSMINGER:** As far as the adults go  
16 there would have been nothing.

17 **DR. SINKS:** Let me argue a little bit with  
18 that, Jerry, since I'm sitting right next to  
19 you.

20 **MR. ENSMINGER:** It says right here.

21 **DR. SINKS:** But let me point out to you that  
22 because this -- I mean, yes, in terms of the  
23 words that are there. But we're not just  
24 dealing with the words that are there that  
25 were written ten years ago that you want to go

1 back to and say, well, here's what was written  
2 here ten years ago.

3 To me ten years ago this document was  
4 written, and ten years ago people like Frank  
5 become involved in looking at this. And  
6 because we became involved and started looking  
7 at this, we started contacting people like you  
8 who took up this issue and made it an issue.  
9 And now where we are is we're moving forward  
10 looking at additional science and additional  
11 work.

12 And if it wasn't for that document,  
13 whether you like the document and the words  
14 that are in it or not, that document has put  
15 us all in the position where we are today.  
16 And it is relevant, and it has been helpful.  
17 Now you can argue you don't like the words  
18 that are in it, and we're not going to argue  
19 back with you.

20 **MR. ENSMINGER:** It's not only the words,  
21 it's --

22 **DR. SINKS:** The point is --

23 **MR. ENSMINGER:** -- it's the conclusions.

24 **DR. SINKS:** I understand, Jerry, but the  
25 point is that people who have been here for

1 ten years have been taking this on personally  
2 and have been working on this doing the best  
3 job they can for you and for the others. And  
4 while you're not always going to agree with  
5 them, and you're not always going to agree  
6 with words that we were putting on paper ten  
7 years ago, we all have the same thing and  
8 interest here. Our interest is the best  
9 science and getting the facts.

10 Now, if you're going to look and  
11 compare the science and the issues that are  
12 here at Camp Lejeune to what the human  
13 epidemiologic evidence that's used for cancer  
14 is outside of Camp Lejeune, having worked in  
15 occupational health for six years, I can tell  
16 you the best epi data are going to come from  
17 workers who were exposed for decades rather  
18 than looking at short-term exposures. Where  
19 we have in Lejeune is that the average person  
20 is there a couple of years.

21 So there is a substantive difference  
22 in terms of where most of the human epi comes  
23 from in terms of the proof of -- not the  
24 proof, but the best human epi studies  
25 generally come from occupational studies. And

1           it's not because it's necessarily the worst  
2           setting. I'm not saying Camp Lejeune was not  
3           a, you know, there wasn't an exposure there,  
4           but I'm saying --

5           **MR. BYRON:** There is no worse setting.

6           **DR. SINKS:** -- that there wasn't an exposure  
7           there, but I'm saying --

8           **MR. BYRON:** There's no worse setting.

9           **DR. SINKS:** -- but I'm saying usually when  
10          we form human information that's telling us  
11          about cancer risk, it's from occupational  
12          studies. Now, there are a number of reasons -  
13          -

14          **MR. ENSMINGER:** So what you're saying is  
15          that there are much worse exposures --

16          **DR. SINKS:** Different exposures, but those  
17          are the things that are generally used. Now,  
18          let me --

19          **MR. ENSMINGER:** When you go to this and it  
20          says a 1997 ATSDR scientific survey concluded  
21          there's no scientific evidence to support the  
22          claim that VOC exposures at the levels present  
23          at Camp Lejeune.

24          **DR. SINKS:** Okay, so --

25          **MR. ENSMINGER:** Now, now, now, when you're

1 talking about levels, and you're talking about  
2 occupational exposure or exposure through  
3 drinking water, we have a thing called an MCL.  
4 It's called five parts per billion from TCE  
5 and PCE. There was 1,400 parts per billion of  
6 TCE documented in Camp Lejeune's water. If  
7 we're going to mix occupational exposures that  
8 aren't as bad as what we had, why the hell do  
9 we have MCL? Why do we have an MCL for safe  
10 drinking water if we're going to argue whether  
11 or not it is harmful? And I don't know what  
12 the resistance is for taking this thing down.  
13 But this document contradicts itself time and  
14 time again. People are being denied benefits  
15 because of this document, and we're getting a  
16 push back here from this agency. And I didn't  
17 write this thing, but this thing is a piece of  
18 crap.

19 **MR. PARTAIN (by Telephone):** One big thing  
20 on the occupational versus what we were  
21 getting at Lejeune, the occupational -- you go  
22 to work. You're exposed at work eight hours a  
23 day. You come home. At Lejeune we're getting  
24 it 24 hours a day, seven days a week. There  
25 is no science in that. That's what this is



1 about, too.

2 Now, you talk about this is a ten-year  
3 old document, and people are working and  
4 everything. When you have a scientific study,  
5 you have a hypothesis or what have you. And  
6 if that hypothesis is proven wrong or if the  
7 data suggests it's wrong, then you change it.  
8 This document is based on occupational  
9 studies. It's not taking into account that  
10 these people were living in it, drinking it,  
11 bathing in it --

12 **MS. McCALL:** Breathing it.

13 **MR. PARTAIN (by Telephone):** -- and  
14 breathing it. And the science is not there.  
15 It's unknown, and you said so in the document.  
16 But yet you're saying no, there's no exposure  
17 likely or not likely. And people like Colin  
18 McPherson down in Tampa, who just died of  
19 prostate cancer two years ago at the age of  
20 47, who was at Lejeune from '76 through '87,  
21 was denied VA benefits because there was no  
22 link according to them between his VOC  
23 exposure at the base and his cancer, and they  
24 quoted this document.

25 **MR. STALLARD:** Okay, thanks, Mike.

1                   This is Chris. I'm going to give Tom  
2 a chance to speak. And then I'd like to move  
3 for some more concrete solutions if we can  
4 here.

5                   **DR. SINKS:** Actually, what I think I'm going  
6 to do is give you some concrete solutions, but  
7 maybe not, Chris, because -- I'm sorry, Tom,  
8 was that you?

9                   **MR. TOWNSEND (by Telephone):** Yeah, I don't  
10 want to leave this. I've been looking through  
11 my records, and I went for an exam this year,  
12 2008, to the VA, and they said, they made a  
13 don't go there kind of thing. It says this  
14 veteran has made a claim for neuropathy due to  
15 chemical exposure as well. I don't know what  
16 the hell that means. You are not to consider  
17 that claim at this time because we have not  
18 confirmed this exposure.

19                   It just doesn't, I went for a  
20 neurological exam, and they checked my bloody  
21 reflexes, and they denied peripheral, they  
22 denied all three of my assets of my claim.  
23 The VA is using this Public Health Assessment  
24 as a rationale for denying claims. I have  
25 appealed on it and have been on their butts

1                   for a long... I'm gonna wait.

2                   But what people are saying as far as  
3 exposure 24 hours a day, I had a son in  
4 between Vietnam tours. We washed diapers by  
5 hand in hot water, and the water lines at my  
6 house at Paradise Point in the water, in the  
7 fire hydrant had 1,400 parts. And I have that  
8 in writing. I don't know what my house had  
9 because Morris hasn't finished it. But I am  
10 sick and tired of reading the excuses that  
11 this Public Health Assessment gives to the  
12 world that's trying to escape responsibility.

13                  **MR. BYRON:** This is Jeff Byron. I'd like to  
14 know who the VA liaison is to the ATSDR and if  
15 you even have one. Because I don't see  
16 anybody here from the VA that I would know  
17 unless --

18                  Is there anyone from the VA in the  
19 audience?

20                  (no response)

21                  **MR. BYRON:** And my understanding, and I  
22 believe it was 2003 when I went to Washington  
23 and spoke to the Assistant Secretary of the  
24 VA, is that the VA would not even get involved  
25 until the Senate Armed Services Committee told

1                   them to. So where's the action, where's the  
2                   interaction between the CDC, ATSDR and the VA  
3                   concerning veterans up to a million of us?

4                   And if there is not one, then I  
5                   suggest we put one on the panel. Because the  
6                   only way they're going to know what happened  
7                   here and why this report is not up to standard  
8                   is because they're not here. So as a member  
9                   of the CAP I'm suggesting that we get a VA  
10                  representative on the CAP.

11                 **MR. ENSMINGER:** Good idea.

12                 **MS. McCALL:** I second that motion.

13                 **MR. BYRON:** All in favor?

14                   (affirmative responses by CAP members)

15                 **MR. BYRON:** The ayes have it.

16                 **DR. SINKS:** You didn't ask for the opposed.

17                 **MR. BYRON:** Opposed?

18                 **DR. SINKS:** Just teasing.

19                 **MR. BYRON:** Opposed?

20                   (no response)

21                 **MR. BYRON:** Ayes have it.

22                 **MR. STALLARD:** You're recommending to invite  
23                   the VA to participate, is that correct?

24                 **MR. BYRON:** First what I would like for the  
25                   ATSDR to do is go to the Armed Senate Services

1 Committee and tell them what the heck has gone  
2 on here. Because they're going to read that  
3 report and they're going to see no, not the  
4 possibility of, they're going to read no. And  
5 they're going to take it as the literal word  
6 because that's the Bible coming from you guys.  
7 So we need to make sure that the Armed  
8 Services Committees are made aware of it, and  
9 we should need to request that they involve  
10 the Veterans Administration in this study.

11 **MS. McCALL:** Dr. Sinks, have you seen the  
12 TCE report from 2006 from the National Academy  
13 of Sciences on TCE?

14 **DR. SINKS:** I haven't.

15 **MS. McCALL:** Well, I have, and it's 673  
16 pages long. And I haven't gone through the  
17 entire thing, but I can tell you this, that  
18 they did conclude that TCE was 40 times worse  
19 than they previously thought. I can also tell  
20 you that when they look for cancer in a  
21 population, they look for rare tumors. And so  
22 far the people that I've come in contact with,  
23 we've all got rare tumors. And when you made  
24 the statement to me that the VA says, oh, you  
25 don't expect this type of cancer from

1 exposure. That's not true.

2 **DR. SINKS:** Denita, what I said was there  
3 isn't a body of literature that's suggesting  
4 that your specific tumor is necessarily  
5 related. That's a different issue. I'm not  
6 saying it's not related, but I'm saying if  
7 they are going to make, if you look at that  
8 report that the IOM put out and gave to the  
9 VA, and then looked at what the VA said, they  
10 said they want to take a more holistic view of  
11 the science informing their opinion. But my  
12 impression is there isn't enough science for  
13 them to make an opinion.

14 **MS. McCALL:** And our issue today with this  
15 report is this is the only science available.  
16 When they go to the ATSDR and they look for  
17 some concrete evidence on human exposure and  
18 cancer and whatever, you know, it doesn't only  
19 have to be cancer. This 1997 PHA is all they  
20 have, and it's erroneous. And I need to ask  
21 you, do you stand behind this report?

22 **DR. SINKS:** Let me do something a little  
23 different. First of all, what's very obvious,  
24 at least to me, is that for the most case  
25 we're pretty much in agreement. It's not that

1 we're in disagreement. We're in agreement.  
2 We all agree --

3 **MR. PARTAIN (by Telephone):** Agreement on  
4 what, Dr. Sinks?

5 **DR. SINKS:** Who was that?

6 **MR. PARTAIN (by Telephone):** That was Mike  
7 Partain.

8 **DR. SINKS:** Mike, let me finish. First of  
9 all we all agree that the word no is probably  
10 an inappropriate word that should not have  
11 been in there, and we will take care of that.  
12 So I will ask Bill to let's figure out a way  
13 so that what's ever on our website doesn't say  
14 no, or at least says there is uncertainty  
15 here, and we don't have an answer on it.  
16 That's what the state of the science is. And  
17 I think we all agree that no is inappropriate.

18 I haven't heard anybody at the table,  
19 you haven't heard us say, oh, we're standing  
20 behind no, Jerry. We like that word. We  
21 don't like that word. It's an 11-year old  
22 word in that document, and we'll change it.  
23 Let me keep going.

24 The second one is in terms of the  
25 science is that we've all come to the point

1 over the last two years of agreeing we need to  
2 move forward and do more work. So that really  
3 is our number one priority is to get the work  
4 done and to make sure it's of good quality.  
5 And I haven't heard anybody argue that we  
6 shouldn't be doing it. I think we're all in  
7 agreement.

8 **MR. ENSMINGER:** You didn't ask the audience.

9 **DR. SINKS:** Well, the audience isn't at the  
10 table.

11 The third thing that I have not heard  
12 an argument about is that none of us feel that  
13 the Public Health Assessment that was done ten  
14 years ago should be used by the VA to make a  
15 decision. You haven't heard, I don't believe  
16 you've heard me ever say that that report by  
17 itself ought to be used by the VA to be doing  
18 something. So Jerry shares with me this  
19 document.

20 Was this in that PDF that you sent me?  
21 Is this the right page, Denita? Page 138?  
22 Because I was looking at -- I didn't see 138.  
23 I was looking at an earlier page.

24 **MS. McCALL:** I'm not sure what Jerry has  
25 there.



1                   **MR. PARTAIN (by Telephone):** Yeah, it's 138.

2                   **DR. SINKS:** Let's make sure I know where  
3 this is, and we will --

4                   **MR. ENSMINGER:** Mike, give him the full name  
5 of this report. This is a Veterans Commission  
6 report, September '07?

7                   **DR. SINKS:** Mike, is this from the -- I  
8 think you were on that e-mail. Is this what  
9 Denita sent to me?

10                  **MS. McCALL:** Mike, is that the one I sent to  
11 you?

12                  **DR. SINKS:** It's got a big blue cover.

13                  **MS. McCALL:** Yeah, that's it. The report to  
14 the Commandant from the VA.

15                  **DR. SINKS:** So, Jerry, just make sure I get  
16 that when I leave, and we will draft some type  
17 of a letter to the VA that updates them.  
18 Because there's a lot of factual information  
19 that just isn't right here. It's not just in  
20 our report --

21                  **MS. McCALL:** But Dr. Sinks --

22                  **DR. SINKS:** -- but what the status of our  
23 work.

24                  **MS. McCALL:** -- it's not just this table  
25 with no. I mean, I know in just half an hour

1 we made a little progress with getting no  
2 taken off. It's the entire report.

3 **MR. STALLARD:** I need to interject here.  
4 You said you're going to offer potential  
5 solutions?

6 **DR. SINKS:** Yeah, let me keep going.

7 So in terms of what we agree to, we  
8 agree no is not the right word. We agree that  
9 more science needs to be done, and we're doing  
10 it. We also agree the VA shouldn't be using  
11 the report to be basing that the word no, if  
12 you will, to be coming to a conclusion about  
13 risk for adults.

14 So I will draft some type of a letter  
15 to the VA that updates them and clarifies the  
16 language we'd like to see in terms of this. I  
17 can't tell you that's going to change how the  
18 VA will act, but I can tell you that's  
19 something I can control.

20 Now where I tell you we disagree is in  
21 terms of the health assessment itself and  
22 whether it will stay. It will stay. There  
23 are plenty of things that are in that report  
24 that are accurate.

25 **MR. ENSMINGER:** What?

1           **DR. SINKS:** Well, Jerry, it says there's a  
2 public health hazard there. It says there's a  
3 public health hazard to people from exposure  
4 to volatile organic compounds through drinking  
5 water. Do you want us to take that down,  
6 Jerry?

7           **MR. ENSMINGER:** I would like --

8           **DR. SINKS:** Is that inaccurate?

9           **MR. ENSMINGER:** No, that's not inaccurate,  
10 but then there's all kinds of excuses after  
11 that as to why they weren't going to do  
12 anything. I mean, is --

13           **DR. SINKS:** But, Jerry, we're doing  
14 something, so how is --

15           **MR. ENSMINGER:** -- do these people have a  
16 tray at their desks that have got all these  
17 different statements on it where they're  
18 writing these things? They can say, well,  
19 let's see. No, no human health risk --

20           **MR. BYRON:** Let's just correct it and put  
21 down Revision B, please.

22           **DR. SINKS:** I think once we correct it, I  
23 think, again, you're kind of going to the  
24 second thing where I think we agree on it.  
25 We're not standing still. Now, I'd like us to

1 be pushing forward more quickly, and I'd like  
2 these results to be out. And I'd like us to  
3 be getting some of this work published, but I  
4 will tell you I also want to make sure that  
5 the information that we generate is used  
6 appropriately for what it means.

7 And I, to me, and I'll go back to, I  
8 mean, I'll digress a little bit. The  
9 information in that report from the VA in  
10 terms of their accepting recommendations from  
11 the IOM about how to consider science in terms  
12 of a disability claim is the key and is  
13 extremely important to the end game here, if  
14 you will, in terms of how our science is going  
15 to be used. And that and the more recent  
16 report on TCE from the IOM. Those things are  
17 all important.

18 The question to me is how is the VA  
19 making those types of decisions. Are they  
20 making them on a case-by-case-by-case basis?  
21 Well, I think they are. Or are they taking a  
22 look in general in terms of Camp Lejeune in  
23 some bigger holistic way? And I don't know  
24 the answer.

25 **MR. ENSMINGER:** And another thing, you know,

1 we know that, and I admitted before we got  
2 started here that a lot of the errors in this  
3 assessment are not ATSDR's fault. We know  
4 that. We know you can only work with what you  
5 were given. There were a lot of other  
6 chemicals in the water at Camp Lejeune that  
7 didn't show up in this assessment as well  
8 which, hopefully, the water model will show  
9 when it's done.

10 There were extreme levels of vinyl  
11 chloride in a couple of those wells. We know  
12 that there were high levels of benzene in the  
13 water from the fuel farm for many, many years.  
14 And that fuel farm was right across the street  
15 and up a gradient. And there was the wells  
16 with down gradient and pulling that fuel right  
17 to them, 6-0-1, 6-0-2.

18 Now, none of that stuff shows up in  
19 the Public Health Assessment, so it couldn't  
20 be figured into your cancer slopes and all  
21 your 5.5 to the tenth power or whatever the  
22 hell it is or to the negative five. But  
23 anyhow, when you sit down here in your  
24 enclosed world here in this facility, and you  
25 work with these numbers and you work with

1                   these facts and figures, and you look at these  
2                   different reports, and you look at this, and  
3                   you look at that.

4                   I deal every day with the people. I  
5                   know what kind of nightmare lies out there. I  
6                   know how many people I've spoken to with  
7                   bladder cancer, kidney cancer, liver cancer,  
8                   non-Hodgkins lymphoma, leukemias. And these  
9                   are adults. There's a damn nightmare out  
10                  there.

11                  And I believe that the Department of  
12                  the Navy and the Marine Corps know it and have  
13                  known it for years. And I believe that's why  
14                  there's been so much resistance. And  
15                  unfortunately, I'm afraid we're going to be  
16                  uncovering this nightmare one grave at a time.

17                  **MS. McCALL:** Dr. Sinks, can I ask you why it  
18                  is important to keep this on your website and  
19                  published? Why is that important?

20                  **DR. SINKS:** Denita, first of all it's an  
21                  historical document. I mean, if you throw it  
22                  away you're just saying, oh, that history  
23                  didn't exist.

24                  **MS. McCALL:** It's an erroneous --

25                  **DR. SINKS:** No, it's not an erroneous

1 document. It is a --

2 **MR. PARTAIN (by Telephone):** Archive the  
3 document then.

4 **MS. McCALL:** You can archive it --

5 **DR. SINKS:** We have archived it.

6 **MS. McCALL:** -- but it doesn't represent the  
7 truth.

8 **MR. PARTAIN (by Telephone):** ^ where it was.

9 **DR. SINKS:** I would argue with you what  
10 truth, what's there. I think that, again,  
11 this document was written ten years ago, and  
12 as Jerry said, with the information that we  
13 had. I think we agree with you that the issue  
14 of no is not the best way to phrase that. I  
15 think the calculations of the risk are still  
16 low. I do think that once when we have  
17 sufficient new information to update that  
18 health assessment, we should update it.

19 At this point one of the things we're  
20 waiting for is the modeling data to be  
21 completed so we have a better idea of what  
22 those exposures were and would be. I have to  
23 tell you that in any of this work that we're  
24 doing there is a significant amount of  
25 uncertainty. When you're dealing with the

1 data that we have and the information that we  
2 have that, you know, from other studies to use  
3 to compare to it, and there's a significant  
4 amount of uncertainty in that, and it is part  
5 of the science.

6 Jerry's main statement which he said,  
7 and he and I have spoken about this before, is  
8 that we're not going to have answers -- you  
9 could give this to any risk assessor who comes  
10 up with a model and be uncomfortable with what  
11 that answer is that they come up with. I  
12 mean, the best way for us to get the closest  
13 information we can is to keep going ahead with  
14 the science and getting it done and doing it  
15 right.

16 And we have been trying to do that.  
17 And all of our efforts have been, well, not  
18 all of our efforts, but the majority of them  
19 have been based not looking backwards at this  
20 health assessment but looking forwards at  
21 getting the science information and making  
22 sure we know we can answer questions like  
23 Jerry has which are, I think, the most  
24 important questions to answer. Now he's going  
25 to argue with me.



1           **MR. ENSMINGER:** No, I'm not. You know, I  
2 have the different versions of this Public  
3 Health Assessment that were issued. This one  
4 was dated -- and this was the brown cover --  
5 January 6<sup>th</sup> of 1995. In the descriptions, in  
6 the descriptions -- I mean, this is what's  
7 getting me -- in the descriptions of the water  
8 systems like the Holcomb Boulevard system, it  
9 says when they had the fuel leak.

10           And then ATSDR in their description of  
11 the Holcomb Boulevard system said emergency  
12 backup water was then pumped from the VOC-  
13 contaminated Hadnot Point system into the  
14 Holcomb Boulevard distribution lines. True  
15 statement. It was.

16           The final version, now, there must  
17 have been some lawyers involved in this. Not  
18 you, Colonel Tencate. You weren't there then.

19           **UNIDENTIFIED SPEAKER ONE:** Did you make  
20 Colonel, sir?

21           **LT. COLONEL TENCATE:** Lieutenant Colonel.

22           **UNIDENTIFIED SPEAKER ONE:** You're still  
23 Lieutenant Colonel. I thought you might have  
24 gotten a promotion.

25           **MR. ENSMINGER:** You don't run around calling

1 Lieutenant Colonels, Lieutenant Colonel. You  
2 call them Colonel.

3 In the final version of this thing it  
4 says emergency backup water was then pumped  
5 from the Hadnot Point system whose VOC  
6 contamination was not yet identified. I'll be  
7 damned. It had been identified a long time  
8 ago, three years before that, four years  
9 really. The U.S. Army Environmental Hygiene  
10 team identified it back in 1980. Where's the  
11 '95?

12 **DR. BOVE:** I don't know why it said that.  
13 Jerry, it's a contradiction, yeah.

14 **MR. ENSMINGER:** That's the problem.

15 **DR. BOVE:** And there are several --

16 **MR. ENSMINGER:** -- deals were being --

17 **DR. BOVE:** I would like to make a  
18 suggestion. I don't know if Tom's going to go  
19 for this or Bill's going to go for this, but  
20 I've always had trouble -- and I have to be  
21 honest because I said so in the 2005 expert  
22 panel meeting, that I disagreed with that  
23 table, that I disagreed with the slope factors  
24 they used, that ten years before that in New  
25 Jersey back in the late '80s we had done a

1 risk assessment and found that the ten to the  
2 minus six risk for TCE was one part per  
3 billion.

4 That was again done, another risk  
5 assessment by California was done about 12, 13  
6 years later after this, 1990, which again  
7 found one part per billion is roughly to the  
8 ten to the minus six risk. And EPA did a risk  
9 assessment which is yet to be finalized but  
10 which probably won't change once they ever  
11 release the document. It's a political issue  
12 here. But what they did was use occupational  
13 studies and our New Jersey study. And  
14 together or separately the ten to the minus  
15 six risk again was around one part per  
16 billion.

17 So if we are going to re-issue a  
18 table, we need to discuss the risk assessments  
19 that were done before this was done like New  
20 Jersey and subsequently. We need to, if we're  
21 going to put a table up there, we need to use  
22 the word uncertain, absolutely. You cannot  
23 say not likely. It's not true. It's not  
24 true. I said so in 2005 at the expert panel  
25 meeting.

1                   So I'm certain we could discuss, I  
2 think, and describe why we think it's  
3 uncertain based on the unpublished EPA  
4 document, based on California's published  
5 document, based on NAS' published document.  
6 That might be more informative on our website  
7 so that we're on record as saying it's  
8 uncertain. At some point we're going to do a  
9 tox profile on it when the certainty becomes  
10 less certain, less uncertain, and something of  
11 that sort.

12                   So that's what I would say. You have  
13 the health assessments up there, in sort of an  
14 archived netherworld on our website. But on  
15 our Camp Lejeune website we actually state  
16 something like what I'm just saying,  
17 expressing the uncertainty, expressing the  
18 fact that other risk assessments have found  
19 that risks are much lower.

20                   **MR. ENSMINGER:** We have an expert, and we  
21 have Dr. Clapp on the phone.

22                   And Dr. Clapp, we'll let you give your  
23 viewpoint on this.

24                   **DR. CLAPP (by Telephone):** About the risk of  
25 trichloroethylene, is it?

1           **MR. ENSMINGER:** Yeah, and about these tables  
2 and about revamping them and just what Dr.  
3 Bove and Dr. Sinks and all of us have been  
4 talking about.

5           **DR. CLAPP (by Telephone):** Well, I agree  
6 with what Dr. Bove says about the strength of  
7 the science, and to the extent that ATSDR has  
8 a policy of updating its PHAs with new  
9 science, I think they should do it.

10          **MR. ENSMINGER:** Well, I mean, there was even  
11 existing science when this was written that  
12 was disregarded.

13          **DR. CLAPP (by Telephone):** Well, then I  
14 agree with your comment, Jerry, that ATSDR was  
15 working with what it had.

16          **MR. TOWNSEND (by Telephone):** Dr. Sinks?

17          **DR. SINKS:** Yeah, was that Tom?

18          **MR. TOWNSEND (by Telephone):** Yeah.

19          **DR. SINKS:** Go ahead.

20          **MR. TOWNSEND (by Telephone):** This is a  
21 small academic point but none of the  
22 references that are part of your document are  
23 available. They're gone. I think you'd have  
24 a hard time taking this to a doctoral  
25 dissertation, and you can't find your

1 references.

2 **DR. SINKS:** You guys have pointed that one  
3 out before. Thanks for reminding me.

4 **MS. McCALL:** Dr. Sinks, I asked you a  
5 question, and I didn't get an answer that is  
6 satisfactory. And you stated that the reason  
7 for keeping this PHA up is for historical  
8 reasons. I don't see --

9 **DR. SINKS:** Denita, you --

10 **MS. McCALL:** -- that is in contempt --

11 **DR. SINKS:** -- made a statement, Denita,  
12 that everything in the document was false,  
13 what you said.

14 **MS. McCALL:** Most of it is.

15 **DR. SINKS:** Most of it is correct. If you  
16 look at the document it talks about the  
17 pesticide hazard. It talks about a lead  
18 hazard. It talks about current exposures  
19 going on at the time the document was written.  
20 There's no argument about those.

21 **MR. ENSMINGER:** Then why are we --

22 **DR. SINKS:** The argument, I believe, is  
23 focused on what is this document saying about  
24 adult risk from VOCs in drinking water, can we  
25 make a better statement on that. And the

1 other piece of this which isn't in this  
2 document which concerns all of you, and it  
3 concerns me, where there's not a disagreement  
4 about, is how are other people using this  
5 document.

6 **MR. ENSMINGER:** Incorrectly.

7 **DR. SINKS:** And I think, and that's what I  
8 want to be open to. Now, taking this thing  
9 off our website isn't going to change how  
10 other people -- if that's all I did was to  
11 have this off the document, that's not going  
12 to change this language that Jerry shared with  
13 me in the report that the VA has. I think  
14 that's something I can be a little more  
15 assertive about and take on and make sure the  
16 VA is up to date with where we are, what we  
17 know and the language that we are going to  
18 propose be changed in that.

19 **MS. McCALL:** Well, in addition to the VA,  
20 you need to write the GAO the same letter.  
21 They used it in their report. You can't  
22 exclude everybody who has used this in support  
23 of saying there was no adult exposure risk.  
24 The GAO will use this report in support of  
25 their report.

1           **DR. SINKS:** Well, let me, if there's  
2 language in the GAO report which I'm not  
3 familiar with, Jeff, and you share that with  
4 me, I can see about doing that.

5           **MS. MCCALL:** I sent you the GAO report.

6           **DR. SINKS:** Okay, that's not one that I  
7 opened up then.

8                     The other point that I think is well  
9 taken is at what point does it make sense for  
10 us to update with current information a health  
11 assessment on Camp Lejeune. And I think  
12 that's in Bill's lane, and he's very aware of  
13 that. It's something we have discussed.  
14 We've not talked about redoing the toxicologic  
15 profile on TCE. That's something that has not  
16 been done because of the EPA IRIS hold that  
17 basically has held us up from moving ahead  
18 with that.

19                     But I also would suggest we not wait  
20 for that to occur because that's a process  
21 that can take many months, and it's not  
22 something I feel we should wait on. I think  
23 we should go ahead, do something actively that  
24 corrects the language in the health  
25 assessment. I'd like Bill to perhaps come



1 back at the next meeting or even before and  
2 say whether we, you know, at what point will  
3 we feel this is the time to re-do a health  
4 assessment on this thing so you have that  
5 information that would then supercede this  
6 document.

7 And the third thing is for me to come  
8 up with a letter to the VA that directly deals  
9 with this issue. And I will probably in that  
10 letter cite their report that suggests they  
11 are going to have a process to look at a body  
12 of information, all of the information, to  
13 make their determination for Camp Lejeune.  
14 What worries me is -- and again, I don't know  
15 the process there, but I think it would be  
16 very difficult for them to be making case-by-  
17 case-by-case decisions, you know, when you're  
18 dealing with a couple hundred thousand people  
19 who were exposed.

20 **MR. BYRON:** This is Jeff Byron again. Can  
21 somebody please tell me how the VA got  
22 involved in this other than individuals going  
23 there? And where did the VA commission, who  
24 authorized them to even look into Camp Lejeune  
25 if anybody can tell me? Without the

1 participation of the victims, that thing isn't  
2 worth the paper it's written on either.

3 **MS. McCALL:** Well, Jeff, a couple of CAP  
4 meetings ago I had Kelly Dreyer promise me  
5 that she was going to notify the VA. I asked  
6 her over and over did you notify the VA. She  
7 said yes. How did you notify the VA? We  
8 wrote them a letter. Can I have a copy of  
9 that letter? When did you write the letter?

10 **MR. ENSMINGER:** Did you get the copy?

11 **MS. McCALL:** No, but the VA was supposedly  
12 notified of this Camp Lejeune situation by  
13 Kelly Dreyer. That's what she said.

14 **MR. BYRON:** The only thing I can say about  
15 that is you're getting a one-sided picture.  
16 So without any representation from the victims  
17 or without VA representation here, how could  
18 it possibly know what's transpired? Because  
19 as far as I know Congress has not directed the  
20 VA to look into this. Am I wrong?

21 Jerry, do you know?

22 **MR. ENSMINGER:** What?

23 **MR. BYRON:** Has Congress or the Senate  
24 directed the VA to look into Camp Lejeune?

25 **MR. ENSMINGER:** Yeah, the Veterans Affairs

1 Committee did.

2 **MR. BYRON:** When did this occur?

3 **MR. ENSMINGER:** Just a couple months ago.

4 **MR. BYRON:** They didn't bother to tell us or  
5 did they tell you?

6 **MS. McCALL:** Was it Senator Akaka?

7 **MR. ENSMINGER:** Senator Akaka I think. It's  
8 on the website.

9 **MR. PARTAIN (by Telephone):** This is Mike  
10 Partain here. You keep mentioning that the VA  
11 is looking at this on a case-by-case basis,  
12 but they're not even getting into the case-by-  
13 case basis. These veterans can't even get  
14 past the fact there's no exposure -- I'm  
15 sorry, not exposure, there's no health link  
16 addressed for adults. They found them right  
17 there and get stopped cold before they even  
18 get into their individual case.

19 **DR. BOVE:** Thanks, Mike.

20 **MR. TOWNSEND (by Telephone):** No, they get  
21 into the case, but they deny it because they  
22 claim that they don't have a, they don't know  
23 there's anything going on at Camp Lejeune.

24 **MR. ENSMINGER:** Dr. Bove, what was the study  
25 you cited in New Jersey?

1           **DR. BOVE:** Well, there's the study that we  
2 did that linked non-Hodgkins lymphoma with  
3 TCE. But then there was a risk assessment  
4 done -- I think it might still be available on  
5 the web. I have a hard copy of it. I don't  
6 remember the exact date, the late 1980's, risk  
7 assessments were done for all the VOCs for the  
8 New Jersey Drinking Water Act called A2-80,  
9 which was the basis for having the  
10 contamination levels we used in those studies,  
11 and where the ten to the minus six risk was ^  
12 for both PCE and TCE if I recall. I know it  
13 was TCE. I'm pretty sure it was PCE, too, at  
14 one part per billion.

15           California did its own risk assessment  
16 in the -- let's see, when was that? It was  
17 after this but not much, like 1999, 2001 they  
18 did one for TCE and one for PCE. For TCE  
19 again it was around one part per billion  
20 range. They didn't use the New Jersey study.  
21 The EPA's risk assessment draft came out in  
22 2001. There they used three or four  
23 occupational studies plus our New Jersey study  
24 on non-Hodgkins lymphoma, and that risk  
25 assessment again came out around one part per

1 billion for a ten to the minus six risk.

2 **MR. ENSMINGER:** When was that?

3 **DR. BOVE:** Two thousand and one was the  
4 draft, and then there was a whole history of  
5 the Science Advisory Board and the EPA  
6 commenting on it back and forth and then it  
7 being withheld, and it's still in limbo.

8 Now, I made a suggestion earlier what  
9 we might want to do is put up on our website  
10 just what is new and now both with the water  
11 systems there and with the uncertainty on the  
12 risk and what other risk assessments are  
13 found. I do see through here that we may have  
14 also made some errors in what we assume was  
15 the exposure estimate used for the table  
16 because we say, for example -- I didn't see  
17 this before, that exposure at Hadnot Point was  
18 probably intermittent between '82 and '85,  
19 which is probably not true at all.

20 And so, but that again, that requires  
21 the completion of the Hadnot Point water  
22 modeling to be exact. So, again, I think we  
23 can say there was some uncertainty in what  
24 went into the health assessment because we  
25 didn't know enough about the water system back

1           then. We know a lot more now. We'll know  
2           more after Morris finishes his work.

3                        So there's problems both in the  
4           exposure column in that table. There's a  
5           problem with the potency that came up with the  
6           risk; and therefore, the last column is not  
7           quite right either. So given all that I think  
8           we can say something like that on our website.  
9           Say there is a health assessment out there;  
10          however, these are the issues since '97 and  
11          put the caveats there.

12                    **MR. ENSMINGER:** Well, I mean, I agree with  
13          you, Dr. Sinks, about the rest of it on  
14          pesticides and lead and all that stuff, you  
15          know, the other parts of that assessment. The  
16          big problem is the VOC part of this thing, and  
17          I don't see why you just don't take the whole  
18          section of VOCs and pull it. I mean, you're  
19          going to have to re-do it when the water  
20          model's done. That whole section of the water  
21          distribution systems, exposures, the whole  
22          nine yards. I mean, the water model's more  
23          likely going to show higher levels of benzene  
24          or BTEX and vinyl chloride. I mean, 651 had  
25          documented levels of 600 and some parts per

1 billion of vinyl chloride in her. I mean,  
2 now, if you're running three or four other  
3 wells and mixing it, that's fine. But you  
4 ain't going to dilute that down to no less  
5 than damn two parts per billion, which is what  
6 the MCL is.

7 **MS. McCALL:** I have a question for Mary Ann.  
8 You recently did a PowerPoint presentation for  
9 the Navy and Marine Corps, and you cited from  
10 the 1997 Public Health Assessment. And I want  
11 to know if that was the only available  
12 information you had or did, you know, you've  
13 been sitting at this table as long as I have,  
14 and you know that there's clear problems with  
15 this exposure to the population.

16 Were you just confused about the  
17 potential harm to people or did you just use  
18 information from this PHA because it was  
19 there? I don't understand why because I was  
20 very upset to see that you used this PHA in a  
21 PowerPoint presentation to discount the  
22 potential harm to individuals.

23 **MS. SIMMONS:** This is Mary Ann. I'm not  
24 sure what presentation you're talking about.

25 **MS. McCALL:** The most recent one you did in

1 2008. It was --

2 **MS. SIMMONS:** The NEHC workshop?

3 **MS. McCALL:** Yes.

4 **MS. SIMMONS:** I did use it. We all use  
5 public health assessments as points of  
6 reference for, I mean, you guys are the  
7 experts.

8 **MR. STALLARD:** Can I summarize where we are  
9 in this discussion thus far? There's  
10 agreement on some things. The question is the  
11 applicability of the PHA report and the  
12 benefits in keeping it posted on the internet,  
13 and so there's benefits that there's some  
14 accurate information. We all seem to agree on  
15 that although there's a question about erasing  
16 contradictory information in the VOC section,  
17 correct?

18 **MR. BYRON:** Yes.

19 **MR. STALLARD:** It has been a catalyst for  
20 future studies supporting these efforts that  
21 we're currently involved in now. And it does  
22 serve as an historical document for those to  
23 refer to in the profession. The downside is  
24 for the government is how is it being used, in  
25 particular the VA and the GAO.



1                   **MS. McCALL:** And NEHC.

2                   **MR. BYRON:** And the Commandant's panel.

3                   **MS. McCALL:** And the Commandant's Expert  
4 Panel.

5                   **MR. ENSMINGER:** They're using that as  
6 ammunition to justify their stance.

7                   **MR. STALLARD:** Okay, so potential solutions  
8 that I've heard offered here today are to  
9 correct the language in the PHA table. Is  
10 that correct?

11                   **DR. SINKS:** Yes.

12                   **MR. PARTAIN (by Telephone):** And what exact  
13 language would be proposed to use?

14                   **DR. CIBULAS:** I think we'll work together on  
15 that. We did try to provide an update in June  
16 2004, and then we provided an update statement  
17 at 2007. Seems like that wasn't quite what  
18 everybody was hoping for so we commit to  
19 working with the CAP on that, but to providing  
20 some language that updates what we know about  
21 exposures and health effects for VOCs at Camp  
22 Lejeune.

23                   **MR. PARTAIN (by Telephone):** This is Mike  
24 Partain again here. I mean, I want to ask  
25 you, we're talking about the language no and

1 not likely. Are you saying you would have  
2 used the word unknown? Or what word are you  
3 looking to use in there?

4 **MS. McCALL:** Uncertain.

5 **DR. CIBULAS:** Yeah, I like that, uncertain.  
6 I was committing to working together on it,  
7 but --

8 **DR. SINKS:** Let's not quibble right now  
9 about what the exact words are. I mean, DHAC  
10 is going to have to come up with something.  
11 They're willing to share it with the CAP.  
12 We're going to appreciate getting comments  
13 back from the CAP. I will tell you we will  
14 make the final decision what we put in our  
15 documents. We will listen to what you have to  
16 say, but the CAP will not tell us what it will  
17 be that we put in our document.

18 **MR. PARTAIN (by Telephone):** Well, what type  
19 of timeframe can we expect?

20 **DR. CIBULAS:** Good question. We'll start  
21 working on it right away. I mean, I'll go  
22 back up and take what I've heard from this  
23 meeting and we'll start working right away on  
24 it and keep in touch with Frank and Perri and  
25 the committee and let them know how we're

1 progressing.

2 **DR. SINKS:** And I'd suggest we try to time  
3 this with any communication that I might have  
4 with the VA in terms of a letter, and I'd  
5 preferably like to see this some time by the  
6 end of January. Obviously, the next couple  
7 weeks is pretty much dust for all of us since  
8 the next two weeks most of us won't be in the  
9 office. But I think in January, probably by  
10 the end of January we should be able to have  
11 something.

12 **MR. PARTAIN (by Telephone):** This is Mike  
13 Partain again, one other question here. Dr.  
14 Sinks, would ATSDR be open to revising  
15 inaccuracies in historical summaries contained  
16 in the PHA? For example, in the conclusion it  
17 says contamination at the Holcomb Boulevard  
18 system was present only for two weeks, January  
19 27<sup>th</sup> --

20 **MR. ENSMINGER:** Hey, Mike, this is Jerry.  
21 We're going to have to wait for the water  
22 model to do that.

23 **MR. PARTAIN (by Telephone):** Okay.

24 **MR. ENSMINGER:** But to change any of this  
25 historical stuff on the water system, let's

1 just take a time out on that and wait until  
2 the water model's completed.

3 **MR. STALLARD:** I will say that I have heard  
4 commitment to find the process to update  
5 information that's published in the PHA,  
6 Public Health Assessment, new information  
7 known in the intervening eleven years, and  
8 then to publish that new information as it's  
9 known. And then here's your solutions,  
10 communication with the VA and GAO as  
11 appropriate.

12 **DR. SINKS:** Just in terms of timing though I  
13 think the correct language in communication  
14 with the VA, and I'll have to look at the GAO  
15 stuff. Those should be concurrent, and the  
16 other things are going to have to come up as  
17 the science moves forward.

18 **MR. BYRON:** And, Dr. Sinks, is it possible  
19 for you guys to provide us with the  
20 correspondence between yourselves and the VA  
21 or is that --

22 **DR. SINKS:** Yeah, I'll also share it.

23 **MR. BYRON:** I'd appreciate that because if  
24 they're going to take action, you know, and  
25 have committees, I think the victims should be

1 represented.

2 **MR. ENSMINGER:** I agree with Dr. Sinks.

3 **DR. SINKS:** Sorry?

4 **MR. ENSMINGER:** This is Jerry Ensminger. I  
5 agree with Dr. Sinks that these changes,  
6 anything that they're going to change is  
7 imperative that that's done before he goes to  
8 the VA so that they have the most up-to-date  
9 stuff to work with.

10 **DR. SINKS:** Can I take a break?

11 **MR. STALLARD:** We were supposed to take a  
12 break at ten, but you were all so, this was a  
13 very impassioned dialogue, and we've come to  
14 some level of solutions here. So we're going  
15 to take a break -- yes, Tom?

16 **MR. TOWNSEND (by Telephone):** I don't know  
17 if you heard me about the references ^ some  
18 indication of where the references are that  
19 form your thesis. They're not there. They're  
20 not available.

21 **MR. STALLARD:** Okay, I got you. Thank you,  
22 Tom.

23 And the only other thing I think I  
24 heard that was unresolved is, has there been a  
25 request for the letter that was communicated

1 to the Veterans Affairs?

2 **MS. McCALL:** No. We've not been provided or  
3 I haven't been provided any kind of  
4 correspondence between the Marine Corps, Navy  
5 and the VA, nothing.

6 **MR. BYRON:** May I ask has anyone here had  
7 any contact with the VA at all? Anyone?

8 **MR. TOWNSEND (by Telephone):** I'll send my  
9 appeal and my ^.

10 **MR. STALLARD:** Thank you, Tom.

11 **MR. BYRON:** Anyone?

12 **MR. WILLIAMS:** I called them for the first  
13 time Monday to see who wrote that fact sheet.  
14 That's my personal take.

15 **MR. BYRON:** So really they're outside the  
16 loop.

17 **MR. WILLIAMS:** But ^ also --

18 **MR. STALLARD:** Wait, wait.

19 **MR. WILLIAMS:** -- ^ meeting in July showed  
20 all of the outreach efforts that we sent out  
21 to the VA centers as far as direct one-on-one  
22 contact in my time --

23 **MR. BYRON:** Okay, well, I need the Secretary  
24 of the VA to know and his assistant because  
25 they're the top dog. It all flows downhill

1 from there. Thank you.

2 **MR. STALLARD:** All right, folks, are we  
3 ready to break? It's scheduled for 15  
4 minutes, is that -- ten, ten minutes, please,  
5 be back. Thank you very much.

6 (Whereupon, a break was taken.)

7 **MR. STALLARD:** We have a question from Mike  
8 on the phone first before we go into what's on  
9 the agenda. We are getting ready to go into  
10 Morris' presentation. Who's the senior  
11 ranking person here?

12 All right, Mike, you have a question  
13 you'd like to pose before we go into Morris'  
14 presentation?

15 **MR. PARTAIN (by Telephone):** Just want to  
16 say as far as that meeting I talked to Scott ^  
17 document ^ opportunity to ^.

18 **MR. STALLARD:** All right, Mike, you came in  
19 very garbled and broken up. Are you on a cell  
20 phone traveling some?

21 **MR. PARTAIN (by Telephone):** ^.

22 **MR. ENSMINGER:** You keep breaking up, Mike.

23 **MR. PARTAIN (by Telephone):** Okay. Just had  
24 a ^ environmental ^.

25 **MR. STALLARD:** All right, so you requested

1 from Colonel Tencate, July of this year's  
2 information from the Environmental Health  
3 folks?

4 **MR. PARTAIN (by Telephone):** The  
5 Environmental ^ looking for an impact ^  
6 written index.

7 **MR. STALLARD:** Written index?

8 **MR. PARTAIN (by Telephone):** For the  
9 document listed ^.

10 **MS. RUCKART:** We're going to be talking  
11 about that as part of the recap. If you could  
12 just hold off, we'll get to that.

13 **MR. ENSMINGER:** Mike, are you talking about  
14 the Baker or are you talking about the Booz-  
15 Allen-Hamilton library that they put together?

16 **MR. PARTAIN (by Telephone):** Either one.  
17 Baker has a website --

18 **MR. ENSMINGER:** I think what we were talking  
19 about before was the Booz-Allen-Hamilton  
20 inventory.

21 **MR. PARTAIN (by Telephone):** Okay.

22 **MR. STALLARD:** And so that's going to be  
23 covered then in the update. Sorry, Mike, I'll  
24 get it in the minutes ^.

25 **MR. WILLIAMS:** I'll be giving an update on



1 that later when we get to it.

2 **MR. STALLARD:** Very good. Let's move right  
3 along to Morris' water modeling update.

4 **WATER MODELING UPDATE**

5 **MR. MASLIA:** I'm going to give you a little  
6 update on the water modeling activity database  
7 development and stuff like that. And if I  
8 could, it would go, I think, faster if we all  
9 get our questions and answers, if you could  
10 just let me go through it. It's only about  
11 ten slides, and then ask questions about  
12 anything so I can get through the entire  
13 presentation.

14 **MR. ENSMINGER:** Why are you looking at me?

15 **MR. MASLIA:** You're the chief, so I'm --  
16 okay, so that said.

17 We now have three-and-a-half, full-  
18 time internal people working on the water  
19 modeling. Renee Suarez, Jason Sautner, and  
20 Barbara Anderson's half time and myself  
21 finishing up on Tarawa Terrace overseeing the  
22 whole ^ project. And status of water modeling  
23 activities, I'm just going to give you an  
24 update on remaining Tarawa Terrace chapter  
25 reports. I'll go into some detail on what I'm

1 referring to as Hadnot Point and Holcomb  
2 Boulevard water modeling activities:  
3 timeline, database development and ground  
4 water model development and meeting with  
5 former and current operators and also the  
6 status of the expert panel that we are  
7 assembling.

8 So with that Chapter I which is, well,  
9 let me precede that and say all the remaining  
10 chapters with the exception of Chapter K,  
11 which is supplemental information, the  
12 summaries or results are in Chapter A that you  
13 have already, and nothing that will be in  
14 Chapter J, I or J, will change anything. So  
15 this is basically the details.

16 So rather than, for example, just  
17 showing you a one distribution of a model  
18 parameter, we will show you in Chapter I all  
19 eight of the  $\wedge$ . Same thing, rather than  
20 summarizing the percent of water that reached  
21 a certain point in how many days in Chapter I  
22 through the water distribution system, we  
23 actually give a lot more details in Chapter J.  
24 So I just want to make sure you were clear on  
25 that. This is not the changes to Chapter A,

1 but it's just the backup, if you will,  
2 documented backup information.

3 Chapter K will be supplemental  
4 information and will update some issues in  
5 reference to start-up dates of TT-23 and  
6 things of that nature, some errata. Also, for  
7 example, correct the construction date of Knox  
8 Trailer Park.

9 I think we had published as '79 and it  
10 looks like it's, what, '53, Frank? When did  
11 you say that earliest housing, '53?

12 **DR. BOVE:** I'm sorry?

13 **MR. MASLIA:** Knox Trailer Park? Some time  
14 '53.

15 **DR. BOVE:** Yeah, I think that was it.

16 **MR. MASLIA:** Only because in '51 or '52 USGS  
17 ^ shows no housing at Knox Trailer Park. So  
18 aerial photographs and housing records, I  
19 think in '53 it shows people living there.  
20 Things of that nature will be updated in  
21 Chapter K.

22 So update on the timeline, and let's  
23 see if the network works correctly. I don't  
24 expect you to read this. I'm just going by  
25 color here. But typically these blue areas on

1 top represent database development and  
2 assembling of the various data. The brown  
3 here is being conducted by a collaborator at  
4 Georgia Tech. There's some statistical  
5 methods to give us a better understanding of  
6 some contaminant and concentration  
7 information.

8 **MR. ENSMINGER:** But wait a minute, Morris.  
9 What is this for?

10 **MR. MASLIA:** This is a timeline.

11 **DR. BOVE:** For Hadnot Point.

12 **MR. MASLIA:** For Hadnot Point. You can't  
13 read, but here we are right -- I can't even  
14 see, but I'll blow it up. Just a second here.

15 **MR. ENSMINGER:** Don't worry about blowing it  
16 up, just read it.

17 **MR. MASLIA:** Here you go. I just wanted to  
18 get some dates. Here we are in December right  
19 about right here, and the green line refers to  
20 all groundwater flow ^ transport ^ activities.  
21 And the purple is the water distribution  
22 system, and the reds are reports that we had.  
23 And these are readings ^ here. So at this  
24 point -- and we're going out there at this end  
25 line here is December 2009, so a year from

1 now.

2 So at this point I'll go into some  
3 specifics in reference to database development  
4 and the groundwater modeling. There are four  
5 slides that will follow. This is one of four.  
6 So here's where we are with the database  
7 development. The well construction database  
8 has got approximately 615 monitored  
9 extraction^ wells, 100 water supply wells and  
10 that's 100 percent complete as far as  
11 inventorying and setting up the database and  
12 all that.

13 On the hydrogeologic database we've  
14 got approximately 1,000 data points and that's  
15 100 percent complete. The water level  
16 database we've got approximately 5,400 water  
17 levels and 17 different sites, and that is  
18 complete. When I say 100 percent complete,  
19 when I say complete that means we've set up  
20 like an Excel database so that we can extract  
21 that data to put into the model.

22 **MR. ENSMINGER:** You're talking groundwater.

23 **MR. MASLIA:** Yes, yes.

24 Contaminant database, approximately  
25 2,400 groundwater samples and 375 soil boring

1 observations we've separated out into two  
2 types of databases, chlorinated solvents and  
3 BTEX databases, and that's 100 percent  
4 complete.

5 Mass computation, this is computing  
6 the amount of mass that remains and that we  
7 project was originally in the aquifer. That's  
8 where we got, for example, in the Tarawa  
9 Terrace reports how we estimated that there  
10 was 1,200 grams per day of source coming in  
11 from the draining field and the dry cleaner.  
12 That's how we have to back it out present day,  
13 and obviously, if we had past information we'd  
14 be home free, but we don't so you back it out.  
15 And there's published methods in the  
16 literature that show you how to do that. They  
17 use these methods in natural situations by the  
18 way.

19 But we needed the contaminant database  
20 to begin this work, and so we selected four  
21 areas that we have an ample set of information  
22 to do this with: a former landfill, Site 88  
23 and two areas in the Hadnot Point industrial  
24 area. We're about 25 percent complete with  
25 that.

1 Well capacity history, we're obtaining  
2 that from logbooks and water treatment  
3 operation logs. There are 100-plus water  
4 supply wells, and we're about 95 percent  
5 complete with that.

6 Pumping schedules, this we don't need  
7 right away. The pumping schedules obviously  
8 will go into what we refer to the transient or  
9 the pumping model as opposed to the steady  
10 state or pre-development model. So we do have  
11 some time obviously to get that done, but  
12 we're working on that. For the well capacity  
13 history we will create month-by-month pumping  
14 rate schedules like we did for Tarawa Terrace.  
15 And that's about five percent complete.

16 And the groundwater flow model, we  
17 have selected the type of model or models that  
18 we will use. I'll get into that. We've  
19 designed the grid and boundary locations.  
20 That's 100 percent complete. We're about 80  
21 percent complete with data input to make an  
22 initial run, initial simulation.

23 So the groundwater flow model, this is  
24 a biggie. If you recall, the Tarawa Terrace  
25 model had seven layers. We've got 13 here.

1           The Tarawa Terrace model had 24,000 active  
2           cells, so we're about 30 times larger on  
3           there. These are 500-by-500 feet. The Tarawa  
4           Terrace Model was 50-by-50 feet. We're going  
5           to get down to 50-by-50 feet for the  
6           transport. We're projecting a slightly  
7           different route on this.

8                     And let me just pull this one up here.  
9           The red line is the outer boundary of a  
10          groundwater flow model. In a groundwater flow  
11          model, you have to put the boundary where you  
12          have known conditions. This is sea level so  
13          we know what the value of the water is there,  
14          and this is a topographic, a pronounced  
15          topographic divide. In other words, any  
16          streams on the other side will be flowing that  
17          way, to the east. Any streams on this way  
18          flow to the west.

19                    So that's why this area, because  
20          you've got both wells and potential sources  
21          located real near here, at first we thought we  
22          could use this boundary right here which would  
23          make a much smaller model, but it's just not,  
24          those in the modeling community would critique  
25          us and criticize us. It would not be a very



1 well received model if we tried to make it  
2 smaller.

3 So we do have the computers to handle  
4 this, but the key is this will just be for the  
5 flow model. Once we get the flow, we have  
6 subsequent new versions of the USGS modflow  
7 model that you can go in and do just sub areas  
8 for transport. So we're not going to do fake  
9 transport over this whole area, but we'll just  
10 go into the area, let's say, HPIA, and just do  
11 a smaller transport grid right in those areas.

12 This is the flow model right here.  
13 It'll have all the wells and things, you know,  
14 pumping wells and ^. But to start with we  
15 will be doing, we will be trying to replicate  
16 what we refer to as pre-development or non-  
17 pumping conditions. And we have a map to show  
18 you what the data show us.

19 At this point this is not final so  
20 don't, you know, it's not cast in concrete at  
21 this point. But let me just pull it up.  
22 Based on the data analyses we've done to date,  
23 this is based on using pre-1995 groundwater  
24 levels, and pre-pumping, and that's basically  
25 what the water level, the average water level

1 and throughout the aquifer thickness looks  
2 like.

3 **MR. ENSMINGER:** What do you mean? Explain  
4 the --

5 **MR. MASLIA:** You sink a well down --

6 **MR. ENSMINGER:** -- yeah, explain what the  
7 contour lines are.

8 **MR. MASLIA:** They are water levels.

9 **MR. ENSMINGER:** What's the distance between  
10 --

11 **MR. MASLIA:** They're the height to which  
12 water will rise in properly constructed  
13 monitor wells.

14 **MR. WILLIAMS:** So, he's talking about the  
15 relative distances.

16 **MR. MASLIA:** It's based on the data. The  
17 relative distance is just based on the data,  
18 but I think we have -- these are two-foot  
19 contours.

20 **MR. WILLIAMS:** Jerry, it's just like a  
21 contour line on a ^ graph, it's the height of  
22 the water underground.

23 **MR. MASLIA:** These are just water flows from  
24 high to low. For example, this is a ten-foot  
25 contour. This is a six foot, four foot, two

1 foot and sea level so the water's going to  
2 flow this way in this area. The water's going  
3 to flow this way, ground water, we're talking  
4 about groundwater, is going to flow this way.

5 **MR. ENSMINGER:** What's that solid blue area  
6 right there?

7 **MR. MASLIA:** That's where you have a very  
8 sharp raise. No, no, this has no wells in it.  
9 This has no wells in it. This is what's  
10 referred to as pre-development. You see no  
11 cones of depression in here. So this is based  
12 on the water level data that we have obtained  
13 from after the wells ceased pumping or before  
14 they started.

15 **DR. BOVE:** Baseline, baseline.

16 **MS. BRIDGES:** So you're saying the water  
17 runs into the water.

18 **MR. MASLIA:** Yeah, in this area it goes this  
19 way. In this area it goes. It depends on  
20 what water it goes from a high water level to  
21 a low water level, not necessarily uphill or  
22 downhill, but high water level to low water  
23 level.

24 So in this case looking here, high  
25 water level is here, so water would go in this

1 way. This is 28. This is 14, so water would  
2 flow this way. Over here, and there are  
3 obviously some divides here, but here's ten,  
4 six, four and two, and this is sea level which  
5 is zero, so water would flow out this way.

6 **MS. BRIDGES:** And what about the lower,  
7 bottom right?

8 **MR. MASLIA:** Well, there it gets a little  
9 dicey down here. That's why I need a model.  
10 I can't, when it starts crowding like that, I  
11 can't just by hand tell you. I'm giving you  
12 general conditions, which is why probably I  
13 should not present this right now.

14 **DR. BOVE:** Right.

15 **MR. MASLIA:** But this has nothing to do with  
16 the model. This is just based on the, you  
17 know, the databases I said we were putting  
18 together, this is the water level database.

19 **MR. ENSMINGER:** Can you overlay that over a  
20 map that's got the structures on it?

21 **MR. MASLIA:** You mean the topographic map?

22 **MR. ENSMINGER:** Yeah.

23 **MR. MASLIA:** It is. You just can't -- we do  
24 that to know where to put the groundwater flow  
25 boundary. That was the previous map.

1           **MR. ENSMINGER:** No, I'm talking about your  
2           contour lines. Can you overlay that --

3           **MR. BYRON:** To where the wells are.

4           **MR. ENSMINGER:** Yeah.

5           **MR. MASLIA:** I have. They are. Those are  
6           the blue dots that you can't see. See that?  
7           See those? Those are what are your control  
8           points.

9           **MR. ENSMINGER:** You don't have any well  
10          numbers there.

11          **MR. MASLIA:** That's right, yeah, because  
12          this is not, again, it's a draft on it.

13          **MR. ENSMINGER:** Okay.

14          **MR. MASLIA:** It says draft on it. If you go  
15          from either the plate in Chapter A or when we  
16          do the report, these will have well  
17          identification numbers on it, and there'll be  
18          another table that gives you the water levels.

19          **MR. STALLARD:** So this is a fluid chart.

20          **MR. MASLIA:** No, it's a groundwater.

21                    Okay, let's go on. Water modeling  
22                    activities, meeting with the current and  
23                    former operators. We had a meeting up at Camp  
24                    Lejeune with the former and current operators.

25                    I don't know, were there about ten

1 people?

2 **MR. WILLIAMS:** Yeah, it ended up being more  
3 than we thought.

4 **MR. MASLIA:** Yeah, yeah, very good meeting,  
5 and I'm going to go through it again and then  
6 pull up the maps, so let me go through this.

7 We basically confirmed that there was  
8 historical operation of a booster pump and a  
9 Wallace Creek valve. We understood -- when I  
10 say we, ATSDR, really for the first time in  
11 our understanding that there were two separate  
12 operations so to speak. I'll get into that.

13 We also came to a consensus that they  
14 typically, water transfers would occur in the  
15 dry months of April, May or June when the  
16 booster pump was turned on or when it was  
17 noted in the logbooks that the booster pump  
18 went on, you could assume they turned it on  
19 and kept it on for four hours maximum. And  
20 also if it turned out that there was still  
21 insufficient supply from the booster pump,  
22 then they would also open up the Wallace Creek  
23 valve. That was noted at certain times in the  
24 logs.

25 Now, let me pull up another map here.

1 Can everybody see that?

2 The booster pump we're talking about  
3 is this one right here, present day it's about  
4 here. And that's the Wallace Creek valve  
5 right over there. That's the booster pump and  
6 that. In the past I guess we have, ATSDR, has  
7 talked about interconnection, and I suppose  
8 that's where the misunderstanding of jargon  
9 took place. We rephrased it during our  
10 meeting of transfer of water. And I think  
11 then we got on the same wavelength as the  
12 operators. And this is the booster pump  
13 that's referred to in the logbooks, and this  
14 is Hadnot Point.

15 **MR. ENSMINGER:** That ain't right.

16 **MR. MASLIA:** Well, all the operators said it  
17 was.

18 **MR. ENSMINGER:** There's a valve there. The  
19 booster pump was right at the corner of  
20 Holcomb Boulevard and Speeds Ferry Road.

21 **MR. WILLIAMS:** Jerry's right, 742.

22 **MR. MASLIA:** Okay, right here? Okay.

23 **MR. WILLIAMS:** I can't see where Speeds  
24 Ferry Road is on that map.

25 **MR. ENSMINGER:** I can't either.

1           **MR. MASLIA:** Well, that's because it's only  
2           --

3           **MR. ENSMINGER:** That's right at the --

4           **MR. MASLIA:** -- it's only a timeline.

5           **MR. ENSMINGER:** -- bridge. That's right at  
6           the Wallace Creek Bridge on Holcomb Boulevard.

7           **MR. MASLIA:** We will get that correct.  
8           Again, the point being at this point that it  
9           was a obvious that they turned on the master  
10          pump, the valve would have to be opened also.  
11          So this is the booster pump that we're talking  
12          about, and we will be running some simulations  
13          and that's one of the issues also we will be  
14          asking the expert panel is what type of  
15          simulations they believe would allow us to  
16          adequately and accurately assess how  
17          contaminated water from here would mix and  
18          where it would go versus water from here and  
19          how it would mix and go.

20                         What was basically the result of the  
21          meeting is that we now, ATSDR, has an  
22          understanding that, in fact, in the early  
23          spring there were times that this booster pump  
24          was turned on and run. And typically, it was  
25          in the early morning hours for four hours.





1                   waiting for some responses from people. And  
2                   it looks like we'll try to get ten to 15  
3                   experts that adequately represent a cross-  
4                   section of disciplines and expertise. We're  
5                   trying to finalize by the end of December, but  
6                   again, we're waiting for some responses.

7                   **MR. ENSMINGER:** Of '09 or this year?

8                   **MR. MASLIA:** It should be '08. I didn't  
9                   change that from last time.

10                   And we have drafted a charge to the  
11                   panel. It's still in draft form. But the way  
12                   we plan to do is hopefully by the middle of  
13                   January we will send a confirmation letter to  
14                   the selected panel members. We will then  
15                   include a copy of the charge with the panel  
16                   members and give them an overview of the  
17                   panel. And then hopefully by February, it  
18                   will have to be by February, we will send them  
19                   the documents, the background, the  
20                   information, the data so that they can...

21                   Like we did with the 2005 expert  
22                   panel, we will ask them for initial feedback,  
23                   you know, their impression initially before  
24                   they get together to discuss so we have,  
25                   meaning ATSDR, have some indication of what

1 direction the panel is going in and what are  
2 their concerns, what are their issues. And  
3 then when we meet, obviously, the panel  
4 members under the direction of the panel chair  
5 will discuss all that needs to be discussed.

6 There will be opportunity for comments  
7 and addresses to the panel chair from the  
8 public, meaning anybody who wants to, any  
9 stakeholder or any member of the CAP,  
10 military, EPA, anybody who wants to address  
11 the Chair. And then the Chair can make the  
12 determination if that's something the panel  
13 can answer or not.

14 And that's how we did it in 2005. I  
15 thought it worked out well in directing us  
16 with the Tarawa Terrace-type analyses, and  
17 that's why we're planning to go with that.  
18 And there will be a report just like October  
19 2005 final report that I edited and gave the  
20 recommendations in, I think, Section Six that  
21 we followed and plan to do the same thing  
22 here.

23 So with that I will now be happy to  
24 answer any questions and we can turn on the  
25 lights.

1                   **MR. TOWNSEND (by Telephone):** Morris?

2                   **MR. MASLIA:** Yes.

3                   **MR. TOWNSEND (by Telephone):** Tom Townsend.  
4 Is this a separate panel from the NAS panel?

5                   **MR. MASLIA:** Tougher?

6                   **DR. BOVE:** No, separate.

7                   **MR. MASLIA:** Oh, separate. It is separate,  
8 yes. And it is -- I want to make sure we're  
9 all on the same page -- it is an expert panel.  
10 We are seeking opinions, majority opinion but  
11 also dissenting views if you want to call it  
12 that, in other words, all opinions from the  
13 experts.

14                   **MR. ENSMINGER:** This is Jerry Ensminger.  
15 What about the PAHs and PCBs for your  
16 contaminants in water? I've been reading a  
17 lot of the site data on Site 82, and there  
18 were extremely high levels of PCBs, and they  
19 were finding it in the water in monitoring  
20 wells as well as the shallow aquifer and deep  
21 aquifer.

22                   **MR. MASLIA:** We discussed this, and I think  
23 Frank can back me up on that, but we had to  
24 select compounds that we knew we couldn't get  
25 accomplished and analyzed on the water

1           quality, but do the transport and all that in  
2           the amount of time and budget given. And for  
3           that we selected a PCE site, a BTEX site and a  
4           TCE site. We also have pesticides. And  
5           again, we've discussed with Frank, and we will  
6           not be doing it in the transport. They tend  
7           to be pretty immobile as it is. But those are  
8           the three compounds.

9           **MR. ENSMINGER:** Well, for your mass  
10          computation --

11          **MR. MASLIA:** No, for mass computation you  
12          have to assume -- again, you're doing this by  
13          hand -- you have to assume single species.  
14          So, for example, we will do a mass  
15          computation, I presume, for PCE. We will not  
16          be doing necessarily mass computation for PCE  
17          degradation byproduct of TCE, but rather we  
18          will go to where TCE was actually measured at  
19          a non-PCE site and do the mass computation for  
20          that. And then we will do the mass  
21          computation for all BTEX compounds.

22          **MR. ENSMINGER:** So what you're telling me is  
23          then vinyl chloride's not going to show up in  
24          your --

25          **MR. MASLIA:** No, I'm not saying that. The

1 vinyl chloride's a degradation of both PCE and  
2 TCE.

3 **MR. ENSMINGER:** But none of the  
4 insecticides, herbicides or PCBs, none of that  
5 stuff's going to show up in this water model.

6 **MR. MASLIA:** That's correct.

7 **MR. ENSMINGER:** I mean, we've got data. The  
8 data's there. I mean, if you use Site 82 for  
9 your mass --

10 **MR. MASLIA:** I would suggest you then bring  
11 that up to the expert panel. Let them make  
12 their recommendation if we should or we  
13 shouldn't. It really gets down to, Jerry, a  
14 matter of people, a matter of time and a  
15 matter of completing some things that you need  
16 to go forward with this study.

17 We had to make some decisions on what  
18 we could provide in a timely manner and  
19 actually have some confidence in getting some  
20 results, and we decided those three compounds.  
21 However, again, that is why we are having the  
22 expert panel, and if the CAP or you  
23 individually feel strongly that this is either  
24 impacting the results of the water modeling or  
25 it's not answering the question you want

1 answered, I would suggest that during the  
2 comment period you bring that up to the expert  
3 panel.

4 **MR. TOWNSEND (by Telephone):** Morris? Tom.

5 **MR. MASLIA:** Yes.

6 **MR. TOWNSEND (by Telephone):** Just is this  
7 commentary to the expert panel prior to the  
8 beginning of their work or --

9 **MR. MASLIA:** No, it's during. It'll be like  
10 last time. There's a period on the agenda.  
11 We have not made the agenda yet, so I can't  
12 tell you the specific time. But there will be  
13 a time period in there where the Chair will  
14 ask for comments from the public.

15 And if you want to mail something in  
16 in hard copy prior to the Chair, I mean prior  
17 to the start of the panel so the Chair gets  
18 it, we can make arrangements for that.  
19 Because, obviously, the Chair will not be on  
20 this day-to-day will obviously need to read up  
21 on what's going on and be familiar enough with  
22 the site and with the issues that we're  
23 speaking about. So you can do that, but you  
24 will have a period during the meeting to  
25 address the Chair.

1                   Any other --

2                   **MR. STALLARD:** Telephonically will there be  
3 a bridge for like --

4                   **MR. MASLIA:** Oh, yeah, we've -- maybe I put  
5 it on there, but I didn't -- we've arranged  
6 for a conference room like this, one of these  
7 three. And Clay in the back there, we'll  
8 arrange for IPTV, and there'll be a court  
9 reporter just like there was last time and  
10 verbatim transcripts and all that.

11                   So we haven't seen to those details  
12 yet only because I don't know exactly still  
13 when the exact time for the date. You can  
14 imagine trying to get even five people's  
15 schedules in synch for two continuous days  
16 much less ten or 15 people's schedules in  
17 synch. So, but again, we're still waiting for  
18 some responses that we have not received yet,  
19 either yea or nay.

20                   **MR. STALLARD:** Any other questions for  
21 Morris?

22                   (no response)

23                   **MR. MASLIA:** Thank you very much.

24                   **MR. STALLARD:** Thank you again for your  
25 time.



1 Well, I guess, Perri, this would be  
2 the appropriate time to give a recap of the  
3 last meeting.

4 **RECAP OF LAST MEETING**

5 **MS. RUCKART:** I handed out to everybody a  
6 document called "Summary and Action Items from  
7 the October 2008 CAP Conference Call". So I  
8 like to just usually begin the meeting, but at  
9 some point in the meeting, I'm just going to  
10 go over what happened last time to orient  
11 ourselves for the next meeting, the current  
12 meeting.

13 So at our last meeting, a conference  
14 call, there was a recommendation for ATSDR to  
15 obtain written procedures on how Camp Lejeune  
16 operated the pump house in the 1980s. And  
17 Morris told me he would be discussing this  
18 during the meeting, but I don't think he got  
19 around to that.

20 **MR. MASLIA:** Do you still have a question  
21 for me?

22 **MS. RUCKART:** Yeah.

23 **MR. STALLARD:** Sorry, come on back.

24 **MS. RUCKART:** Well, Morris, I don't know if  
25 you recall but when I shared the summary of

1 the last meeting with you, one of the  
2 recommendations was for ATSDR to obtain  
3 written procedures on how Camp Lejeune  
4 operated the pump house in the '80s. And you  
5 said you'd be discussing that during the  
6 December CAP meeting.

7 **MR. ENSMINGER:** Which pump house?

8 **MR. MASLIA:** Are you talking about the water  
9 treatment plants?

10 **MS. RUCKART:** This is just what was said at  
11 the meeting.

12 **MR. MASLIA:** Written procedures, well, what  
13 we have, I think what you are referring to is  
14 to get a definitive understanding of -- and  
15 that's what the booster pump discussion was  
16 about, about when the pump went on, went off,  
17 hours that it ran and things, and that was the  
18 meeting with the current and former operators.

19 As with any, not just Camp Lejeune,  
20 but any water utility, historically they don't  
21 keep those records. In other words they don't  
22 necessarily keep at one p.m. it went on. At  
23 three p.m. another operator turned it off.  
24 That's just historically with water systems  
25 I've looked at throughout like that.

1 Presently they do, obviously, but in the past  
2 they did not.

3 So the best we can do is when we come  
4 to a consensus that, yeah, if the booster pump  
5 went on, they typically would keep it running  
6 for no more than four hours. So that's  
7 something that we do understand now. Or that  
8 the times that they turned on the Wallace  
9 Creek valve would mean that they had  
10 insufficient supply even with the booster pump  
11 on to that, so they had to depend on the  
12 hydraulic pressures and open up the valve so  
13 that we now have an understanding of. We have  
14 some minor follow-up questions, but that's  
15 what I'm referring to as written  
16 documentation.

17 **MS. RUCKART:** I think Scott wants to add  
18 something.

19 **MR. WILLIAMS:** I'm pretty sure -- Scott  
20 Williams -- I'm pretty sure this bullet item  
21 has to do with how the wells were rotated.  
22 That was supposed to be plural not singular  
23 for operate the pump houses. I think the  
24 question was about was there a standard way to  
25 rotate the wells. How many hours were they

1 on? That was the question. And I think you  
2 can summarize, but I think from the meeting we  
3 had, there was no standard way.

4 **MR. MASLIA:** No, there was no standard way.  
5 But what we were told is that the logbooks  
6 that we do have were the indications, if there  
7 are indications in logbooks, we should go with  
8 the logbooks. In other words that's the  
9 consensus we came to.

10 **MR. WILLIAMS:** And didn't you also cover the  
11 times that the pumps were on previously at  
12 another meeting? Wasn't it like 12 hours and  
13 five minutes or 10 hours and five minutes or  
14 something?

15 **MR. MASLIA:** Well, typically, I mean, I  
16 think if they turned the well on, they would  
17 run it. They would run it. But as far as  
18 having specific documentation of when it was  
19 on or when it was off, that groundwater flow  
20 model will, just like we did with Tarawa  
21 Terrace, we will use that.

22 Typically, unless you have  
23 documentation and a groundwater flow model as  
24 opposed to water distribution model,  
25 groundwater, if you turn a well on, you'll

1 keep it running. Now in a water distribution  
2 system, for example, you can turn a pump, a  
3 booster pump, on an hour and turn it off.

4 And we actually have seen that and  
5 being onsite at Tarawa Terrace even currently  
6 where the pump or one of the four pumps in the  
7 Tarawa Terrace pump house will come on for 15  
8 minutes or 30 minutes and then they'll turn it  
9 back off. That's a water distribution system,  
10 and that's operated differently than a  
11 groundwater well, which typically we'll turn  
12 on and keep running.

13 But again, the models will have to  
14 help us determine that, and that's where we  
15 infer operations through a calibration  
16 process. We have measured water levels. We  
17 try to match them. If they don't match, then  
18 we go and adjust something. And one of the  
19 things that we may adjust is the pump  
20 operation.

21 **MR. BYRON:** So what you're saying is they  
22 operated this system based on need not based  
23 on written, documented procedures that say you  
24 run these pumps this long; you throw in this  
25 much chlorine. And it's how you operate every

1 day no matter what based on --

2 **MR. MASLIA:** There was a standard operation  
3 that the chlorine residual has to meet ^  
4 fluoride, but also the overriding factor is  
5 water supply and fire protection. So as they  
6 have told us, they kept the elevated tanks  
7 full. And if you look at the historical and  
8 even current day, like elevated tanks, some of  
9 them would only be allowed to go down say from  
10 seven and a half feet to six feet. When it  
11 reached the six foot level, a pump would come  
12 on.

13 So I'm saying that's another piece of  
14 information that we would use, and some of  
15 that's documented in the logbooks that we  
16 have. And that will go in, for example, in  
17 doing some of these historical scenarios with  
18 the distribution system as to know when to,  
19 say, turn on a booster pump in April, May or  
20 June or test different scenarios.

21 Again, we will be testing scenarios.  
22 We will not necessarily be documenting like  
23 you do with a groundwater model when you have  
24 contaminant concentrations and you're trying  
25 to match that. We don't have hourly data for

1 the distribution system.

2 **MR. ENSMINGER:** Isn't there some guidance  
3 somewhere where, either state or federal, that  
4 dictates the length of time that a well can be  
5 run on a public water system? I mean --

6 **MR. MASLIA:** The state --

7 **MR. ENSMINGER:** -- to stop, to keep from  
8 creating like a big cone of depression?

9 **MR. MASLIA:** The state has some guidelines,  
10 but again, during the period we're talking  
11 about Camp Lejeune did not come under the  
12 state guideline and they can state --

13 **MR. ENSMINGER:** Well, wait a minute, wait a  
14 minute. The state --

15 **MR. MASLIA:** You do that for fire  
16 protection.

17 **MR. ENSMINGER:** -- primacy over the Safe  
18 Drinking Water Act in 1980. Yeah, it did.

19 **MR. MASLIA:** But if we have to operate a  
20 well for 24 hours -- in other words, again, we  
21 get into this discussion, and I think we got  
22 into a discussion last March or something when  
23 we had a meeting here. We average well  
24 operations over a 24-hour period, so many  
25 cubic feet per day or so many million gallons

1 per day.

2 Whether you operated that in a three-  
3 hour slug of time or whether -- the model will  
4 see over a 24-hour period of time. We're not  
5 modeling for operating a water distribution  
6 system or groundwater well fill. What we're  
7 operating for is to look at different exposure  
8 scenarios.

9 So consequently, whether we operate,  
10 take 100,000 gallons and divide it over a  
11 month and over a 24-hour period and, say, it  
12 ran 1,000 gallons per day over a 24-hour day  
13 or whether you operated 100,000 gallons in two  
14 weeks, the model sees no difference.

15 **DR. BOVE:** Because it can't.

16 **MR. MASLIA:** It can't. It can't. And  
17 asking us to say whether that was only  
18 operated for 12 hours here or that is, we're  
19 trying to read something into the data that is  
20 just not there. And since we're providing on  
21 a monthly basis results concentrations on an  
22 average month, that's as refined as we can  
23 get. We make no distinction, again, whether a  
24 well operated for two-and-a-half weeks  
25 continuously, non-stop or operated every day



1 for four hours. The model cannot see the  
2 difference, and we have no information to help  
3 us refine that.

4 **DR. BOVE:** Yeah, that's the problem.

5 **MR. PARTAIN (by Telephone):** Morris?

6 **MR. MASLIA:** Yes.

7 **MR. PARTAIN (by Telephone):** Morris, this is  
8 Mike Partain. I've got a question here.

9 **MR. MASLIA:** Sure.

10 **MR. PARTAIN (by Telephone):** Jerry and I had  
11 talked to one of the water treatment plant  
12 operators, and he had indicated that they had  
13 kept a plant log that showed what wells were  
14 run that day as far as what wells the  
15 operators were cycling. Now, I understand  
16 that these documents for the water treatment  
17 plants are not available. Have you followed  
18 up with a written request to the Department of  
19 the Navy and Marine Corps for those documents?

20 **MR. MASLIA:** We have an example, and I  
21 forget what year it's from, but about a --  
22 what is it, a two month on that chart with the  
23 Xs?

24 **MR. WILLIAMS:** That's not what he's talking  
25 about.

1           **MR. MASLIA:** I mean, we have an example of  
2 how they may have cycled wells on and off over  
3 a month's period, but, no, there are no --  
4 we've asked and --

5           **MR. WILLIAMS:** We've asked for the most  
6 recent ten years.

7           **MR. MASLIA:** Yeah, yeah, we've asked for the  
8 most recent ten years, and they're working on  
9 getting us that information which will give us  
10 some insight. Again, it will be insight into  
11 how they may have operated, but there are no  
12 historic data or information available.

13           **MR. PARTAIN (by Telephone):** But has a  
14 written request been made for those documents,  
15 the historical documents from the '80s?

16           **MR. MASLIA:** We have letters requesting all  
17 information from the Navy and the Marine  
18 Corps.

19           **MR. PARTAIN (by Telephone):** Okay, but not  
20 specifically the plant operation logs?

21           **DR. BOVE:** No, we haven't done it  
22 specifically for that. We've asked for all  
23 available information that was relevant.

24           **MR. MASLIA:** We did ask in meetings for that  
25 information, and the response is that is not

1 available. There are no other plant logs than  
2 what we have, and but they do have the ten  
3 most recent years of information, and they are  
4 in the process of providing that to us.

5 **MR. PARTAIN (by Telephone):** I just don't  
6 want to, I want to avoid any confusion in  
7 syntax, for example, interconnection versus  
8 transfer. I mean, all I understand to be  
9 pretty encompassing, but evidently when you  
10 said before when you were talking about  
11 interconnection, they didn't understand it to  
12 mean that transfer was the same word.

13 So I want to make sure we're not  
14 leaving it on the table because this operator  
15 indicated to Jerry and I that they did keep a  
16 pretty detailed log with the plants as far as  
17 what pumps were, what wells were being cycled,  
18 maintenance issues they had with them, and any  
19 type of problem or any unusual event that day  
20 was recorded in the plant logs. These should  
21 be available.

22 **MR. MASLIA:** My understanding is that those  
23 records are only kept for ten years, the ten  
24 most recent years.

25 **MR. PARTAIN (by Telephone):** I've got -- and

1 I'll send it to you tonight -- the CERCLA  
2 document that says fifty years retention on  
3 those documents.

4 **MR. MASLIA:** That may be what CERCLA says.  
5 I'm telling you what we have.

6 **MR. PARTAIN (by Telephone):** Okay, I just  
7 want to make sure the written request is in  
8 writing specifically for that so we can  
9 document it.

10 **DR. BOVE:** Yeah, it's not an issue for us.

11 **MR. MASLIA:** Does that answer everything?

12 **MS. RUCKART:** Don't look at me because this  
13 was Mike Partain's question.

14 **MR. MASLIA:** No, I'm saying did you have,  
15 did I cover everything in the previous meeting  
16 recap or --

17 **MS. RUCKART:** That was the only item that  
18 really pertains to you where we needed your  
19 input.

20 **MR. MASLIA:** Okay.

21 **MS. RUCKART:** Also discussed at the last  
22 meeting was that Morris was going to e-mail  
23 Mike Partain the McMorris document and the  
24 number, and listed on the sheet is the number  
25 for everyone to see, but I'll just mention

1 that. It's CLW number 1557-dash-1572. Mike  
2 Partain said he would search his files for  
3 documents that pre-date the North Carolina  
4 report that references July 1984 sampling.

5 Mike, are you still on the line?

6 **MR. PARTAIN (by Telephone):** Yes, I am, and  
7 I'm still working on that. I've been working  
8 a bunch of overtime with my employer so I've  
9 been a little sidetracked lately, but I am  
10 still working on that.

11 **MS. RUCKART:** Okay.

12 Also, we discussed that ATSDR will  
13 send the CAP members the final version of the  
14 signed MOU, and we'll provide that when it's  
15 available. It's not available currently.

16 The CAP members were going to nominate  
17 one-to-two people for the water modeling  
18 expert peer panel, and they've nominated Dick  
19 Clapp.

20 Mary Ann was going to get a date for  
21 when the USMC will make the BAH search index  
22 document titles available, but I believe Scott

23 --

24 **MS. SIMMONS:** Scott's going to make that  
25 report.

1           **MS. RUCKART:** Do you want to give that now?

2           **MR. WILLIAMS:** Yeah, I mean, I can. It's  
3 just an answer.

4                       I was hoping to have that to pass out  
5 today, but we didn't get the review complete.  
6 It's about 2,000 documents total. ^ it's  
7 8,000 and something. There's 8,000 document  
8 titles that have to be reviewed, and we'll  
9 probably get that finished in the next two-to-  
10 three weeks. And I'll provide the ATSDR link  
11 to you guys, but definitely before the next  
12 CAP meeting you'll have it.

13           **MR. ENSMINGER:** What are they being reviewed  
14 for?

15           **MR. WILLIAMS:** FOIA and Privacy Act  
16 information. Some titles have people's names  
17 and such things. There's 10,000 titles. We  
18 have to have them reviewed.

19           **MS. RUCKART:** Scott, what about the update  
20 from the USMC on when the searchable document  
21 library website, the online reading room, will  
22 be available?

23           **MR. WILLIAMS:** Almost the exact same answer.  
24 All of us thought we'd be done by now, it's  
25 not. Those documents are in the FOIA office

1 for review. And I talked to a FOIA officer  
2 this week to get updates from her, and she  
3 knows that this is an issue we need to get  
4 done soon, too.

5 She's actually taking all the  
6 documents home with her on her Christmas  
7 vacation, and she's going to review them. She  
8 has a lot of use or lose. If you work for the  
9 government, you know what that means. And  
10 she's hoping to have that done in the next  
11 three or four weeks.

12 I'll get that back, and I'll make a  
13 commitment to do my best to get that out by  
14 the next CAP meeting and on the web. And I do  
15 actually have screen shots of what the new  
16 reading room will look like. So you guys will  
17 know it does exist, we did build it. ^.

18 **MS. RUCKART:** Also, discussed at the last  
19 meeting Mary Ann said she would find out more  
20 about the stakeholder analysis such as what  
21 the methods were, who was included, were the  
22 meetings face-to-face, things of that nature,  
23 and that she would report back at this  
24 meeting.

25 Are you prepared to do that now?

1           **MS. SIMMONS:** Actually, Scott's going to do  
2 that, too.

3           **MR. WILLIAMS:** ^ copies of that.

4           **MS. RUCKART:** That's fine.

5                   And then one last thing that we had  
6 discussed at the last meeting, it was the  
7 reanalysis of the 1998 small for gestational  
8 age study.

9           **DR. BOVE:** Let me just jump in here real  
10 quick. For that small bullet it's not whether  
11 Knox Trailer received contaminated water, but  
12 what percentage or how much. What percentage  
13 came from Tarawa Terrace and what percentage  
14 came from Camp Johnson Montford Point.

15                   And then the other issue we've already  
16 been talking about, how often, how far back  
17 was the booster pump used. Was it used all  
18 the way back to '72, June '72? Was it used  
19 only after Watkins Village came online --  
20 online -- was built? And these are questions  
21 that need to be answered by the modeling.

22                   So before we do anything with  
23 reanalysis of anything, I'd want answers to  
24 those questions. But then just see what the  
25 impact is of the booster pump. Does the, is



1 the contamination going to Midway Park and not  
2 so much to Paradise Point? Is it filtering  
3 through the whole system evenly? These are  
4 the kinds of questions I want Morris to answer  
5 because I don't know the answer to them yet.  
6 And so until that happens I can't really make  
7 any sense of any of this data until we, I  
8 can't really reanalyze anything until I have a  
9 good sense of the exposures still.

10 **MS. RUCKART:** Frank, I just want to mention  
11 what the issue was in case anyone is  
12 listening, and they don't have the sheet.  
13 Discussed at the last meeting was the  
14 possibility of whether we could analyze the  
15 data in a crude way, exposed versus unexposed,  
16 and then follow up with the monthly levels  
17 when they're available. But as Frank was  
18 saying, it wouldn't make sense at this point  
19 to do any analysis because there's some  
20 uncertainties, some more clarification and  
21 more information that's needed so that's not  
22 really an issue right now.

23 **DR. BOVE:** So if people don't object, I'd  
24 like to wait until I have all the information  
25 and then reanalyze just like we're doing the

1 case control study with all the data and just  
2 do it all at once, which is what I wanted to  
3 do anyway, but now I think I have to because  
4 of the booster pump issue.

5 Anyone have any problems with that  
6 position?

7 **MR. BYRON:** No, I don't have any problem. I  
8 just wanted to ask you one question. So, in  
9 other words, water went to Midway Park more  
10 than just the 12-day period or --

11 **DR. BOVE:** As you saw from that map, the  
12 booster pump goes, it doesn't go to the  
13 treatment plant. It goes right into the  
14 distribution system. So the question becomes  
15 does it get evenly distributed through the  
16 distribution system or not, so that's the  
17 question. I have some guesses, but I'd like  
18 the water modeling to tell me, effort to tell  
19 me exactly what's going on. So that's all.

20 I just wanted to wait and see if maybe  
21 Paradise Point got less of that water or if  
22 it's evenly distributed then the whole Holcomb  
23 Boulevard system has roughly the same  
24 contamination level or what. And then what  
25 the levels are given the mixing to some extent

1 of Holcomb Boulevard and Hadnot Point water  
2 during those two, three months.

3 **MR. ENSMINGER:** I believe where that water  
4 from that booster -- This is Jerry Ensminger.  
5 I believe what would determine where that  
6 water went to would be where the immediate  
7 demand was at the time that the pump was  
8 turned on. If it was going straight into the  
9 distribution system, commonsense would tell  
10 you that it's going to wherever there's an  
11 outlet.

12 **DR. BOVE:** I know. Commonsense would, and  
13 that's fine. But that's why we're doing a  
14 water modeling, just to make sure commonsense  
15 is true. That's all.

16 **MR. BYRON:** And my only question has nothing  
17 to do with concentration levels at any of the  
18 base housing areas. I just want to know if  
19 those valves were open more often than what  
20 they said initially.

21 **MR. ENSMINGER:** Oh, yeah.

22 **MR. BYRON:** Thank you. That's all. That's  
23 all I wanted to get to.

24 **MR. STALLARD:** All right, we're now a little  
25 bit ahead of schedule so we can either move

1 Jerry's discussion --

2 **MR. ENSMINGER:** Let's take an early lunch.

3 **MR. STALLARD:** Well, we can't. We're on the  
4 IPTV so people are scheduled around it.

5 **MS. RUCKART:** Yeah, IPTV goes in three-hour  
6 chunks, so we'll be streaming from nine to 12  
7 and then one until when we're done.

8 **SUMMARY OF DOD/ATSDR DECEMBER 2008 MEETING**

9 **MR. STALLARD:** So what we'll do is I think  
10 maybe since you had a 15-minute update and  
11 Mike wanted to hear what Lieutenant Colonel  
12 Tencate had to say, let's move the summary of  
13 DoD/ATSDR 2008 meeting.

14 **MS. RUCKART:** That's fine.

15 **UPDATES ON HEALTH SURVEY AND MORTALITY STUDY**

16 The next several items that we have  
17 listed there in the afternoon kind of go  
18 together so when I summarize our meeting with  
19 the DoD, it's also going to be providing the  
20 updates on the health study and mortality  
21 study because that was the focus of our  
22 meeting so we'll be killing two birds with one  
23 stone basically.

24 So we met with the DoD here in Atlanta  
25 on December 9<sup>th</sup>, and Morris discussed where he

1 was with the water modeling. And that's what  
2 he provided to you already. And then we gave  
3 our update, talked about the health survey and  
4 mortality study, just what's been going on  
5 there. So both the studies, the health survey  
6 and the mortality study protocols have been  
7 reviewed by our IRB.

8 We're currently responding to the peer  
9 reviewer and DON comments on both of these  
10 protocols. The mortality study does not need  
11 OMB approval because there will be no contact  
12 with participants. However, obviously, if  
13 there's a health survey, we'll be contacting  
14 people. We need to get OMB approval and our  
15 package is currently with our CDC OMB office  
16 and we anticipate it being sent to  
17 Washington's OMB office shortly.

18 We also are going to be getting a  
19 contractor to help us with all of the work  
20 involved in these two studies. And the  
21 requirements for the contract have been sent  
22 to our Procurements and Grants Office, and  
23 they're currently reviewing it. And we want  
24 to use the same contractor for both studies.

25 Also discussed at the meeting with the

1 DoD was our need to access the DMDC data, and  
2 we need it by February 2009. ATSDR sent an e-  
3 mail to our contact at the DMDC on December  
4 2<sup>nd</sup>, and there's still some confusion, I guess,  
5 at this point about how we're going to obtain  
6 the data, but we are working with the USMC.  
7 They are helping facilitate this request, and  
8 --

9 I don't know. Do you want to say  
10 anything more about that?

11 **DR. BOVE:** I'm sorry. I missed --

12 **MS. RUCKART:** How we're going to access DMDC  
13 data. How we're interacting with the USMC now  
14 with the DMDC to try and facilitate this  
15 request. There's been some confusion about  
16 how we're actually going to get the data,  
17 whether it's going to come from DMDC or  
18 whether the USMC is going to provide that.  
19 We're trying to work out the kinks on that now  
20 that everyone is well aware that we do need  
21 this data. It's very important. We can't --

22 **DR. BOVE:** Do the studies without them.

23 **MS. RUCKART:** -- move forward without it.

24 **MR. BYRON:** The most direct route would  
25 cause less delay.

1           **DR. BOVE:** The biggest delay we're going to  
2 have is that, for the health survey anyway, is  
3 the OMB will not approve our health survey  
4 until the NAS report is out. And the NAS  
5 report won't be out until April, so that right  
6 there prevents the health survey from going  
7 forward until that NAS panel comes out.

8           Mortality study could be done earlier.  
9 We're having difficulties with our usual  
10 bureaucracy here. So I have a feeling that  
11 that, we won't be able to hit the ground with  
12 the mortality study until roughly the same  
13 time as well. It has nothing to do right now  
14 with the DMDC database, getting the DMDC data,  
15 although that may become a problem. We're  
16 trying to figure out what the issue is here  
17 because it would seem to everyone that once  
18 the DMDC gets data from each service, it  
19 becomes the property of the DMDC. And so they  
20 should be determining how it should be sent  
21 out to researchers and what the procedures  
22 are. And so we'll have to straighten that out  
23 with the DMDC because both I'm confused,  
24 Scott's confused as to why -- there's just  
25 some confusion. We may have to go out there

1 and meet with them and straighten it out. But  
2 I don't expect that to delay anything. I  
3 think the biggest problem is our own internal  
4 bureaucracy unfortunately, and the fact that  
5 the NAS panel report won't come out until  
6 April when we thought it might come out in  
7 February. So those are the, yeah.

8 **MR. BYRON:** And are we needing the NAS  
9 report for the recommendations or what is the  
10 -- why are we waiting is what I want to know.

11 **DR. BOVE:** OMB is waiting because OMB  
12 doesn't want to approve something if NAS  
13 decides that we shouldn't do it. All we've  
14 heard anecdotally from NAS is that they're not  
15 going to say anything of the sort, but OMB  
16 doesn't want to do anything until they get the  
17 final report from NAS.

18 So that's, as I said, the mortality  
19 study doesn't need OMB approval. We have IRB  
20 approval for the mortality study. The problem  
21 there will be getting the contractor on board  
22 and going through the hoops that are  
23 internally here, and we've had some delays  
24 that we didn't expect from the process. And  
25 so that's unfortunate, but I think we'll be



1 hitting the ground in April for both studies.

2 **MS. RUCKART:** Also, we discussed with the  
3 DoD the strong need to have the Commandant  
4 sign the pre-notice and survey invitation  
5 letters. And this is especially important to  
6 increase the participation rate among the Camp  
7 Pendleton population. So we discussed this  
8 quite a bit at the meeting, and we are  
9 pursuing this. And I believe Mary Ann was  
10 going to give an update as to where we are  
11 with that.

12 **MS. SIMMONS:** This is Mary Ann Simmons.  
13 Yes, we're, graciously you guys asked us to  
14 help work on the letter, and we're doing that  
15 right now. And we're drafting the letter, and  
16 we have presented the concept to Major General  
17 Payne who thinks it would probably be  
18 acceptable to the Commandant, but until he  
19 sees the letter and can agree with the concept  
20 and the way to go forward, we can't make that  
21 commitment for positive, for sure. But that's  
22 what our hopes are so we hope to get something  
23 to him very soon.

24 **MS. RUCKART:** Just to clarify what Mary Ann  
25 was sharing, the letters that we, ATSDR,

1 developed and then they want to just make sure  
2 that the USMC is comfortable signing that  
3 because they previously did not have input  
4 into the letter. So that's what she means by  
5 that.

6 **MR. PARTAIN (by Telephone):** This is Mike  
7 Partain here. Is the Commandant's signature  
8 going to appear on those letters when they go  
9 out?

10 **MR. WILLIAMS:** That's the goal.

11 **MS. SIMMONS:** Right now that's the goal. We  
12 can't make that commitment, but that's our  
13 goal.

14 **MR. PARTAIN (by Telephone):** Okay.

15 **MS. RUCKART:** I'm sorry. Did you have  
16 something else, Mike?

17 **MR. PARTAIN (by Telephone):** No, that was  
18 Tom.

19 **MS. RUCKART:** Tom, did you have something to  
20 say?

21 **MR. TOWNSEND (by Telephone):** I do have a  
22 comment. When you go to the ATSDR/DoD  
23 conference, do you have access to the meetings  
24 of the DoD and their agencies that meet prior  
25 to you, do you know what they talk about?

1           **MS. RUCKART:** Is this a question for ATSDR?  
2 Do you mean when we have our meetings with the  
3 DoD, are we --

4           **MR. TOWNSEND (by Telephone):** Yeah, I'm  
5 talking about the meetings that DoD has prior  
6 to, with the military services.

7           **MS. RUCKART:** We're not privy to internal  
8 meetings of the DoD. All we know is what they  
9 bring to the table when we meet with them.

10          **MR. TOWNSEND (by Telephone):** Do you get  
11 access after the fact of their meetings, to  
12 their meeting minutes?

13          **MS. RUCKART:** No, I mean, we just know what  
14 their decisions are, what their point of view  
15 is when we meet with them. That's when we  
16 find out.

17          **MR. TOWNSEND (by Telephone):** That's rather  
18 interesting because I have several years of  
19 the minutes of your meetings with DoD and the  
20 minutes of the DoD where they're all an  
21 integral unit, and they tend to consolidate.  
22 And then on the day that you meet with them  
23 they beat the hell out of ATSDR. It seems to  
24 be a constant beat up on ATSDR every time you  
25 meet with them.

1           **MS. RUCKART:** Well, I want to say that our  
2 last several meetings have been much smoother  
3 than previous meetings, so I hope that's a  
4 consolation to you.

5           **DR. BOVE:** We've really fought to a draw.  
6 No, we're doing fine. I think the meetings  
7 have been very good and very productive.

8           **MR. STALLARD:** Okay, thank you. Let me just  
9 say there appears to be an evolution of the  
10 relationship that has been improving over time  
11 as we work toward a common goal here.

12           **MS. RUCKART:** Just a few other items to  
13 report out from that meeting. We just  
14 discussed a sharing of contact information  
15 between the USMC and response to our survey,  
16 and we just basically agreed that whenever we  
17 can, we would share contact information, just  
18 contact information only, not any other  
19 personal health information. But whenever  
20 this would be needed or be useful our two  
21 agencies would share that contact information.

22                   Also discussed at the meeting on  
23 December 9<sup>th</sup>, was selecting the comparative  
24 population and in the request to DMDC we did  
25 request data for Camp Pendleton because we

1           were wanting to pursue that with our  
2           comparison population. And after some  
3           discussion at that meeting, it was decided  
4           that Camp Pendleton would be the most similar  
5           and most appropriate comparison group for Camp  
6           Lejeune.

7                         And we will use 50,000, or we'll ask  
8           for, try to contact 50,000 former Camp  
9           Pendleton Marines and 10,000 former Camp  
10          Pendleton civilian employees for the health  
11          survey. However, we may want to increase this  
12          to 100,000 former Camp Pendleton Marines for  
13          the mortality study. And the reason is  
14          because increasing it to 100,000 from 50,000  
15          just for the mortality study where we're not  
16          contacting people, we're just looking at data,  
17          doesn't increase the cost that much.

18                        However, if we were to ask for 50,000  
19          more for a total of 100,000 for the health  
20          survey, that would increase the health survey  
21          cost significantly, also increase the workload  
22          significantly. And it's not exactly clear how  
23          much added benefit we'd be getting for the  
24          cost.

25                        **DR. BOVE:** Mainly, a peer review comment was

1           that if you can get -- this for the mortality  
2           study. Because what we did was send each  
3           protocol to different peer reviewers. The  
4           mortality study had three peer reviewers. The  
5           health survey had a different group of peer  
6           reviewers from outside the agency from  
7           academia.

8                     And one of the peer reviewers for the  
9           mortality study said, well, this is a data  
10          linkage study. The costs are not going to  
11          increase that much by adding more people. If  
12          you can add more from Pendleton, why not? It  
13          will increase your statistical power if you do  
14          so. So they were right.

15                    So, we've been responding to peer  
16          review comments on both protocols and also  
17          we're working on comments that the Marine  
18          Corps and Navy have given us, too. And in the  
19          process we are revising our protocols and  
20          strengthening them, I think. We got pushed by  
21          both peer reviewers and the DoD commentators  
22          to beef up the data analysis section and other  
23          parts of the protocols. So we're doing that,  
24          and this was one suggestion we thought was a  
25          good one.

1                   So when we asked for data from the  
2                   DMDC, we asked for just all the data for  
3                   Pendleton for people who were there from '75  
4                   to '85. And then we can take a sample and say  
5                   who the -- for the mortality study, if it's  
6                   100,000, let's say, from Pendleton, we have to  
7                   make sure that all 100,000 were not at Camp  
8                   Lejeune any time when the water was  
9                   contaminated.

10                   They could be at Lejeune after the  
11                   water was contaminated, but not during the  
12                   time. So we're going to have to use the data  
13                   to weed out those who might have come east and  
14                   spent time at Lejeune during the time the  
15                   water contamination was happening. But we  
16                   think we can find 100,000 from Pendleton for  
17                   the mortality study.

18                   And we'll also try to get as many  
19                   civilian employees as possible instead of a  
20                   sample of 10,000, if there are more civilian  
21                   employees at Pendleton. But that won't help  
22                   as much because the real limiting factor for  
23                   the civilian employees is the sample size at  
24                   Lejeune which is somewhere around 8,000  
25                   maximum. The number gets smaller for civilian

1 workers so that's, so adding more Pendleton  
2 won't really help matters, but it will help  
3 with the active duty part of the mortality  
4 study.

5 **MS. RUCKART:** Just a few more things. When  
6 we met with the DoD we just discussed our  
7 meeting here today at the CAP. We provided  
8 them with the agenda, and we talked about what  
9 they would be updating us on. And then also  
10 we discussed with the DoD a communications  
11 plan, and we'll be developing draft Q&As and  
12 fact sheets and also joint and separate  
13 communication policies. Mary Ann I think is  
14 going to be integrally involved in that.

15 Communications plan, Mary Ann, do you  
16 want to just discuss that briefly?

17 **MS. SIMMONS:** Mary Ann Simmons. Yes, we,  
18 myself and Captain Mulligawny\* from  
19 Headquarters Marine Corps Public Affairs and  
20 Jan -- I'm sorry, I --

21 **DR. BOVE:** Telfer.

22 **MS. SIMMONS:** -- Telfer, the ATSDR Community  
23 Outreach person, I think.

24 **MS. RUCKART:** Communications.

25 **MS. SIMMONS:** Communications person. We're



1 going to work on some frequently asked  
2 questions, some fact sheets, and basically a  
3 way that we can agree to release information  
4 to the media. So we're in the very early  
5 stages of this right now. And we'll be  
6 working hard to get something finished.

7 **MR. BYRON:** Could I request that I get that  
8 information to put on our website since it's  
9 going to the media?

10 **MS. SIMMONS:** Nothing's going to the media.  
11 It's how we would respond.

12 **MR. ENSMINGER:** So let me get this straight.  
13 The Marine Corps, Department of the Navy are  
14 going to be, The Marine Corps' Public Affairs  
15 is going to be reviewing what ATSDR puts out?

16 **MS. SIMMONS:** No. That was not exactly the  
17 case at all. In some of our meetings,  
18 especially the latter ones, we've worked hard  
19 to find areas where that we're working  
20 together. And then there's definite separate  
21 things that the Marine Corps does, DoD does,  
22 and then ATSDR. Of course, ATSDR's a separate  
23 agency, and they're very independent things.

24 So we would not be reviewing the  
25 things that they publish. We're trying to

1 find some places that we work together; we can  
2 have joint talking points, try to make it  
3 easier for people to understand who does what  
4 to whom. That sort of thing. It's not we're  
5 reviewing their material. Of course, they're  
6 the author, so it's their material.

7 **DR. BOVE:** One of the things that we talked  
8 about was just making sure the roles of the  
9 two agencies are clearly stated. I think that  
10 that's item number one --

11 **MS. SIMMONS:** Yes, that's a huge thing.

12 **DR. BOVE:** -- is to come up with what is  
13 ATSDR's role. Because when we get phone calls  
14 from people, and I actually have my direct  
15 line, they're asking me compensation questions  
16 or legal questions. And I have to say, no,  
17 you have to call the Marine Corps because I  
18 don't have the answer to those questions.

19 Or they want more information about  
20 the CAP or even about the work that other  
21 former Marines are doing. Then I say, well,  
22 there's two websites, and I give them your  
23 website, for example, so they can get more  
24 information. So just so the people know what  
25 ATSDR does, because people don't know what we

1 do, and because they oftentimes see one  
2 government and not understand.

3 So that I think is very important.  
4 After that it's less clear exactly what joint  
5 and what's separate, and that needs to be  
6 worked out.

7 Is that fair?

8 **MS. SIMMONS:** Yeah, I just found my notes  
9 from the meeting, and the three things we're  
10 working on initially is, like Frank said, the  
11 roles and responsibility for each  
12 organization. What each organization or group  
13 -- probably organization is not the best way  
14 to say it -- what each group has done in terms  
15 of moving forward. And then where have we  
16 worked together. And there are certain areas  
17 we have worked together with ATSDR, and  
18 there's certain areas where we haven't. So  
19 those are the three main things that we're  
20 starting with.

21 **MS. RUCKART:** One thing I want to add is we  
22 have made a commitment to share meeting  
23 minutes with the CAP and the public. So our  
24 groups are working right now to develop those  
25 minutes, and once they're finalized you will

1 get the meeting minutes from the meeting on  
2 December 9<sup>th</sup>.

3 **DR. BOVE:** And the other things is that, as  
4 we've been doing in the past, we always give  
5 the Navy and Department of Defense advance  
6 copies within 24, 48 hours when we release  
7 something to the public. So that's something  
8 we've been doing all along. And so we're  
9 probably just going to put that in writing so  
10 that's, so I don't expect a change in advance  
11 notice.

12 **MR. BYRON:** So you're setting down  
13 responsibility.

14 **DR. BOVE:** Yeah, pretty much.

15 **MR. TOWNSEND (by Telephone):** I have a  
16 question for Mary Ann.

17 **MR. STALLARD:** Go ahead, Tom.

18 **MR. TOWNSEND (by Telephone):** Mary Ann, I  
19 haven't seen anything out of the Navy-Marine  
20 Corps Public Health Center for some time. Do  
21 you guys still handle, are you still involved?  
22 How involved are you in this process?

23 **MS. SIMMONS:** With the health study?

24 **MR. TOWNSEND (by Telephone):** With anything  
25 concerning Camp Lejeune.

1           **MS. SIMMONS:** We actually are here in  
2 support of the Marine Corps, so you probably  
3 wouldn't see anything directly from us. But  
4 we support the Marine Corps whatever, risk  
5 communication, that's what we've been doing a  
6 lot of as well as epidemiological assistance.  
7 We've reviewed, I know epidemiologists have  
8 reviewed your protocols and provided comments.  
9 I've reviewed some risk communication-type  
10 materials for the Marine Corps. But we don't  
11 really have on our website anything specific  
12 to Lejeune.

13           **MS. RUCKART:** And Mary Ann's also present at  
14 all of these meetings between the DoD and  
15 ATSDR so that they're represented there.

16           **MR. PARTAIN (by Telephone):** I had a  
17 question here. This is Mike Partain. When  
18 you mentioned about people calling in and I  
19 know on the ATSDR website there's a link to  
20 the Marine Corps' website and information. Is  
21 it possible to get our website linked up there  
22 as a source of information so we can be  
23 objective here?

24           **MS. RUCKART:** That should be fine because we  
25 have links to external groups. We just

1 identify them saying when you click on, I  
2 believe it says, just like a little message.  
3 You're going to an external website, and we're  
4 not endorsing it one way or the other, but  
5 we're just making you aware of that so I don't  
6 that that would be a problem.

7 **MR. PARTAIN (by Telephone):** Yes, it would  
8 be nice to have it out there so people can see  
9 there's other places for information.

10 **MS. RUCKART:** Let me ask you this.  
11 Obviously, you're speaking about The Few, The  
12 Proud, The Forgotten website, but are you  
13 also, what do you think about the other  
14 groups' website, just to be all encompassing?

15 **MR. PARTAIN (by Telephone):** I would have to  
16 have, I would have to pose that question to  
17 you all.

18 **MS. RUCKART:** Okay, so right now the request  
19 is just to get The Few, The Proud, The  
20 Forgotten website listed. We have a section  
21 called "Selected Resources" that I believe  
22 could be put on there.

23 **MR. TOWNSEND (by Telephone):** I don't  
24 understand why the Marine Corps personnel  
25 can't provide the CAP members with information

1 of what they're doing. They're talking about  
2 us, but we can't see it.

3 **MS. SIMMONS:** Tom, this is Mary Ann. I'm  
4 not sure what we're, I'm not sure what you're  
5 talking about.

6 **MR. TOWNSEND (by Telephone):** Well, you have  
7 communications regarding the Camp Lejeune  
8 water contamination problem. Why can't we see  
9 what you're talking to the Marine Corps about?

10 **MS. SIMMONS:** The only things I can really  
11 think of is it would be like internal review  
12 comments.

13 **MR. TOWNSEND (by Telephone):** You do  
14 projects. We have, used to have commentary ^  
15 defined. Now we have ^ not with your new name  
16 seems to have gone undercover.

17 **MS. SIMMONS:** Well, we don't mean to go  
18 undercover. We're supposed to be more  
19 visible. That's what my CO says. I really  
20 don't, can't think of anything that we've done  
21 that hasn't been a part of either ATSDR's  
22 process or the Marine Corps' process. If  
23 you've got something specific that you know or  
24 have heard about, please let me know and I'll  
25 be glad to try to address that.

1           **MR. PARTAIN (by Telephone):** Mary Ann, there  
2 is something specific. Denita mentioned the  
3 slide show, your slide presentation in 2008.  
4 And in that slide presentation there was a  
5 comment that the Navy was being forced to deal  
6 with questionable science as a result of the  
7 Camp Lejeune issue. That's some of the things  
8 that --

9           **MS. SIMMONS:** Well, that was on our web,  
10 that was part of our presentation at the NEHC  
11 conference last year. And that was on our  
12 website. I honestly don't know if it's still  
13 there, but it was for months.

14           **MR. PARTAIN (by Telephone):** ^

15           **MR. STALLARD:** Folks, we're about to lose  
16 our connection here. It's lunchtime. We'll  
17 be able to reconvene at one and pick up where  
18 we're at.

19           **DR. BOVE:** Yeah, why don't do that.

20           **MR. PARTAIN (by Telephone):** I will not be  
21 there.

22           **MR. STALLARD:** All right, Michael, thank you  
23 for your participation.

24           **MR. PARTAIN (by Telephone):** Thank you, and  
25 as a last note on my part, make sure we have a



1 CAP meeting, I'd like to see another CAP  
2 meeting before the expert water panel.

3 **MR. STALLARD:** Okay, so we'll put that on  
4 the table for discussion at the end of next  
5 steps and when should we convene the CAP again  
6 just prior to the expert panel.

7 With that let's please be back in one  
8 hour.

9 (Whereupon, a lunch break was taken.)

10 **MR. STALLARD:** All right, folks, welcome  
11 back. For those on the phone we're going to  
12 recommence. So, Tom, are you there?

13 **MR. TOWNSEND (by Telephone):** Yes.

14 **MR. STALLARD:** And Dr. Clapp, are you there?

15 **DR. CLAPP (by Telephone):** Yes.

16 **MR. STALLARD:** So we left off just before  
17 lunch and Perri was giving us an update I  
18 think on the -- what was it, the DoD visits.

19 **MS. RUCKART:** And also that kind of led into  
20 an update on our activities because those two  
21 were, the one was given at the other.

22 **MR. TOWNSEND (by Telephone):** I had a  
23 question for Mary Ann before you quit.

24 **MR. STALLARD:** Okay, speak it now, Tom.

25 **MR. TOWNSEND (by Telephone):** Am I on?

1           **MR. STALLARD:** You are.

2           **MR. TOWNSEND (by Telephone):** The NEHC, are  
3 they playing an active or passive role? In  
4 the past they always used to try to torpedo  
5 what the hell was going on. And now are they  
6 just quiet and do it under the table?

7           **MS. SIMMONS:** I don't think we do anything,  
8 well, wouldn't characterize anything we --  
9 this is Mary Ann -- as under the table. I  
10 think we probably just assumed a different  
11 role just because of who's doing, again, who's  
12 got the different roles and our  
13 responsibilities.

14                   When this project initially started,  
15 somebody in my office was the official ATSDR  
16 liaison for the Navy. And so we did play a  
17 much more active or visible role than what we  
18 do now. That's since changed to NAVFAC as  
19 being the point of contact, the official  
20 liaison between the Navy and ATSDR. But we  
21 still do support the programs in technical and  
22 scientific sorts of ways.

23           **MR. TOWNSEND (by Telephone):** Well, where do  
24 we find your commentary to NAVFAC income? If  
25 they're the mouthpiece for you, where's that

1 information being disseminated?

2 **MS. SIMMONS:** I don't know. Like I said, I  
3 don't know what information we've had  
4 different. We've had input to different  
5 things like to MOU and comments on different  
6 projects, things like that. But those go to  
7 NAVFAC for their consideration, and then they  
8 roll them up with comments from other people.

9 **MR. STALLARD:** Tom, what is it that you had  
10 access to before that you don't have now?

11 **MR. TOWNSEND (by Telephone):** Their  
12 documents regarding the Camp Lejeune  
13 investigation hasn't been there, and their  
14 medical assessments of what's going on.

15 **MR. STALLARD:** Are those one-time  
16 publications or are those things that are  
17 revised?

18 **MS. SIMMONS:** Yeah, I'm not familiar with  
19 those documents. I'll be glad to check that  
20 out, but I'm not familiar with any documents  
21 that we have that would be a Navy medical  
22 assessment of Lejeune, the health study.

23 **MR. TOWNSEND (by Telephone):** Well, Mary  
24 Ann, if you look back in history, NEHC tried  
25 to torpedo the ongoing study of Camp Lejeune,

1 and Jerry can talk to that. I'm curious what  
2 NEHC is doing and what kind of documents -- if  
3 I'm supposed to go to ^ for information ^.

4 **MS. SIMMONS:** Like I said what we're doing,  
5 we're in a support role, and we provide  
6 technical support to the Navy and Marine  
7 Corps. If you want comments that the Navy has  
8 made or the Marine Corps has made on  
9 something, that would have to, at least for  
10 our stuff, it would have to go through NAVFAC,  
11 not ^ but NAVFAC.

12 **MR. TOWNSEND (by Telephone):** Well, I've  
13 written about 12 letters to FOIA and including  
14 a whole pile --

15 **MS. SIMMONS:** Oh, I know.

16 **MR. TOWNSEND (by Telephone):** -- if I have  
17 to go the FOIA route I will, but I just --

18 **MS. SIMMONS:** I'm truly, I'm not sure what  
19 else to say. We haven't done anything  
20 actively in terms of like writing letters like  
21 we did early on because our role in the  
22 picture is just changed. We no longer can  
23 have anything to do with funding requests or  
24 anything like that. That's all handled at the  
25 NAVFAC level.

1                   **MR. TOWNSEND (by Telephone):** Well, you  
2 still have some ^, don't you?

3                   **MS. SIMMONS:** Yeah, Dr. Rennix is now  
4 civilian. Yeah, he is. He's the head of the  
5 epidemiology group, and he and his group have  
6 reviewed documents at the --

7                   **MR. TOWNSEND (by Telephone):** ^ reviews in  
8 writing, where do you find them?

9                   **MS. SIMMONS:** NAVFAC, because we provide  
10 those to NAVFAC that would be incorporated  
11 with their comments and comments from whomever  
12 else they've asked to review something.

13                   **MR. TOWNSEND (by Telephone):** And where at  
14 NAVFAC do you address all this junk?

15                   **MS. SIMMONS:** I would -- Kim? Kim Parker  
16 Brown, and I'd be glad to -- I don't have it  
17 with me, but she's the official Navy liaison  
18 to ATSDR. I don't have her contact  
19 information with me here, but I'll be glad to  
20 get that to you tomorrow if that's what you'd  
21 like.

22                   **MR. TOWNSEND (by Telephone):** I live in  
23 Idaho ^.

24                   **MS. SIMMONS:** I'm sorry. I can e-mail it to  
25 you if you want.

1                   **MR. TOWNSEND (by Telephone):** Thank you.

2                   **MS. SIMMONS:** Okay, so I'll get that to you  
3 tomorrow.

4                   **MR. STALLARD:** And, Tom, thanks for just  
5 telling it like it is out there.

6                                 So what's next on the agenda, folks?  
7 We're looking at the updates on the 415  
8 mortality --

9                   **MS. RUCKART:** No, no, one p.m. discussion  
10 about CAP presentation at the water model.

11                   **DR. BOVE:** Let me add a little bit more to  
12 where we're at, too, so just to reiterate. We  
13 did get comments from DoD as well as our peer  
14 reviewers and we're writing up responses to  
15 them and so the comments that DoD made you'll  
16 be able to see along with our responses when  
17 we get ready and publish that or whatever. So  
18 you'll have that.

19                                 In response to both DoD comments and  
20 some peer review comments, we've been asked to  
21 make it clear in the health survey what the  
22 study population is and who is and who isn't  
23 in the study population. Because we are  
24 sending surveys, according to the  
25 Congressional mandate, Congress said that

1 surveys should be sent to everybody that's  
2 identified or who registers with the Marine  
3 Corps.

4 So that's going to happen, but not all  
5 those people are going to be part of a study.  
6 The reason is that -- and everyone's been  
7 pointing out this to us -- is that the people  
8 who register might be registering because they  
9 have problems, and that might produce a biased  
10 sample. And we've brought this up before. I  
11 just wanted to reiterate it so it's clear.

12 We are making a sharp distinction  
13 between the study population and the other  
14 people who get the surveys. The study  
15 population we have to be able to identify  
16 beforehand from the available data. And the  
17 available data is the DMDC data on active duty  
18 personnel, DMDC data on civilian employees and  
19 the ATSDR 1999-2002 survey. So those people  
20 can be identified beforehand and those people  
21 will be the study population. So all those  
22 people will get health surveys.

23 Then people who aren't part of that  
24 but who just register with the Marine Corps  
25 for some reason, have heard about the study

1           somehow and registered, they will get a  
2           survey. But we'll have to analyze their  
3           surveys separately because, again, we want to  
4           start off with an unbiased sample.

5                     There are still biases that will occur  
6           because people we sent surveys to in the study  
7           population may not participate, and we'll have  
8           to deal with those issues. But at least we  
9           want to start off with a non-biased sample so  
10          the study isn't attacked right off the bat for  
11          that.

12                    So that's how we've decided to do it.  
13          We think that OMB will go with that, but we  
14          think that OMB might not go with it unless we  
15          do that, and so is there any questions about  
16          that? I just want to make sure you all know  
17          that. I think we've mentioned this before,  
18          but we're trying to make it crystal clear now  
19          in our protocols that there are these two  
20          groups, the study population and then the  
21          people who get the survey because they  
22          register but we don't know who they were  
23          beforehand.

24                    **MR. TOWNSEND (by Telephone):** How far back  
25          do you go on your study population in time?



1           **DR. BOVE:** Well, what we have is the DMDC  
2 data which is anyone who stepped foot on  
3 Lejeune anytime between '75 and '85, so that's  
4 210,000 active duty.

5           **MR. TOWNSEND (by Telephone):** What about the  
6 folks who were there in the '60s?

7           **DR. BOVE:** I'm getting to that.

8                         Then we have the civilians who worked  
9 anytime at Lejeune from December '72 to  
10 December '85, that's about 8,000 and change,  
11 8,085 it was. So that's two groups. And then  
12 the third group are those in the survey, the  
13 ATSDR survey. And there's overlap between  
14 them and the DMDC people, but I would say --  
15 what, weren't, 65 percent were not in the  
16 others?

17           **MS. RUCKART:** Were.

18           **DR. BOVE:** Were, yeah, about two-thirds of  
19 the active duty people in the ATSDR survey are  
20 also in this DMDC data. So about a third of  
21 the survey people are not, so that's about  
22 4,000 additional active duty people anytime,  
23 who participated in that survey. So that they  
24 could go back in time pretty far. They just  
25 had to have a child born between '68 and '85.

1                   That's how they got into the survey. And then  
2                   the dependents in that survey, the spouse and  
3                   the child that's part of that survey, those  
4                   are all part of the study population.

5                   **MR. TOWNSEND (by Telephone):** And, Frank,  
6                   the Tarawa Terrace went back to 1957 to 1987,  
7                   and there were several of us that lived there  
8                   in the '50s and '60s that you're ignoring  
9                   completely.

10                  **DR. BOVE:** That's right. And the reason is  
11                  for two reasons. One, there's no data to  
12                  identify them, and/or two, if they registered  
13                  with the Marine Corps, we have to have an  
14                  unbiased sample, and we have to be able to  
15                  define that sample beforehand. The only way  
16                  to do that is with available data.

17                  **MS. RUCKART:** We're not ignoring them  
18                  completely though I'd say because --

19                  **DR. BOVE:** No, I don't want, we're not  
20                  ignoring them meaning they're not included in  
21                  the study. Anything we find in these studies  
22                  is relevant to anybody who was exposed whether  
23                  at Lejeune or anywhere in the country.

24                  **MS. RUCKART:** Frank, let me say we're not  
25                  ignoring them completely because they will get

1 surveys, and they will be analyzed. They'll  
2 just be analyzed separately, but they're not  
3 being ignored, and they're not, and it's not  
4 what you're saying, yes, the results from the  
5 main survey population will be applicable.  
6 But they also will be analyzed.

7 **DR. BOVE:** They'll be analyzed, but because  
8 we analyze them separately, we may not be able  
9 to make conclusions based on their  
10 information. The information we're going to  
11 be basing our conclusions on are on the study  
12 population itself, which is just what I said,  
13 the people identified through DMDC data or the  
14 ATSDR survey.

15 That's all we can do. Otherwise you  
16 bias the study from the get-go, and the study  
17 is worthless. So you really have to make,  
18 there are always these trade-offs. You'd like  
19 to increase the size of the group you're  
20 studying, but if you do that and introduce  
21 bias, you're shooting yourself in the foot,  
22 and so that's where we're at.

23 **MR. TOWNSEND (by Telephone):** Right, I hate  
24 to be a real pain in the butt, but after  
25 losing my wife and my child and being exposed

1                   myself, I am biased. But I'd like to be in a  
2                   bloody survey.

3                   **DR. BOVE:** You will get a survey.

4                   **MR. TOWNSEND (by Telephone):** What survey?  
5                   The third increment?

6                   **DR. BOVE:** No, no, everyone gets the survey,  
7                   whether in the study population or whether  
8                   you've registered with the Marine Corps, you  
9                   get the same survey. The issue is what  
10                  surveys are going to be considered part of the  
11                  study and which ones we have to keep separate,  
12                  but the findings from the study apply to  
13                  everybody.

14                 **MR. TOWNSEND (by Telephone):** Some of us ^  
15                 than others.

16                 **DR. BOVE:** I mean, again, I would love to go  
17                 back in time. If somehow some data came from,  
18                 was found that could allow us to go back in  
19                 time that would be terrific. This is what  
20                 epidemiologists always face, the fact that  
21                 data is just not available. We have to use  
22                 what is. We can't, you know, we have to rely  
23                 on data that exists.

24                 **MR. STALLARD:** Perri, Frank, does that  
25                 conclude the updates on the health survey and

1 mortality study?

2 **MS. RUCKART:** Yes.

3 **MR. STALLARD:** Any questions?

4 (no response)

5 **DISCUSSION ABOUT CAP PRESENTATION AT EXPERT PANEL ON**  
6 **WATER MODELING OF HADNOT POINT**

7 **MR. STALLARD:** Well then we're going to go  
8 back to our one o'clock from Jerry, a  
9 discussion about the CAP presentation at the  
10 expert panel.

11 **MR. ENSMINGER:** I was asked to represent the  
12 CAP at the expert water modeling panel meeting  
13 that's going to take place supposedly the last  
14 week in March. That's still up in the air.  
15 I'm going to be soliciting to everybody on the  
16 CAP and on the website anybody that has any  
17 input as to what they would like me to  
18 address.

19 But mainly what I'm going to address  
20 to the experts on this panel is the importance  
21 and why it is so important that this water  
22 model go forward and be completed. And the  
23 only way I can do that is to show the  
24 conflicting messages that have been provided  
25 by representatives of the Marine Corps,

1 Department of the Navy, incorrect data, out-  
2 and-out lies that have been provided to not  
3 only state and federal regulators but to the  
4 local community, the local governments and the  
5 populations that were exposed.

6 And I'm going to accomplish this by  
7 utilizing their own documents. It's going to  
8 be very extensive. It's going to be very  
9 detailed. I'm going to provide them with the  
10 actual documents where these lies were  
11 recorded in writing and show them that this is  
12 what ATSDR's been up against since they've  
13 been involved in this. This is what all of us  
14 have been fighting since we've been involved  
15 in it. And hopefully, the water model will  
16 get us down to some level of truth. That's  
17 all I have.

18 **MR. BYRON:** This is Jeff Byron. On the  
19 water modeling panel itself, the expert panel,  
20 I mean, we had one for Tarawa Terrace, number  
21 one. Did something change? I mean, I'm sure  
22 from what Morris told us the complexity is  
23 much deeper so that's why you're needing  
24 another panel.

25 **MR. ENSMINGER:** Well, the original one

1                   wasn't just for Tarawa Terrace. That was for

2                   --

3                   **MR. BYRON:** That was across the board, too,  
4                   huh?

5                   So, but I mean because of its  
6                   complexity are we just rehashing the same  
7                   thing and the water modeling is a good process  
8                   that needs to be tweaked or what?

9                   **DR. BOVE:** There's complexity, a much larger  
10                  number of wells, much larger area, several  
11                  sources of contamination, and so that's part  
12                  of it. There's the issue of how much  
13                  uncertainty can be tolerated in a model so  
14                  that's been raised. I mean, the DoD's raised  
15                  issues around uncertainty which we were trying  
16                  to address. And so for those reasons -- it's  
17                  not a bad idea for us to have another panel to  
18                  go over this one more time.

19                  We don't feel it's that much of a  
20                  burden to do this given the scrutiny that this  
21                  is, how strong this is looked at. So we  
22                  initially weren't going to do one, but I think  
23                  -- or at least we weren't necessarily planning  
24                  on doing this initially, but it makes sense.  
25                  So we're going to do it. And you're all

1 welcome to come by the way and at least see  
2 the proceedings.

3 And actually, Jerry, at the last one  
4 you participated quite a bit from the floor so  
5 there probably will be opportunities for that  
6 as well this time around.

7 **MS. RUCKART:** That's also going to be  
8 streamed over the internet if people can't  
9 travel here.

10 **DR. BOVE:** That's right. I think, isn't it?

11 **MR. BYRON:** So basically the water modeling  
12 hasn't changed, but the complexity and  
13 refining what you've already done in the past  
14 and what you're about to do in the future that  
15 could help you with this.

16 **DR. BOVE:** Yeah, for the most part the  
17 approach is the same. There are slight  
18 differences because again, because of the  
19 complexity and the multiple sources of  
20 contamination. For example, at Tarawa Terrace  
21 we were focused on PCE. Here we're focusing  
22 on PCE, TCE, BTEX, you know, so that already  
23 makes it different. Also, this issue of the  
24 inner, the transfer of water will mean that  
25 that some water distribution system modeling



1 becomes more important this time around than  
2 the last time around.

3 I also would like to see -- although  
4 I'm not sure we're going to have time to do  
5 this -- a look at the trailer park once more  
6 to see if we can figure out what's going on  
7 there, whether we need to just assume 50-50  
8 from Camp Johnson, Montford Point and Tarawa  
9 Terrace or whether we can refine that a bit.  
10 The water operators were saying more like 85  
11 percent, 90 percent from Camp Johnson; ten  
12 percent from Tarawa Terrace.

13 That's interesting. We don't know if  
14 that, we don't know if their memories are  
15 still good on that one. Others have said 50-  
16 50 makes sense. Maybe we can see from the  
17 model what makes sense. We may do that, but  
18 that's not as important as the Hadnot Point  
19 modeling and the transfer of water issue.

20 **MR. STALLARD:** Go ahead.

21 **MR. TOWNSEND (by Telephone):** Can you  
22 separate the water modeling prior to Paradise  
23 Point and that part of the world that was  
24 formerly serviced by Hadnot Point and  
25 separated before the skunk in the woodpile

1                   came on board?

2                   **MS. RUCKART:** Are you saying do you want to  
3 know if the water modeling will be different  
4 before Holcomb Boulevard came online and  
5 after, if that's going to be factored in?

6                   **MR. TOWNSEND (by Telephone):** Yes.

7                   **DR. BOVE:** Yeah, sure. We're going to go  
8 back in time. We'll probably go back to, as  
9 far back as Tarawa Terrace if not before that  
10 so that Holcomb Boulevard wasn't around then.  
11 And then the change that occurs with Holcomb  
12 Boulevard and the transfer of water again,  
13 too. All these issues we need to address.  
14 It's much more complicated than Tarawa  
15 Terrace.

16                   **MR. TOWNSEND (by Telephone):** Well, Tarawa  
17 Terrace wasn't on the Hadnot Point water line.

18                   **DR. BOVE:** Yeah, I know. I know. I'm just  
19 saying that -- I didn't say it was. All I'm  
20 saying is that we'll go back in time as far  
21 as, at least as far as we did with Tarawa  
22 Terrace if not further back in time. Okay?

23                   **MR. TOWNSEND (by Telephone):** Yes.

24                   **UPDATE ON CONFERENCE CALL WITH CANCER REGISTRIES**

25                   **MR. STALLARD:** All right, that brings us to

1 the update on the conference call with the  
2 cancer registries.

3 **MS. RUCKART:** Well, last week Frank and I  
4 met with the state cancer registries, and  
5 we've been working with CDC's cancer division,  
6 and they helped facilitate this call. There  
7 were 30 registries present on the call as well  
8 as Frank, myself and the CDC staff in the  
9 cancer group. And the general feeling was  
10 that the state registries were very happy that  
11 we were involving them early on, and that  
12 we're giving them a chance to give some input.  
13 They're very willing to work with us.

14 We were explaining to them that it's a  
15 kind of a two-stage approach. First we have  
16 the health survey. We'll be going to them to  
17 help confirm self-reported cancers. We'll  
18 have informed consent and medical records  
19 release forms which will make it easy for them  
20 or easier for them to help confirm the cases.

21 And then later on there's a  
22 possibility of a cancer incidence data linkage  
23 study. That's a little more complicated  
24 because we won't have informed consent because  
25 we won't be contacting participants. So we're

1           trying to engage with them early on to, if  
2           that process becomes necessary, what can we do  
3           to work with them and get the data we need  
4           from them.

5                        So like I said, the general feeling  
6           was they're glad we're bringing them aboard  
7           early on. They're willing to work with us.  
8           We have shared our protocols with them. And  
9           based on discussions, we will need to tweak  
10          our informed consent to specifically mention  
11          that we will also be seeking confirmation  
12          through cancer registries. Prior to that it  
13          didn't say that. It just said health care  
14          providers and death certificates and stuff  
15          like that. So that was a good suggestion.  
16          And we have a follow-up call scheduled so  
17          we're very encouraged by the way that's  
18          progressing.

19                      **MR. ENSMINGER:** Do you have a list of the  
20          states that participated in that?

21                      **MS. RUCKART:** I do. I think I have it with  
22          me. Let me check real quick.

23                      **DR. BOVE:** Yeah, we do have a list.

24                                They suggested that -- there's this  
25          issue between the state cancer registries and

1 the VA. It came about because of the laptop  
2 that was mislaid or whatever, and so there's  
3 been a lack of communication between state  
4 cancer registries and the VA and a lack of  
5 sharing the data.

6 **MR. BYRON:** Because the state doesn't trust  
7 them.

8 **DR. BOVE:** I think it's maybe the other way  
9 around. The VA doesn't give the data to the  
10 states. But regardless of which direction the  
11 problem is, this is something that we've been  
12 talking with the cancer group about as well.  
13 How could we help facilitate some better  
14 sharing of information between the VA and the  
15 states as part of this effort around Lejeune,  
16 sort of a byproduct, you know, another benefit  
17 of this.

18 And so we're still pursuing that. But  
19 what the state cancer registries said is you  
20 want to go to the VA first to see if you can  
21 confirm these cancers and then come to us. So  
22 we do need to sit down with the VA cancer  
23 registry and the DoD's cancer registry for  
24 that matter because probably that might be the  
25 best thing is to exhaust them first before we

1 go to the states.

2 **MS. RUCKART:** Well, one thing I want to say.  
3 I mentioned that 30 states were on the call,  
4 but first of all other states couldn't be on  
5 the call just because of competing things at  
6 that time. So we're still wanting to work  
7 with all 50 states, and we have gotten some e-  
8 mails from states that couldn't be on the call  
9 because they still got the protocols and the  
10 materials. They'll be included. It's just  
11 that they couldn't make it this time. It  
12 doesn't mean they're not interested.

13 **DR. BOVE:** Well, there's one other thing we  
14 forgot to mention. These states are the  
15 states that are working with the CDC division  
16 which is most cancer registries. There are  
17 about six, seven or eight older cancer  
18 registries --

19 Oh, there's only five?

20 Okay, there's five cancer registries  
21 that are called SEER cancer registries. There  
22 are other SEER cancer registries, too, but  
23 these five are not working, are not part of  
24 the CDC program. They work with NCI, National  
25 Cancer Institute. So we have to set up a

1 separate call for them.

2 Connecticut's one; Hawaii's one. I  
3 can' remember the other three. But we have to  
4 meet with them. We have to meet with the VA  
5 cancer registry. We have to set up a meeting  
6 with the DoD's ACTUR, it's called, cancer  
7 registry. So these are still things we, Perri  
8 and I, have to do.

9 We're going to have a meeting in April  
10 of cancer registry directors. We've been  
11 asked to come and talk about Lejeune there,  
12 have a session. So that's good. So there is  
13 interest. I think because we've involved, as  
14 Perri said, we involved these registries early  
15 in the process, they really like that, and  
16 they're much more interested in working with  
17 us.

18 They'll want money for the effort so  
19 we'll have to find out what their needs are.  
20 Each state has a procedure that we have to  
21 follow to go through their IRB. Some states  
22 will say, well, CDC approved it. We'll  
23 approve it, too. But many will not just do  
24 that. They will want to go through their own  
25 IRB process. So it's still a lengthy process

1 just to get their participation to help  
2 confirm the cancers that are reported to us in  
3 the survey.

4 For the data linkage effort if we  
5 decide to go that route, there's a whole set  
6 of issues there. This has never been done  
7 before in this country, so there are a lot of  
8 issues including the fact that states don't  
9 normally work together on a project like that.  
10 They have worked with the AARP. I was aware  
11 of this before.

12 But just like CDC, cancer registries  
13 will send data to CDC without personal  
14 identifiers. That's not helpful for our  
15 purpose. We need the personal identifier.  
16 They also did the same thing with AARP to look  
17 at either cancer risk among the elderly or  
18 some kind of treatment issue. I can't  
19 remember what it was. Again, but they did not  
20 supply personal identifiers so what you got  
21 were frequencies of the cancers or something  
22 like that.

23 But we want to link the person to the  
24 cancer because the person's where we have the  
25 exposure information and other risk factors



1 that we want to compare. So we need the  
2 personal identifiers. And for that that  
3 changes it entirely.

4 They've never done that, and we think  
5 they should. This should be the first time  
6 they do it. And so we're going to try to keep  
7 pushing this along to see just what are the  
8 obstacles and whether they can be overcome  
9 without legislation, national legislation, or  
10 whatever.

11 **MR. BYRON:** And then you're also going to  
12 try and get the VA in this same meeting,  
13 right?

14 **DR. BOVE:** Well, I think we're going to have  
15 to set up a special --

16 **MR. BYRON:** A separate.

17 **DR. BOVE:** -- meeting. Yeah, one of the  
18 epidemiologists that attended our panel back  
19 in March, was it? His name is Dr. Han Kang,  
20 K-A-N-G. Dr. Kang did many of the Agent  
21 Orange studies and is doing the Gulf War stuff  
22 as well. He approached --

23 How many? Do you remember many cancer  
24 registries?

25 **MS. RUCKART:** Thirty-two.

1           **DR. BOVE:** I think he approached, yeah, he  
2 got some no's from cancer registries. He  
3 approached thirty-some cancer registries for  
4 the Gulf War study. New Jersey, for example,  
5 my old state, anyway, so he's had some  
6 difficulties himself. But he works for the  
7 VA, and so we thought we'd ask him to  
8 intercede. So we haven't talked to him yet.  
9 That's sort of the first approach we'll take  
10 is to see if Dr. Kang can help us sit down  
11 with the VA and see what kinds of issues they  
12 might have.

13           **MS. BRIDGES:** Sandy Bridges. Jerry, you  
14 know Jerry Siegel (ph) with TCE?

15           **MR. ENSMINGER:** Lenny Siegel.

16           **MS. BRIDGES:** Yeah, Lenny Siegel. Well, I  
17 get that notice. Do you get those notices  
18 from him? Did you get one yesterday morning  
19 where they were asking for groups around the  
20 country, different organizations, activists,  
21 whatever, anything pertaining to contamination  
22 to group together? He's asking for  
23 representation from --

24           **MR. ENSMINGER:** ^ yesterday morning.

25           **MS. BRIDGES:** I know. I was in a hurry,

1 too, so I didn't read it real well, but he's  
2 asking for organizations, websites, whatever  
3 groups to join together so that it can work  
4 much better, similar to what you're talking  
5 about. We'll have to read it.

6 ^^^^

7 **UNIDENTIFIED SPEAKER:** He said they're  
8 organizing.

9 **MS. BRIDGES:** Oh, yeah, that's right.  
10 That's exactly what he's doing. So that is  
11 that similar to what you're talking about?

12 **DR. BOVE:** No, no --

13 **MS. BRIDGES:** We're talking about having  
14 more power by going as groups together.

15 **DR. BOVE:** No, I'm a big fan of people  
16 organizing. I used to be a pretty good  
17 organizer. But I'm talking about something a  
18 little different. In order to, we're going to  
19 send out this survey, and people are going to  
20 say they had this cancer or that cancer or  
21 this disease or that disease, right? For  
22 cancers, at least, we want to confirm all  
23 these diseases.

24 So if someone said they had  
25 Parkinson's, we want to get a medical record

1 to confirm that. If they said they had lupus,  
2 we want to have a medical record to confirm.  
3 If they said they had a cancer, well, there  
4 are cancer registries. We may be able to  
5 confirm it easier by going to the cancer  
6 registry where they were, the state where they  
7 were diagnosed.

8 And the state cancer registries are  
9 saying, well, don't do that first. Go to the  
10 VA first and see if you can get it there  
11 because we don't have the VA, if the VA  
12 diagnosed the cancer, the state may not have  
13 that registration, may not know about it.  
14 It's unfortunate.

15 **MR. BYRON:** Yeah, vice versa.

16 **DR. BOVE:** No, well, vice versa, yeah, but  
17 that's unfortunate. The states should know  
18 all the cancers that occurred in their state.  
19 This is a problem so that's what I'm saying.  
20 So they're saying we don't know all the  
21 cancers that were diagnosed in our state.  
22 Sometimes this also occurs in situations with  
23 the tribal nations, too. There's some,  
24 although I think it's nothing like this. This  
25 is really a big problem with the VA right now.

1           **DR. CLAPP (by Telephone):** Frank, I had that  
2           experience in Massachusetts where the VA said,  
3           well, your state law doesn't really apply to  
4           the VA so we're going to have to report. So I  
5           went and talked to them. This was the  
6           director of their cancer registry and said  
7           what you just said which is we really should  
8           see all of the cases for Massachusetts  
9           residents diagnosed in our state so please  
10          send this stuff in. They agreed to do it.  
11          But I think you're right. It's gotten worse.  
12          In a lot of states the VA won't do that. I  
13          know that's the case in West Virginia right  
14          now.

15          **DR. BOVE:** Well, yeah, it's because that  
16          laptop was lost, stolen. I don't remember the  
17          details of that. But since then they've  
18          really, the states are really complaining  
19          about this to the CDC cancer division.

20                 Anyway, so that's what I'm talking  
21          about. I'm talking about finding ways to  
22          verify these self-reported diseases that come  
23          in from the survey. So if you take the  
24          survey, and you say, yes, I have lupus, we  
25          want to be able to confirm that. We'll have

1 to get your medical record. But if you said  
2 you had a cancer, then we will try to get it  
3 confirmed by a cancer registry. It's a little  
4 easier we think. And so that's what I was  
5 talking about.

6 **MR. STALLARD:** I'm curious. So is ATSDR  
7 working through the cancer folks here?

8 **DR. BOVE:** And there's another group that's  
9 -- I forget the name of the group, NAACCR or  
10 something. If necessary, we'll work through  
11 them, but right now we're working, we thought  
12 we'd work with the CDC division first, and if  
13 we have to go through another entity, we'll do  
14 that.

15 **MS. RUCKART:** Well, that's funny. I see  
16 Scott leaving. I was just going to see if he  
17 wanted to give his presentation now, but I  
18 guess there was another topic that Jeff wanted  
19 to bring up.

20 Do you want to take care of that now?

21 **MR. BYRON:** I'm sorry. I was talking to  
22 Sandy.

23 **MS. RUCKART:** Well, basically, we're  
24 finished with the agenda, and there was just  
25 two more things that were not on the agenda.

1 One Scott was going to give a more detailed  
2 update on the stakeholder analysis, and I know  
3 you had something you wanted to bring up. So  
4 I was just seeing who wanted to go next.

5 **MR. BYRON:** Until I remember what it was.

6 **MR. STALLARD:** Okay, well, you have time.

7 All right, Scott.

8 **UPDATE ON STAKEHOLDER ANALYSIS**

9 **MR. WILLIAMS:** I want to apologize. This  
10 update's going to be similar to what I gave  
11 last time.

12 Denita, I don't think you were here so  
13 in this update I actually printed off what I  
14 presented in July.

15 Scott Williams. As you can see we're  
16 up to 108,818 total unique registrations as of  
17 December 15<sup>th</sup>. If you flip back a couple pages  
18 you will see where we were back in July. We  
19 were at 64,960 total registrations. Most of  
20 those were manually put in from the DMDC  
21 database. Oh, it's two-sided as well. We  
22 tried to save some trees when we printed it  
23 out. So I think that's pretty good.

24 Total to date we've had 33,000  
25 inquiries to the call center. That's as of

1 December 10<sup>th</sup>. We responded to 1752 e-mails.  
2 And of the 49,000 DMDC registrants that we  
3 manually put into the database, you know, we  
4 send them letters, and we've done outreach to  
5 those guys. And we've had almost 11,000 come  
6 back and update their information and, you  
7 know, and put update information which is  
8 almost 25 percent of the population. That's  
9 pretty good.

10 And to date, accounting for some of  
11 the overlap, we've sent out 221,000 direct  
12 notification letters. This includes an IRS  
13 mailing, and the people who have come to our  
14 website and registered, and then we send them  
15 a notification letter. Even though they might  
16 hear about us through mass media, we still  
17 send them a notification letter after they  
18 give us their address because the  
19 Congressional mandate says directly notify as  
20 many people as possible. So even though they  
21 might come to us through friends and families  
22 or other media outreach, we go ahead and send  
23 them a notification letter.

24 The next part of this is just update  
25 information. I'm not going to read through it



1 all based on what I presented last time except  
2 for the first two items. The retired general  
3 officers, just this past month we mailed  
4 letters and brochures to 365 retired general  
5 officers. And I have examples of what we sent  
6 out here, I'll pass out -- to include a  
7 brochure that was included, and I have a copy  
8 of that as well. I have only three copies, so  
9 you guys can pass this around.

10 **MR. TOWNSEND (by Telephone):** Just what  
11 questions were asked of the general officers?

12 **MR. WILLIAMS:** There were no questions  
13 asked. It was a general information letter  
14 that said, hey, basically said when they would  
15 go to their engagements or, you know, speaking  
16 engagements, they could pass the information  
17 out if they felt the need to, and we gave them  
18 a brochure with information it where they  
19 could get more information. So it was an  
20 information push, not an inquiry.

21 **MR. TOWNSEND (by Telephone):** Information  
22 about the contamination.

23 **MR. WILLIAMS:** Yes, sir.

24 **MR. TOWNSEND (by Telephone):** And this is  
25 going to the Commandant of the Marine Corps

1 for the last 15 or 20 years and there's still  
2 nothing going on?

3 **MR. WILLIAMS:** These are retired general  
4 officers. I'm assuming some of them may have  
5 been commandants.

6 **MR. TOWNSEND (by Telephone):** Absolutely.

7 **MR. STALLARD:** Is there a way that any of  
8 these documents could be provided so that Tom,  
9 who's on the telephone...

10 **MR. WILLIAMS:** Yeah, I mean, it's for public  
11 consumption, so I mean, you can copy these and  
12 then do whatever you will with them. Another  
13 note is that that actual brochure, we're going  
14 to start sending that out with all of our  
15 notification letters.

16 **MS. RUCKART:** I think the question was can  
17 you supply it to us electronically so we can  
18 get it to Tom and Mike because they couldn't  
19 be here in person.

20 **MR. WILLIAMS:** I'll scan and e-mail it to  
21 you or you can scan and e-mail it.

22 **MS. RUCKART:** You don't have this  
23 electronically already?

24 **MR. WILLIAMS:** No.

25 **DR. BOVE:** Okay, we'll scan it.



1 Yahoo and the Google and the IRS letters,  
2 note, you can see we've, our advertisement has  
3 popped up on Yahoo, yeah, the second pages  
4 just above keeping contact information  
5 current. We've had our ad show up on Yahoo  
6 874,000 times, really 875,000 times, and we've  
7 had 6,128 clicks which is 0.7 percent.

8 As you can see the last update in July  
9 we hadn't engaged Google yet. Google has  
10 caught up and passed Yahoo. The ad has popped  
11 up 1,479,000 times with 2,000 clicks for a  
12 percentage of about 0.14. And as you probably  
13 know we sent out approximately 150,000 letters  
14 through the IRS.

15 ^^^

16 **MR. WILLIAMS:** Because that's how many we  
17 got out of the database. The database had  
18 about 200 and --

19 **DR. BOVE:** Ten.

20 **MR. WILLIAMS:** -- 210,000, but once we ran  
21 it through the postal service, I guess a  
22 contractor or a program called CSI,  
23 Continental Services Incorporated, and they  
24 looked at those addresses and told us which  
25 ones were good addresses, we manually put

1 those in the database.

2 The rest of the persons in the DMDC  
3 database, we took their social and just sent  
4 their social and their social only to the IRS.  
5 And then they sent a letter on our behalf to  
6 the last known address, which I think was your  
7 suggestion a couple of years ago. That  
8 worked.

9 Okay, you can flip to the first pie  
10 chart now. You guys can look at this at your  
11 leisure, but I provided the pie chart as it  
12 stands today or actually as of 30 November.  
13 And the next couple pages you can look at what  
14 I presented in July and look at the way the  
15 pie chart looked six months ago. And you can  
16 just see the percentage differences. As you  
17 can see now no more than 58 percent of our  
18 database population came from the IRS  
19 notifications.

20 **MR. BYRON:** Is that other 20 percent, is  
21 that family and friends?

22 **MR. WILLIAMS:** Are you looking at the new  
23 one?

24 **MR. BYRON:** The new one's, I guess, 32?

25 **MS. RUCKART:** This is the old one.

1           **MR. BYRON:** It's the old one. I'm sorry.

2           **MR. WILLIAMS:** Now you can keep flipping  
3 forward and flip pass a second pie chart, and  
4 you'll see I have two summaries here for the  
5 two stakeholder outreach reports that are  
6 being developed. And it kind of gives an  
7 overview of exactly what we did and how the  
8 stakeholder analysis was conducted. And I had  
9 my contractor provide bullets that helps you  
10 guys understand how you were included in the  
11 process and where you fit.

12           **DR. BOVE:** It says Marine Corps Camp Lejeune  
13 Water Registry Research.

14           **MR. WILLIAMS:** Did you find it?

15                       Well anyway, I'm not going to read  
16 this to you. You can read it at your leisure.  
17 If you have any questions, I guess you can ask  
18 me offline. But this is just a pretty good  
19 summary of exactly what we did and how things  
20 worked, how the process works.

21                       And if you flip to the very last page,  
22 this is kind of a biography for Gerry  
23 Chervinsky. He's the president of  
24 KRC/Communications Research. And this is the  
25 guy, it was his company that actually did the

1 phone surveys. I saw on some of your  
2 websites, I guess, there were some people  
3 calling. You didn't know exactly why.

4 This will give you an example of the  
5 work this guy's done, and he has an impeccable  
6 reputation. But his bank of callers, they  
7 don't know who they're working for. So I  
8 think somebody called and said who are you  
9 working for, and they couldn't tell you, and  
10 so they didn't participate.

11 There's a reason that you don't want  
12 the guys doing the survey to be biased because  
13 they know who they're working for. So they  
14 don't know who they're working for. But this  
15 is the guy that we subcontracted through to do  
16 this survey, Gerry Chervinsky.

17 Anyway, that's that and my update.

18 **MR. BYRON:** One question.

19 **MR. WILLIAMS:** Yes, sir.

20 **MR. BYRON:** I know you guys said you were  
21 trying to get the Commandant to sign this, but  
22 I still see it's made out for a two-star  
23 general, not four.

24 **MS. SIMMONS:** That's not the same letter.

25 **MR. BYRON:** That's not the same letter?

1           **MS. SIMMONS:** No, this is just --

2           **MR. WILLIAMS:** That's an example letter. It  
3 doesn't have, you know, we had to follow  
4 protocol. When you send out a letter to  
5 generals, it comes from a general so it's on  
6 two-star letterhead. General Payne wrote that  
7 letter to 365 individual retired generals.

8           **MR. ENSMINGER:** Well, no, the question is  
9 why didn't the Commandant sign the letter for  
10 these 360 retired generals?

11          **MR. BYRON:** That's what we've been fighting  
12 for for I think the last three meetings.

13          **MR. WILLIAMS:** General Payne came up with  
14 this idea. I think it's a great idea, and I  
15 think this is good news. It was his  
16 initiative. He did it on his own, and I think  
17 it's a good thing.

18          **MS. RUCKART:** I think there's some confusion  
19 here because the letters that we've all been  
20 talking about wanting the Commandant to sign  
21 is completely separate --

22          **MR. ENSMINGER:** No, no, no, I understand  
23 that. I understand that.

24          **MS. RUCKART:** I'm not sure others do.

25          **MR. ENSMINGER:** You know, if the Commandant



1 truly is concerned, why didn't he come out  
2 with this stuff?

3 **MR. WILLIAMS:** I have not spoken to the  
4 Commandant.

5 **MR. ENSMINGER:** General Payne talks to  
6 General Conway.

7 I have another question.

8 **MR. BYRON:** Like I say, General Payne  
9 probably didn't think he needed to go to the  
10 Commandant. He could do it on his own, so he  
11 did.

12 **MR. ENSMINGER:** Yeah, he can, but --

13 **MR. WILLIAMS:** But this was no easy task. I  
14 think this was a good thing.

15 **MR. ENSMINGER:** Never mind.

16 **MR. BYRON:** Okay, but the follow-up letter  
17 we hope is coming from the Commandant and that  
18 the 365 generals, I guess, get it, too, I  
19 would assume. I mean, everybody's supposed to  
20 get it, aren't they, that's going to take the  
21 survey?

22 **MS. SIMMONS:** We hope so.

23 **MR. WILLIAMS:** The generals that receive  
24 this letter and then come back and register,  
25 yes, they would get the survey, and the goal

1 is to have the Commandant sign it, correct.

2 **MR. ENSMINGER:** I had a question. I missed  
3 your beginning with the breakdown of these  
4 numbers. You get 108,818 total registrations?

5 **MR. WILLIAMS:** Those are unique. So we have  
6 probably 130,000 in the database, but they  
7 verify all the people who come and try to  
8 register. And we know that we have 108,  
9 almost 109,000 unique registrants.

10 **MR. ENSMINGER:** Now, what's the 49,176  
11 registrations from DMDC database?

12 **MR. WILLIAMS:** This is, the DMDC database  
13 had 210,000, right?

14 **MR. ENSMINGER:** Okay.

15 **MR. WILLIAMS:** So we took all those names  
16 and addresses and information, some of them  
17 had addresses, some of them -- I think most of  
18 them did. We ran them through the postal  
19 service. This is the Continental Services  
20 Incorporated.

21 **MR. ENSMINGER:** So they came up with 49,000  
22 good ones.

23 **MR. WILLIAMS:** Right, and they said we think  
24 these 49,000 addresses are good. So we  
25 manually put those in the database, and then

1 sent those guys a notification letter. And  
2 the 150,000-ish remaining, we took the  
3 socials, sent it to the IRS, used the Project  
4 753 program, and they mailed the letter on our  
5 behalf.

6 **MR. ENSMINGER:** Okay, now, the 10,983 DMDC  
7 registrations updated. What's that mean?

8 **MR. WILLIAMS:** That means once we manually  
9 put them in the database, we sent them a  
10 letter. We also sent them a postcard  
11 reminding them to come back and update their  
12 address. The 11,000 of the 49,000 have since  
13 come back and updated their information.

14 **MR. ENSMINGER:** Okay, now, out of the  
15 108,818 that you have total registrations on  
16 your website, how many of them are actual  
17 names out of that 210,000 that you have in the  
18 DMDC?

19 **MR. WILLIAMS:** We'd have to go back and  
20 ferret out how many people just came to the  
21 website on their own or through media outreach  
22 that weren't included in that '75 to '85  
23 range. That can be done, but I've not done  
24 it. I could take it for action if you want me  
25 to.

1                   **UNIDENTIFIED SPEAKER:** ^ the children of  
2 people on the DMDC database.

3                   **MR. WILLIAMS:** Right. It could have been  
4 anybody who was interested.

5                   **MR. ENSMINGER:** No, but I'm talking about  
6 the actual people, the actual name, the actual  
7 sponsor, the Marine, the sailor or --

8                   **MR. WILLIAMS:** I know what you're saying.

9                   **MR. ENSMINGER:** -- service member.

10                  **MR. WILLIAMS:** I think that we can glean  
11 that information, but I just haven't done it  
12 yet.

13                  **MR. ENSMINGER:** I mean, that's going to give  
14 us an idea on participation.

15                  **MR. STALLARD:** Yes, go ahead, Tom.

16                  **MR. TOWNSEND (by Telephone):** Does a member  
17 sitting there have a paper that goes to this  
18 mathematical computation of adds and drops and  
19 all this stuff if somebody can figure out what  
20 the hell's going on?

21                  **DR. BOVE:** Scott said that he will give us  
22 an idea of how many of the DMDC people have  
23 registered. This is, again, Jerry's right.  
24 It would give us some handle on participation  
25 although this isn't the survey. This is the

1 registration process. So things may be  
2 different because it takes a bigger effort to  
3 fill out a survey than to just come back with  
4 an address. But it will give us some idea.

5 **MS. RUCKART:** Also, we're going to be using  
6 intensive efforts to locate people which they  
7 were not able to do --

8 **DR. BOVE:** And we're also hoping that the  
9 Commandant will be signing these letters so  
10 there'll be a different situation. But we  
11 could get a handle, some handle, on what the  
12 possible, potential participation --

13 **MR. TOWNSEND (by Telephone):** I'm interested  
14 in the numbers and the names of the groups  
15 they represent to see what this slight-of-hand  
16 Ponzi scheme is doing.

17 **MR. WILLIAMS:** Well, Tom, just to let you  
18 know, we don't throw any records away. So  
19 when, if you register, and some people have  
20 registered nine times. I mean, those stay in  
21 the database. They go into what's called a  
22 duplicate file. So if one person tries to  
23 register nine times, we keep the original and  
24 then the other nine go to the duplicate file.  
25 So there won't be any drops or adds. There's

1 a field in the database to identify a person  
2 when they're deemed to be unique.

3 **MR. ENSMINGER:** And if you've noticed, we  
4 have recommended the members and the people on  
5 our site to go to your site and register.

6 **MR. WILLIAMS:** And I appreciate that.

7 **MR. ENSMINGER:** I can't help what them  
8 others do over there.

9 **MS. McCALL:** We've asked them, we've asked  
10 the other website to not recommend to their  
11 subscribers to submit their information to the  
12 ATSDR because, but they refuse to do it, and I  
13 don't know why. But I think they're really  
14 hampering this situation and this effort.

15 And if somebody could come out and  
16 say, you know, not me or Jerry or Jeff, could  
17 come out and say please register directly with  
18 the Marine Corps. Do not submit the  
19 information to ATSDR because ATSDR is not  
20 equipped to handle this amount and this  
21 volume. I mean, we've laid it out in plain  
22 English, but for some reason they're standing  
23 their ground and I think it's a huge problem.

24 **MR. ENSMINGER:** Because it's their only damn  
25 claim to fame. The only thing they've got to

1 say.

2 **DR. BOVE:** We have talked with them, and we  
3 pointed out there should be no problem with  
4 registering with the Marine Corps. They don't  
5 give up any of their rights and so on. But  
6 they claim that a lawyer has told them  
7 otherwise, so there you are. And we told them  
8 it was difficult for us. We don't have the  
9 capacity for this, and then we send the names  
10 over to the Marine Corps anyway. So I was  
11 unsuccessful in convincing them. I don't know  
12 who will be successful in convincing them. We  
13 have tried. We've tried.

14 **MR. WILLIAMS:** But, Denita, I'm glad you  
15 brought that up because I listened in on the  
16 last CAP call you had, and I heard you guys  
17 discuss this. The issue other than personnel  
18 issues for Frank, it's not that we're going to  
19 miss anybody.

20 I mean, they send us all the names,  
21 and we put them into the database. It's the  
22 metrics of tracking it. In other words, we  
23 won't be able to see when that spike came in,  
24 or we won't be able to track how because when  
25 we manually put them in the database, we just

1 put them in as call center as if they'd  
2 phoned.

3 **MS. McCALL:** Okay, well, these people claim  
4 that Frank specifically says go ahead and send  
5 me your information. It is okay with ATSDR  
6 for you --

7 **DR. BOVE:** What I said to them, what I said  
8 to them was, okay, if you're not going to send  
9 it to the Marine Corps -- and I kept  
10 reiterating that there's no problem with it.  
11 You're not giving up any rights, and there's  
12 no reason why you shouldn't encourage people -  
13 - then I said if you're not going to do that,  
14 then by all means send it to us. That's how I  
15 said it.

16 It got interpreted as -- well, I mean,  
17 the person I was talking to said, well, I hate  
18 to be told I'm wrong. And I said, well, I  
19 hate to say this, but you are wrong. There's  
20 no legal problem with giving your name to the  
21 Marine Corps. And then she admitted that,  
22 yes, she was wrong. So I thought that I had  
23 been successful in communicating that. And  
24 then I heard from, I have yet to look at their  
25 website, but I heard that up on the website it



1 says that I say it's okay to send stuff to us.

2 **MS. RUCKART:** It says that. I verified  
3 that.

4 **DR. BOVE:** And I guess you can interpret  
5 what I said that way. What I said was if you  
6 refuse to send it to the Marine Corps, then  
7 you can send it to us. So if people are so  
8 afraid to send their name to the Marine Corps,  
9 I don't want to lose these people so I said  
10 then send it to us. But I reiterated over and  
11 over again we don't have the capability to  
12 handle this.

13 **MS. SIMMONS:** And the Marine Corps gets it  
14 anyway.

15 **DR. BOVE:** Right, and the Marine Corps gets  
16 it anyway, absolutely.

17 **MS. RUCKART:** Well, at the very end of the  
18 month I send all of them over to the Marine  
19 Corps to the call center e-mail, but if people  
20 are very interested in knowing which ones come  
21 from ATSDR, could you add a variable? Like  
22 you have all these groups. Could it be ATSDR  
23 sent it to us?

24 **MS. McCALL:** Perri, I really think that the  
25 ATSDR needs to put their foot down and say if

1           you are interested in this issue, then you  
2           must register with the Marine Corps. We will  
3           no longer be able to help you out with it.  
4           I'm not going to help you out. If you want to  
5           register, register with the Marine Corps and  
6           do not send us your information. You need to  
7           put your foot down because dancing around the  
8           subject is giving them leeway to interpret  
9           what you say as it's okay to do whatever you  
10          like.

11          **MR. WILLIAMS:** My concern is that people  
12          will go to that website and then be  
13          discouraged altogether from registering, and  
14          not only would they not register with us, they  
15          won't send an e-mail to ATSDR and then you're  
16          going to lose people.

17          **DR. BOVE:** Let me ask you a question. I've  
18          been working with the public and working with  
19          both websites over time. I want to make sure  
20          that everyone gets included. If it means that  
21          they send it to us, then we'll deal with it.  
22          We answer phone calls from these people all  
23          the time as well. And we get calls from all  
24          kinds of people. It does take an effort, but  
25          we do it, and I don't want to lose anybody

1 because they're worried about whatever.

2 **MS. McCALL:** Frank, at some point are you  
3 not going to be able to handle these phone  
4 calls and these e-mails? Is there some point  
5 where there are going to be so many that you  
6 won't even be able to handle them? Is there  
7 going to be a point?

8 **DR. BOVE:** Well, that's when we'll get a  
9 contractor in. I think when we do the survey  
10 for sure we're going to get deluged with phone  
11 calls -- as you will, too -- and --

12 **MS. McCALL:** Then it only makes sense to  
13 stop it now.

14 **DR. BOVE:** Well, no, that won't stop it.  
15 That won't stop anything. It won't stop  
16 anything.

17 **DR. SINKS:** Let me just paint maybe a bigger  
18 picture issue on this. This is Tom Sinks. It  
19 seems to me that there are a variety of  
20 purposes that the CAP is dealing with, and we  
21 are dealing with and the Marines are dealing  
22 with their community outreach, education and  
23 quality science are the ones that come to my  
24 mind.

25 The biggest priority for our agency,

1 I'm going to put the science first, maybe  
2 because I'm a scientist, but that's what I'm  
3 going to put first, and I think Frank's  
4 message is based on the science which is  
5 follow up, follow up, follow up. The higher  
6 our percent of follow up, the better our  
7 science is going to be.

8 And if we do anything that shuts off  
9 that follow up -- I have no idea what  
10 percentage of these people are involved -- but  
11 if we're talking five or ten percent of the  
12 people who may not be included because of some  
13 squirrely site or whatever, we want to make  
14 sure -- I apologize to whoever I'm calling a  
15 squirrely site because I don't know.

16 But I'm just saying, we want to make  
17 sure the science is good. So I don't think we  
18 should be trying to tell Marines, ex-Marines,  
19 what we will or what we won't do. But maybe  
20 it's something we do more effectively through  
21 this advocacy group.

22 And I don't know the group, but  
23 perhaps send them a letter formally that says  
24 we are concerned that your efforts will  
25 adversely affect the science and the

1           communications and the education that needs to  
2           go. And we want to help you to do the best  
3           job you can. And we think the best job we can  
4           do is the following, and see if they'll buy  
5           that, and maybe that's the way to do this. I  
6           wouldn't want to cut Frank off or anybody off  
7           just because, you know, it can't be that hard  
8           for us to just bundle a bunch of stuff up and  
9           send it off to the Marines.

10           **MR. BYRON:** The issue came up as far as  
11           expediency entirely. And all you will see on  
12           that website is that they want action. Well,  
13           if they want action, they have to participate  
14           by taking action. So I guess, I find it  
15           really sad that we have to discuss websites  
16           really because we all want every Marine who  
17           was there to be a participant no matter what  
18           their paranoia may be. But the point is, is  
19           somebody needs, I mean, at least try to make  
20           one more contact. It's not going to happen  
21           through me. I guarantee you that, but at  
22           least come through ATSDR --

23           **DR. SINKS:** And possibly DoD.

24           **DR. BOVE:** First of all, it will not --

25           **MR. ENSMINGER:** ^.

1           **DR. BOVE:** -- yeah, I think I agree with  
2 Jerry because it will not affect our studies.  
3 We have a different mechanism altogether, and  
4 so it shouldn't affect the studies. And I  
5 really do want to -- I know that there's  
6 problems between the two websites, and I don't  
7 want to, I want to be able to work with both.

8           **MR. ENSMINGER:** That ain't a problem with me  
9 --

10          **DR. BOVE:** All right.

11          **MR. ENSMINGER:** -- I don't talk to them.

12          **DR. BOVE:** That's my point.

13          **MR. ENSMINGER:** Dr. Sinks had the right  
14 animal. He just had the wrong thing. It's  
15 what they eat.

16          **DR. BOVE:** So anyway, so I'm going to  
17 attempt to be available for all, everyone and  
18 continue that.

19          **MR. ENSMINGER:** You need to be.

20          **DR. BOVE:** Yeah, I need to be. I think if  
21 the CAP wants to take a step in contacting  
22 that website and making it, that's totally  
23 appropriate, but I don't think my agency  
24 should do that. I think my agency should be  
25 open to following the science.

1                   **MR. TOWNSEND (by Telephone):** Frank? Dr.  
2 Bove?

3                   **DR. BOVE:** Yes.

4                   **MR. TOWNSEND (by Telephone):** Tom. Speaking  
5 of following the science, are you ever going  
6 to expand the listing of adverse effects that  
7 ^ . In the past you've told me if you didn't  
8 meet your minimum standard of ten episodes  
9 that you fall out of the study. Is that still  
10 valid?

11                   **MS. RUCKART:** I think what Tom's talking  
12 about is at a previous meeting we presented a  
13 ^ table, some of the expected cases. And we  
14 have said if we don't expect at least ten  
15 cases of a disease, we will be less likely to  
16 pursue that.

17                                   But in the health survey we do ask  
18 about a lot of conditions specifically, but we  
19 also have a catch-all question for people to  
20 report anything else they're interested in.  
21 So that way we will be capturing information  
22 on any condition you'd like to let us know  
23 about.

24                   **MR. TOWNSEND (by Telephone):** I'm referring  
25 to a specific episode that you expected to

1           have ten heads and you only got six so the  
2           whole thing dropped.

3           **DR. BOVE:** Well, I know what you're talking  
4           about. You're talking about the heart defects  
5           during the survey where --

6           **MR. TOWNSEND (by Telephone):** ^

7           **DR. BOVE:** Yeah, we could see clearly that  
8           we were under ascertaining, weren't  
9           identifying most of them. So when you're not  
10          identifying most of them, it's very hard to do  
11          a study that will have any credibility  
12          whatsoever by including them. So that's why.  
13          We knew that we -- the survey is a poor way I  
14          should say of trying to identify these cases,  
15          but it was the only way. But when we could  
16          see that we obviously weren't identifying the  
17          cases, we're missing probably two-thirds or  
18          more, then you really can't do a study with  
19          any credibility.

20                         With the mortality study we shouldn't  
21                         miss any, or hardly any, deaths and the causes  
22                         of those deaths. In the health survey, on the  
23                         other hand, we may miss, and that would be  
24                         because people either don't participate or  
25                         they participate but we can't confirm their



1 diagnoses that they're reporting for some  
2 reason.

3 And then there's the issue of people  
4 who think they're unexposed or people from  
5 Pendleton, for example, who might think why am  
6 I bothering with this or don't have an urgent  
7 issue. They may underreport. They may not  
8 even report diseases that they have. That's a  
9 problem as well.

10 So a survey does have these issues.  
11 There's nothing we can do about that. That's  
12 the nature of the beast. But for the  
13 mortality study it's not a problem. But for  
14 the current case control study, we made that  
15 decision because first of all we have small  
16 numbers of heart defects to begin with. But  
17 secondly, we knew we were missing most of  
18 them.

19 **MR. TOWNSEND (by Telephone):** These  
20 mortality studies pick up on deaths in  
21 military hospitals?

22 **DR. BOVE:** Mortality studies will pick up  
23 all deaths in that cohort.

24 **MR. TOWNSEND (by Telephone):** Well, if your  
25 child died in a military --

1           **DR. BOVE:** No, your child would not be in  
2 this study. Your child is not in the  
3 mortality study. The mortality study consists  
4 of the active duty Marines. There's 210,000  
5 minus those who started before '75 because we  
6 don't know where they were when they started.  
7 So that's about --

8           **MR. TOWNSEND (by Telephone):** What about  
9 dependents, Frank?

10          **DR. BOVE:** Dependents are not part of the  
11 mortality study. So the dependents would be  
12 part of the survey. And if they died, then  
13 we'd have to find that out; that's right. We  
14 could find that out by doing the same thing  
15 that we're doing with the mortality study,  
16 which is if we're finding that we're missing  
17 some people, we may decide just to send their  
18 names to, if we have enough information, the  
19 same thing we did with the mortality study we  
20 could do which is we would send their social  
21 security number and their name and date of  
22 birth to the Social Security Administration  
23 database to find out if they're alive or dead.  
24 If we find out that they're dead, then we send  
25 their information, then we send that same

1 information to the National Death Index and  
2 get their cause of death. So, yes, we could  
3 find out that.

4 **MS. RUCKART:** That is the plan because the  
5 mortality study will --

6 **DR. BOVE:** Don't include dependents, so this  
7 is what we have to do for dependents.

8 We haven't really talked about this so  
9 I'm glad you brought it up, but for those who  
10 are not part of the mortality study, if we do  
11 not get a survey back from them, we may decide  
12 to do this to see if they're alive or dead  
13 because it shouldn't cost that much more. But  
14 this is something we need to work out.

15 Again, the survey is very complicated,  
16 and every time we think about it there's a new  
17 wrinkle. And so, again, I'm glad you brought  
18 this up because we're going to have to address  
19 this. There are other things we also may have  
20 to do to see if the person is alive or dead.

21 **MS. RUCKART:** You're just talking about the  
22 '99-2002 survey population then?

23 **DR. BOVE:** No, no, because --

24 **MS. RUCKART:** The dependents who --

25 **DR. BOVE:** -- besides dependents -- there's

1 a difference between the two studies in terms  
2 of who's in the study population. For the  
3 mortality study, as I said, we start off with  
4 210,000 active duty Marines, but we have to  
5 subtract from that group those people who  
6 started before June '75. Because if they  
7 started before June '75, they started active  
8 duty before then, we don't know where they  
9 were stationed during that time just from the  
10 personnel records that the DMDC has.

11 So we're limiting the mortality study  
12 to about 160, 170,000. We don't know the  
13 exact number yet of the active duty. But for  
14 the survey we don't have to rely on just the  
15 personnel records for information. We can ask  
16 the people where they were stationed so we can  
17 include everybody, all 210,000 of those active  
18 duty Marines in the survey.

19 So the difference between those two,  
20 which we think are maybe around 130, 140, 000  
21 but we're not sure yet until we get the data,  
22 will be people we, that were part of the  
23 mortality study that we do need to check to  
24 see if they're alive or dead.

25 **MS. RUCKART:** But as far as dependents we

1 will only have the '99 to '02 survey.

2 **DR. BOVE:** We'll have to go through the same  
3 process again.

4 **MS. RUCKART:** Which we could do that. We  
5 won't have any other information on dependents  
6 except those who register. But we have, I  
7 mean, isn't there something on your website  
8 that tells people every family member needs to  
9 register separately so someone could register  
10 a deceased family member and fill out a survey  
11 for a deceased family member.

12 **DR. BOVE:** Okay, but --

13 **MR. TOWNSEND (by Telephone):** If I apply to  
14 a state and I find out if I'm on their death  
15 registry, my child?

16 **DR. BOVE:** I missed the question.

17 **MR. BYRON:** He wants to know whether or not  
18 he can find out from his state whether his  
19 child is on the state death registry.

20 **MR. ENSMINGER:** No, any state.

21 **DR. CLAPP (by Telephone):** Yes, this is  
22 Dick. He should be able to do that.

23 **DR. BOVE:** Yeah, yeah, I didn't understand  
24 the question, okay, yeah, absolutely.

25 **MS. BRIDGES:** If you don't apply, if a

1 family doesn't apply for that \$250 death  
2 benefit, or if the Social Security  
3 Administration's not notified that that person  
4 died, if they don't have a will that's gone  
5 through probate, it's not going to show that  
6 they're dead.

7 **DR. BOVE:** We're going to use a couple  
8 different databases so that we'll have close  
9 to -- we're going to use -- there are two  
10 different routes to go for doing this kind of  
11 work. One is to send all the names to the  
12 National Death Index, but it's extremely  
13 costly.

14 You can mimic, you can get the same  
15 kind of results by using a cheaper route, and  
16 that's what most mortality studies do using  
17 the Social Security Administration database, a  
18 VA database and -- what was the third one?  
19 There's one other one, but those are the two  
20 main ones. And that will tell you whether the  
21 person's alive or dead or unknown.

22 If their status is unknown, then that  
23 smaller group of unknown could be sent to the  
24 National Death Index, and that would be cost  
25 effective then because you've gotten an idea

1 if most of the people were alive or dead.  
2 It's only a smaller group that you really  
3 don't know, and the National Death Index  
4 should deal with that issue.

5 **MS. RUCKART:** But Frank's only talking about  
6 people that we have information from the DMDC  
7 database, active duty --

8 **DR. BOVE:** Yeah, this is the mortality  
9 study.

10 **MS. RUCKART:** -- I think the point is -- and  
11 I think this is what Tom is wanting to really  
12 get at -- when people register, they should go  
13 ahead and register for deceased members of  
14 their family because we are not otherwise  
15 going to know about those people because they  
16 weren't the former duty or --

17 **DR. BOVE:** Perri, we need to talk about this  
18 some more, but what I'm trying to say is this.  
19 That we can send the dependents' information  
20 and the additional active duty people who  
21 weren't in the mortality study, we could send  
22 them through the same process we do for the  
23 mortality study if we have enough information  
24 on them.

25 Now, we will for the active duty. For

1 the dependents it really depends on whether we  
2 have social security number on them or not or  
3 whether we can get away with just date of  
4 birth and name on this search. So these are  
5 things we have to work out.

6 **MR. TOWNSEND (by Telephone):** There are two  
7 things before we leave this. Many infants  
8 died at Camp Lejeune that do not have social  
9 security numbers. And two, the questions  
10 about their death are not asked for on the  
11 Marine Corps site.

12 **DR. BOVE:** Right, okay.

13 **MS. RUCKART:** But you could go ahead and  
14 register deceased members of your family if  
15 you would like to.

16 **DR. BOVE:** Perri's right. You can do that.  
17 We'll use any information we can, we get. But  
18 I think that we have to have a more formal  
19 process for determining if people are alive or  
20 dead even for the health survey, and that's  
21 why I'm suggesting is we use the same process  
22 we're using for the mortality study as long as  
23 we have enough information.

24 There will be people who will be  
25 missed in the health survey. The health



1 survey's not going to be foolproof. We're  
2 going to miss, some people aren't going to  
3 participate. People are going to tell us  
4 about diseases that we can't verify. People  
5 may not report diseases that they do have.

6 This is the nature of a survey. This  
7 is the problems with a survey. You can do a  
8 lot of things with a survey, but the survey  
9 also has major limitations to it, and these  
10 are some of them. But what we can do is try  
11 to use a similar approach, as I said, with the  
12 mortality study, at least identify who might  
13 be alive or dead. And if we have enough  
14 information we should be able to do that for  
15 most people.

16 **MR. TOWNSEND (by Telephone):** Well, how  
17 about sending a how-to-do-it letter, Frank?

18 **DR. BOVE:** Send out a what?

19 **MR. TOWNSEND (by Telephone):** How to do it.

20 **DR. BOVE:** How to do what?

21 **MR. TOWNSEND (by Telephone):** Some details  
22 and let us out in the field answer the  
23 questions.

24 **DR. BOVE:** We ask for each cancer and other  
25 diseases that we're interested in the survey,

1 we ask for a whole slew of information. So --

2 **MR. TOWNSEND (by Telephone):** You ask the  
3 former active duty men and women, not the ^  
4 retired people.

5 **MS. RUCKART:** If you register with the  
6 Marine Corps, you will get a survey regardless  
7 of when you were first stationed there. And  
8 if you register deceased members of your  
9 family, you can fill out a survey on their  
10 behalf as well.

11 **MR. TOWNSEND (by Telephone):** They didn't  
12 ask for my family. They asked for my name,  
13 address and telephone number.

14 **MS. RUCKART:** Okay, well, at some point we  
15 realized that and so the Marines updated their  
16 website to specifically mention that all the  
17 family members needed to be registered  
18 separately. So if that happened after you  
19 registered, you should go back on there now  
20 and register your other family members.

21 **MR. TOWNSEND (by Telephone):** Gotcha.

22 **DR. BOVE:** But as I was saying, for the  
23 study population identified by either the DMDC  
24 data or the ATSDR survey, we will try to find  
25 out whether they're alive or dead through the

1 same process that we're using for the  
2 mortality study. Because that's the group  
3 we're going to make inferences from, and I  
4 just want to make that clear.

5 **DR. CLAPP (by Telephone):** This is Dick. I  
6 have to sign off now. I have a class or  
7 assembly. I have to give them their final  
8 exam. Have a good holiday, everybody.

9 **MR. STALLARD:** Thanks for joining us.

10 **WRAP-UP**

11 Okay, we're at the point on the agenda  
12 where we need to talk about next steps.  
13 Before we go on I'm going to do something a  
14 little impromptu. We started out with our  
15 achieved, and then we had a pretty robust  
16 dialogue today. So how would you gauge the,  
17 if you will, success of our meeting today?

18 **MR. ENSMINGER:** I think we need to wait and  
19 see. Let's see what the Department of Health  
20 Assessments and Consultations does with the  
21 recommendations that were made to them about  
22 the public health assessment. See if any of  
23 that sunk in. I believe it did. I believe  
24 there will be changes made to it, and that's  
25 good. This was an issue that's, as Tom stated

1 earlier, has been a sore spot for a long time.  
2 And I have to give Denita all the credit for  
3 resurfacing this thing at this time. Good  
4 deal.

5 **MR. STALLARD:** Well, there is a process, and  
6 it's called a site review and update. And so  
7 they will be pursuing that in terms of  
8 addressing this issue as I understand it. So  
9 we can look to updates --

10 **MR. ENSMINGER:** And I hope they stay in  
11 touch with, I hope they stay in touch with us  
12 about this thing because there's some of us  
13 that know more about that thing, I think, than  
14 they do.

15 **MR. STALLARD:** Okay, then, let's go ahead,  
16 next meeting.

17 Did you remember what it is you wanted  
18 to talk about?

19 **MR. BYRON:** Actually, I did remember. I  
20 never did really forget it. I just wasn't  
21 sure whether I wanted to bring it up at this  
22 time, and I'm going to table it until the next  
23 meeting.

24 **MR. STALLARD:** Okay.

25 I heard from the group that you wanted

1 to look at a meeting that would coincide with  
2 just prior to the expert panel water, right?  
3 We don't have a firm data on that so we're  
4 looking tentatively, what?

5 **MS. RUCKART:** Well, their meeting is  
6 tentatively planned for the end of March, so I  
7 guess if you're talking about meeting right  
8 before then, it would be mid-March.

9 **DR. BOVE:** Can I ask a question? Why do you  
10 want to meet before the expert panel? A  
11 couple things are happening in April. The NAS  
12 panel's going to be issuing its report. The  
13 expert panel would have met hopefully. We'll  
14 know better about what's going on with the  
15 DMDC data, the OMB situation and all.

16 So, I mean, we could meet in March.  
17 I'm just nervous that we may not have a whole  
18 lot to say at that point given all these ifs,  
19 ands and buts floating around. Like what will  
20 the NAS actually say. What will, you know, we  
21 won't know about where OMB is until after the  
22 NAS report comes out anyway. And I don't know  
23 what the NAS report's going to say. So  
24 anyway, I'm willing to have a meeting any time  
25 you want. I'm just saying it may not be as

1 fruitful if we have it in March as we would  
2 maybe the next month.

3 **MS. RUCKART:** But can I throw something out?  
4 I know people were kind of displeased with  
5 having a meeting via conference call, but if  
6 you want to meet before the expert water panel  
7 meeting in March and then it would make sense  
8 to meet again in April, it seems like a face-  
9 to-face meeting would make the most sense in  
10 April. Possibly would you consider having a  
11 call in March just to touch base followed up  
12 by a meeting the next month in person?

13 **MS. McCALL:** Personally, I don't think  
14 telephone meetings are very productive.

15 **MR. ENSMINGER:** Well, I do see the point  
16 they're making about, you know, you're going  
17 to have a whole bunch of ammunition after, but  
18 when is the NAS?

19 **DR. BOVE:** I think we can pretty much bank  
20 that it'll be sometime in April, beginning of  
21 April, end of April. Everybody's throwing  
22 their hands up. I don't know.

23 **MS. RUCKART:** Frank, I thought it was a  
24 possibility that at May's, ^ May, so --

25 **DR. BOVE:** Well, we'll at least have the

1 expert panel meeting I hope by the end of  
2 March.

3 **MR. ENSMINGER:** All right, well, let's go  
4 with the first week in April.

5 **MR. BYRON:** Yeah, because if we go any  
6 later, it's even back further out again.

7 **MS. RUCKART:** Did you want to have a call in  
8 March or no?

9 **MR. ENSMINGER:** No. I can call these people  
10 any time I want to call them anyhow.

11 **MS. BRIDGES:** Why don't we? Instead of  
12 getting, we need to stay close. Why not just  
13 have a conference call?

14 **MR. BYRON:** It doesn't have to be a three  
15 hour conference call. Make it 30 minutes and  
16 just say, okay, here's what I got.

17 **DR. BOVE:** Or an hour. Conference calls can  
18 be an hour long.

19 **MR. BYRON:** An hour's long for a conference  
20 call.

21 **MR. STALLARD:** It could be an update on some  
22 of these things here.

23 **DR. BOVE:** Yeah, yeah.

24 **MS. RUCKART:** Well, why doesn't everybody  
25 think about it, and we can touch base next

1 week and see if people do want to have the  
2 conference call, and you can have more time to  
3 think about it.

4 **MR. STALLARD:** We're coming to the end of --

5 **MS. BRIDGES:** I don't think everybody agreed  
6 to it then. We agreed to it. Did you agree  
7 to it?

8 **MS. McCALL:** It doesn't matter.

9 **MS. BRIDGES:** For an hour conference call?

10 **MS. McCALL:** Sure.

11 **MS. BRIDGES:** To even discuss anything that  
12 has come up since we've been here, and those  
13 that we need to address.

14 **MS. RUCKART:** The other thing is we can have  
15 a conference call and those who want to  
16 participate can, and those who are not as  
17 interested don't have to.

18 **DR. BOVE:** We'll keep you up to date though.  
19 We'll always keep you up to date.

20 **MR. STALLARD:** Okay then. That concludes  
21 both the agenda and the non-agenda items that  
22 we were going to talk about today.

23 Is anything administrivia I need to  
24 mention like the timely submission of  
25 vouchers? Anything else?



1  
2  
3  
4  
5  
6  
7  
8  
9

(no response)

**MR. STALLARD:** I guess this is time to say  
goodbye and wish everyone a safe journey home  
and happy holidays, however you celebrate.

(Whereupon, the meeting was adjourned at 2:30  
p.m.)

1

**CERTIFICATE OF COURT REPORTER****STATE OF GEORGIA****COUNTY OF FULTON**

I, Steven Ray Green, Certified Merit Court Reporter, do hereby certify that I reported the above and foregoing on the day of Dec. 18, 2008; and it is a true and accurate transcript of the testimony captioned herein.

I further certify that I am neither kin nor counsel to any of the parties herein, nor have any interest in the cause named herein.

WITNESS my hand and official seal this the 9th day of Feb., 2009.

---

**STEVEN RAY GREEN, CCR, CVR-CM, PNSC**  
**CERTIFIED MERIT COURT REPORTER**  
**CERTIFICATE NUMBER: A-2102**

2