

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title:            Advisory Committee on the Medical Uses of  
                  Isotopes: Teleconference

Docket Number:    Not applicable

Location:           Rockville, Maryland

Date:               Monday, July 21, 2008

Work Order No.:    NRC-2340

Pages 1-105

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1 UNITED STATES OF AMERICA

2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 ADVISORY COMMITTEE ON THE MEDICAL USES OF ISOTOPES

5 + + + + +

6 MEETING

7 + + + + +

8 TELECONFERENCE

9 + + + + +

10 MONDAY,

11 JULY 21, 2008

12 + + + + +

13 The committee met at 1:00 p.m. via  
14 teleconference based in Rockville, Maryland, Leon S.  
15 Malmud, Chairman, presiding.

16 COMMITTEE MEMBERS PRESENT:

17 LEON S. MALMUD, M.D., Chairman

18 RICHARD J. VETTER, Ph.D., Vice Chairman

19 DOUGLAS F. EGGLI, M.D., Member

20 DARREL R. FISHER, Ph.D., Member

21 DEBBIE B. GILLEY, Member

22 RALPH P. LIETO, Member

23 STEVEN R. MATTMULLER, Member

24 SUBIR NAG, M.D., Member

25 SALLY SCHWARZ, Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 BRUCE R. THOMADSEN, Ph.D., Member

2 WILLIAM A. VAN DECKER, M.D., Member

3 JAMES S. WELSH, M.D., Member

4  
5 COMMITTEE MEMBERS NOT PRESENT:

6 ORHAN H. SULEIMAN, Ph.D., Member

7  
8 NRC STAFF PRESENT:

9 Jacqueline "Jackie" D. Cook

10 Christian "Chris" E. Einberg

11 Cynthia "Cindy" M. Flannery

12 Sandra "Sandy" L. Gabriel

13 Donna-Beth Howe, Ph.D.

14 Penny A. Lanzisera

15 Sophie Le

16 Robert "Rob" J. Lewis

17 Edward "Ed" M. Lohr

18 John R. Madera

19 Alexis Sotomayor-Rivera

20 Ashley M. Tull

21 Duane E. White

22 Jackie "Jack" E. Whitten

23 Ronald "Ron" E. Zelac

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 ALSO PRESENT:

2 Dean Broga

3 Tom Burnett, MDS Nordion

4 Ann Warbick Cerone, MDS Nordion

5 Brian Erasmus, MDS Nordion

6 Sandor Erdelyi, SIRTEX

7 Lynne Fairobent, AAPM

8 Emily Gardner, ASNC

9 Melissa Martin, AAPM

10 Richard Martin, ASTRO

11 Jacob Ninni, RSO, Rhode Island Hospital

12 Mike Peters, ACR

13 Doug Pfeiffer

14 Amanda Potter, AAPM

15 Riad Salem, MDS Nordion

16 Ken Thurston, SIRTEX

17 Cindy Tomlinson, SNM

18 Gerald White, AAPM

19

20 P R O C E E D I N G S

21 MR. EINBERG: Very well. Thank you. It's  
22 Chris Einberg. Dr. Richard Vetter will conduct  
23 today's meeting. Following a discussion of each  
24 agenda item, the Chair, at his option, or the Vice-  
25 Chair, at his option, may entertain comments or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 questions from members of the public who are  
2 participating with us today.

3 At this point, I will turn the meeting  
4 over to Robert Lewis, who is the director of the  
5 Division of Material Safety and State Agreements, who  
6 has some opening comments that he'd like to make.

7 MR. LEWIS: Thank you, Chris. Good  
8 afternoon, everyone. I apologize for the mix-up we've  
9 just been experiencing, and I'm very appreciative of  
10 your patience, and the hard work that the people here  
11 have been doing to scramble, to get this up and  
12 running.

13 First of all, I want to thank ACMUI for  
14 your time. Your input is very valuable to NRC. The  
15 issues we have before us today are particular issues  
16 we need your guidance on.

17 Before I get too far along, though, I did  
18 want to introduce Chris Einberg who has been leading  
19 the meeting so far. So it's a little awkward for me  
20 to introduce him, frankly, but the FACA rules are as  
21 they are, and as the federal official here to kick off  
22 the meeting. But Chris is our new branch chief for  
23 Material Safety and State Agreements Division, Medical  
24 Safety and Events Branch, and he will be from this  
25 point forward the Designated Federal Official for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 ACMUI. And this is his first meeting, I believe, so--  
2 Chris came to us from our Sealed Source Safety and  
3 Security Branch where he was the architect of our NRC  
4 fingerprinting requirements over the last couple  
5 years, and came to us from DOE before that.

6 So turning to the goals for this meeting,  
7 we have three issues on our agenda. Discuss issues  
8 with permanent implant brachytherapy rulemaking.  
9 That's currently before the Commission.

10 I had hoped that we'd be at a point where  
11 we had gotten the Commission requirements memo for  
12 that rulemaking but they haven't provided that to us  
13 yet. But I think that all the issues to discuss there  
14 are out in the public, so perhaps we can revisit that  
15 when the requirements memo is issued, as needed. But  
16 I think we can still have some progress today on that  
17 topic.

18 The second major area is to assess path  
19 forward or developing technical basis information.  
20 NRC needs help on determining a technical basis for  
21 our response to the AAPM and Ritenour--the Ritenour  
22 petition from--when we deliver a rulemaking to the  
23 rulemaking group, we have to have a technical basis  
24 from which--and that includes impacts, regulatory or  
25 technical impacts of the rule, economic impacts, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that provides the basis from which the proposed rule  
2 is drafted, if the petition is accepted.

3 And finally, we want to discuss issues  
4 supervising the work experience cases for Yttrium-90  
5 microspheres. This was a topic at our last meeting,  
6 and I think this is follow-on discussions on that  
7 topic.

8 Before we get into those three areas for  
9 this meeting, this is my opportunity to lay out some  
10 of the current projects of interest to ACMUI that we  
11 have here, and that'll be occurring over the next few  
12 months.

13 Is everyone else getting a lot of feedback  
14 on the phone?

15 MR. EINBERG: Occasional.

16 MR. LEWIS: Yes. There's something going  
17 on there. When you're not speaking, if you do have a  
18 mute button, if you could use the mute button, it  
19 might help the meeting attendees.

20 We have received a letter--we sent a  
21 letter--I'm sorry--to the American College of  
22 Radiography--Radiology, on June 4th, 2008.

23 In that letter, we asked the ACR to select  
24 an individual to attend some of the ACMUI meetings as  
25 a non-ACMUI member. And if the meeting agenda had a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 particularly area of interest to ACR, we would use the  
2 ACR representative in a technical consultative role to  
3 the committee, and in moving forward we'll look for  
4 the ACMUI Chair and the NRC management to identify  
5 which agenda items we need to involve the diagnostic  
6 radiologists, moving forward.

7           On the cesium chloride issue with blood  
8 irradiators, this is coming out of the National  
9 Academy of Sciences study from February, where they  
10 recommended phasing it out, phasing out self-contained  
11 irradiators containing cesium chloride sources, which  
12 are used to, in the medical industry at least, in  
13 blood irradiation and research.

14           And the committee had been tasked by the  
15 Commission to develop a study regarding the efficacy  
16 of cesium chloride irradiation versus x-ray  
17 irradiation. And in that regard the NRC staff has  
18 done some work with our technical library in a  
19 literature search, and I'll look to discuss with the  
20 committee at some point--or the subcommittee members  
21 that are working on that, we can provide the  
22 literature search info we have, so that you guys can  
23 be best-positioned to get off and running on the  
24 project that you owe to the Commission.

25           The ACMUI comments on fingerprinting. We

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 did receive comments from ACMUI on fingerprinting and  
2 draft. I guess we're looking for the final comments  
3 and we will be providing those comments to the  
4 Commission, as directed.

5 On another topic, we did publish a **Federal**  
6 **Register** notice on May 21st, since the last meeting,  
7 which was the response to a petition for rulemaking  
8 from Peter Crane on Iodine-131 patient release.

9 There has been a lot of interest in the  
10 press, and from members of the public, about what that  
11 petition and the resolution of it actually means, and  
12 the guidance we issued coincident with the petition  
13 determination.

14 And finally, as I mentioned when I  
15 started, the proposed rule on permanent implant  
16 brachytherapy is still not published. that should be  
17 coming soon and so today's topic is very timely.

18 Again, thank you for your time. At this  
19 point, unless the ACMUI members want to ask me any  
20 questions, I'll turn the meeting over to Dr. Vetter.

21 DR. VETTER: Okay. Thank you, Mr. Lewis,  
22 for those opening comments. We do, as you mentioned,  
23 for ACMUI members, and members of the public, we do  
24 have three items on the agenda. Part 35 Rulemaking on  
25 Permanent Implant Brachytherapy; a Technical Basis to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Support the Rulemaking for the Ritenour Petition; and  
2 the Y-90 Microspheres Guidance. We'll take those in  
3 order.

4 First of all, is there any other  
5 background material, or more direct phrasing of the  
6 question you're looking for on each of those items as  
7 we take them? Number one, Part 35 rulemaking.

8 Mr. Lewis or Mr. Einberg or Ms. Flannery,  
9 any specific questions you would like for the  
10 committee to address.

11 MS. TULL: Dr. Vetter, this is Ashley  
12 Tull. I think Dr. Nag had some concerns with the  
13 rulemaking, and so this was just his opportunity to  
14 bring those issues up with the committee, so you could  
15 have a discussion and provide any recommendations to  
16 NRC.

17 DR. NAG: Do you want me to outline my  
18 concern at this point, or what do you want me to do?

19 DR. VETTER: Yes, Dr. Nag, if you would  
20 outline your concerns at this point.

21 DR. NAG: Okay. This is Dr. Nag. I was  
22 one of the members of the ACMUI subcommittee. In  
23 fact, there were two major people, myself and one of  
24 the physicists, that made the original recommendations  
25 that went to the NRC official, and then from there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 went to the rulemaking section.

2 But that did not come back through either  
3 the ACMUI or the subcommittee. So I feel that there  
4 may be some areas where it is arbitrary or ambiguous,  
5 or, you know, that can lead to problems. And I would  
6 like to specifically refer those of you who have your  
7 handout, to refer to the next-to-the-last page, which  
8 is page 33, wherein it says that--do you all have the  
9 rulemaking issue handout?

10 Page 32. Well, this is a directive, and  
11 it says Report and Notification of Medical Event.  
12 There, when it goes to say the total--the 20 percent--  
13 there's a 3 centimeter rule, that if it's more than 3  
14 centimeters. It is true that during our discussion,  
15 we said that usually we do not plan to have any seeds  
16 that can be more than 3 centimeters away from our  
17 implant site.

18 However, the way this has been interpreted  
19 and written into the regulation is that even if one  
20 seed were to be outside that 3 centimeters, it would  
21 constitute a Medical Event. I have discussed this  
22 with many of my clinical colleagues, and we all agree  
23 that even in the normal course of the regular implant,  
24 there are certain reasons why a few seeds can go  
25 outside that 3 cm, and it's not something of medical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 concern, although it uncalled--I mean unplanned for.

2 For example, if, when you're pulling the  
3 needle out, you can sometimes suck one or two seeds  
4 down, and it may be more than 3 cm away.

5 Secondly, when we place the seeds, some  
6 seeds can go into the adjacent like threshold and from  
7 that, A, either migrate to the lung, in which case it  
8 does not function as a Medical Event, because it is  
9 very well-recognized that that is a migration or  
10 embolism.

11 However, a few seeds can also be embolized  
12 into a pelvic-like vessel, in which case it may be  
13 only three or four centimeters away, and there's no  
14 way of knowing whether that would be an embolized  
15 seed, or it be a seed that was recently placed there.

16 The only thing, we would know is after the  
17 implant, when we take a CT or x-ray, we will see a  
18 seed 3, 4 cm away, and that would be considered a  
19 Medical Event when it's not.

20 So these factors sort of are very  
21 concerning to the clinicians in these new implants,  
22 who have done literally thousand of implants, and when  
23 we--if we look back and we look at every one of them,  
24 there will be a few of these cases, which has not  
25 caused any adverse event. And we recognize that these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 things do happen.

2 So I think that when we mentioned--  
3 normally, we don't have seeds that are 3 cm away. In  
4 the normal course of events, a few, you know, do  
5 happen, but it's not what normally happens, and that  
6 was not properly recognized by the rulemaking section.

7 And the other comment we have is that we  
8 discuss and make some recommendations at the ACMUI  
9 level, that goes to the NRC official, and then from  
10 there goes to a different section of the NRC, the  
11 rulemaking group, which had not heard many of the  
12 discussions that had gone on in the ACMUI, and is only  
13 relying on the last few set of summary  
14 recommendations, without going through all the  
15 discussions that they've had, and as part of a long-  
16 term thing, I think if NRC is doing any rulemaking  
17 based on recommendations from ACMUI, I would like to  
18 recommend that they come back to the ACMUI, get a  
19 brief look-over, to see whether that is what we  
20 actually meant.

21 So that's the major problem that, or major  
22 concern we have, all the clinicians have, and the  
23 problem, or the worry is that if this is allowed to be  
24 enforced into rule, we will be having a lot of Medical  
25 Events, or so-called Medical Events that are not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 really Medical Events, and many clinicians may not  
2 even risk to continue doing permanent implants under  
3 fear that, you know, if one seed goes out more than 3  
4 cm away, it will be called a Medical Event, even  
5 though it's not a problem. When it were a Medical  
6 Event, it would force it. It means a lot of work for  
7 the entire department and entire university, to even  
8 justify what has happened.

9 So I think this is, you know, the major  
10 reason why, you know, I wanted to have it discussed.

11 The second reason is there is, on the  
12 second part saying 20 percent beyond the treatment  
13 area. Now it depends how the NRC official will  
14 interpret the treatment area, because you do want to  
15 allow for seeds in the planning process to be beyond  
16 the treatment organ, and that would still be a correct  
17 placement. So we feel that there, again, there is  
18 some ambiguity as to what the official will call as  
19 the treatment organ.

20 And the third thing was also mentioned in  
21 the subcommittee but not recognized in the final  
22 rulemaking process, and that is we had mentioned that  
23 many of the permanent implants are done in prostate,  
24 and many of the recommendations we had made were for  
25 the prostate.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           However, anything that is, any rule that  
2 is done for a permanent implant will apply to all  
3 permanent implants, not just to the prostate, and when  
4 it applies to other organs, we have said that, for  
5 example, most operations in brachytherapy are with  
6 human heads, there are no well-encapsulated or  
7 regularly visible target volumes that can be used to  
8 precisely determine whether the implant is a treatment  
9 site accuracy Medical Event.

10           In such cases, only grossly erroneous  
11 Medical Events can be determined with certainty. NRC  
12 enforcement policy must be based upon realistic  
13 expectations of the precision that can be achieved in  
14 the Medical Event determination in different clinical  
15 settings.

16           So this uncertainty in non-prostate  
17 permanent implant is also not being carried on, and  
18 again, we are afraid that the interpretation may be  
19 such that, while they say that this is more than 3 cm  
20 away, or more than 20 percent are in the area, in the  
21 adjacent area less than 3 cm away. So I think those  
22 were the major things that we had problems with. We  
23 did discuss this at the ASTRO telephone conference  
24 call with a few other clinicians and a few other  
25 witnesses

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. VETTER: Okay. Thank you, Dr. Nag.  
2 This is Dick Vetter. At least two members  
3 of the committee did respond with comments that they  
4 shared with everyone. That was Dr. Thomadsen and Dr.  
5 Mattmuller. Would either of you have any comments on  
6 this issue at this time?

7 DR. THOMADSEN: This is Thomadsen, and I  
8 think that Dr. Nag summarized our concerns very well.

9 DR. NAG: And I think Dr. Welsh may want  
10 to mention something because he's the other clinician  
11 who is on the telephone conference call, who is doing,  
12 you know, the permanent implant.

13 DR. WELSH: This is Dr. Welsh here, and at  
14 this point I agree that Dr. Nag has summarized out  
15 points very helpfully.

16 DR. VETTER: Steve Mattmuller, any  
17 comments?

18 [No response]

19 DR. VETTER: Okay. Are there comments by  
20 any other members of ACMUI?

21 MR. LIETO: This is Ralph Lieto. I have a  
22 question for NRC staff, cause I'm not quite sure what  
23 Dr. Nag is proposing at this point, but the document  
24 that went out to us with the proposed regulations that  
25 went to the Commission, it was my impression from the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com



1 cover letter that there wasn't really anything we can  
2 do until this comes out as a publication for the  
3 **Federal Register**. Is that an accurate assumption on  
4 my part? This is--that's directed to NRC staff.

5 MR. LEWIS: This is Rob Lewis. Let me  
6 address a couple of points and then I think some of  
7 the NRC staff might want to elaborate. But in terms  
8 of the rulemaking group, and the medical safety group  
9 not collaborating, I think that our process made sure  
10 that the views are collected. The rules are all done  
11 by a working group, which includes the NRC  
12 programmatic staff, which is my staff, the rulemaking  
13 experts, which is in DILR, it's a sister division  
14 under Charlie Miller, and the regional and state  
15 expertise as well.

16 And so the views that are provided to the  
17 committee, it may be true that the rulemaking experts  
18 don't attend the entire committee meeting, but our  
19 process should guarantee that the views of the  
20 committee, when they're given to the subject matter  
21 experts, get back to that working group.

22 And then overseeing the working group's  
23 effort, most rules, many rules have a steering  
24 committee made up of managers, and I would be on that  
25 steering committee as well as Dennis Rathbun, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 rulemaking division director and a regional director.

2 So our process is set up to ensure that  
3 the views of the ACMUI are considered as the working  
4 group develops the Commission paper with the proposed  
5 rule.

6 Now the process is as it is. It seems  
7 like in this case, that you, at least, believe that  
8 that didn't happen, so--

9 DR. NAG: Well, no, what I'm saying is the  
10 rulemaking was based primarily on the recommendations  
11 of the ACMUI. Everywhere it says as per ACMUI we did  
12 this, as per ACMUI we did this.

13 But once that was drafted, it never came  
14 back to the ACMUI to say, "Is this what you meant?"  
15 And if it had, I would have been able, or the ACMUI  
16 would have been able to say yes, or no, or we meant  
17 this but, you know, not this. So I think that would  
18 have been helpful and we would not be in this quandary  
19 that we are now, that the rulemaking has been done, do  
20 we now step back, change the whole thing, or, you  
21 know, what do we do?

22 MR. LEWIS: I understand that point. So  
23 the process, going forward, can take one of several  
24 paths. One of the easiest paths would be for the--to  
25 be considered comments by the ACMUI as part of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 public comment process of the proposed rulemaking.  
2 Will they be submitted on the docket? They be  
3 required to be responded to. And so would all the  
4 other comments that go with it. And that's actually  
5 why we do propose rules, to get the comments from  
6 people. Sometimes people have been involve din the  
7 rule, and we put out the proposed rule, and say this  
8 is what we thought you mean, is this what you really  
9 meant?

10 That's very common in a proposed rule.

11 Also, you know, some aspects of your  
12 comment were kind of one-size-doesn't-fit-all kind a  
13 comments, and those are exactly why we do propose a  
14 rule, because of the broad spectrum of uses and  
15 materials.

16 So one path would be for comments by the  
17 committee on the proposed rule, when the Commission  
18 approves, assuming the Commission approves to issue a  
19 proposed rule.

20 If you feel, however, that the Commission  
21 was given incorrect information, and that's the  
22 committee's judgment call to decide that, you know,  
23 then we have other things to get information to the  
24 committee as they vote, to make sure that they get a  
25 fully informed Commission. Yes. I'm sorry.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           The committee, the ACMUI--if the ACMUI, as  
2 a committee, believes that the NRC Commission has  
3 gotten factually incorrect information, it's my  
4 responsibility to make sure they get factually correct  
5 information for their decision.

6           Now I don't know the issue well enough to  
7 make that judgment call and I wouldn't try to sway you  
8 in either--in any case, but I think the committee  
9 needs to decide the significance of the issues.

10           And a third piece of this is, by the way,  
11 if the rule language itself is fine, but it's just the  
12 supplementary information or potential future guidance  
13 could be issued to correct possible misunderstandings  
14 of how the rule's supposed to be used, then we could  
15 do that as well.

16           You know, most every rulemaking has  
17 guidance issues associated with the rule, and if  
18 clarification points about what types of permanent  
19 implant this rule applies to can be done through  
20 guidance, that's a third option. That's farther in  
21 the future.

22           Dr. NAG: Can I ask for a clarification.

23           If the Commission approves this, and, you  
24 know, we are in the comment period and it will take  
25 some time to get all the commentary back from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 everyone, it will take maybe, I don't know, six months  
2 to one year before it changes, during this period,  
3 this six to one year period, what will happen if--  
4 would the rule be enforced or not?

5 MR. LEWIS: No. The rule would not be  
6 effective until there's a final rule. So from the  
7 date the Commission says to publish a proposed rule  
8 for comment, we would issue a public comment period,  
9 which is normally about 75 days, some rules, it can be  
10 90 if it has NAFTA implications, for example, they're  
11 ninety. This one probably wouldn't.

12 So 75 day comment period. At the end of  
13 that comment period, the rulemaking working group  
14 reconvenes and does comment disposition, where they  
15 respond to every single comment or groups of like  
16 comments, and republishes that together with the final  
17 rule. And no rule would come in effect, you know, at  
18 least for a year, and a year is sometimes optimistic  
19 if there are a lot of comments.

20 DR. VETTER: This is Dick Vetter. So Dr.  
21 Nag, do you believe that the information provided to  
22 the Commission is factually correct?

23 DR. NAG: I think it's correct but there  
24 has been misinterpretation by--there has been some  
25 misinterpretation on what--on some of the wordings

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that we actually meant, or they were not fully taken  
2 into consideration.

3 So I think just a few minor changes would  
4 solve it, and my preference would be that we solve it  
5 beforehand, rather than going to the Commissioners,  
6 then coming back, then recollecting, sending it back.

7 If it is possible at this stage to collect  
8 what we actually meant and send it to--you know, there  
9 would be no major objections from any parties. Is  
10 that possible at this stage?

11 DR. VETTER: This is Dick Vetter. Mr.  
12 Lewis, is it possible for you to take a summary of Dr.  
13 Nag's concerns, or get those to the Commission?

14 MR. LEWIS: Well, that boils down to the--  
15 here's the--the Commission was given a document to  
16 vote on, in its public document. So their voting  
17 record is based upon that public document when they  
18 issue their votes.

19 We can supplement the information that  
20 they have, but it would have to be through an entirely  
21 new public document.

22 So basically, we'd have to cancel the vote  
23 they have before them, which will be a "big deal."  
24 But as I said, it's up to the committee to decide if  
25 this issue rises to that threshold. If there are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 clarifications, it's much easier to handle in the  
2 proposed rule stage, or alternatively, if the  
3 Commission votes, directs us to change the paper, and  
4 those votes--I'm sorry, not their votes, but the  
5 Commission SRM itself, which is the compilation of all  
6 the votes, directs us to change to paper, if it  
7 directs us to change it on issues that are related to  
8 your issues, then we could change the words in the  
9 **Federal Register** notice, in the proposed rulemaking.

10 But I don't think in this case, they'll  
11 even know your issues, so I'd be very surprised if  
12 they commented on this.

13 DR. NAG: That is why I was wondering, is  
14 there a way for us, meaning the ACMUI, to have this  
15 concern to the Commissioners when they are voting on  
16 the issue? You know, they will know that this  
17 concern's out there, and one possibility is that the  
18 Commissioners would say yes, we like this but these  
19 are some of the concerns, and would the NRC officials  
20 address the concern in its final revision, final  
21 rulemaking? That would probably be the easiest way to  
22 solve this problem.

23 MR. LEWIS: I think that the only way for  
24 us to do that is to retract the paper we've given  
25 them, which is possible, but of course that would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 delay things quite a bit for this rule.

2 DR. NAG: But the thing is, it will delay  
3 it anyway, because even when it comes back, you know,  
4 the reply or the commentary from the people who are  
5 doing the permanent implant, will be so strong, that  
6 you will have to be redoing what we are saying at this  
7 moment anyway, because this is something that all--I  
8 mean, the people who are doing the permanent implant  
9 all the time would be telling that to you anyway.

10 Most of the time--

11 [Simultaneous conversation]

12 MR. LEWIS: Dr. Nag.

13 DR. NAG: Yes.

14 MR. LEWIS: It is a proposed rule, so we  
15 published a proposed rule for the express purpose of  
16 getting comments, so that we can address them and they  
17 can write in the final rule.

18 DR. NAG: Okay.

19 DR. VETTER: So Dr. Nag, do you think that  
20 would work? You would be commenting on proposed rule  
21 changes and the ASTRO community would have the  
22 opportunity to comment as well on those, on the  
23 proposed rules, and then of course lobbying for  
24 changes in the rule at that point in time.

25 DR. NAG: Right. But basically, the ASTRO

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 comment is what I have enumerated to you at this  
2 meeting anyway. So the NRC already has the ASTRO  
3 comments, even though not in writing. Through me,  
4 ASTRO can have a similar comment directly through the  
5 NRC.

6 DR. VETTER: Okay. Are there any other  
7 comments from any members of the ACMUI?

8 DR. WELSH: Yes. This is Jim Welsh.

9 DR. VETTER: Yes?

10 DR. WELSH: I would say that I agree with,  
11 if possible, amending this to correct any  
12 misinterpretations that have been made before it moves  
13 forth. But I understand that it's actually a much  
14 "bigger deal" than we initially thought it was.  
15 Therefore, the proposal of reviewing the material in  
16 the **Federal Register** and commenting on it may be the  
17 most practical solution.

18 What is the timeframe that we're talking  
19 about in this particular situation?

20 MR. LEWIS: This is Rob Lewis. When the  
21 Commission SRM would come out, it would usually take  
22 us about two months to--two weeks? Well, if they  
23 don't have substantial changes, it can take as little  
24 as two weeks before we can publish a proposed rule.  
25 If they direct us to change the package, it could go

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 longer. A month or two.

2 DR. WELSH: Will there be an extensive  
3 period of time for which comments could be generated  
4 and gathered and--

5 MR. LEWIS: 75 days.

6 DR. NAG: Rob, I have a question. Do the  
7 Commissioners review the summary of the ACMUI  
8 telephone conference call? I mean, for example, when  
9 we have a summary of this telephone conference call,  
10 do they look at that? Because then they would have an  
11 idea, what we are talking about, even before they  
12 vote.

13 MR. LEWIS: I would be surprised if the  
14 Commissioners routinely read the meeting minutes or  
15 anything. If there's an issue that we want to call to  
16 their attention, we can do a daily note or something,  
17 which we often do for public meetings. It's called a  
18 daily note but basically it's a highlight of all the  
19 things going on in your office.

20 DR. NAG: My preference would be that if  
21 there was a way to do a daily note or whatever method  
22 you have--you know, I can make a motion which will  
23 summarize whatever we discuss this morning, and in one  
24 paragraph, and that would be conveyed to them in a  
25 daily note, since they haven't voted on this, because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that would probably solve the thing best, rather than  
2 having it already sent out, then public commentary  
3 back, and so forth. If that's possible, we can say,  
4 you know, the ACMUI recommends that, you know, this  
5 portion be revisited.

6 MR. LEWIS: A daily note won't work for  
7 that purpose. A daily note is just information. We  
8 can't give them information, we're asking them to  
9 consider in their vote, so--a daily note could, for  
10 example, say one of the topics of discussion was  
11 permanent implant brachytherapy rule, and pass forward  
12 when the Commission vote on the paper is.

13 DR. NAG: Right. And, you know, if they  
14 see that there is a discussion item in there, they  
15 will look at this, and, you know, when they're voting,  
16 I'm sure they will consider whatever the major  
17 discussion was, when they're voting. We are not  
18 telling them to, you know, to look at this before they  
19 vote, but we are telling them that this was discussed  
20 in the ACMUI.

21 MR. LEWIS: Well, the factual aspect that  
22 it was discussed, we'll send up. I mean that's--

23 DR. NAG: Yes; right.

24 MR. LEWIS: --we don't need your help but  
25 we can just--

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 DR. THOMADSEN: That doesn't sound like  
2 that would be very useful.

3 DR. VETTER: Please identify yourself.

4 DR. THOMADSEN: I'm sorry. This is  
5 Thomadsen.

6 MR. LEWIS: It would be useful from the  
7 point of just information-sharing and maybe it might  
8 prompt them to ask more. But I would agree with you,  
9 it's not going to really bear upon their decision on  
10 the paper, in normal circumstances.

11 DR. VETTER: Okay. This is Dick Vetter.  
12 So the dilemma is whether the ACMUI would like the NRC  
13 to withdraw this entire package or whether we think we  
14 could provide the appropriate recommendations by  
15 reacting to the proposed rule changes.

16 DR. THOMADSEN: This is Thomadsen again.  
17 Can I ask, just for a little more clarification on the  
18 part of the NRC staff, what would be the major problem  
19 if this were withdrawn? I didn't quite understand  
20 that.

21 MR. LEWIS: It would be put back into the  
22 rulemaking queue, and prioritized with other ongoing  
23 rulemakings, and it would have to go all the way back  
24 through concurrence chain, and it would be very  
25 unusual for a paper to be pulled back. In fact, I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 can't think of it happening on a rulemaking package  
2 ever.

3 And so it will cause a lot of questions  
4 and process examinations.

5 DR. THOMADSEN: Actually, that sounds like  
6 that's exactly what's needed.

7 DR. NAG: Now is there any way--because  
8 this is only one portion of it. The rest of the memo  
9 or the rest of the rulemaking were exactly what the  
10 ACMUI wanted. It's just one portion where, you know,  
11 there seems to be some problem in interpretations, and  
12 if the NRC were to correct that on the phone and send  
13 it back, I thought--you can fax the message, rather  
14 than sending it out to receive a bunch of written  
15 comments on it.

16 MR. LEWIS: That was my original point, is  
17 you have--the committee has before it, as Dr. Vetter  
18 explained, is the entire package, is "the baby and the  
19 bathwater" situation. Is this issue big enough to  
20 question the entire package and its timeliness?

21 DR. NAG: I think the timeliness is not  
22 the problem. Anyway, this will not be implemented for  
23 the next one or two years. I think it will be more  
24 expeditious if the NRC withdrew it, make the minor  
25 corrections needed, and then send it back.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MR. LIETO: Question.

2 MR. LEWIS: Yes. Question by someone?

3 MR. LIETO: Yes. This is Ralph Lieto.  
4 Dr. Nag and Dr. Thomadsen, as to the issue of  
5 specifically the wording that states brachytherapy  
6 sources implanted beyond 3 cm from the outside  
7 boundary of the treatment site, except for  
8 brachytherapy sources at other sites noted in the pre-  
9 implantation, implantation, written directive, end  
10 quote.

11 DR. NAG: Yes. That's number one. That's  
12 the major one. The others are minor. As I have  
13 explained before, the other two things are minor and  
14 can be, you know, more easily solved. But the major  
15 one, like problems of medical implants that I have  
16 been talking about. The other one--you know, where is  
17 the treatment area versus, you know--that can, you  
18 know, maybe just be by adding that the treatment area  
19 is defined as the organ of concern plus a variable  
20 margin as defined by the authorized user, or something  
21 like that. Cause that portion is minor. But the  
22 major one is that 3 cm beyond. Not even one source  
23 can be outsourced at 3 cm. That's the major problem.

24 MR. LIETO: A follow-up question. This is  
25 Lieto again. To NRC staff. Is the proposed rules

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 here, do they take into account the comments of ACMUI?  
2 I believe there was a request for comments back in,  
3 I'm going to say maybe February or early March, on  
4 these proposed, on this proposed drafting of rules.

5 Does this incorporate those comments?

6 MR. LOHR: This is Ed Lohr from the  
7 rulemaking group. To answer that, sir, we took all  
8 the comments that came in during that preliminary  
9 language period, if you will, and we broke them into  
10 two groups. Those that were in question of the  
11 technical basis, we delayed until the public comment  
12 period. Those that had suggested language changes,  
13 many were incorporated into the rule language before  
14 this went forward to the Commission for their vote.

15 MR. LIETO: A follow-up question. Were we  
16 going to be notified of those comments that were not  
17 incorporated? Because you felt that they were going  
18 to be--that they should be addressed during the  
19 technical basis. There are comments that, you know, I  
20 know that I supplied, and maybe some others have, that  
21 didn't get incorporated, and if there was a reason for  
22 this, was there going to be any feedback, which I  
23 think gets back again to may be Dr. Nag's original  
24 concern, that when these changes were made, these  
25 things weren't, you know, fed back to us in any

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 manner, to be sure that this was the intent.

2 MR. LOHR: The **Federal Register** notice  
3 that has not been issued, because the Commission has  
4 not told us to issue it yet, answers many of those  
5 questions.

6 MR. LIETO: Okay.

7 MR. LOHR: You know, if you'd like to  
8 refer back to that, the SECY paper which is public,  
9 but again, the Commission has not voted on that, so we  
10 at the NRC cannot really respond to that.

11 DR. NAG: No. I think the question was  
12 even earlier. After the February 7th notification,  
13 there were many comments sent back to the NRC,  
14 including a letter from ASTRO that had some of these  
15 concerns, that they were concerns, that they were  
16 concerns, and I think Mr. Lieto's question is that,  
17 you know, were all these concerns incorporated, or  
18 would they not be incorporated because of technical  
19 reasons.

20 MR. LIETO: All the comments we get are  
21 considered in drafting the package. There's no step  
22 in the rulemaking working group, where they do a point  
23 by point response to all of the comments. That occurs  
24 between the proposed rule and the final rule.

25 DR. VETTER: This is Dick Vetter. We are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 quickly running out of time, using up our time.  
2 Before I ask for some more specific action on this  
3 item, I'd like to open up to members of the public, if  
4 someone has some comments to make, and if you do,  
5 please identify yourself and keep your comments to two  
6 or three minutes.

7 Any members of the public wish to comment  
8 on this issue?

9 MS. MARTIN: Dr. Vetter, this is Melissa  
10 Martin with AAPM. I would just like to reiterate what  
11 Dr. Nag has been saying. I worked with Dr. Nag on  
12 another committee for ASTRO, but I've had a lot of  
13 experience with these brachytherapy seeds, well over  
14 hundreds of implants at this point, and I can only  
15 reiterate these seeds to migrate. It may not be the  
16 intention of having a seed 3 centimeters out, but it  
17 certainly happens, not uncommon at all, and I think  
18 it's going to be a major problem.

19 DR. VETTER: Thank you. Any other  
20 comments?

21 DR. NAG: Unfortunately, we do not have  
22 the clinical developers who were on the ASTRO  
23 conference call. They are not on here. But I mean,  
24 that you have heard similar things from the ASTRO  
25 members who are doing the implants but they are not on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the conference call.

2 MR. MARTIN: This is Richard Martin from  
3 ASTRO. I would like to say that we did have a  
4 conference call with a number of people, who routinely  
5 do brachytherapy procedures, and there is an enormous  
6 amount of concern about migration, about what is  
7 considered the appropriate treatment area, and we did  
8 respond to the earlier proposed or pre-proposed rules,  
9 voicing some of these same concerns.

10 DR. VETTER: Thank you. Any other  
11 comments from members of the public?

12 DR. ZELAC: Dr. Vetter.

13 DR. VETTER: Yes?

14 DR. ZELAC: This is Dr. Zelac, NRC.

15 DR. VETTER: Yes?

16 DR. ZELAC: It's probably worth noting in  
17 the discussion at this point that the seed migration  
18 currently, and in the future, is not considered as a  
19 basis for a Medical Event. It's understood to occur,  
20 when it does occur, it is noted, but it is not a  
21 reason for any clinician, or anyone else, to report  
22 that occurrence as a Medical Event.

23 DR. WELSH: This is Dr. Welsh. May I  
24 comment?

25 DR. ZELAC: Certainly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. VETTER: Yes.

2 DR. WELSH: Item number seven in our  
3 background on the rulemaking issue notation vote that  
4 was e-mailed, states specifically that seeds that were  
5 correctly implanted, but subsequently migrated, are  
6 excluded as grounds for any ME.

7 DR. NAG: Hi. This is Dr.--

8 DR. WELSH: Getting back to that point  
9 about the "bathwater," it would seem that there's a  
10 very simple solution that might be able to solve all  
11 this very quickly. If that sentence were to be  
12 expanded a little bit further, I think all this would  
13 go away.

14 DR. NAG: Hi. This is Dr. Nag. When I  
15 had given my introductory part, I had mentioned that,  
16 you know, seeds that I implanted but are migrating are  
17 not grounds for ME. However, there are different  
18 kinds of migration. One is a distant migration going  
19 into the lung or very distant organs like the heart,  
20 which has happened. That is very easy to know that  
21 this is migration and therefore no one is going to  
22 question about that.

23 But the second part, which is very  
24 difficult to distinguish, is when they migrate into a  
25 pelvic vessel and they migrate only 3 or 4 centimeters

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 away. Then you don't know whether it was the seeds  
2 that were implanted there or migrated there, unless  
3 you have been taking x-ray every 10, 15 minutes, which  
4 no one does.

5 So Ron, we do recognize that distant  
6 migration is not a problem and not an ME, but our  
7 worry is that migration at the nearby site, or just  
8 something of a seed along the middle tract would be  
9 considered a, by the definition given here, would be  
10 considered a Medical Event.

11 DR. MALMUD: This is Malmud. First of  
12 all, I apologize for having joined the call late, and  
13 I appreciate Dr. Vetter's chairmanship.

14 The comment that I would make with respect  
15 to the seeds is that if it's not a Medical Event, what  
16 is--it's a question. If it's not a Medical Event, as  
17 Dr. Zelac points out, what is the current concern  
18 among the radiotherapists?

19 DR. NAG: Oh, I'm sorry, you didn't--  
20 probably were not at the beginning of the call.

21 DR. MALMUD: I was not.

22 DR. NAG: The first ten minutes, I had  
23 given--basically, one, it's that when you do put the  
24 seeds and you're pulling the needle back, you can suck  
25 one or two seeds, when you're pulling your needle

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 back, and if you're sucking it more than 2 or 3  
2 centimeter away, that would be considered a Medical  
3 Event when it's not.

4 Secondly, when you're putting the seeds  
5 in, some of the seeds can go through a smaller blood  
6 vessel and instead of migrating to the lung or the  
7 heart, it could migrate to a very prosthetic area, in  
8 which case it's more than 3 cm away but it doesn't  
9 seem far away to be a migration and therefore it will  
10 be considered that you put the seeds there.

11 So those are at least two reasons. A  
12 third one is you can put the seeds into the urethra or  
13 into the bladder, and that, with only one centimeter  
14 away, and that will flow through the site and it may  
15 stop and be, you know, slightly more than 3 cm away.

16 So the major concern is that those who are  
17 clinically doing implants, and have done thousands of  
18 these implants, have seen that there are a small  
19 percentage of sources that do end up more than 3 cm  
20 away, that have not caused any untoward events to the  
21 patient, and that is not a cause for any concern, but  
22 the current definition, it would be a Medical Event.  
23 So that's the major source of concern for us.

24 The other is that what is the definition  
25 of the treatment site versus the treatment organ and,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 you know, how much of the periphery just beyond the  
2 organ is still considered to be within the treatment  
3 area, and that seems to have ambiguity enough, that  
4 that could be a cause for concern.

5 DR. MALMUD: Thank you for clarifying  
6 that. I would then ask, if I may, Dr. Zelac, which of  
7 the situations described by Dr. Nag would be  
8 considered a Medical Event?

9 DR. ZELAC: The wording of the proposed  
10 rule, which was based on the recommendation of the  
11 Advisory Committee, had a very clear delineation  
12 between seeds placed within 3 cm from target area,  
13 beyond 3 cm from the target area. If a seed were  
14 placed--and again this gets to the concern of Dr. Nag,  
15 as to knowing whether a seed was placed there or  
16 simply migrated there.

17 But if a seed showed up at a distance of  
18 greater than 3 cm from the target area, that is the  
19 way we perceive and have interpreted the  
20 recommendations of the Advisory Committee, would be  
21 considered as a Medical Event.

22 DR. MALMUD: Thank you, Dr. Zelac.

23 Dr. Vetter.

24 DR. VETTER: Yes?

25 DR. MALMUD: Do you recall? Was that the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 intent of the ACMUI?

2 DR. VETTER: I think it was at the time,  
3 but I'm not sure that we understood the implications  
4 that Dr. Nag has currently outlined relative to, you  
5 know, seeds--that's the correct word. As he  
6 mentioned, when you're withdrawing the implant device--  
7 -

8 DR. MALMUD: Yes.

9 DR. VETTER: --the seeds can travel down  
10 the path, and there's not much you can do about that.

11 DR. NAG: Hi. This is Dr. Nag. I was on  
12 the Medical Events Subcommittee and most of the  
13 discussion in fact came from me. You know, therefore  
14 I'm aware of what I said and what I meant, and my  
15 major concern is that, you know, we could have meant  
16 one thing, and it had--some of the wording had not  
17 been correctly interpreted and that's giving rise to  
18 the problem, which is why I personally sort of have a  
19 lot of obligation, that many of these things were  
20 taken from my wording, and I am--you know, this led to  
21 rules that will create problems for clinical radiation  
22 oncologists. You know, I personally, I have a lot of  
23 personal ties to this rulemaking.

24 DR. MALMUD: I understand that, and my  
25 understanding is the same as--my memory of it is the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 same as Dr. Vetter, that we did discuss this, and it  
2 appears that we have made a joint error in not  
3 considering that element of--when we made our  
4 decision. Therefore, that being the case, we need to  
5 find some way of correcting this, so that we do not  
6 interfere with the practice of radiation oncology with  
7 regard to brachytherapy.

8 DR. WELSH: This is Dr. Welsh. May I add  
9 a comment here?

10 DR. MALMUD: Yes.

11 DR. WELSH: I, and most practicing medical  
12 radiation oncologists, would probably not disagree,  
13 that if you implant the seed, as an example, prostate  
14 brachytherapy--if you implant the seed more than 3 cm  
15 beyond where you want to put that, I think most people  
16 would say that is a Medical Event.

17 But I think the question here is regarding  
18 a seed that is placed within the correct volume,  
19 prostate, for example, and subsequently is dislodged,  
20 and then winds up more than 3 cm beyond the planned  
21 boundary.

22 Now we have wording here saying that if a  
23 seed migrates, it is excluded as grounds for any  
24 Medical Event. If we could just add the word  
25 "dislodged," all this would go away.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 DR. MALMUD: This is Malmud again. Dr.  
2 Nag, would that satisfy your concern?

3 DR. NAG: I will have to think about that,  
4 because the major problem is how do you--how would  
5 someone know that was it a seed placed within the  
6 target volume and it dislodged, or was it placed 3 cm  
7 away? I mean, if it is very far away, you know that  
8 no way a needle would have been placed into the lung,  
9 and therefore that was a distant migration.

10 How are you going to know a seed that was  
11 3 cm away? Was it placed there or was it placed into  
12 the target tissue, and when you are pulling your  
13 needle back it ended up there? That would be  
14 difficult to, or impossible to know, and therefore my  
15 suggestion was that we know that a few seeds to end up  
16 more than 3 cm away, and we make allowance for that,  
17 because a few seeds outside, it doesn't matter whether  
18 you call it a Medical Event or not. It's not a  
19 problem. And we know that in the lung that happens  
20 all the time, and we know it's not a problem. And so  
21 we make allowance for that.

22 The second thing being that, you know, the  
23 NRC is not a medical team and it should not be  
24 directing how, in the planning process, how many  
25 percent of the seeds should we be placing in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 periphery, how many percent just outside, and, you  
2 know. So that's where it is an issue.

3 DR. VETTER: This is Dick Vetter. Dr.  
4 Nag, I would like to suggest that at the time that a  
5 seed that may have been dislodged is discovered, it  
6 would be up to the treatment team to decide whether  
7 that had been dislodged, or whether it had been  
8 implanted inappropriately.

9 DR. NAG: That is easy to say in a  
10 meeting, but in practice, having been one of the  
11 consultants who looked and investigates into this  
12 report, it's very hard, because one person would say,  
13 oh, well, you put the seeds 3 cm away, the other would  
14 say no, we put it in the right place and it did go  
15 out. But the only thing we can say clinically, only a  
16 small percentage that comes outside.

17 So what we are trying to distinguish is  
18 whether it was just a few odd seeds that are more than  
19 3 cm away as opposed to a whole bunch of seeds that  
20 were placed either in the bladder, or, you know, way  
21 down in the perineum, and that was the reason for  
22 making up some of the rule change, to detect a gross  
23 error, not a few seeds coming loose. And I think this  
24 is where the NRC fails to distinguish what we were  
25 trying to do.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 We were trying to prevent gross error. I  
2 was all for having the language strengthened up, so  
3 that we detect errors, where 20, 30, 40 seeds have  
4 been placed in the bladder, but not where one seed has  
5 gone into the bladder and it's floating somewhere in  
6 the bladder, and ended up sort of staying 3 and a half  
7 cm away.

8 DR. MALMUD: This is Malmud again. Dr.  
9 Nag, what is your proposed rewording?

10 DR. NAG: My proposed rewording would be  
11 that a small percentage--and we can discuss whether 5  
12 or 10 or 15 percent--that we all a small percentage  
13 before we call it a Medical Event. Right now, even if  
14 one seed goes more than 3 cm away, you are defining it  
15 as a Medical Event. I would say that if there are  
16 more than--you can put in the number 5, 10, or 15,  
17 whatever number you want, is beyond 3 cm from the  
18 implant site, it would be a Medical Event. That  
19 would, you know, solve the problem. That number--you  
20 know, my suggestion would be 10 percent or 20 percent,  
21 but, you know, that's something we can work on.

22 DR. VETTER: This is Dick Vetter. Dr.  
23 Malmud, I'm not sure when you actually tuned in to the  
24 discussion, but we really have a dilemma here about  
25 what action we might take today.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           The reason we have the dilemma is because  
2 the proposed wording is before the Commission.

3           DR. MALMUD: Yes.

4           DR. VETTER: So we really only have  
5 basically two options. One is to recommend to the NRC  
6 that they withdraw the package, which would be a very  
7 unusual step. The other would be to wait for the  
8 proposed rule change and then comment on the rule  
9 change.

10          DR. MALMUD: What's the feeling of the  
11 majority of the committee? It seems to me that this  
12 is something which we reviewed, we came to a  
13 recommendation for, and now we wish to recognize as  
14 something that we missed.

15          DR. NAG: I would like to correct you.  
16 It's not something we missed. It is a recommendation  
17 we made in 2002 or 2003--or actually 2004. We made  
18 the recommendation. It went to the NRC but it did not  
19 come back through the ACMUI, and that was part of my  
20 major objection or concern, that the NRC--I mean the  
21 ACMUI makes recommendations, and then the rulemaking  
22 is done, without coming back to the ACMUI to check  
23 whether, Was this, indeed, what you meant? So I do  
24 not agree with you, that this was something the ACMUI  
25 missed. We did not miss it. It never came back to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 us.

2 DR. MALMUD: Well, Dr. Nag, we did discuss  
3 it and I remember the discussion. But I also  
4 remember, but I don't have the details, that there was  
5 a discussion about the distance.

6 DR. NAG: Yes; there was.

7 DR. MALMUD: Therefore, we did allow it to  
8 move forward to the NRC. You are correct that the NRC  
9 didn't send it back to us for a re-review but our  
10 initial review did go before them.

11 DR. NAG: Yes.

12 DR. MALMUD: It doesn't really matter,  
13 terribly much, who is responsible for the current  
14 dilemma, but we do have a dilemma, and we need to deal  
15 with it currently. So we really have two choices as  
16 Dr. Vetter has reviewed for us.

17 By the way, I didn't answer your question,  
18 Dick. I came in around 2:00 o'clock.

19 DR. VETTER: Okay.

20 DR. MALMUD: The answer is one of the two  
21 options, to totally withdraw it, or move it forward  
22 and then comment on it at the next step.

23 MR. LEWIS: Dr. Malmud and Dr. Vetter,  
24 this is Rob Lewis. For what it's worth from the NRC  
25 staff perspective, and having done many rulemakings

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 myself, this type of issue can be easily addressed as  
2 comment disposition on the proposed rule. If we were  
3 to get a comment on this area, it can be changed  
4 before the final rule.

5 That doesn't mean that the committee has  
6 to go that way, but in terms--and the most efficient  
7 and effective way to get throughput in, that would be  
8 from the NRC staff perspective the preferred way.

9 DR. NAG: I have a question.

10 DR. MALMUD: Oh. Go ahead.

11 DR. NAG: Mr. Lewis, there was the  
12 commentary period in February, I believe it was the  
13 February 7th memo, and ASTRO did give a response,  
14 basically saying similar things I'm saying today. But  
15 that was not incorporated, and it went on to the  
16 Commissioners anyway. So I think that's a major  
17 concern, that the radiation oncologists have, that  
18 they did make the comment and that was never  
19 addressed, and just went up to the next level.

20 MR. LEWIS: There's an issue of, when we  
21 do a--it's called an enhanced participatory rule--  
22 that's where we would involve the public and specialty  
23 groups, prior to the proposed rule being developed,  
24 and in our process, those comments are considered. An  
25 individual comment response document is not generated.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           In the proposed rule stage, we are  
2 required, by law, to consider and disposition every  
3 comment, and the fact that--I grant that, you know, as  
4 you perceive the ACMUI and ASTRO comment, they weren't  
5 incorporated into the proposed rule package, and that  
6 is either an issue that the staff disagreed with the  
7 comment, which I don't believe is the case, or that  
8 the staff didn't fully understand the comment.

9           That's unfortunate, but that is where we  
10 are, and the question then becomes how to correct  
11 that, where we are, and in that regard this whole  
12 discussion reminds me of a big topic of discussion  
13 from the last ACMUI meeting, of how the NRC staff gets  
14 back to the committee on any comments we seek from  
15 you.

16           I think that is an area that's broader  
17 than this rulemaking, but that we do need to explore,  
18 to make sure that we're all clear on roles and  
19 responsibilities, and what we communicate with each  
20 other, before and after seeking comment.

21           DR. MALMUD: This is Malmud. I think we  
22 agree with your comment, and that's the point that Dr.  
23 Nag is pursuing. Once again, though, we come back to  
24 the current issue, and that is the specific issue. So  
25 there are two options. One is to withdraw the entire

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 affair, the other is to let it move forward and to  
2 have the comments ready.

3           However, I would point out that if we have  
4 our comments ready, and we're looking for a percentage  
5 of seeds that are acceptable, that that percentage  
6 number should be a number and not a descriptive such  
7 as "small," because what's small to one person may not  
8 be to another, and I think that the NRC would probably  
9 request of us something firmer than an adjective.

10           Am I correct in making that assumption of  
11 the NRC?

12           DR. NAG: I agree with you.

13           DR. MALMUD: All right. So that would  
14 need a little more discussion, particularly among  
15 those who are responsible for this type of therapy,  
16 which are the radiation oncologists, and the radiation  
17 oncology physicists.

18           DR. NAG: I agree with you, and again my  
19 concern is that there is a 75 day public commentary  
20 period. We may not be able to come up with a number  
21 because trying to get a meeting of a lot of people  
22 takes time, and then to get an agreement, whether it's  
23 5, 10, 15 or 20 percent, will take a lot more time,  
24 and, you know, my reasoning therefore was to say let's  
25 take this back, send to the Commissioners a correct

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 statement of what we really meant.

2 DR. MALMUD: All right. That's your  
3 recommendation.

4 DR. NAG: Right.

5 DR. MALMUD: Dr. Welsh.

6 DR. WELSH: Of the two options, I would  
7 prefer that. It sounds like there was a  
8 misunderstanding or misinterpretation of Dr. Nag's  
9 comments, and he never had a chance to edit the  
10 written version, and now this written version that is  
11 coming up is the cause of all this consternation  
12 today.

13 DR. MALMUD: Is there precedent for this  
14 kind of an action? I'm asking NRC staff that.

15 MR. LEWIS: Commission papers have been  
16 withdrawn, but I don't know of a rulemaking package  
17 that's so close to being issued, that has been  
18 withdrawn like this. I'm Robert Lewis.

19 DR. MALMUD: So it may or may not be  
20 possible.

21 MR. LEWIS: Well, the recommendation of  
22 the committee, we'll do our best to get that up to the  
23 Commission. If it went that way, we would do our best  
24 to get it up to the Commission as soon as possible, so  
25 that they can consider it. You know, if they were to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 vote--we had expected them to vote by now, so if they  
2 were to vote today, or this week, you know, ships  
3 might pass.

4 DR. MALMUD: Yes.

5 MR. LEWIS: But that being said too, the  
6 NRC management up the chain--and even the Commission  
7 will be looking for a very high bar to withdraw  
8 something that's so close to issuance, and a high bar  
9 would have to be material information being factually  
10 incorrect, and that's kind of--we'll have to rely on  
11 the committee's recommendation in that regard.

12 If it's an issue of clarifying words, or  
13 not actual rule language that's a concern, but the  
14 supplementary information--you know, my management  
15 chain probably wouldn't support withdrawing the  
16 package. It'd just be--you know, we would have the  
17 option, as well, of considering the comments in the  
18 proposed rule for disposition.

19 DR. MALMUD: Okay. I understand. All  
20 right. Someone wanted to make a comment, I believe.

21 MR. LIETO: This is Ralph Lieto. I'd like  
22 to make a comment. I'd like to make a motion, and I  
23 think that our best alternative is to address this  
24 very, very strongly at the proposed rulemaking point.

25 If we're going to have to provide some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 type of factual basis for having this withdrawn to NRC  
2 staff, obviously, probably in the next day or so, I  
3 just think that we may, as Mr. Lewis said, we may  
4 "miss the boat." And I think if we just go on record  
5 as stating our concerns, that our recommendations are  
6 not being addressed properly, as Mr. Lewis has already  
7 described, which I think is a big problem, I think we  
8 should just prepare ourselves to address the proposed  
9 rule when they come out since we've already got  
10 essentially an advance notice on what they're going to  
11 state.

12 DR. MALMUD: So if you're making a motion,  
13 Mr. Lieto, your motion is that we allow it to move  
14 forward and prepare the comments in the time allowed  
15 with regard to a proposed amendment to the rule, or a  
16 proposed further interpretation of it?

17 MR. LIETO: So move.

18 DR. MALMUD: Mr. Lieto has made a motion.

19 Is there a second to Mr. Lieto's motion?

20 DR. VETTER: This is Dick Vetter. I  
21 second the motion.

22 DR. MALMUD: Dr. Vetter has seconded the  
23 motion. Is there any further discussion of the  
24 motion, which will include, from what I interpreted  
25 Mr. Lieto to say, a recommendation regarding how

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 information should be--how we would propose that the  
2 information that we move forward come back to us for  
3 re-review after it's been reviewed by the NRC staff.  
4 Is that correct, Mr. Lieto?

5 MR. LIETO: Yes.

6 DR. MALMUD: All right. So we have a move  
7 by Lieto, seconded by Vetter.

8 Any further discussion?

9 DR. THOMADSEN: Yes. This is Thomadsen  
10 and I just would like to get Dr. Nag's "take" on the  
11 motion.

12 DR. MALMUD: Dr. Nag.

13 DR. NAG: Yes. Well, I do not agree on  
14 the motion but I will vote "nay" when it comes to  
15 voting.

16 DR. MALMUD: Thank you. All right. So--

17 DR. THOMADSEN: Can I--this is Thomadsen  
18 again.

19 DR. MALMUD: Yes?

20 DR. THOMADSEN: Dr. Nag, if you're voting  
21 against the motion, what would you like to see  
22 different in the motion?

23 DR. NAG: I would like to make the motion  
24 that--well, that will be entirely different motion.  
25 But I think that because there has been--the entire

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 rulemaking was based on the recommendations of the  
2 ACMUI. We give you that. However, there were  
3 misinterpretation and therefore it did not go--it has  
4 been shown to the Commissioners that this was the  
5 recommendation but with a wrong interpretation on some  
6 areas where there have not been interpreted properly,  
7 and therefore I'm against it because it shows to the  
8 Commissioners that this is what the intent of the  
9 ACMUI was, when it was not the intent of the ACMUI.

10 And even a few wordings change makes such  
11 a huge difference in the rulemaking, that we are  
12 setting up ourselves for major problems later, and I  
13 wish to prevent the problem from occurring, rather  
14 than letting it go forward, having the problem occur,  
15 and then try to rectify later.

16 DR. THOMADSEN: This is Thomadsen again.  
17 Mr. Lieto, what do you say to that? How would you  
18 answer Dr. Nag?

19 MR. LIETO: Well, my reasons for putting  
20 this forth are twofold. One, I really don't want to  
21 see this thing get buried at the bottom of the list  
22 again, and probably not reach fruition in our  
23 lifetimes.

24 The second reason is by putting it into  
25 the proposed rulemaking, it requires that the NRC

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 address our comments and provide factual justification  
2 for leaving things either as is, or not changing them,  
3 and I think the staff will--well, I can't speak for  
4 NRC staff cause I've always been wrong on that point.

5 But I think that if the ACMUI comes out in  
6 a unified voice, supported by the professional  
7 communities saying the same things, I really think  
8 that the NRC would see the wisdom of making the  
9 changes and this would be accomplished without a  
10 delay, that would occur if we went forth in pulling it  
11 as per Dr. Nag's intent.

12 DR. THOMADSEN: This is Thomadsen again.  
13 Can I ask anybody on the NRC staff if they feel that  
14 Mr. Lieto's "take" on the NRC staff's response would  
15 be correct?

16 MR. LEWIS: Yes. I think that--this is  
17 Rob Lewis. The NRC staff's view is that the most  
18 efficient way to get any fixes that may be needed into  
19 a rule, would be through the proposed rule comment  
20 process, and so withdrawing the paper would delay this  
21 rule. The objective could be achieved without any  
22 delay in the rulemaking, is where I'm going, rather  
23 than going back to the Commission with a new paper.

24 And the other piece, there is a trickle-  
25 down effect, even if this rule were to be put high on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the list and go up, then, you know, other rules on the  
2 same subject, resources would have to be diverted from  
3 those. So future Part 35 rule might be delayed as  
4 well. So there is a trickle-down effect of  
5 withdrawing the package from the Commission that'll  
6 broadly affect our rulemaking, because everything is  
7 lined up, people's availability, some incredible  
8 schedule they maintain, to track who's working on what  
9 at any given time, and it all gets "thrown out of  
10 whack."

11 All that being said, you know, the  
12 committee's--that's just the NRC staff's view, and  
13 I'll do my best to make sure whatever the committee's  
14 view is is heard upstairs.

15 DR. VETTER: This is Dick Vetter. May I  
16 ask a question, Mr. Lewis?

17 MR. LEWIS: Of course.

18 DR. VETTER: We may have asked this  
19 before, I'm not sure, in all our discussion here, but  
20 is it possible for the committee to prepare a letter  
21 that would go to the Commission to provide  
22 clarification on this issue before their vote?

23 MR. LEWIS: I believe--I know some things  
24 that I can't discuss, but I believe that would be very  
25 difficult.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 DR. VETTER: Okay.

2 MR. LEWIS: If you wanted to write a  
3 letter, I would do it, you know, this afternoon.

4 DR. NAG: I can prepare a letter within  
5 two to three hours, that I can send to the ACMUI, and,  
6 you know, and still--I mean, I can have it prepared in  
7 a few hours. Or by tomorrow, let's say.

8 MR. LEWIS: Well, as I was talking about  
9 earlier in the call, I think it might have been before  
10 Dr. Malmud--the Commission may be, in that situation,  
11 in a legal bind, because they have to consider the  
12 information on the public record before them, which is  
13 the paper we deliver, and make their vote on that  
14 paper. I don't know the legalities of the Commission  
15 operations, or a supplemental comment by anybody,  
16 ACMUI or anybody else, on a paper before them is very  
17 out of process, and even if they could consider it,  
18 they'd want to run it through a bunch of attorneys to  
19 find out if they could.

20 DR. MALMUD: Thank you. This is Malmud  
21 addressing a question to Dr. Nag. Dr. Nag, would it  
22 be possible for us to have a subcommittee meeting in  
23 the near future, as soon as possible, with a  
24 recommendation from you regarding the new wording,  
25 move ahead--let this process move forward and then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 have a comment immediately prepared for the document  
2 as it goes through.

3 DR. NAG: So you mean prepare a letter or  
4 prepare our comments, assuming that the rulemaking  
5 process comes out--

6 DR. MALMUD: Yes.

7 DR. NAG: --so that within that 75 days we  
8 would have a response?

9 DR. MALMUD: Yes.

10 DR. NAG: Yes; that's possible.

11 DR. MALMUD: Then the next question I have  
12 is for NRC staff. Is it possible for us to have a  
13 subcommittee meeting, or does it have to be a public  
14 meeting?

15 MS. TULL: No, it does not have to be--  
16 this is Ashley. It does not have to be a public  
17 meeting, Dr. Malmud.

18 DR. MALMUD: So we could have a  
19 subcommittee conference call meeting any time we wish?

20 MS. TULL: Yes. I can arrange that for  
21 you.

22 DR. MALMUD: And the interested parties in  
23 that would, of necessity, be any members of the  
24 radiation therapy world who are on our committee, and  
25 a committee chairman for that subcommittee. Would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that be acceptable to the parties who are interested?

2 Dr. Nag, Dr. Welsh, Dr. Vetter, Mr. Lieto?

3 DR. WELSH: I am fully supportive. Jim  
4 Welsh.

5 DR. NAG: Dr. Thomadsen also.

6 MR. LIETO: And I would too.

7 DR. MALMUD: Dr. Thomadsen, I'm sorry. I  
8 know I left a name out. Sorry. Yes. Okay. So may I  
9 make--so we have a motion on the floor. We have had  
10 discussion, and I've made a recommendation that I  
11 don't think requires anything other than your having  
12 just agreed to have the subcommittee meeting, and  
13 we'll do that as promptly as the chairman of the  
14 subcommittee wishes to call us in conference call.

15 Within the next two weeks?

16 DR. NAG: You need to have the chairman of  
17 the subcommittee.

18 DR. MALMUD: And I think if it's  
19 agreeable, Dr. Nag, since you have such an intense  
20 interest in this and concern about it, would you be  
21 willing to chair the subcommittee.

22 DR. NAG: I will.

23 DR. MALMUD: Is that acceptable to the  
24 committee members?

25 [Chorus of yeses]

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. MALMUD: Thank you. All right. So  
2 now can we move on this motion. All in favor?

3 [Chorus of ayes]

4 DR. MALMUD: Any nays?

5 DR. NAG: Nay.

6 DR. MALMUD: Dr. Nag votes no. Any  
7 abstentions?

8 [No response]

9 DR. MALMUD: Thank you. So the motion  
10 moves forward and we will have a subcommittee meeting  
11 via telephone conference call which Dr. Nag will  
12 chair, and try to come up with a document that  
13 establishes a standard which is both practical and in  
14 the interest of public safety and welfare.

15 DR. ZELAC: Dr. Malmud.

16 DR. MALMUD: Yes, Dr. Zelac?

17 DR. ZELAC: If I can take 30 seconds, I'd  
18 like to just put a little bit of historic perspective  
19 on this.

20 DR. MALMUD: Please do.

21 DR. ZELAC: The proposed rule, it went out  
22 for input on its language, which was rather unusual to  
23 be done, but in this case we felt it was good and  
24 useful to do so, was reflective of the comments, the  
25 specific recommendations that we received from the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 entire Advisory Committee, in terms of half a dozen  
2 very specifically worded recommendations for inclusion  
3 in the revised rule.

4 There were comments that were received,  
5 based on what had been sought in February when the  
6 draft proposed rule went out, dealing with the  
7 language of the words themselves, and those were  
8 considered and incorporated as appropriate.

9 There were other comments received, which  
10 would have included those like Dr. Nag, on the  
11 substance of the proposed changes, that were, by  
12 conscious decision, deferred, not put away, simply put  
13 to the side to be considered at the time that the  
14 proposed rule was published.

15 So it may seem to Dr. Nag, at this point  
16 in time, that what he had to say was not being  
17 considered or acted upon, but that was a conscious  
18 decision, to not act upon it at that point in time,  
19 not to discount it at all but to give it thorough  
20 consideration when all comments from other individuals  
21 dealing with the substance of the proposed changes  
22 were received after publication of the proposed rule.

23 DR. MALMUD: Dr. Zelac, thank you for the  
24 clarification and I think that we all recognize what  
25 has occurred, and at this point we all will share in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the responsibility for trying to come up with the  
2 appropriate language that will satisfy both the needs  
3 of the public, patients, as well as the practical  
4 aspects of radiotherapists.

5 May we move on?

6 DR. VETTER: Yes.

7 DR. MALMUD: Thank you. Dr. Vetter, I  
8 thank you once again for a yeoman's job in my absence.

9 The next item was the--did you do the  
10 part--well, actually, this covers it, doesn't it? Was  
11 there something else--?

12 DR. VETTER: Number two is technical basis  
13 to support rulemaking in response to the Ritenour  
14 petition.

15 DR. MALMUD: Support rulemaking in  
16 response to the Ritenour petition. Okay.

17 DR. NAG: One second. As part of the  
18 previous one, we made the voting, I would like to add  
19 an additional motion. That if a recommendation is  
20 made by the ACMUI to the NRC, that the NRC gets back  
21 to the ACMUI with a draft before they proceed to make  
22 a final rulemaking. But that would present this sort  
23 of thing from happening in the future. Is that  
24 something I can put forward at this point?

25 DR. MALMUD: You can certainly make such a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 motion as a form of a request to the NRC.

2 Is there a second to that motion as a  
3 request to the NRC?

4 DR. WELSH: I second it.

5 DR. MALMUD: I'm sorry. Who spoke?

6 DR. WELSH: Jim Welsh here.

7 DR. MALMUD: Dr. Welsh seconds the motion.

8 Is there any discussion of the motion?

9 [No response]

10 DR. MALMUD: All in favor of the motion?

11 [Chorus of ayes]

12 DR. MALMUD: Any opposed to the motion?

13 [No response]

14 DR. MALMUD: Any abstentions?

15 [No response]

16 DR. MALMUD: The motion moves forward as a  
17 request of the NRC with the unanimity of the  
18 committee. Thank you, Dr. Nag.

19 And we are still with the technical basis  
20 to support the rulemaking in response to the Ritenour  
21 petition?

22 DR. VETTER: Correct. We had not started  
23 that one.

24 DR. MALMUD: Who wishes to address the  
25 subject?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. LOHR: The next issue--this is Ed Lohr  
2 for rulemaking.

3 DR. MALMUD: Yes.

4 MR. LOHR: I want to talk about the actual  
5 **Federal Register** notice that announced the outcome, if  
6 you will, of the Ritenour petition, and I want to  
7 bring to the community's attention the very last  
8 paragraph of that **Federal Register** notice, which we've  
9 provided to all the ACMUI members. And that is the  
10 conclusion of the Ritenour petition and what is  
11 required to actually get this into rulemaking space.

12 Understand, first of all, when we  
13 published this in the **Federal Register**, it closed the  
14 petition. The petition is now officially closed in  
15 the NRC and in the public's eye. In closing this  
16 petition, we also went on to say that we would  
17 consider it in rulemaking space but we needed  
18 additional data to support what we call a technical  
19 basis, which the medical group will actually be  
20 developing to send to Rulemaking where I work.

21 I want to make it very clear, that a  
22 technical basis is not done, is not submitted, or is  
23 not valid, this rulemaking will not occur. And that's  
24 what it says in the **Federal Register** notice, and I  
25 want to make sure that's very clear and very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 understood.

2 Having said that, I know that the NRC  
3 medical staff here wants to get this to rulemaking  
4 space. I understand they're going to be doing various  
5 activities to solicit, if you will, the medical  
6 community for data to support the technical basis.

7 But I want to make that very clear, and if  
8 there were any questions on that, I'd be willing to  
9 address those at this point.

10 DR. MALMUD: This is Malmud. Are there  
11 any questions?

12 DR. VETTER: This is Dick Vetter. Mr.  
13 Lohr, could you give us an example of what you mean by  
14 "data to support technical basis."

15 MR. LOHR: That information, sir, will be  
16 coming from your medical group, who's leading this  
17 discussion, if you will. They're the responsible  
18 organization for creating this technical basis, and so  
19 they will be addressing that here shortly, I believe,  
20 as what the specifics are.

21 Again, I do not make the determination  
22 whether there's a technical basis or enough data.  
23 They have to provide that to our rulemaking group, and  
24 there's a committee that reviews it. So it's not done  
25 in a vacuum, by any means.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 DR. ZELAC: Dr. Malmud.

2 DR. MALMUD: Dr. Zelac.

3 DR. ZELAC: I think that I can add a few  
4 words that may provide the clarification that's  
5 required.

6 DR. MALMUD: Thank you.

7 DR. ZELAC: The intent of NRC staff,  
8 specifically the medical group, at this point is as  
9 Mr. Lohr has said, is to solicit from the user  
10 community the kind of information that can be used to  
11 form the technical basis of which he spoke. The  
12 intent, at the moment, is for us, NRC, to send letters  
13 to certifying boards, specifically those who were  
14 listed in Subpart J, which certainly includes those  
15 who are now currently recognized by NRC or the  
16 Agreement States.

17 And those letters will solicit information  
18 on the numbers of actors, individuals, who are  
19 certified prior to the recognition of a board process.

20 As I said, most of those that were listed in Subpart  
21 J have, at this point in time, been recognized, re-  
22 cognized, if you will, by NRC or Agreement States.  
23 A couple are still pending.

24 But in all cases, those individuals who  
25 are certified as of the date of recognition, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 beyond, meet the criteria to apply for authorized  
2 status via the board recognition pathway,  
3 certification pathway. But those who were certified  
4 prior to the board processes being recognized are  
5 those for whom there may be some benefit to further  
6 consideration of the current rule.

7 It's to look at those individuals,  
8 certified prior to recognition of a board process, to  
9 determine how many of them are active individuals who  
10 now, or in the future, might seek to be listed on a  
11 medical use license.

12 DR. MALMUD: Okay. So it's get the  
13 database as to how many individuals among those boards  
14 might require grandfathering?

15 DR. ZELAC: That's correct. Those  
16 individuals, in that category, prior to board  
17 recognition, were certified, who are not listed on  
18 licenses, to whom any modification of the current rule  
19 might be beneficial.

20 DR. MALMUD: And what you're telling us is  
21 that these letters will go out, and we will expect  
22 those boards to answer in a timely fashion?

23 DR. ZELAC: That is correct. That is the  
24 plan at the moment with respect to our actively  
25 soliciting, and hopefully receiving, the information

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 to make a determination as to whether or not the  
2 technical basis exists to pursue rulemaking.

3 DR. MALMUD: And our assumption is that  
4 those boards have those databases?

5 DR. ZELAC: My presumption is that they  
6 will have to, these individuals boards will either  
7 have, or more likely than not, would be soliciting  
8 their members--

9 MR. LEWIS: Dr. Malmud. No.

10 DR. ZELAC: --to gather this information.

11 MR. LEWIS: Dr. Malmud.

12 DR. MALMUD: Yes?

13 MR. LEWIS: This is Rob Lewis. I'm sorry  
14 to interrupt. I am going to have to go to another  
15 meeting in the other building and I'm going to have to  
16 leave the call now. We went long on the first topic  
17 but I think it was very important.

18 DR. MALMUD: Yes.

19 MR. LEWIS: I apologize for having to  
20 leave, and if there's anything you need coming out of  
21 the call, just let me know.

22 DR. MALMUD: Thank you.

23 Dr. Zelac?

24 DR. ZELAC: I have nothing further to say  
25 on the issue but I will answer any questions that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 individuals might have.

2 DR. MALMUD: Are there any questions for  
3 Dr. Zelac?

4 MS. FAIROBENT: Dr. Malmud, it's Lynne  
5 Fairobent with AAPM. May I ask a question?

6 DR. MALMUD: Please do.

7 MS. FAIROBENT: Ron, could you clarify,  
8 because I think I heard two different things as to  
9 what you said the letters to the boards were  
10 attempting to get. Are you simply attempting to get  
11 the number of individuals certified by any of the  
12 boards prior to the October 2005 date versus those who  
13 are now eligible based on the effective date?

14 DR. ZELAC: No. The October 2005 date,  
15 when Subpart J disappeared, is not a factor at this  
16 point in time. What is a factor, and will remain a  
17 factor, are the dates of recognition of the individual  
18 board certification processes. Any, as I said, and  
19 you recognize, any individual certified after those  
20 dates are good, if you will, in terms of applying  
21 through the certification pathway, whereas those who  
22 are certified prior to those dates, who have not made  
23 application and had been recognized, and authorized on  
24 a license, are the persons to whom this potentially  
25 could apply, and of those, it's the subsets who, at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 this point, believe that they may, or are seeking to  
2 be listed as an authorized individual on a medical use  
3 license.

4 DR. MALMUD: This is Malmud. Does that  
5 answer your question, Lynne Fairobent?

6 MS. FAIROBENT: Dr. Malmud, yes. I  
7 believe the board would have no knowledge of whether  
8 or not an individual practitioner of any type is  
9 currently listed on a license, or in the future may be  
10 seeking to be listed on a license.

11 DR. ZELAC: Well, that's exactly what  
12 this--

13 [Simultaneous conversation]

14 MS. FAIROBENT: That is not data the  
15 boards would have.

16 DR. ZELAC: That's exactly what I said  
17 before. I don't expect that the board would have this  
18 information, but it's something, has surfaced to their  
19 diplomates, that they would perhaps feel appropriate  
20 to pursue in terms of a questionnaire.

21 MS. FAIROBENT: A question, Ron, then.  
22 NRC would know who is on a license. Why does NRC not  
23 have that data?

24 DR. ZELAC: Because you're seeking more  
25 than simply that. You're seeking primarily those who

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are not listed on a license, and also those who might  
2 in the future, or are now currently considering being  
3 listed on a medical use license.

4 Now those on licenses aren't an issue.  
5 Those are--they would gain no benefit from this  
6 anyway, 'cause potentially they are grandfathered in  
7 the current rule. It's those persons that are not  
8 listed on the license to whom this applies.

9 DR. VETTER: Ron, this is Dick Vetter. I  
10 guess the point I would make is that all of those  
11 members of those boards who'd been certified have the  
12 potential to apply for an RSO position.

13 DR. ZELAC: Absolutely. If that was the  
14 information that came back from the boards, then, you  
15 know, that would be what we would take into account.

16 But clearly, some of the people that were  
17 certified prior to the board recognition, board  
18 process being recognized, are not active at all, have  
19 retired, or deceased. So it's simply not looking at  
20 the list of everybody that's been certified and saying  
21 everybody might, potentially, in the future, want to  
22 be listed as an authorized individual on a medical use  
23 license.

24 DR. VETTER: This is Dick Vetter again. I  
25 think the boards would have that information.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MR. WHITE: This is Jerry White from the  
2 AAPM, Dr. Malmud.

3 DR. VETTER: Go ahead, Jerry.

4 MR. WHITE: Ron, I hear two things. The  
5 first is that you said that you would inquire of the  
6 boards which of their members might find an advantage  
7 to this potential rulemaking. And then you went on to  
8 describe certain classes of people, who either you, or  
9 the NRC, believed would fit that definition, and I  
10 want to be certain that your inquiry is to have the  
11 boards offer an opinion as to who might find this  
12 change beneficial rather than--

13 DR. ZELAC: Well, data would be better  
14 than an opinion, clearly.

15 MR. WHITE: Well, my question is: Will you  
16 decide, or the NRC decide, who will benefit, or will  
17 the boards be permitted to decide who will benefit?

18 DR. ZELAC: More than being permitted,  
19 it's the input from the boards that we receive at NRC,  
20 that will form--that can be used as the basis. It's  
21 not the combinations on our part. It's based on the  
22 information that's provided.

23 Now clearly, we have to be very clear in  
24 what we are suggesting as appropriate. But if the  
25 board wants to add some additional information, that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 they feel would make even a stronger case, or  
2 whatever, that's fine. This is something that, you  
3 know, is not cast in stone at this point.

4 I can't say that we have a letter ready to  
5 go out the door tomorrow. What we're thinking in this  
6 time, and in this direction, so input from this  
7 discussion of course will be useful for that process.

8 DR. MALMUD: Jerry, did that address your-  
9 -I'm sorry. I can't hear you clearly. Did that  
10 address your concern?

11 MR. WHITE: I think we'll have to wait  
12 until the letter comes out.

13 DR. MALMUD: Okay.

14 MR. WHITE: But I would hope that the NRC  
15 would allow the boards to offer data on--would allow  
16 the boards to decide what class of individuals this  
17 change would benefit, rather than have the NRC make a  
18 determination as to what class of individuals this  
19 change would benefit. That's an important  
20 distinction, and I would hate for the NRC to  
21 unnecessarily limit discussion in that regard.

22 DR. MALMUD: This is Malmud. I suspect  
23 that the NRC would respond well, and the boards should  
24 describe these individuals with the board's  
25 recommendation, giving the NRC both the answer to its

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com



1 question and recommendations. Hopefully the NRC will  
2 respect the opinions of the boards, will certainly  
3 hear the opinions of the boards, if they're expressed.

4 MR. WHITE: Thank you.

5 DR. MALMUD: Is it fair for me to say  
6 that? I'm not a member of NRC.

7 DR. ZELAC: No, I think it's--this is  
8 Zelac. It's perfectly understandable.

9 DR. MALMUD: Thank you.

10 DR. ZELAC: But I think, in particular,  
11 since the petition came from AAPM, that there should  
12 be an understanding on the part of all of the boards,  
13 that generalities, in terms--really won't be enough.

14 There were sufficient generalities in the  
15 petition to raise the question, but the Commission  
16 wants there to be a sound technical basis to put  
17 resources into the rulemaking. There needs to be a  
18 problem to be addressed for a reasonable number of  
19 people, beyond those who could be accommodated perhaps  
20 by exemption.

21 DR. MALMUD: So what I infer from your  
22 statement is that the more justification that the  
23 boards can offer in supplying their data, the more  
24 likely it would be to be accepted.

25 DR. ZELAC: That is correct.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. MALMUD: Thank you, Dr. Zelac. May we  
2 move on to the next item?

3 MR. MATTMULLER: This is Mattmuller. I  
4 have a question for Ron.

5 Ron, as a board-certified nuclear  
6 pharmacist, are you intending to, even though we're  
7 not specifically addressed by the AAPM petition, are  
8 you going to send a letter to the board for nuclear  
9 pharmacists, because we also have individuals in this  
10 situation?

11 DR. ZELAC: Absolutely This is Zelac.  
12 Absolutely. The working group that was addressing  
13 this petition, and everyone from that point on, up to  
14 the Commission, recognized there was potential for a  
15 broader issue here, and simply the groups that were  
16 addressed in the petition itself. So the intent is to  
17 look at this in the broader, more general sense, to  
18 all of the certified individuals in groups who might  
19 seek--whose members might seek authorization on  
20 medical use licenses--nuclear pharmacists, authorized  
21 users, medical physicists.

22 MR. MATTMULLER: Thank you.

23 DR. HOWE: This is Dr. Howe. I'd like to  
24 bring in a point, and that is I was active, working on  
25 the radiopharmacy rule back in 1992, and I'm not sure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the certified nuclear pharmacists are in the same  
2 category. We recognized them back in '92, and their  
3 criteria for selecting pharmacists to be board-  
4 certified have not changed, and the board itself was  
5 able to go back quite a ways, I think to its beginning  
6 inception, to say all of its board-certified members  
7 could be recognized.

8 DR. ZELAC: Excuse me. This is Zelac.  
9 That's exactly the point I'm trying to make, in that  
10 it depends on when the board process was recognized in  
11 terms of diplomates from that point forward being able  
12 to apply by the certification pathway. Some boards  
13 are potentially retroactive, well before the date when  
14 they actually made application for recognition, to  
15 their inception, as Dr. Howe has just pointed out.

16 MR. LIETO: This is Ralph Lieto. But the  
17 issue with the nuclear pharmacist, there's the concern  
18 regarding them being named as RSOs. That is a current  
19 issue, and this petition, you know, speaks to that  
20 problem of people who could not be put on licenses  
21 such as RSOs, and prior to the implementation dates  
22 that the Part 35 T&E rule applies to.

23 So there's some specific application to  
24 that group also, that would be affected.

25 DR. MALMUD: Thank you. My understanding

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 is that the letters will go out to each of the  
2 certifying boards.

3 DR. ZELAC: That is correct.

4 DR. MALMUD: Each will have its  
5 opportunity to comment and make recommendations and  
6 justifications.

7 DR. ZELAC: Also correct.

8 DR. MALMUD: In this case I gather the  
9 more information received, the more likely the  
10 response will be one that's in line with the  
11 recommendation.

12 Someone else wished to make a comment, I  
13 believe.

14 MR. MARTIN: Dr. Malmud, this is Melissa  
15 Martin with AAPM. I was just wondering, I'm active  
16 with, originally ACR, very active too. Do we have or  
17 can we get any time estimate that these letters will  
18 actually go out to the boards, so that this item  
19 doesn't just get tabled? Do we know when to expect to  
20 request the boards for action?

21 DR. MALMUD: I will ask Dr. Zelac, right  
22 now, when he anticipates those letters going out.

23 Dr. Zelac.

24 DR. ZELAC: While I have been chosen, so  
25 to speak, to act for the medical group, I'm not in a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 position to make that determination, although I would  
2 expect that the intent would be expeditious production  
3 and sending of these letters.

4 DR. MALMUD: Expeditious is an adjective.

5 Does it have a number of days associated with it? Or  
6 months?

7 DR. ZELAC: You have to ask someone else  
8 that.

9 DR. MALMUD: Who would we ask?

10 DR. ZELAC: Well, you could ask Cindy  
11 Flannery. Or you could ask Christian Einberg.

12 DR. MALMUD: Is either of those two with  
13 us now?

14 MS. FLANNERY: Yes. This is Cindy  
15 Flannery. I guess I'm kind of struggling with being  
16 able to really provide a timeline with this as well.  
17 You know, just brainstorming this morning on how we  
18 can gather information to provide rulemaking with a  
19 technical basis. So, you know, I'm not certain we  
20 could really give a timeframe.

21 I do know that I dearly would like to get  
22 the information and responses, you know, by the end of  
23 the year. So it's not something that we could, you  
24 know, really sit on for a long time.

25 DR. MALMUD: Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. LIETO: Dr. Malmud?

2 DR. MALMUD: Yes.

3 MR. LIETO: This is Ralph Lieto. I don't  
4 know if we need to make this as a motion, or simply  
5 maybe the chair could make it as a committee request.

6 Could we have identified who this medical  
7 group team is going to be composed of, addressing this  
8 specific issue? One. And number two, either some  
9 type of an outline of what this plan is intended to do  
10 to get this data? Cause I just have some reservations  
11 that a letter going to just boards is going to get the  
12 information that's needed.

13 And I guess thirdly, can we put this as an  
14 agenda item for progress reporting at the next  
15 meeting?

16 DR. MALMUD: With respect to your last  
17 recommendation, yes, we could put it as an item for  
18 progress report for the next meeting, and I'll ask  
19 Cindy to actually make certain that it's on the  
20 agenda.

21 With respect to the first two items, I  
22 can't address those. Is there someone who can, from  
23 the NRC staff?

24 MS. FLANNERY: This is Cindy Flannery. As  
25 far as the medical radiation safety team, it consists

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 of Ron Zelac, Donna-Beth Howe, Duane White, Ashley  
2 Tull, and myself. And I hope I'm not leaving anybody  
3 out. Was that Ralph who asked the question?

4 MR. LIETO: Yes; it was.

5 MS. FLANNERY: I guess, Ralph, we're open  
6 to other recommendations or ideas. You said that  
7 you're not certain whether, you know, that information  
8 would be what we needed. If you have some other  
9 suggestions, we're open. Like I said, we did some  
10 brainstorming this morning but we like to, you know,  
11 get any input from ACMUI as to how we could get this  
12 information that we can use for the technical basis.

13 MR. LIETO: Well, I don't want to speak  
14 for some of the general public members that are on  
15 line here, but I would that the academies or colleges  
16 of the professional groups involved would provide an  
17 avenue of information for members who, you know, might  
18 speak to, you know, this training and experience issue  
19 directly affecting them.

20 So I mean, you can identify the boards--  
21 the boards can identify the members who are certified  
22 and have an idea identified for potential candidates  
23 but it sounds like you want also some actually --

24 DR. MALMUD: This is Malmud. We're  
25 getting a lot of interference.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. TULL: This is Ashley. Whoever is  
2 calling from a cell phone, please press star six.

3 DR. MALMUD: Did someone join us?  
4 Has someone moved to a mobile phone?

5 MS. FLANNERY: That's better now.

6 DR. MALMUD: Thank you.

7 All right. Please go ahead, Ralph. You  
8 were speaking.

9 MR. LIETO: Well, I would think that there  
10 might be other groups, such as the academies and  
11 colleges, whose members are board-certified, that  
12 might also provide information that would affect this  
13 issue, you know, other than just the boards.

14 DR. MALMUD: Can you give us an example of  
15 one.

16 MR. LIETO: Well, there's the American  
17 Academy of Health Physics. American College of  
18 Radiology. American College of Medical Physics.

19 DR. MALMUD: So you're suggesting--

20 MS. FAIROBENT: AAPM. SNM. ASTRO.

21 DR. MALMUD: So you would suggest that the  
22 letters go to those groups as well.

23 MS. FAIROBENT: ABHP.

24 MR. LIETO: Well, I would think that you  
25 would definitely want to consider some of those; yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com



1 DR. MALMUD: Your assumption is that they  
2 all have a database that's not available to the  
3 boards; is that correct?

4 MR. LIETO: Of board-certified members;  
5 yes.

6 DR. MALMUD: Yes. All right. We'll take  
7 that as a suggestion to NRC staff. Are you willing to  
8 send letters to them as well?

9 MS. FLANNERY: This is Cindy Flannery. We  
10 could do that but it's my understanding that a lot of  
11 these organizations are sort of associated or have  
12 sort of a relationship with these organizations and  
13 with the boards. So say, for example, the ABHP works  
14 closely with the AAHP. So I would think, you know--I  
15 guess I'm not certain that we would get more  
16 information from these organizations. But if you  
17 think that we could, that's a suggestion that, you  
18 know, we're open to.

19 DR. MALMUD: We are enthusiastic about the  
20 suggestion, since we don't believe that the boards  
21 will have some of the data that you are seeking.

22 MR. LIETO: This is Ralph Lieto again. I  
23 guess maybe, in answer to my second question or point,  
24 a request, that if we had an idea of what the, you  
25 know, sort of plan is here of getting the information

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 to address the petition questions, maybe that might  
2 be, you know, a better way for the committee members  
3 to respond to that, you know, to that specific point,  
4 as to whether they're appropriate groups or not.

5 But just kind of getting this thrown at us  
6 today, in generalities, it's kind of hard to respond  
7 as to whether they would--they might even be the  
8 better group to go to than the boards.

9 DR. MALMUD: So, in summary, then, we're  
10 suggesting that you also send the letters to those  
11 groups, and the additional data may be of value.

12 Is that a fair recommendation?

13 MR. LIETO: Yes.

14 DR. MALMUD: So that's our recommendation.  
15 We hope you'll be responsive to it.

16 May we move on to the next item? It's  
17 3:25 and the meeting was to have ended at 3:00. So do  
18 you think we can cover the issue of the Yttrium-90  
19 microspheres guidance clarification on the proctor for  
20 the three cases?

21 MS. TULL: Dr. Malmud, it's really your  
22 call. I have 3:15 right now and we do have this line  
23 until 3:30.

24 DR. MALMUD: Okay. I think we can.

25 MS. TULL: Okay. If not, then we can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 schedule a second teleconference. It's up to you.

2 DR. MALMUD: We've agreed that the yttrium  
3 microspheres should have, be proctored for three  
4 cases, so that the new individuals will have had at  
5 least three hands-on experiences handling these.

6 The issue is with respect to who will  
7 proctor. Is that the question?

8 MS. TULL: This is Ashley. That's  
9 correct.

10 DR. MALMUD: And the proctors who  
11 certainly are approved, are physicians who have done  
12 these, but we recognize there are not enough  
13 physicians who have done these to be the proctors for  
14 all the trainees throughout the country, and therefore  
15 there are other proctors. And the question is who are  
16 the other proctors? Who shall they be?

17 MS. TULL: That's correct. And I believe  
18 we have both manufacturers on the line that can  
19 address this issue.

20 DR. MALMUD: And who are the manufacturers  
21 recommending for proctors?

22 MS. TULL: MDS Nordion and Sirtex.

23 DR. MALMUD: May we hear from one, and  
24 then the other. Would Sirtex.

25 MR. THURSTON: Yes. This is Ken Thurston

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 from Sirtex Medical.

2 DR. MALMUD: All right. Your  
3 recommendation for proctors is...?

4 MR. THURSTON: That in the event that an  
5 individual site requires training for a new user,  
6 ordinarily the three--a physician would be required to  
7 attend all three cases. In selected circumstances,  
8 sites have demonstrated to be very facile in terms of  
9 their ability to administer the product after, for  
10 example, two cases, and to be completely in line with  
11 our certification requirements.

12 There are also certified non-physician  
13 manufacturers' representatives who are trained in the  
14 radiation safety aspect of the procedure, that could  
15 proctor that third case, because the clinical  
16 requirements under a physician, where we're more  
17 concerned about where the catheter is placed in the  
18 delivery of the product are at issue, but once that  
19 issue's been resolved, it is the opinion that there's  
20 no reason that the radiation safety aspects could not  
21 be handled by a non-physician proctor. So that is the  
22 proposal on the table. That the third case could be  
23 proctored by a non-physician.

24 DR. MALMUD: So you're recommending two by  
25 a physician, a minimum of two by a physician and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 third could be by a physician also, but that in other  
2 cases, the third could be by a proctor from the  
3 manufacturer?

4 MR. THURSTON: Right, and those provisions  
5 have already been discussed under the simulated bench  
6 studies. Those actually are proctored by  
7 manufacturer's representatives. So yes, that is  
8 correct.

9 DR. MALMUD: Thank you.

10 MR. THURSTON: It would just mean that the  
11 requirement would be reduced, if in the judgment of  
12 the manufacturer, the clinical aspects of the  
13 procedure had been addressed in the first two cases.

14 DR. MALMUD: May we hear the  
15 recommendation of Nordion.

16 MR. BURNETT: This is Tom Burnett from MDS  
17 Nordion. I'd just like to clarify our training  
18 procedure which we described at the April meeting of  
19 the ACMUI.

20 DR. MALMUD: Yes.

21 MR. BURNETT: We actually offer a full day  
22 course that is put on by an authorized user and a  
23 team, where they cover all of the medical aspects of  
24 the procedure, including going through actual  
25 dosimetry for actual cases, where they go through

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 three simulations, procedure check lists, everything  
2 to do with the anatomy and medical concerns.

3 We follow that up, then, with three on-  
4 site supervisions for the initial three cases that the  
5 institution will go through, and for that we have, for  
6 seven years, used full-time employees of Nordion which  
7 have extensive training in areas such as radiation  
8 safety, sterile techniques, direct working experience  
9 in radiation and sterile environments. Attendance at  
10 TSU, which is our university. Direct product training  
11 which is extensive. And so on.

12 All of this has been very well-received by  
13 centers to this point, and the questions and issues  
14 that come up are to do the actual use of the kit once  
15 you get into the on-site supervision of the three  
16 cases, because the medical aspects have been dealt  
17 with in a sense.

18 DR. MALMUD: Could you answer a question  
19 for me, please. MDS Nordion. Do you require three  
20 hands-on supervisions within this program?

21 MR. BURNETT: We do three simulations as  
22 per the discussion we had at the April 29th meeting.  
23 That is done under an AU supervision --

24 DR. MALMUD: I understood that. My  
25 question was how many hands-on supervisions of actual

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 patients?

2 MR. BURNETT: Of actual patients, we do a  
3 minimum of three, but we don't limit it to three. We  
4 will go until we're comfortable the center is adequate  
5 to do the procedure by themselves.

6 DR. MALMUD: So the common thread in both  
7 approaches is three clinical cases?

8 MR. BURNETT: Yes.

9 DR. NAG: I have a question for the  
10 manufacturer. The question is on site, right now, how  
11 many cases are you proctoring by an MD versus how many  
12 are you proctoring by a representative from your  
13 company? I'm not talking about the simulation cases  
14 in the university.

15 MR. BURNETT: On site, right now, we use  
16 full-time Nordion employees. We do not use part-time  
17 contracted MDs. We feel this gives us much better  
18 quality control over the consistency of the  
19 information conveyed to the center, and more than  
20 sufficient experience with the kit. Often the  
21 individuals were involved in the development of the  
22 kits. So they really understand, in depth, what  
23 issues may happen and how to deal with them  
24 appropriately.

25 DR. MALMUD: So this is Malmud. In

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 summary, then, the Sirtex approach is three  
2 supervisions, a minimum of two of which must be with a  
3 physician, the third by a representative of the  
4 company.

5 And the Nordion approach is a day's  
6 symposium plus three cases which would be supervised  
7 by a Nordion employee. Is that correct?

8 MR. BURNETT: That's correct.

9 DR. MALMUD: Okay. Now having heard those  
10 two summaries, are there questions?

11 Is there a motion to approve these two  
12 approaches?

13 I couldn't hear. Who said something? I'm  
14 sorry. Someone said something.

15 DR. NAG: I think that someone else is on  
16 a speaker-phone or something. This is Dr. Nag.

17 DR. MALMUD: Yes, Dr. Nag?

18 DR. NAG: I think what we need to ensure  
19 is two things. One is the medical decision about the  
20 catheter placement, and the second is about connection  
21 of the bottles and catheters and radiation safety.  
22 They are two slightly different items that need to be  
23 learned, and that could be fulfilled in a number of  
24 different ways.

25 So I think we should make our rules

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 flexible enough that these two items are at play. The  
2 medical portion obviously has to be addressed by an  
3 MD, or by the person, an authorized user basically, as  
4 well as the connections and radiation safety would be  
5 handled by a manufacturer's representative.

6 And therefore it's not whether MD Nordion  
7 shows up or a person shows up. We have to write our  
8 rules such that both of these are addressed, so we can  
9 make it a generic statement that they have these two  
10 trainings and we do not need, necessarily, to say that  
11 it has to be by an MD or by a representative.

12 DR. MALMUD: Thank you, Dr. Nag.

13 Are there other comments with regard to  
14 this?

15 MS. GILLEY: Debbie Gilley.

16 DR. MALMUD: Yes, Debbie Gilley?

17 MS. GILLEY: I have one comment to make and  
18 that is how we are going to, in the Agreement States,  
19 identify those people who have completed the  
20 treatment, completed the preceptoring yet have not  
21 done the clinical treatment, and how do you approach  
22 that type of activity? And I'm looking for guidance  
23 to see how NRC is going to handle it.

24 MS. TULL: This is Ashley. If I  
25 understand your question correctly, that's addressed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in the draft guidance, right now, that was sent to  
2 ACMUI, I'm going to say the beginning of July.

3 DR. MALMUD: Yes.

4 MS. TULL: That was addressed in there.  
5 It would be a notification type procedure. I don't  
6 want to confuse that with 10 CFR 35.14. But once the  
7 proctored cases were completed, it could simply be a  
8 letter saying three proctored cases have been  
9 completed, and you put that on file. We didn't want  
10 to require a license amendment due to administrative  
11 burden and timelines.

12 MS. GILLEY: But you need a license  
13 amendment in order to possess these radioactive  
14 materials. So you're going to have to have some  
15 documentation that you have qualified, authorized  
16 users, before you can put these items on license. Is  
17 that not correct?

18 MS. TULL: This is Ashley again. You  
19 would be an AU when you complete your three simulated  
20 cases. You would be put on the license and authorized  
21 for the materials, using a license amendment, with the  
22 promise to get three proctored cases. So now you're  
23 an AU. Then after you do your three proctored cases,  
24 you send a letter in, just notification that it's  
25 complete.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MS. GILLEY: In the event we have a  
2 medical misadministration on those proctored cases, a  
3 Medical Event on those proctored cases, how does that  
4 set well with NRC?

5 DR. HOWE: They're an AU and they're --

6 [Simultaneous conversation]

7 We've had many Medical Events with they  
8 see us on the very first patient. Dr. Howe, NRC.

9 DR. MALMUD: Does that answer your  
10 question, Ms. Gilley?

11 MS. GILLEY: Yes, sir.

12 DR. MALMUD: Thank you.

13 MR. THURSTON: This is Ken Thurston from  
14 Sirtex. I'd just like to make a comment. In the  
15 event that a Medical Event did occur during those  
16 first three cases, that would then impact the number  
17 of cases that we would then continue to proctor on.  
18 So the minimum may be two cases, in the case of sites  
19 that demonstrate very, very good technique. In those  
20 cases where sites do not, we continue to go back and  
21 proctor. We will not necessarily check a limited two  
22 for every site. It will depend on how well the site  
23 demonstrates their capabilities.

24 MS. GILLEY: This is Debbie Gilley again.  
25 To get that straight, I don't have a relationship with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the manufacturer. My relationship is with the  
2 licensee.

3 MR. THURSTON: Yes. I understand.

4 MS. GILLEY: Thank you.

5 DR. MALMUD: Any other questions?

6 [No response]

7 DR. MALMUD: So Dr. Nag's  
8 recommendation was that we be concerned about two  
9 elements. One was the medical placement of the  
10 catheter and the other was the radiation safety issue.

11 My understanding is that the catheter is  
12 really directed by the interventional radiologist. Is  
13 that not the case?

14 DR. NAG: It is done by the interventional  
15 radiologist in many sites with, in close cooperation  
16 with the radiation oncologist, and in other cases  
17 without. But the primary responsibility is the  
18 interventional radiologist.

19 DR. MALMUD: Yes. It's the interventional  
20 radiologist who places the catheter, and this is  
21 something they do on a daily basis without radioactive  
22 material. So the issue therefore is not the  
23 competence of the interventional radiologist in  
24 placing the catheter. It's in the decision as to  
25 where the catheter should be placed and whether or not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the initial tracer dose of the MAA has been calculated  
2 with respect to the percentage of material that's  
3 shunting and therefore calculating the right dose.

4 DR. NAG: And whether it's going in the  
5 right place, whether is a backflow, how much are you  
6 going to push, when do you--to make a decision when to  
7 stop. Yes. Those are the portions that have to be  
8 the medical decisions.

9 DR. MALMUD: Right. And those are under  
10 the direction either of the nuclear medicine  
11 physician, as they are here, or the physicist, or I  
12 imagine in some institutions, the radiation  
13 oncologist.

14 MS. TULL: Dr. Malmud, this is Ashley.

15 DR. MALMUD: Yes?

16 MS. TULL: I just wanted to note that it  
17 is now 3:30.

18 DR. MALMUD: Yes. What do you recommend  
19 we do? Have another conference call?

20 MS. TULL: We can do that.

21 DR. MALMUD: I would--

22 [Simultaneous conversation]

23 MS. TULL: If the committee is ready to say  
24 what's acceptable, the current practice, two of three  
25 cases by an MD, three of three cases by an MD. If the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 committee can make a statement, we can go on the  
2 record and move forward with the guidance, or we can  
3 postpone it.

4 DR. MALMUD: Well, if I may, I'll try and  
5 make a motion and see if we can get it seconded, and  
6 either rejected or carried through.

7 And that is that we accept the  
8 recommendations of both groups, the group that is  
9 using the three cases, two of which are by a  
10 physician, the third by a representative of the  
11 company, and the other recommendation is the course  
12 followed by three cases which may be done by  
13 representatives of the company.

14 In both instances, there are many examples  
15 of introduction of new technologies by both of these  
16 techniques in medicine, and therefore these are not  
17 unusual approaches by either manufacturer.

18 I'm experiencing one here at Temple. I've  
19 done two cases using one of those systems and I found  
20 that it is very instructive. These are live cases,  
21 and non-simulation. So I can't speak to the  
22 simulation. However, the presentation that we heard  
23 with respect to the simulation of course was very  
24 impressive.

25 So I would make a motion that we accept

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 both approaches since they incorporate the concerns  
2 with regard to radiation safety and clinical  
3 expertise. That's a motion.

4 DR. VETTER: This is Ralph Vetter. I  
5 second that motion.

6 DR. MALMUD: It's been seconded.  
7 Discussion. If there's--

8 MR. LIETO: This is Ralph Lieto. The  
9 issue is whether you're not going to have physician  
10 proctoring with a hands-on or you are. It was my  
11 interpretation of the original question from NRC  
12 staff, about who the proctor can be.

13 MS. TULL: This is Ashley. That's  
14 correct, Mr. Lieto.

15 DR. MALMUD: That's correct.

16 MR. LIETO: So what you're saying is you  
17 have a hodge-podge, and in which case no physician  
18 proctoring is acceptable?

19 DR. MALMUD: I have not used the term  
20 "hodge-podge." There are more than a few examples of  
21 representatives of manufacturers entering the  
22 operating room and being much more expert at the  
23 technique than any physician in the operating room in  
24 the introduction of a new technique, whether it's an  
25 implant or some other methodology.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           So I'm not hostile to the approach  
2 recommended by one of the manufacturers, nor am I  
3 hostile to the approach used by the other.

4           I listened to every word that was said at  
5 the presentation of the manufacturers to the ACMUI,  
6 and I'm personally satisfied, but my personal  
7 satisfaction should not extend to the committee. The  
8 committee should make its own decision.

9           So I've made the motion with respect to my  
10 own observations and experience, hoping that the  
11 committee will decide yea or nay. If it's nay, we'll  
12 bump it to another meeting. Is that fair?

13           DR. NAG: I think we haven't had enough  
14 time to see how that wording would be--my preference  
15 was that we have it worded in such a way that it will  
16 apply to both, the method. Basically saying that we  
17 need a proctor who doesn't have to be, say, whether  
18 it's MD or representative, but we need to have  
19 proctors that will oversee the different components,  
20 including the catheter placement, and radiation safety  
21 and connections. So these are the parts that have to  
22 be processed, and, you know, we don't need to say  
23 whether it's an MD or whoever is proctoring it.

24           For example, the catheter placement would  
25 be an MD but the radiation safety proctoring could or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 could not be an MD.

2 DR. MALMUD: I understand your point, but  
3 I also understand that an MD being present, who is not  
4 an interventional radiologist, offers very little by  
5 way of anatomical expertise to that which the  
6 interventional radiologist is doing.

7 DR. NAG: Right.

8 DR. MALMUD: Whether he had an MD, a PhD,  
9 or no degree at all. So my feeling is that the  
10 placement of the catheter is clearly the "turf" of and  
11 represents the experience and training of the  
12 interventional radiologist. He or she is always  
13 present for the case. They can't do it without the  
14 interventional radiologist.

15 DR. NAG: But again it has to be proctored  
16 with an interventional--who has knowledge of  
17 interventional radiology, and the blood flow and what  
18 radioactive material needs to go to which portion. So  
19 that's why not just say MD or not MD. It has to be  
20 someone knowledgeable about the case.

21 DR. MALMUD: And perhaps your wording  
22 would be an amendment to my recommendation, which is  
23 that there be present, whichever method is used, that  
24 there be present both the expertise of the  
25 interventional radiologist and the expertise of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 individual who is knowledgeable of and has experience  
2 with the use of injectable non-sealed sources.

3 DR. NAG: Right.

4 DR. MALMUD: Is that an acceptable motion,  
5 Dr. Nag?

6 DR. NAG: Yes. Not in someone who has  
7 knowledge of the interventional techniques, because in  
8 some places it may not be an interventional  
9 radiologist, could be a--you know--could be--I know in  
10 certain cases the radiation oncologist is so  
11 knowledgeable, that he--you do not want to prevent--  
12 there has to be the knowledge, not, you know, what his  
13 label is.

14 DR. MALMUD: This is Malmud again asking  
15 Nag a question. Dr. Nag, are there radiation  
16 oncologists who do this themselves, without an  
17 interventional radiologist?

18 DR. NAG: No, but there are proctors who  
19 are radiation oncologists, and MD candidates from what  
20 I know off hand who have more knowledge that in the  
21 blood flow, and when to stop, and when to go, that he  
22 directs the radiation--the interventional radiologist,  
23 you know, when to stop and when to go, and whether to  
24 go further, and so forth.

25 DR. MALMUD: Okay. Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. NAG: And, you know, similar like. If  
2 I'm working with an interventional radiologist who  
3 hasn't done this before, I tell them, you know, when  
4 to go and when to stop. You know, it's the knowledge  
5 that's important, not your label, whether you're an MD  
6 or whether you are interventional radiologist or  
7 radiation oncologist.

8 I wanted that wording in there for the  
9 catheter placement, and radiation safety, and the  
10 connection.

11 DR. MALMUD: So Dr. Nag's motion would  
12 amend mine to be reworded as that whichever technique  
13 is used, that there be present for the first three  
14 cases, at least, individuals with the knowledge, skill  
15 and training in both placement of the catheter, the  
16 calculation of the dose, and the methodology of  
17 injection.

18 DR. NAG: Radiation safety.

19 DR. MALMUD: And radiation safety.

20 Is that your motion?

21 DR. NAG: Yes.

22 DR. MALMUD: I withdraw mine and will  
23 second yours.

24 DR. SALEM: Dr. Malmud, this is Riad Salem  
25 listening in. If I could say just a few things. You

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 know, there are just a few issues with that. You  
2 know, this human being that has all of these skills,  
3 in the context of what everybody's describing here as  
4 their training program and their proctoring program,  
5 doesn't really exist.

6 There are a few individuals that have all  
7 of the skill sets that Dr. Nag has just described, and  
8 so, for example, with the Sirtex model, that third  
9 person is not a physician and so does not have the  
10 catheter position skills. He might have the radiation  
11 safety skills but not the catheter position skills,  
12 versus with the Nordion model they have the radiation  
13 safety skills but they are not interventional  
14 radiologists.

15 DR. MALMUD: Doctor, excuse me, you're  
16 correct, but I don't think that Dr. Nag was suggesting  
17 that all these skills belong to one person.

18 He said that these should be present.

19 DR. SALEM: But it seems like with that  
20 phrasing, it seems that you end up needing to have  
21 more people there for the actual initial proctoring  
22 session. So if you're not an Authorized User yet,  
23 which is what the proctoring portion is all about--

24 DR. MALMUD: Right.

25 DR. SALEM: Then you need to have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 potentially, an interventional radiologist and a  
2 physicist or someone else to complement whatever the  
3 interventional radiologist or radiation oncologist,  
4 both skills they don't have. In fact you may be  
5 increasing the number of people that are required with  
6 that wording.

7 DR. MALMUD: Are you in favor of that or  
8 opposed to it?

9 DR. SALEM: I'm opposed to it. I'm  
10 actually in favor of the recommendations that have  
11 been made already. These have been models that have  
12 been tested and vetted for years, and have been  
13 working quite well. I think it's a small community,  
14 this community, and the two models, as you have seen  
15 yourself, Dr. Malmud, at Temple, they're pretty good  
16 models and they work, and the more terminology we add,  
17 the more I have seen where the sites now get confused  
18 because they follow the guidance, and they look at  
19 every word, and then, you know, sort of some questions  
20 will be raised as to whether this person has satisfied  
21 all these criteria.

22 DR. MALMUD: So you're more in favor of  
23 the motion than I made initially?

24 DR. SALEM: Yes, sir.

25 DR. VETTER: This is Dick Vetter. I also

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have. I'm a little worried that the motion that's  
2 currently on the floor could be misinterpreted. So,  
3 for example, you have to have someone in the room who  
4 has radiation safety skills. The way I would  
5 interpret that is that includes everyone who is  
6 currently in the room, but I'm worried it would be  
7 interpreted that you now need a radiation safety  
8 expert, you know, the RSO or someone there. So I like  
9 the original motion better.

10 DR. NAG: Okay. I withdraw my motion. I  
11 mean, we all want the same thing but I don't think we  
12 have enough time to be saying, you know, how do we  
13 word this or that our intention is correctly forwarded  
14 in the guidance.

15 DR. MALMUD: Well, my motion was meant to  
16 approve of both techniques that are currently in use,  
17 both out of MDS Nordion and of Sirtex, because they  
18 both mimic models that have been used successfully  
19 before, and are continuing to be used in other fields  
20 as well. And therefore I thought if we simply gave  
21 them both our blessing we could move forward with  
22 this.

23 DR. NAG: That's fine.

24 DR. MALMUD: So if I may, with your  
25 permission, Dr. Nag, I'll keep my motion on the floor.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. NAG: That's fine.

2 DR. MALMUD: May we call the vote. All in  
3 favor?

4 [Chorus of ayes]

5 DR. MALMUD: Any opposed?

6 MS. GILLEY: This is Debbie Gilley. I  
7 oppose.

8 DR. MALMUD: Debbie Gilley opposes. Any  
9 abstentions?

10 [No response]

11 DR. MALMUD: It carries with a majority of  
12 the committee.

13 DR. NAG: Debbie, would you clarify why  
14 you're opposing. I mean, I would like to know.

15 MS. GILLEY: I don't see this technology  
16 any different than intravascular brachytherapy, and I  
17 think we had no problems at all getting the  
18 appropriate clinical cases done with the appropriate  
19 authorized users this way, and I just feel that it's  
20 very important that we have that, and I also am  
21 concerned about documentation for the Agreement  
22 States, to make sure that the appropriate  
23 documentation, this person is qualified before they're  
24 put on a license. Thank you.

25 DR. MALMUD: Thank you, Debbie Gilley.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 What both groups require is that when the individuals  
2 have completed three cases, that there be a letter  
3 certifying that they have completed active  
4 participation in three cases with patients before they  
5 would be, have fulfilled the requirements.

6 MS. GILLEY: This is Debbie Gilley again.

7 I'm not inclined to add possession of this material  
8 on to a license until I have an authorized user who is  
9 qualified. Thank you.

10 DR. MALMUD: Thank you, Debbie.

11 So we've heard both the wishes of the  
12 majority of the committee and the comments of the sole  
13 dissenter.

14 Are there any other--I'm sorry?

15 MR. LIETO: I don't think you heard my  
16 opposition. I voted "no" too.

17 DR. MALMUD: Oh, I'm sorry.

18 MR. LIETO: I think I got drowned out.

19 DR. MALMUD: Who is speaking?

20 MR. LIETO: This is Ralph Lieto. I'm  
21 sorry.

22 DR. MALMUD: Ralph. I'm sorry.

23 MR. LIETO: So there are two opposition  
24 votes.

25 DR. MALMUD: There are two oppositions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 Thank you.

2 DR. THOMADSEN: Mr. Chairman, this is  
3 Thomadsen. Can I ask Ralph for the rationale for his  
4 dissent?

5 DR. MALMUD: You may but this is the  
6 chairman, and I am already 40 minutes late for my  
7 other appointment, so I--

8 MR. LIETO: Bruce, I'll be glad to call  
9 you and let you know.

10 DR. MALMUD: Thank you.

11 Is there a motion for adjournment?

12 MS. TULL: As long as you need the line,  
13 the line is available.

14 DR. VETTER: I move that the meeting be  
15 adjourned.

16 DR. MALMUD: Thank you, Dr. Vetter.

17 MR. LIETO: I would second.

18 DR. MALMUD: And thank you all for your  
19 patience and participation, and members of the public  
20 as well. Thank you.

21 [Whereupon, at 3:42 p.m., the meeting was  
22 adjourned]

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)